

GULF OF MEXICO FISHERY MANAGEMENT COUNCIL
SPINY LOBSTER MANAGEMENT COMMITTEE

Hilton Clearwater Beach Resort Clearwater Beach, Florida

June 20, 2016

VOTING MEMBERS

- Martha Guyas (designee for Nick Wiley).....Florida
- Doug Boyd.....Texas
- Roy Crabtree.....NMFS, SERO, St. Petersburg, Florida
- Dale Diaz.....Mississippi
- Dave Donaldson.....GSMFC
- John Sanchez.....Florida

NON-VOTING MEMBERS

- Kevin Anson (designee for Chris Blankenship).....Alabama
- Leann Bosarge.....Mississippi
- Pamela Dana.....Florida
- Myron Fischer (designee for Patrick Banks).....Louisiana
- John Greene.....Alabama
- Kelly Lucas (designee for Jamie Miller).....Mississippi
- Campo Matens.....Louisiana
- Robin Riechers.....Texas
- Greg Stunz.....Texas
- Ed Swindell.....Louisiana
- David Walker.....Alabama
- Roy Williams.....Florida

STAFF

- Steven Atran.....Senior Fishery Biologist
- Assane Diagne.....Economist
- John Froeschke.....Fishery Biologist - Statistician
- Douglas Gregory.....Executive Director
- Morgan Kilgour.....Fishery Biologist
- Ava Lasseter.....Anthropologist
- Mara Levy.....NOAA General Counsel
- Emily Muehlstein.....Fisheries Outreach Specialist
- Kathy Pereira.....Meeting Planner/Travel Coordinator
- Charlene Ponce.....Public Information Officer
- Ryan Rindone.....Fishery Biologist/SEDAR Liaison
- Bernadine Roy.....Office Manager
- Charlotte Schiaffo.....Research and Human Resource Librarian
- Carrie Simmons.....Deputy Director

OTHER PARTICIPANTS

- Patrick Banks.....LA

1 Luiz Barbieri.....GMFMC SSC
2 Jeff Barger.....Ocean Conservancy, Austin, TX
3 Anna Beckwith.....SAFMC
4 Randall Bibler.....FWC DLE
5 Chris Blankenship.....AL
6 Steve Branstetter.....NMFS
7 J.P. Brooker.....Ocean Conservancy, St. Petersburg, FL
8 Jim Clements.....Carrabelle, FL
9 Lee Crockett.....Pew Charitable Trusts
10 Jocelyn D'Ambrosio.....NOAA GC
11 Martin Fisher.....St. Petersburg, FL
12 Matthew Freeman.....FWC DLE
13 Susan Gerhart.....NMFS
14 Chad Hanson.....Pew Charitable Trusts
15 Frank Helies.....Tampa, FL
16 Representative David Jolly.....FL
17 Bill Kelly.....FKCFA
18 Michael Kelly.....CLS America
19 Benny Gallaway.....LGL, TX
20 Mike Larkin.....NMFS
21 Rich Malinowski.....NMFS
22 Sharon McBreen.....Pew Charitable Trusts, Orlando, FL
23 Jack McGovern.....NMFS
24 C. Melancon.....Baton Rouge, LA
25 Cynthia Meyer.....NOAA
26 Daniel Padron.....Key West, FL
27 Todd Phillips.....Ocean Conservancy, Austin, TX
28 Bonnie Ponwith.....SEFSC
29 Lance Robinson.....TX
30 Sunny Snider.....NMFS
31 Jessica Stephen.....NMFS
32 Andy Strelcheck.....NMFS
33 Michael Travis.....NMFS
34 Tom Wheatley.....Pew Charitable Trusts, Tampa, FL
35 Marlon White.....NOAA/NMFS, St. Petersburg, FL
36 Roger Young.....FWC DLE
37
38 - - -
39

TABLE OF CONTENTS

1
2
3 Table of Contents.....3
4
5 Table of Motions.....4
6
7 Adoption of Agenda.....5
8
9 Approval of Minutes.....5
10
11 Action Guide and Next Steps.....5
12
13 2014/2015 Spiny Lobster Landings and Preliminary 2015/2016 Spiny
14 Lobster Landings.....5
15
16 Review Panel Summary.....6
17
18 Joint SAFMC/GMFMC Spiny Lobster AP Summary.....7
19
20 Spiny Lobster SSC Report.....12
21
22 Committee Recommendations.....14
23
24 Adjournment.....17
25
26 - - -
27

TABLE OF MOTIONS

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16

PAGE 14: Motion to direct staff to work on an amendment to revise the ACL, including an option based on the review panel recommendation of utilizing the years 1991/1992 through 2015/2016. The motion carried on page 15.

PAGE 16: Motion that there will be a lower landing trigger, based on the average of the three low landings years of 2001/2002, 2002/2003, and 2003/2004, that would initiate a review panel, if below this average for two consecutive years, and that's equivalent to 5.3 million pounds. The motion carried on page 16.

- - -

1 The Spiny Lobster Management Committee of the Gulf of Mexico
2 Fishery Management Council convened at the Hilton Clearwater
3 Beach Resort, Clearwater Beach, Florida, Monday afternoon, June
4 20, 2016, and was called to order at 1:15 p.m. by Chairman
5 Martha Guyas.

6
7 **ADOPTION OF AGENDA**
8 **APPROVAL OF MINUTES**
9 **ACTION GUIDE AND NEXT STEPS**

10
11 **CHAIRMAN MARTHA GUYAS:** Our first order of business is to
12 approve the agenda. Are there any changes to the agenda or
13 anyone willing to make a motion to approve the agenda? It's
14 been moved and seconded. Any opposition to that motion? Seeing
15 none, the agenda is approved.

16
17 Let's move on to our minutes. I think we met last year. Can I
18 get a motion to approve the minutes? We have a motion and a
19 second. Any opposition to that motion? Seeing none, the motion
20 carries. Let's move right into the spiny lobster landings with
21 Morgan.

22
23 **2014/2015 SPINY LOBSTER LANDINGS AND PRELIMINARY 2015/2016 SPINY**
24 **LOBSTER LANDINGS**

25
26 **DR. MORGAN KILGOUR:** Thank you, Madam Chair. I think I sent
27 Charlotte a quick little two-slide summary of the landings, just
28 so that I can reiterate where we are with spiny lobster. It's
29 basically just a cheater version of the report that I gave you.

30
31 Our ACT is our accountability measure. If the ACT is exceeded,
32 then a review panel is convened. Our ACT is set now to 90
33 percent of the ACL. The ACL is set equal to the ABC, and the
34 ABC is the mean plus one-and-a-half standard deviations. The
35 OFL is set equal to MSY, and that's the mean plus two standard
36 deviations, and so where we are now, is in the 2014/2015 season,
37 the ACT was exceeded, and so a review panel met.

38
39 In the 2015/2016 season, we have preliminary landings, I have
40 been told, of about 90 percent of all landings have been
41 accounted for, and we have exceeded the ACL. That's the next
42 slide, where you can see this is the historic landings, and so I
43 wanted to kind of preface the next three items on the agenda
44 with this is where we are right now with the fishery. The ACT
45 has been exceeded the past three years and the ACL has been
46 exceeded in two of the past three years.

47
48 Our accountability measure is to convene the review panel, but

1 it also says that if the ACL is exceeded twice in a four-year
2 period that the whole system of ACLs and AMs needs to be
3 reevaluated. That's pretty much the summary of the landings.
4 Are there any questions?

5
6 **CHAIRMAN GUYAS:** It doesn't look like we have any questions. Do
7 you want to talk about what the review panel discussed?

8
9 **REVIEW PANEL SUMMARY**

10
11 **DR. KILGOUR:** Sure. If we move on into the review panel, we
12 used pretty much the same roster as we had with the original
13 review panel in 2015, with the exception of there were fewer
14 people, and, this time, the review panel was able to vote. A
15 couple of the members that did attend the 2015 review panel
16 didn't come to the 2016 review panel.

17
18 This time the review panel met, it was a brief webinar. It took
19 about an hour. They reviewed the landings and they talked about
20 the ACL and the ACT. They made a series of motions that they
21 voted on. They thought that the best way to address this ACL
22 overage would be to calculate the ACL based on the landings from
23 1991 through the most current landings, and so the ACL had
24 previously been calculated with a ten-year period of 2000 to
25 2009, and that actually had been the historic low of the spiny
26 lobster landings.

27
28 Looking at the spiny lobster landings and how they have been
29 increasing, they thought that maybe using the whole time series
30 would be more appropriate, since it doesn't seem that that low
31 was going to be consistent. It seemed to be just part of the
32 time series.

33
34 Then they also suggested maybe to readdress calculating the ACL
35 based on a rolling average. It was also mentioned in the review
36 panel that this doesn't really create an ACL. If you're
37 constantly changing it based on landings, it can constantly go
38 up or it can constantly go down, and so it's always based on the
39 historic landings, and the South Atlantic staff, in particular,
40 had addressed a couple of concerns with using a rolling average.

41
42 Then the last ACL motion that they made was basically to examine
43 the ACL as a trigger that's based on the landings to effort
44 index, and so are your landings going down because your effort
45 has gone down or are your landings going up because your effort
46 has gone up? Those were the three metrics that the review panel
47 suggested for calculating the ACL.

1 They also discussed a stock assessment, and, at the time, there
2 were no plans for a spiny lobster stock assessment, but I guess,
3 in the SEDAR this morning, it's slotted for 2019. That was
4 pretty much the summary of the review panel.

5
6 **CHAIRMAN GUYAS:** Are there questions for Morgan about that
7 summary? Okay. Seeing none, let's go to the Spiny Lobster AP
8 Summary.

9
10 **JOINT SAFMC/GMFMC SPINY LOBSTER AP SUMMARY**

11
12 **DR. KILGOUR:** Okay. We have our Spiny Lobster AP Vice Chair
13 here, who was the chair of the meeting, and so if there are any
14 specific AP questions, he is here to address them, and that's
15 Daniel Padron.

16
17 Again, we went over the same material that we went through with
18 the review panel, and so the AP was made aware of the ACT
19 overage. We did not have the 2015/2016 landings at the time of
20 the AP meeting, and so we didn't know that we had exceeded the
21 ACL yet.

22
23 There was a lot of discussion on the data that is collected to
24 calculate short mortality, and the AP had discussed that perhaps
25 an updated scientific study would be warranted, since the study
26 that was used to calculate that short mortality is over ten
27 years old and they feel that the fishery has changed.

28
29 They also talked about -- FWC presented a whole bunch of
30 information about the landings and the history of the fishery,
31 but a lot of those discussions revolved around this ACT/ACL
32 overage.

33
34 This was a joint meeting between the South Atlantic and the Gulf
35 APs, and they had looked at the review panel summary, and, after
36 a lot of discussion, they had a motion that was very similar to
37 the motion that the review panel made, and that's to recommend
38 that the calculation of the ACL be based on that historic 1991
39 through 2015/2016 landings, and both APs made that motion.

40
41 They also were concerned about spiny lobster not being a
42 priority for data collection, and a lot of the discussion
43 revolved around the fact that they felt that the data was
44 outdated, and there was concern that -- Both APs made the motion
45 that, in federal and state trip intercept programs, that lobster
46 be made a priority species, so we have better information to
47 inform a future stock assessment, but really the APs were
48 concerned with the fact that we have a trigger that's based on

1 an overage.

2
3 As long as we don't go over this ACL or ACT, nothing happens.
4 The APs were concerned that maybe we need to have a trigger
5 that's based on not meeting some threshold criteria, because
6 that would indicate that the lobster fishery was in trouble, and
7 so they made the motion that there be a lower landing trigger,
8 so that if the landings don't meet that lower landing trigger
9 for two years in a row, that might indicate that there is
10 trouble in the fishery.

11
12 The motion was to recommend that there be a lower landing
13 trigger, based on the average of the three low landings years of
14 2001/2002, 2002/2003, and 2003/2004, that would initiate a
15 review panel if below this average for two consecutive years.

16
17 Again, I want to reiterate that they just wanted to make sure
18 that a review panel was conducted, to make sure that the fishery
19 wasn't in trouble, and they wanted it two years in a row,
20 because they felt that maybe one year they could have a
21 hurricane or something and they don't meet that lower landing
22 threshold, but two years in a row would probably indicate a
23 problem.

24
25 The AP also was given a presentation by FWC staff on the
26 compliance with the closed areas. In general, if the closed
27 areas are well marked, there seemed to be more compliance.

28
29 The NMFS closed areas that the council had done in Amendment 10,
30 I believe, or maybe it was Amendment 11, didn't have a lot of
31 compliance until FWC started putting a notice on those traps
32 that were in the areas, and then they found that there was
33 better compliance. People just weren't aware of the fact that
34 those were closed areas.

35
36 The Coral HAPCs that have been recommended by the working group
37 that have been presented to this council before were also
38 presented to the Spiny Lobster APs, and they didn't have any
39 recommendations. It didn't seem that the areas that were
40 proposed would affect any of the members of the spiny lobster
41 fishery that they were aware of, and that's about it.

42
43 **CHAIRMAN GUYAS:** Thanks, Morgan. I do want to invite Daniel
44 Padron up here, since he is on the AP and took the time to
45 attend this meeting. Do you want to come up? Is there anything
46 you would like to add to what Morgan just went over?

47
48 **MR. DANIEL PADRON:** Thank you, council members, for having me

1 here today. Definitely the lobster fishery has undergone
2 several changes just in the fifteen years that I've been
3 fishing. For example, there was so much of our recruitment --
4 From what we've heard, up to 85 percent of our recruitment comes
5 from Central America and South America, as well as the Bahamas,
6 and so, early on, a lot of those numbers that we were getting
7 were so much affected by what they were doing down south of us.

8
9 For example, back in the day, they were scraping eggs and they
10 were taking undersized lobster and there was also no closed
11 season. Now, they have all of those things. In the past years,
12 since they have implemented those, we have seen our numbers
13 start getting better and better and better. Hopefully the rest
14 of the years that come, they will continue to get better.

15
16 Also, our own industry has changed. Our technology has gotten
17 better. All of guys use live wells now, since the Chinese
18 market has gotten so big. The technology has gotten better,
19 and, also, since the trap reduction, there is less traps in the
20 water, but what it's done is it has made the existing fishermen
21 more professional.

22
23 Rather than having a lot of these guys that just had a couple
24 hundred traps here or a couple hundred traps there, you have
25 more professional fishermen that specialize solely in spiny
26 lobster fishing, and so they've just got it more efficient over
27 the years and have really, frankly, just become better
28 fishermen.

29
30 We definitely felt that raising the ACL to 9.6 million pounds is
31 kind of our best option. Our best option would be an exception
32 completely, but, since the Magnuson Act doesn't allow that,
33 we're kind of stuck with that. Definitely I will have to
34 reiterate the fact that we have a huge lack of science.

35
36 I was actually speaking with somebody earlier that last year was
37 the first year in the stone crab fishery that we actually had an
38 accurate prediction. Dr. Ryan Gandy sat there on in the AP
39 meeting and told us that they've been seeing a lot of large
40 stone crabs, and a lot of them. Last year, the numbers showed
41 we had a lot of large stone crabs caught, and so I am just
42 trying to figure out why our science is so behind.

43
44 As a group collectively, we would like to see age and size data
45 somehow come about, because that seems to be a much more
46 accurate reflection of the stock and how it's doing, whether
47 it's done in Central America or South America or what seems to
48 be like it needs to be a continued group effort on all parts.

1 We would like to see that, as well as make it a high-priority
2 species, so we can better understand the fishery.

3
4 Just to reiterate the lower landing trigger, that was kind of --
5 We felt like the higher end. We felt like we were kind of being
6 penalized for doing well, for being more efficient, for working
7 harder and for catching, but we felt like there wasn't anything
8 there to tell us if the stock was really in trouble, which we
9 felt like that lower landing trigger would really be there.

10
11 Also, last year, I don't know if it was mentioned in prior
12 meetings, but there were times when we were limited on our
13 fishing efforts. So many lobsters are being caught in the
14 beginning last year that we were only allowed to catch 500
15 pounds a day.

16
17 Some fish houses were allowed to catch 1,000 pounds a day.
18 There was a couple of fish houses actually in Key West, where I
19 fish out of, where they weren't fishing for two weeks, because
20 they just could not handle the volume of lobster that was coming
21 in, and so the stock is well, in our eyes. We just want to
22 continue to keep it that way. If you guys have any other
23 questions, feel free to ask away.

24
25 **CHAIRMAN GUYAS:** Sure. Go ahead, Roy.

26
27 **MR. ROY WILLIAMS:** Thank you for coming. I only learned a
28 couple of years ago about the Chinese market. What fraction of
29 the fishery is landed live nowadays for that Chinese market? Do
30 you have any feeling for it?

31
32 **MR. PADRON:** Every fish that comes across our boat goes to the
33 live market. Every lobster that we catch on our boat goes
34 straight to the Chinese market.

35
36 **MR. WILLIAMS:** Do you have any feeling for the industry as a
37 whole?

38
39 **MR. PADRON:** There is a domestic market. Different fish houses
40 sell to different people. We actually have a specific buyer
41 that takes all of our live product and, from there, it's put in
42 holding tanks in Marathon. Then, that evening, it's put
43 directly on a plane and sent to China as fast as it possibly
44 can.

45
46 There are domestic markets that are processing those lobsters,
47 whether they're whole cooked, that stay in the states or are
48 exported for some other reason, but I would say the primary

1 market now is the whole live lobster.

2
3 **MR. WILLIAMS:** One follow-up question, if I might. When you
4 land your fish, your lobsters, at the end of the day, do you
5 report the numbers of traps you pulled, too? Is that part of
6 the reporting requirement when your landings are made?

7
8 **MR. PADRON:** Yes, sir. Just like a standard trip ticket or
9 location, where the fish were caught, how many traps were
10 pulled, as well as the poundage of the lobsters. That's all
11 recorded, and so your trip ticket, any information from there,
12 should be able to produce that information for you.

13
14 **CHAIRMAN GUYAS:** Go ahead, John.

15
16 **MR. JOHN SANCHEZ:** I've got to assume, if you're being told by
17 the respective fish houses that you can only fish so much, only
18 catch so many pounds today, up and down the whole Keys, and
19 you're having these banner years, where we're exceeding ACTs and
20 ACLs, would you say, in what you're seeing, that your catch per
21 trap has then gone up, just in line with what we're seeing?

22
23 **MR. PADRON:** Absolutely. It would be safe to say that our
24 average per trap in the past couple of years has increased.

25
26 **CHAIRMAN GUYAS:** Go ahead.

27
28 **MR. ED SWINDELL:** Thank you, Madam Chairman. Are there any
29 discards in this fishery? Are there any lobsters that you catch
30 that you are not allowed to keep and you have to return to the
31 water? Are they returned alive? Do they last when they are
32 returned?

33
34 **MR. PADRON:** We actually use undersized lobster as attractants
35 for our traps, because they tend to congregate together. We are
36 allowed fifty per boat, but every lobster that comes on our boat
37 is immediately thrown into a live well, and about the easiest
38 way I could explain one of our live wells to you on any boat in
39 the Florida Keys is if you picture a Jacuzzi with the Jacuzzi
40 jets on full blast, air circulating throughout that entire box,
41 that is what our live wells look like. They're full of air.

42
43 We have separate holding tanks for our undersized lobster, the
44 attractants that we use, and the lobsters literally go from the
45 trap directly into either the main live well, which are legal
46 size, and they're either measured right away and then put in an
47 undersized live well or measured and go into the legal live
48 well, and so nothing stays out of the water for any length of

1 time at all.

2
3 **MR. SWINDELL:** What then happens to the undersized lobsters?
4 Are they returned back to the Gulf of Mexico?

5
6 **MR. PADRON:** Yes, sir. The lobsters are returned back. Thank
7 you.

8
9 **CHAIRMAN GUYAS:** Any other questions for Mr. Padron? Thank you.

10
11 **MR. PADRON:** Thank you, Chairman.

12
13 **CHAIRMAN GUYAS:** I think the next thing we have on our agenda is
14 the SSC Summary Report. Is that you, Luiz?

15
16 **SPINY LOBSTER SSC SUMMARY REPORT**

17
18 **DR. LUIZ BARBIERI:** Yes, that's me back, Madam Chair. I know
19 this is going to surprise most of you, especially Dr. Crabtree,
20 but I do have another very brief report. I can be brief, at
21 times.

22
23 Basically, the SSC was presented, at this last meeting, with the
24 scenarios that Morgan went through, and we were requested to
25 make a recommendation, since the SSC had provided the ABC before
26 and had evaluated the length of the time series and the specific
27 years in that time series to be used for estimating the OFL and
28 ABC, and so we were asked to evaluate that again.

29
30 If we can look at the landings, just the time series of landings
31 of lobster, just to refresh your minds about the fact that, back
32 in -- I don't remember when it was was, maybe 2010 or maybe a
33 little earlier than that, but we were presented with that full
34 time series of landings there for lobster, and, at the time,
35 there were major concerns from the scientific community
36 regarding the development of a virus that was potentially
37 impacting lobsters in the Keys and potentially then causing a
38 regime shift in the size of the population, just shifting
39 natural mortality, increasing it, several fold, and that that
40 decline there you see in 2000 that basically you have two then
41 time periods there, the one up to 1999, where you have the
42 highest level of landings, and then you have the lower part,
43 since 2000, where the landings had been severely reduced.

44
45 At the time, given those concerns, the SSC had recommended that
46 the average landings, average catch, that was used to develop
47 the OFL and ABC for spiny lobster be using just that lower
48 landings period from 2000 up to the end year of that time

1 series, which at the time I think was 2011 or 2012.

2
3 As you have noticed, towards the end of that time series,
4 landings continued to increase, and some of the other results,
5 research results, that we are receiving from the scientific
6 community regarding the virus is that the amount of prevalence
7 of the virus has gone down and that nothing has really
8 translated into the expected increase in natural mortality, as
9 had been hypothesized before.

10
11 Based on that, the committee decided to recommend that, instead
12 of using just that lower landings level most recent piece of the
13 time series, that the new OFL and ABC be based on the entire
14 time series of landings for spiny lobster, and so that would
15 include landings from 1991 onwards.

16
17 Basically, natural populations will do this from time to time.
18 They will oscillate in cycles of productivity, and so the
19 productivity was fairly high during the 1990s, and it came down
20 since the 2000s, and it seems to be recovering again to normal
21 expected levels, and so we felt that there wasn't really any
22 good scientific justification for recommending just the lower
23 level of landings that started in 2000.

24
25 Therefore, we recommended that OFL and ABC for spiny lobster be
26 calculated according to our Tier 3A of the ABC control rule,
27 using the entire time series of landings. That, Madam Chair,
28 concludes my report.

29
30 **CHAIRMAN GUYAS:** Thank you. Are there questions for Dr.
31 Barbieri? I've got Mara and then Roy.

32
33 **MS. MARA LEVY:** Thank you. I heard you say it at the end, but I
34 just wanted to clarify. You were still talking about Tier 3A,
35 which is a time series of landings, and then doing the
36 deviation, the standard deviation, to determine the OFL and then
37 the ABC, because there is 3B, which is just the time series of
38 landings for the OFL and then reducing it by some amount for the
39 ABC.

40
41 **DR. BARBIERI:** Right, and to be clear, and this is why I
42 mentioned 3A. It's because basically the SSC decided not to
43 recommend any change in the methodology that was used the last
44 time, and so the only thing that is changing is really the time
45 series, the length and the number of years that are there in
46 that time series for estimating the OFL and ABC, but the
47 methodology is still according to our Tier 3A of our ABC control
48 rule.

1
2 **MR. WILLIAMS:** Luiz, the increasing trend we see over the last
3 decade, you had indicated some of that is natural -- This virus
4 is less of problem now, perhaps, and so the natural mortality
5 rate is down and the stock is more productive now, and is there
6 also more effort going on, because of this Chinese market? Do
7 you have the ability to separate out how much increased effort
8 is contributing to this and how much just the increase in the
9 stock abundance contributes?

10
11 **DR. BARBIERI:** The short answer is no, not really. You have a
12 lot of complications, in terms of understanding really the
13 metrics of fishing effort for spiny lobster.

14
15 It has been a problem for all the assessments that have been
16 conducted, and it's something that's very difficult for us to
17 really evaluate, and Daniel's discussion of how industry is
18 trying to be responsive to the request from fish houses adds to
19 that complication, because the number of days and hours and not
20 just the number of traps that are out there and how they are
21 fished -- All of this influences our metrics of effort. That
22 information is equivocal. That's something that we still cannot
23 properly account for.

24
25 **COMMITTEE RECOMMENDATIONS**

26
27 **CHAIRMAN GUYAS:** Any other questions for Dr. Barbieri? Thank
28 you. Okay, committee. We are in a situation where we've gone
29 over the ACL and ACT for a couple of years, and it looks like we
30 need to take some action. John.

31
32 **MR. SANCHEZ:** Madam Chair, if we're at a point in the agenda
33 today for lobster that's appropriate, I would like to make a
34 motion to that effect.

35
36 **CHAIRMAN GUYAS:** Sounds great.

37
38 **MR. SANCHEZ:** I would make a motion that we direct staff to work
39 on an amendment to revise the ACL, including an option based on
40 the review panel recommendation of utilizing the years 1991
41 through 1992, that season, through 2015/2016. If I can get a
42 second, I will explain.

43
44 **MR. DIAZ:** Second.

45
46 **CHAIRMAN GUYAS:** Let's get it on the board, to make sure we've
47 got the right thing here, and then you can go ahead. Does that
48 look right?

1
2 **MR. SANCHEZ:** That looks correct. Having heard last week's
3 presentation from the counterpart, Daniel's counterpart on the
4 South Atlantic, Bruce Irwin, it kind of echoed the same thing
5 that we're hearing, and he went on to say that he's seeing the
6 size of the lobster that they're encountering increasing, and it
7 seems like there is a healthy indicator of a healthy fishery.
8
9 This fishery has been under a gear restrictive approach to
10 management for quite some time, and then dividends additionally
11 paid off from management measures implemented in the larval
12 export area of the Caribbean, and so I think this would be
13 appropriate, and I would hope that everybody could support this.
14 It seems like management is working as intended, and this would
15 help to foster the continued success of that fishery.
16
17 **CHAIRMAN GUYAS:** Go ahead, Carrie.
18
19 **DR. CARRIE SIMMONS:** Thank you, Madam Chair. I just wanted to
20 ask -- I assume this would be a joint amendment with the South
21 Atlantic Council.
22
23 **CHAIRMAN GUYAS:** Yes, I think it would have to be, right? We
24 typically do joint amendments with them for lobster. Are you
25 okay with that?
26
27 **MR. SANCHEZ:** Absolutely. Having been there last week, I don't
28 pretend to speak for them, but this is exactly what they were
29 recommending too.
30
31 **CHAIRMAN GUYAS:** They also have this motion, more or less, and
32 so that's good. We're moving in the same direction. It's rare,
33 but that happens sometimes. Any other questions or discussion
34 about this motion? Doug.
35
36 **MR. DOUG BOYD:** A question. Is there one ACL for the fishery?
37
38 **CHAIRMAN GUYAS:** Yes, and it's based on a range of years. It
39 was that low period in the graph that Luiz was showing, and so
40 this would just extend it out over a longer period of time.
41
42 **MR. BOYD:** Right, and I guess my question is there is not
43 separate ACLs for recreational and commercial.
44
45 **CHAIRMAN GUYAS:** No, there's not. Are we ready to move on this
46 one? **All in favor of this motion say aye; anyone opposed. It**
47 **sounds like the motion carries.** Are there any other motions or
48 comments? Anna.

1
2 **MS. ANNA BECKWITH:** Thank you, Madam Chair. The South Atlantic
3 also added two additional things for consideration. We did go
4 ahead and include the low landings monitoring measure trigger.
5 We asked that they put in an option that would be the average of
6 the three low landing years. That would initiate a review
7 panel.

8
9 Then we also moved forth an action that would prohibit
10 recreational traps in the South Atlantic EEZ, similar to what
11 Florida already has. We had a gentleman from North Carolina
12 that had expressed an interest in using recreational traps for
13 lobster, and we did not want to move that forward, and so we did
14 add those additional actions, for your consideration.

15
16 **CHAIRMAN GUYAS:** John.

17
18 **MR. SANCHEZ:** Following those comments, I would make another
19 motion that we include the advisory panel's recommendation for a
20 low landing monitoring measure in the amendment. I think we
21 might have some of that language in the rationale from the Spiny
22 Lobster AP.

23
24 **CHAIRMAN GUYAS:** It looks like we're working on the motion for
25 you here. I will read it. The motion that is on the board is
26 that there will be a lower landing trigger, based on the average
27 of the three low landings years of 2001/2002, 2002/2003, and
28 2003/2004, that would initiate a review panel, if below this
29 average for two consecutive years, and that's equivalent to 5.3
30 million pounds.

31
32 **MR. SANCHEZ:** That works.

33
34 **CHAIRMAN GUYAS:** Excellent. Would anyone like to second this
35 motion?

36
37 **MR. BOYD:** I second.

38
39 **CHAIRMAN GUYAS:** We have a second. Thank you.

40
41 **DR. ROY CRABTREE:** What we talked about at the South Atlantic
42 was just having this be text in the amendment, that it didn't
43 need to be an action or anything like that. This is just
44 something the council intends to do.

45
46 **CHAIRMAN GUYAS:** Any other discussion on the motion? **All in**
47 **favor, please say aye; any opposed. The motion carries.** Any
48 other motions or discussion or business for this committee?

1 Seeing none, I think we are finished with the Spiny Lobster
2 Committee.

3

4 (Whereupon, the meeting adjourned at 1:52 p.m., June 20, 2016.)

5

6

- - -