

GULF OF MEXICO FISHERY MANAGEMENT COUNCIL

STANDING, REEF FISH, SOCIOECONOMIC, SHRIMP, AND SPINY LOBSTER
SCIENTIFIC AND STATISTICAL COMMITTEES

Hilton Westshore Tampa Airport Hotel Tampa, Florida

JUNE 1-2, 2016

STANDING SSC MEMBERS

- Luiz Barbieri.....
- Lee Anderson.....
- Benjamin Blount.....
- Mary Christman.....
- Bob Gill.....
- David Griffith.....
- Jack Isaacs.....
- Jeff Isely.....
- Walter Keithly.....
- Kai Lorenzen.....
- Paul Mickle.....
- Joe Powers.....
- Ken Roberts.....
- Steven Scyphers.....
- Robert Shipp.....
- James Tolan.....

SPECIAL REEF FISH SSC MEMBERS

- Jason Adriance.....
- James Drymon.....
- Robert Ellis.....
- John Mareska.....

SPECIAL SOCIOECONOMIC SSC MEMBERS

- Matthew Freeman.....
- Sherry Larkin.....
- Gabriela Stocks.....

SPECIAL SHRIMP SSC MEMBERS

- Richard Burris.....
- Ryan Gandy.....
- Leslie Hartman.....
- Jeffrey Marx.....
- James Nance.....

SPECIAL SPINY LOBSTER SSC MEMBERS

- Ryan Gandy.....
- Sherry Larkin.....

1
2 **STAFF**
3 Steven Atran.....Senior Fishery Biologist
4 Assane Diagne.....Economist
5 John Froeschke.....Fishery Biologist-Statistician
6 Doug Gregory.....Executive Director
7 Ava Lasseter.....Anthropologist
8 Morgan Kilgour.....Fishery Biologist
9 Ryan Rindone.....Fishery Biologist/SEDAR Liaison
10 Charlotte Schiaffo.....Research and Human Resource Librarian
11 Carrie Simmons.....Deputy Executive Director

12
13 **OTHER PARTICIPANTS**

14 Shanae Allen.....FWRI, St. Petersburg, FL
15 Miles Archabal.....Ocean Conservancy, St. Petersburg, FL
16 Leann Bosarge.....GMFMC
17 J.P. Brooker.....Ocean Conservancy, St. Petersburg, FL
18 Rick Burris.....MDMR, Biloxi, MS
19 Roy Crabtree.....NMFS
20 Susan Gerhart.....NMFS
21 Stephen Holliman.....NMFS
22 Shelly Krueger.....Florida Sea Grant, Key West, FL
23 Michael Larkin.....NOAA
24 Michelle Masi.....FWRI, St. Petersburg, FL
25 Glenn Mitchell.....NMFS
26 Christina Package-Ward.....NMFS
27 Todd Phillips.....Ocean Conservancy, Austin, TX
28 Clay Porch.....SEFSC
29 Matthew Smith.....SEFSC
30 Jessica Stephen.....NMFS
31 Mike Travis.....NMFS
32 Sal Versaggi.....Tampa, FL

33
34 - - -
35

TABLE OF CONTENTS

1
2
3 Table of Contents.....3
4
5 Table of Motions.....5
6
7 Introductions.....6
8
9 Adoption of Agenda.....8
10
11 Selection of SSC Representative at June 2016 Council Meeting.....9
12
13 Socioeconomic Considerations for Section Management.....9
14 Reef Fish Amendment 42.....9
15 Reef Fish Amendment 41.....26
16
17 Market Power Analysis for the Gulf IFQ Programs.....36
18
19 Approval of the March 8, 2016 Standing and Special Shrimp SSC
20 Minutes.....64
21
22 Shrimp Amendment 17B.....64
23 Aggregate MSY/OY Working Group Summary.....64
24 Review of Amendment.....68
25
26 Approval of the Spiny Lobster Portion of the March 10, 2015
27 Standing, Special Shrimp, and Special Spiny Lobster SSC Minutes..87
28
29 Review of the 2014/2015 and 2015/2016 (Preliminary) Spiny
30 Lobster Landings.....88
31
32 Approval of the January 5-6, 2016 Standing and Special Reef Fish
33 SSC Minutes.....101
34
35 SSC Members Serving as Council State Designees.....102
36
37 Discussion of Methods to Address Recreational Red Snapper ACL
38 Underharvest.....105
39
40 SEDAR 45 Vermilion Snapper Standard Assessment.....116
41
42 Review and Approval of Terms of Reference.....182
43 Gag Update Assessment.....182
44 Greater Amberjack Update Assessment.....185
45
46 Review of SEDAR Assessment Schedule.....186
47 Review of SEDAR Schedule as of April 2016.....186
48

1 Review of Research and Operational Cycles for SEDAR Stock
2 Assessments.....191
3
4 Decision Tool for Gray Triggerfish Bag Limits, Size Limits, and
5 Season Analyses.....213
6
7 Reevaluation of SSC Recommendation for Hogfish Equilibrium ABC...227
8
9 OY Exceeding MSY in Some Scenarios.....235
10
11 Review of Draft Amendment 44.....238
12
13 Reef Fish Other Business.....249
14
15 Adjournment.....251
16
17 - - -
18

TABLE OF MOTIONS

1
2
3 PAGE 95: Motion that the committee recommends to use the time
4 series of 1991 to 2015/2016 for an ABC and OFL calculation for
5 spiny lobster. The motion carried on page 100.
6

7 PAGE 166: Motion that the committee accepts the SEDAR 45
8 vermilion snapper standard assessment as the best scientific
9 information available. The motion carried on page 166.
10

11 PAGE 168: Motion that the committee recommends that the MSY
12 proxy be yield at the fishing mortality rate of 30 percent SPR
13 and the biomass at 30 percent SPR. The motion carried on page
14 169.
15

16 PAGE 169: Motion that the committee accepts the SEDAR 45 stock
17 assessment of vermilion snapper determination that the stock is
18 not overfished and not undergoing overfishing. The motion
19 carried on page 170.
20

21 PAGE 174: Motion that the committee recommends that the yield
22 stream at 75 percent of F30 percent SPR be used to determine the
23 ABC and the yield at F30 percent SPR be used to determine the
24 OFL of vermilion snapper. The motion carried on page 175.
25

26 PAGE 177: Motion that the committee recommends that the time
27 frame be five years, 2017 through 2021, for the yield stream of
28 OFL and ABC for vermilion snapper. The motion carried on page
29 177.
30

31 PAGE 186: Motion that the committee accepts the terms of
32 reference for gag and greater amberjack as written, with
33 approved changes. The motion carried on page 186.
34

35 PAGE 205: Motion: The Committee recommends that the Council
36 approve the proposed Research/Operational Assessment structure
37 concept for SEDAR Stock Assessments. The motion carried on page
38 213.
39

40 - - -
41

1 The Standing, Reef Fish, Socioeconomic, Shrimp, and Spiny
2 Lobster Scientific and Statistical Committees of the Gulf of
3 Mexico Fishery Management Council convened at the Hilton
4 Westshore Tampa Airport Hotel, Tampa, Florida, Wednesday
5 morning, June 1, 2016, and was called to order at 9:00 a.m. by
6 Chairman Luiz Barbieri.

7
8
9

INTRODUCTIONS

10 **CHAIRMAN LUIZ BARBIERI:** It's time for us to get started. Good
11 morning. My name is Luiz Barbieri, and I will welcome all of
12 you as the Chair of the Scientific and Statistical Committee of
13 the Gulf of Mexico Fishery Management Council.

14

15 We appreciate your attendance and input at this meeting.
16 Representing the council is Leann Bosarge. Council staff in
17 attendance are Steven Atran and Charlotte Schiaffo. Notice of
18 this meeting was provided to coastal newspaper throughout the
19 area, Marine Extension and NMFS port agents, and the Federal
20 Register. Notice also sent via email to subscribers of the
21 council's press release email list and was posted on the
22 council's website.

23

24 Today and tomorrow's meeting will include the following topics:
25 Adoption of Agenda and Selection of SSC Representative at the
26 June 2016 Council Meeting. For the Standing, Socioeconomic, and
27 Shrimp SSC Session: Approval of the March 8, 2016 Standing and
28 Special Shrimp SSC Minutes; Shrimp Amendment 17B - Review of
29 Amendment and Summary of Aggregate MSY/OY Working Group.

30

31 For the Standing, Socioeconomic, and Spiny Lobster SSC Session:
32 Approval of the Spiny Lobster Portion of the March 10, 2015
33 Standing, Special Shrimp, and Special Spiny Lobster SSC Minutes;
34 Review of 2014/2015 and 2015/2016 (Preliminary) Spiny Lobster
35 Landings, which sub-items of Spiny Lobster Review Panel Summary
36 and Spiny Lobster AP Summary; and then Other Non-Reef Fish
37 Business.

38

39 For the Standing and Reef Fish SSC portion: Approval of the
40 January 5 and 6, 2016 Standing and Special Reef Fish SSC
41 Minutes; SSC Members Serving as Council State Designees;
42 Discussion of Methods to Address Recreational Red Snapper ACL
43 Underharvest; Review and Approval of the Terms of Reference for
44 the Gag Update Assessment and the Greater Amberjack Update
45 Assessment; Review of Research and Operational Cycles for SEDAR
46 Stock Assessments; Review of SEDAR Assessment Schedule; Decision
47 Tool for Gray Triggerfish Bag Limits, Size Limits, and Season
48 Analyses; SEDAR 45 Vermilion Snapper Standard Assessment;

1 Reevaluation of SSC Recommendations for Hogfish Equilibrium ABC;
2 OY Exceeding MSY in Some Scenarios; Review of Draft Amendment 44
3 - MSST and MSY Proxies for Reef Fish Stocks; and then Reef Fish
4 Other Business.

5
6 This meeting is open to the public. Members of the public are
7 welcome to speak at times that will allow the orderly conduct of
8 business. Please advise me or the council staff if you desire
9 to address the committee. This meeting will be streamed live
10 and recorded. Summary minutes of the meeting will also be made
11 available to the public. For the purpose of voice
12 identification, each member is requested to identify him or
13 herself, starting on my left.

14
15 **MR. STEVEN ATRAN:** Steven Atran, Gulf Council staff.

16
17 **DR. BOB SHIPP:** Bob Shipp, Alabama.

18
19 **DR. JACK ISAACS:** Jack Isaacs, Louisiana Department of Wildlife
20 and Fisheries.

21
22 **DR. DAVID GRIFFITH:** David Griffith, East Carolina University.

23
24 **DR. KEN ROBERTS:** Ken Roberts, retired, LSU.

25
26 **DR. JIM TOLAN:** Jim Tolan, Standing SSC

27
28 **DR. JIM NANCE:** Jim Nance, National Marine Fisheries Service,
29 Galveston.

30
31 **DR. WALTER KEITHLY:** Walter Keithly, Louisiana State University.

32
33 **MR. BOB GILL:** Bob Gill, Standing SSC.

34
35 **DR. MARY CHRISTMAN:** Mary Chrisman, MCC Statistical Consulting,
36 Standing SSC.

37
38 **DR. STEVEN SCYPHERS:** Steven Scyphers, Northeastern University,
39 Standing SSC.

40
41 **DR. JEFF ISELY:** Jeff Isely, Southeast Fisheries Science Center,
42 Standing SSC.

43
44 **DR. GABRIELA STOCKS:** Gabriela Stocks, University of Louisville.

45
46 **DR. PAUL MICKLE:** Paul Mickle, Mississippi Department of Marine
47 Resources.

48

1 **DR. BENJAMIN BLOUNT:** Ben Blount, Standing SSC.
2
3 **DR. JEFFREY MARX:** Jeff Marx, Louisiana Department of Wildlife
4 and Fisheries, Special Shrimp SSC.
5
6 **MR. RICK BURRIS:** Rick Burris, Mississippi Department of Marine
7 Resources.
8
9 **MS. LEANN BOSARGE:** Leann Bosarge, Gulf Council.
10
11 **DR. JOE POWERS:** Joe Powers, Louisiana State University.
12
13 **CHAIRMAN BARBIERI:** I think there are some SSC members that are
14 in the back there, Socioeconomic, I believe.
15
16 **DR. MATTHEW FREEMAN:** Matt Freeman, Mississippi State.
17
18 **DR. SHERRY LARKIN:** Sherry Larkin, University of Florida. I
19 think I'm on the Special Spiny Lobster and Socioeconomic
20
21 **DR. LEE ANDERSON:** Lee Anderson, retired, University of
22 Delaware.
23
24 **CHAIRMAN BARBIERI:** Thank you. Do we need to go through public
25 introductions for members of the public in attendance?
26
27 **MR. ATRAN:** No, but if anybody speaks from the public, they
28 should come to a mic and identify themselves.
29
30 **CHAIRMAN BARBIERI:** Then we have additional council staff in the
31 back. Ava.
32
33 **DR. AVA LASSETER:** Ava Lasseter, Gulf Council staff.
34
35 **DR. ASSANE DIAGNE:** Assane Diagne, Gulf Council staff.
36

37 **ADOPTION OF AGENDA**

38
39 **CHAIRMAN BARBIERI:** Thank you. For members of the public or
40 others in attendance who would like to address the committee,
41 when you do so, please make sure that you speak into the
42 microphone and identify yourself, for the administrative record.
43 We are beginning this morning with the Adoption of the Agenda,
44 since we already had our introductions. Any comments or
45 suggestions? Any comments or questions?
46
47 **SSC MEMBER:** Move we adopt the agenda.
48

1 **SSC MEMBER:** Second.

2
3 **SELECTION OF SSC REPRESENTATIVE FOR THE JUNE 2016 COUNCIL**
4 **MEETING**

5
6 **CHAIRMAN BARBIERI:** The agenda is approved as it stands. Thank
7 you for that. Our Agenda Item Number II, Selection of SSC
8 Representative at the June 2016 Council Meeting, it's already
9 taken care of, because the meeting is actually going to be here
10 in Florida, and I am available to attend and present our report
11 to the council, unless there are other members who would be
12 interested in taking that over. Seeing no interest, we will
13 proceed with the next item.

14
15 We are about to start the Standing and Socioeconomic SSC
16 Session. The first order of business under this session is
17 Socioeconomic Considerations for Section Management, and Ava and
18 Assane are going to be presenting to the committee on this. We
19 are going to review Reef Fish Amendment 41, the Red Snapper
20 Charter/For-Hire, and the Reef Fish Amendment 42, the Reef Fish
21 Headboat Management.

22
23 Let me just quickly go over these items in our scope of work, so
24 the committee members have a better idea of the action items
25 they're being asked to address. Staff will provide an overview
26 of the amendments being considered by the council for the
27 management of red snapper for charter vessels, this being Reef
28 Fish Amendment 41, and reef fish for headboats, which is Reef
29 Fish Amendment 42.

30
31 The Standing and Socioeconomic SSC is expected to give feedback
32 to the council on the allocation-based management approaches
33 under consideration in these regulatory actions. The Standing
34 and Socioeconomic SSC is also asked to identify issues relevant
35 to allocation-based management not addressed in these amendments
36 and suggest additions, if warranted. With that, I will ask the
37 council staff to -- Dr. Diagne, is it going to be you?

38
39 **DR. DIAGNE:** Yes, Mr. Chair. I will start, and Ava will jump in
40 and also continue afterwards. Thank you.

41
42 **MR. ATRAN:** Before you start, Assane gave me this presentation
43 yesterday, and

44
45 **SOCIOECONOMIC CONSIDERATIONS FOR SECTOR MANAGEMENT**
46 **REEF FISH AMENDMENT 42 (REEF FISH HEADBOAT MANAGEMENT)**

47
48 **DR. DIAGNE:** Yes, and the document on which this presentation is

1 based has been submitted as part of the briefing book material.
2 This is just a summary. Thank you, and good morning, again. I
3 will try to start the discussion for these allocation-based
4 management approaches that the council is considering to manage
5 the for-hire sector.

6
7 Essentially, what the council had done, it has attempted to
8 separate the for-hire sector into two groups, one being the
9 headboat vessels and the other one being the charter vessels,
10 and the council directed us to start developing two amendments.
11 One of them, Amendment 41, as noted, would look specifically at
12 the charter vessels, and 42 would concentrate on the headboat
13 vessels.

14
15 I am going to start the discussion, because there is some
16 overlap between the two actions, and Dr. Lasseter will jump in
17 at any time and, after the first part, she will add additional
18 considerations.

19
20 This is Reef Fish Amendment 42, the reef fish management for
21 headboat survey vessels. Here, perhaps we need to reemphasize
22 the title. The title does not say "headboat". It says
23 "Headboat Survey Vessels", and I guess the distinction will be
24 clear as we proceed.

25
26 One of the first challenges that we are facing is to be able to,
27 I guess, clearly define the two universes, because, to date, we
28 have a single federal reef fish for-hire permit, and charter
29 vessels, as well as headboats, own the same permit, and we have
30 to find a way of separating the two and defining clearly the
31 universes, which vessels would be included in this amendment,
32 meaning Amendment 42, and which vessels would be included in the
33 other amendment, Amendment 41 for the charters.

34
35 The last time we checked, we had about 1,300 federally-permitted
36 for-hire vessels, reef fish, that is. In Amendment 42, the
37 vessels that we are dealing with would be those vessels that, of
38 course, have the federal permit and have landings history at the
39 Southeast Survey, the Beaufort Survey. The last time we looked
40 at it, it's about sixty-seven vessels, by 2015.

41
42 Then, if we subtracted these sixty-seven vessels, the remainder
43 would be the federally-permitted for-hire vessels that would be
44 considered as charter vessels, and those would be included in
45 Amendment 41. Give or take, that would be 1,250 vessels, let's
46 say.

47
48 One thing to note is, because, essentially, the headboat survey

1 at the Beaufort Lab can add vessels to the survey at any moment,
2 we discussed with the council the need for a control date,
3 meaning a date by which if a vessel did not have a landings
4 history at the Beaufort Lab, they would not be considered in
5 this amendment, because, if not, this would be a continuously-
6 moving target, meaning every time a new vessel is added to the
7 survey, then it should be considered as part of this down the
8 line, and, of course, then, in terms of allocation to individual
9 vessels, that would be challenging.

10
11 We discussed this with the council during the April council
12 meeting, and the council established a control date of December
13 31, 2015, meaning that, to be included in Amendment 42 and be
14 considered a headboat survey vessel, the vessel has to have
15 landings by the control date at the Beaufort Survey.

16
17 This is the purpose and need for the amendment, as written right
18 now, and some of the things that the council is interested in is
19 to reduce management uncertainty for the fleet, improve economic
20 conditions, and improve the access to those recreational anglers
21 that fish from headboat survey vessels.

22
23 Now, I am going to run through the series of management actions
24 that are included in this amendment so far. Essentially, the
25 first action, the first decision point, if you would, would have
26 to decide what type of management approach the council would
27 want to consider for the headboat survey vessels.

28
29 We will start with the no-action alternative. By that, we would
30 mean that the council would continue to manage the fleet using
31 traditional methods. By that, we mean size limits, bag limits,
32 seasonal closures, and the like.

33
34 If the council decided to go with no action, obviously there
35 wouldn't be the need to pursue this amendment any further. We
36 could just have a framework action, for example, to change the
37 bag limit or the size limit for the fleet.

38
39 The two alternative approaches that are being considered
40 currently by the council would be, one, some type of an
41 individual fishing quota program, in short, IFQ, for the
42 headboat fleet, or, two, a permit fishing quota, and the
43 distinction between those two would be that, under a permit
44 fishing quota, or PFQ, the individual allocation, or the
45 individual shares, would be tied to the permit, meaning that for
46 one to sell their shares, they would have to sell the permit
47 with it, and so it is less flexible, if you would, than the IFQ
48 approach, which would allow one to sell a portion, if you would,

1 of their shares, or at least to get rid of a portion of their
2 shares. These are the two alternatives that the council is
3 considering at this time, and no decision has been made, to
4 date.

5
6 When the council directed us to initiate Amendment 42, this
7 amendment for headboats, they considered the reef fish in the
8 general sense, and we looked a little deeper into this, and we
9 realized that we have, essentially, in the Gulf, six reef fish
10 species for which you have a clear separation, if you would, or
11 clear ACLs between the recreational and the commercial sector.
12 Given that you need to allocate to the headboat group a portion
13 of the recreational ACL, and so those would be the primary
14 candidates, but one of those species, black grouper, has very
15 limited landings. In fact, for the headboat sector, those are
16 really negligible, and so we concentrated on the five major
17 species.

18
19 The council has indicated, during a previous council meeting,
20 that their preferred alternative would be to design this program
21 for the five major reef fish species for which we have a
22 recreational ACL, and those are on the board. They would
23 include, of course, red snapper, gray triggerfish, greater
24 amberjack, red grouper, and gag grouper.

25
26 The council also did express interest in providing the
27 opportunity to the operators to opt in or opt out of this
28 program, if you would, and this is what this action intends on
29 doing. The no action alternative here would be to not provide
30 the option to opt out from this program, and the control date
31 that we mentioned earlier, December 31, 2015, would be used here
32 also, and so the no action alternative would be that all
33 headboat survey vessels would participate in the management plan
34 and the development.

35
36 Alternative 2 would allow headboat operators to opt out before
37 the implementation of this, before we start in this management
38 approach, but this ability to opt out will be provided only at
39 the onset of the program, at the beginning, so that a vessel
40 that decides to not participate would be then, I guess, turned
41 over to 41, which is the other amendment, which will deal with
42 the remainder of the for-hire fleet.

43
44 As we mentioned in the introduction, one of the challenges is to
45 have a clear definition for the two universes, headboat survey
46 vessels and charter vessels. The action also speaks to that,
47 because the council is considering going one extra step by
48 either establishing an endorsement to the reef fish for-hire

1 permit or splitting the permit outright.

2
3 This alternative here, Alternative 2, would establish an
4 endorsement to the reef fish permit for headboat survey vessels,
5 and this endorsement could be made transferable or non-
6 transferable. The third alternative, rather than establishing
7 an endorsement to the permit, would consider splitting the for-
8 hire permit into a headboat permit and a charter permit.

9
10 Assuming that the council moves forward with this, the next
11 decision point then would be how much of the recreational ACL
12 should be allocated to the headboat component for the purposes
13 of this management plan to be developed, and we have a series of
14 years under consideration to make the allocation to the headboat
15 survey vessels.

16
17 Essentially, it could be from the most recent five years or
18 perhaps using the longest data series available, which would
19 start from 2004 all the way to 2015, or take a middle course and
20 take 50 percent of each one of the approaches.

21
22 These are just examples to essentially give us an indication as
23 to the amount that potentially could be set aside for the
24 headboat component. By and large, these are fairly small
25 amounts, perhaps with the exception of red snapper, for which it
26 runs around 12 percent, but, for the other species, the major
27 species, it is somewhere between 4 and 8 percent.

28
29 Considering the way in which the for-hire fleet conducts
30 business, then one of the issues discussed by the council and
31 also by the AP has to do with how should these allocations be
32 distributed to the individual operators and how should they
33 report, and the alternatives under consideration would be to do
34 what is done traditionally, meaning allocating in pounds and
35 reporting in pounds.

36
37 That wouldn't be very practical for the for-hire fleet in
38 general, and the two other alternatives under consideration
39 would be to allocate in pounds and report in pounds using some
40 average weight for each species or allocate in pounds, but give
41 them the flexibility to report landings in numbers of fish.
42 Again, here, we would have to use some average weights, and
43 those could be adjusted by region and by time of the year, et
44 cetera. This is also just an indication about the number of
45 fish that have been landed, on average, actually in 2015 for the
46 five major species that we spoke of.

47
48 Once we have allocated a portion of the recreational ACL for

1 each one of the species under consideration to the headboat
2 component, we need to address the individual allocation, meaning
3 to individual headboat operators in this program, and we have a
4 variety of alternatives here, no action, meaning that the
5 program could not go forward if you don't decide on an
6 individual allocation, and the other four alternatives consider
7 a variety of years, from the most recent one that we have one
8 record to date, meaning 2015, to some combinations of the five
9 more recent years, allowing them to exclude their year of lowest
10 landings, for example, or allowing them to pick their single
11 year of best landings on record.

12
13 About the distribution of initial shares, the council is
14 considering, here, several options, and these range from an
15 equal distribution to all participants to a proportional
16 distribution based on the catch histories on record at the
17 Beaufort Lab, and, finally, as requested by the Magnuson-Act,
18 one needs to consider the use of auctions when distributing
19 initial shares.

20
21 Essentially, here, the council has the flexibility to do a
22 little bit of both if they so choose. Alternative 2 can allow
23 the council to pick between equal distribution and a
24 proportional one, for example 50 percent of the headboat shares
25 distributed equally and the other 50 percent distributed based
26 on catch history. If the council wanted to consider options
27 further, they could take another portion of that and auction it
28 off.

29
30 The remainder of the actions address some of the issues that
31 need to be taken care of in limited access privilege programs,
32 one of which being what type of transferability restrictions, as
33 it may be, would the council want to consider when establishing
34 such a program.

35
36 The no action alternative here would be to not allow any
37 transfers of shares at all, and the other alternatives would
38 allow transferability under limited conditions, if you would.
39 One of them would make sure that the shares stay within the
40 fleet. To do that, you would require essentially that any
41 recipient of shares, or annual allocation, later on, to have the
42 federal for-hire permit and to also have the endorsement or
43 permit, whichever one the council established in the previous
44 action, which I believe was Action 4.

45
46 For a PFQ, of course, this is not an issue, because for a PFQ, a
47 permit-based fishing quota, you won't be able to sell a portion
48 of your shares. You would have to sell the entirety with the

1 permit, and so this would really apply to the individual fishing
2 quota program or some type of program.

3
4 Now, what conditions should the council require to allow a
5 participant to maintain the shares that they were initially
6 allocated? For example, if you look at the commercial programs
7 that we have, we didn't have any conditions, meaning that one
8 could be allocated shares during initial distribution and then
9 let the permit lapse and keep on receiving the annual allocation
10 attached to those shares.

11
12 Here, the council, perhaps, has the opportunity to make sure
13 that those who continue to receive annual allocation based on
14 these shares maintains a valid permit, and the idea here, should
15 the council decide to go this route, is to make sure that these
16 shares stay in the hands of active participants in the fishery.

17
18 The same here for annual allocation. What type of conditions
19 should the council impose to have one maintain annual
20 allocation? It's the same idea. Should the person be an active
21 participant in the fishery or should it be open to anyone?

22
23 We are also required, by law, to consider ownership caps to
24 prevent any entity from owning or controlling an excessive share
25 of the resource, I believe, or something along those lines. The
26 caps here, we have a no-action alternative, and the other two
27 alternatives, Alternative 2, is typically what we have done in
28 previous programs, but those programs, of course, were
29 commercial programs and it was, essentially, to set the cap at
30 the maximum amount that was distributed during initial
31 allocation.

32
33 Essentially, we would pick the person or the operator that
34 received the highest amount, let's say the 10 percent, and then
35 set the ownership cap at 10 percent, meaning everybody else has
36 the potential to increase, perhaps, their ownership, except for
37 that person that received the maximum amount.

38
39 Alternative 2 offers alternative percentages and, quite frankly,
40 at this moment, we don't have justification for these numbers,
41 2, 5, and 10 percent. Through discussions, I guess, perhaps the
42 council may come up with alternatives that would be based on
43 either the frequency distribution of the landings or some other
44 approaches.

45
46 Again, here, to give us an idea about who lands what at this
47 moment, these are the maximum landings per share category for a
48 given permit. For red snapper, it's in the neighborhood of 7

1 percent, and almost 20 percent for greater amberjack, and close
2 to 20 percent for the remainder of the species here.

3
4 Here again, allocation caps. The council can choose to also set
5 allocation caps to go with the share ownership caps that we just
6 discussed. For allocation caps, it could be tracked, if you
7 would, and set caps cumulative throughout the year or caps could
8 be set in terms of ownership at any specific point during the
9 year.

10
11 Our quotas, of course, vary. They go up and down, and so there
12 is a discussion, to be continued, as to how should those changes
13 in quota, quota increases, be distributed. These are
14 preliminary ideas and, in fact, during the AP meeting and at the
15 IPT level, we are also discussing additional ideas, and part of
16 it is that perhaps quota increases can provide an opportunity to
17 assist the small shareholders increase their participation in
18 the fishery.

19
20 I think this is the final action in the amendment, and it
21 addresses cost recovery fees, and cost recovery fees, these are
22 required by the Magnuson Act. We should recover the cost of
23 administering the program, but, in the Act, it is said that one
24 can withhold up to 3 percent of the ex-vessel value of the
25 resource. Obviously, when that was written, it had commercial
26 fisheries in mind. We do not sell fish, typically, in the for-
27 hire sector, and so a question mark is what should we use when
28 it comes to the ex-vessel value on which the cost recovery fees
29 would be based?

30
31 Some of the ideas that we are looking at would use standard
32 price, and that standard price could be based on the commercial
33 ex-vessel price of the species in question or it could be based
34 on the average annual allocation price of the resource, assuming
35 that there is transferability of that annual allocation price.
36 Finally, we could look at the fees that the passengers aboard
37 those vessels pay and prorate those and base the cost recovery
38 fee on those fees paid by the passengers.

39
40 In a nutshell, this is a very quick overview of Amendment 42.
41 We have still a lot of questions, because these would be, 41 and
42 42, the first allocation-based, if you would, management plans
43 in the recreational sector, as far as the council is concerned.
44 I am going to turn it over to Dr. Lasseter for her to add
45 things, and, if you have questions, I can take them now or
46 later, at your convenience, Mr. Chair. Thank you.

47
48 **DR. LASSETER:** I think I just wanted to add a couple of

1 comments. I know that you discussed 42 before we turned to 41,
2 and I will just add a couple of the key differences between 41
3 and 42, to separate them for your discussions on 42.

4
5 As Dr. Diagne noted, Amendment 42, what he has just discussed,
6 would apply to headboat survey vessels only, only those sixty-
7 seven vessels that are currently participating in the Beaufort
8 Headboat Survey study. They are required to report. They are
9 now reporting electronically, and it's every trip. It's daily.
10 It's with increased reporting frequency. National Marine
11 Fisheries Service had increased the reporting frequency as well.

12
13 On the other hand, Amendment 41 is going to apply to charter
14 vessels. All of those vessels with that permit, the
15 charter/headboat permit for reef fish, but those vessels
16 possessing that permit that are not participating in the
17 headboat study, in the headboat survey.

18
19 These other 1,250 vessels, their landings are estimated through
20 a part of MRIP, through a for-hire survey which calls about 10
21 percent of them weekly and surveys their landings and their
22 effort, and so we do not have landings for these species for
23 these charter vessels in 41.

24
25 In the amendment Dr. Diagne just talked about, we do have
26 landings histories for each of these participating vessels, and
27 that's a key distinction. One other distinction concerns the
28 species that are included for each of these. 42, we just heard
29 that currently the council is considering that it would apply to
30 five species. Amendment 41 would apply to red snapper only, and
31 so, for red snapper and those vessels that are not participating
32 in the headboat survey that we do not have landings histories
33 for these vessels. Then I will go through the structure of 41
34 after turning it over to the SSC for discussion.

35
36 **CHAIRMAN BARBIERI:** Thank you for that, Ava. That really,
37 really helped distinguish between the two amendments being
38 discussed. With that, I am going to open the floor to the
39 committee for questions. I have Jeff and then Ben.

40
41 **DR. ISELY:** Are there currently any other PFQ fisheries in the
42 Southeast?

43
44 **DR. DIAGNE:** In the Southeast? I will turn to Jessica, but the
45 example that we have is for bluefin tuna. That's the only PFQ
46 that I know of, but she could add some clarification.

47
48 **DR. JESSICA STEPHEN:** Highly Migratory Species, which includes

1 the Southeast as well as all the way up to the Northeast, does
2 have a permit-based fishing quota for bluefin tuna, which is
3 considered a bycatch species within that program. In their
4 program, the shares are attached to the permit. You can't
5 separate their shares from the permit and you can't change the
6 amount associated with the permit.

7
8 **DR. ISELY:** To follow up, are there any other recreational type
9 of fleets, and I know this is a commercial fleet, where we do
10 any cost recovery? I mean is this a pretty standard thing on
11 the commercial side?

12
13 **DR. DIAGNE:** For the cost recovery, I mean on the commercial
14 side, in our programs, yes, as mandated by the Magnuson Act, but
15 this is the first recreational limited access privilege program,
16 if you would, that we are attempting to design, but we will have
17 to have cost recovery, because, for all of these programs, one
18 has to recover the cost of administering the program.

19
20 **DR. STEPHEN:** The only other similar type of program is a
21 guideboat program that's recreational, but what they do is they
22 get their allocation from a commercial fleet, and that's in a
23 different region, and so they don't have cost recovery
24 associated with the recreational area.

25
26 **CHAIRMAN BARBIERI:** Thank you. I have Ben and then Jim Tolan.

27
28 **DR. BLOUNT:** Just a quick question, Assane. Do the headboat
29 operators have any strong preference for a PFQ over an IFQ? Is
30 there any information on that?

31
32 **DR. DIAGNE:** Right now, not a definite preference. During the
33 previous AP meeting, which was in early May, a motion that they
34 passed leans towards the IFQ, and the reason being that you
35 could have the IFQ type and do exactly the same thing, or close,
36 to a PFQ, while still maintaining a certain level of
37 flexibility.

38
39 **CHAIRMAN BARBIERI:** Jim.

40
41 **DR. TOLAN:** Thank you, Mr. Chairman. The question that I had
42 deals with the data stream that we have for historical catch
43 records. Are there any headboats now currently operating that
44 aren't in the headboat survey program? The way I approach it
45 is, at least off of Texas, if you have a boat that goes out for
46 a charter, it can only carry up to six people. After six,
47 you're considered a headboat, and so is that the same throughout
48 the Gulf?

1
2 **DR. DIAGNE:** For the Beaufort Survey, they consider that the
3 vessel carries at least fifteen and above and charges primarily
4 by the head, essentially.
5
6 **DR. TOLAN:** Then I guess a follow-up. Are there boats now that
7 are considered headboats that are not in the program?
8
9 **DR. DIAGNE:** I think there may be, yes, and part of the reason
10 for the control date is to make sure that we can separate those.
11
12 **CHAIRMAN BARBIERI:** Ken Roberts.
13
14 **DR. ROBERTS:** Thank you, Mr. Chairman. Assane, on Action 3,
15 participation at the outset, the question I have there is that
16 the vessels opting out at the start, the document says they may
17 be able to get in, depending on transferability options to be
18 chosen. When are those transferability options going to be
19 clear to people, so that they can make the decision to opt in or
20 out? That's not clear in the document, what the sequencing is.
21
22 **DR. DIAGNE:** Yes, and essentially -- I mean before this whole
23 document, this whole amendment, goes final, the council would
24 have to select preferreds for all of the actions, one of which
25 being the transferability conditions. In the transferability,
26 we have some alternatives that would allow these shares to be
27 transferred to anybody or to anybody with a reef fish for-hire
28 permit.
29
30 The no action alternative there prevents transferability, and so
31 if the council allowed the transfer to anybody with a reef fish
32 permit, then they would be able to get in through
33 transferability, but if the council decided that we wanted these
34 shares to be non-transferable, then they won't be able to get
35 in, but they will be able to know this before making the
36 decision, because their decision would come after the amendment
37 goes final, prior to implementation.
38
39 **DR. ROBERTS:** A follow-up. I just want to make sure that -- In
40 the document that we just went through, 42, there was only one
41 red section where the Headboat AP had a preferred alternative,
42 and what I'm suggesting is that the council, I think, on the key
43 thing of transferability, needs a lot more input somewhere along
44 the line, and this report, as given to us, only has one piece of
45 advice that a preferred alternative exists with the headboat
46 people, and I think that needs to be drawn out a little bit more
47 for the scientific committee and the council to make a better
48 decision on transferability.

1
2 **DR. DIAGNE:** Yes, Dr. Roberts, and the red that is in the
3 document, the preferred alternative, is not an AP preferred. It
4 is a council preferred. It is the council that, to date, has
5 only made one decision, and essentially it is to give us the
6 direction that, for this amendment, we need to consider all of
7 those five species, but, for the remainder of the actions, the
8 other thirteen actions, the council has not indicated its
9 preferred alternatives yet, but they will. This document is up
10 for discussion in June, and with your discussions here.

11
12 **DR. ROBERTS:** In the document, it says the Headboat AP
13 recommended the inclusion of the six major reef fish species,
14 and so there's something not being --

15
16 **DR. DIAGNE:** That's in the discussion part. The Headboat AP
17 recommended the inclusion of the six, and the council chose, as
18 a preferred alternative, to go with the five that we discussed,
19 essentially, and so the council will continue discussing this
20 and will indicate additional preferreds.

21
22 **CHAIRMAN BARBIERI:** Yes, Walter.

23
24 **DR. KEITHLY:** Thank you, Mr. Chairman. Just a quick question,
25 or maybe you can elaborate on this, Assane. The discussion of
26 monitoring of this program is given at the beginning of the
27 document, but there's not a lot of discussion. Has enforcement
28 looked at this and given any opinions as to whether the
29 discussion on monitoring will be sufficient in this program?

30
31 **DR. DIAGNE:** Yes, this is, I guess, one of the challenges and
32 one of the big question marks. One of the reason is that, at
33 the same time that we have initiated the development of this
34 action, the council is considering alternative avenues for the
35 reporting and monitoring of for-hire landings and effort, and so
36 there is, I believe, a technical committee that is meeting and
37 is looking at the different options available there, and so we
38 are waiting to see the recommendations of that technical
39 committee and the council's decision and to better see how those
40 two could be integrated, because, of course, the level of
41 monitoring for a limited access privilege program has a much
42 higher threshold, if you would, than just a simple season or bag
43 limit or size limit and so forth.

44
45 **DR. KEITHLY:** On that, again, with the commercial, you have
46 several levels of monitoring. As I recall, the fisherman
47 landing has to report and then it goes to the dealer, who also
48 has reporting records, and so there is a couple of different

1 ways to verify the landings. From what I can tell, in this
2 program, it's simply the boat calling in ahead of time and
3 saying what's going to land. Is that correct?
4

5 **DR. DIAGNE:** No, essentially, your first point, when it comes to
6 the fact that the monitoring and reporting section needs more,
7 that is absolutely the case, and that is forthcoming. Part of
8 the reasons why I guess we are slowing down and waiting to see
9 further is because the council set up a technical committee to
10 address electronic reporting for the for-hire fleet, but,
11 absolutely, within a program like this, one would need a hail-
12 out and hail-in.
13

14 One would need approved landings sites, meaning restricting the
15 point at which these boats could be landed, and what would need
16 real-time reporting, as well as the ability for enforcement to
17 come and check the landings. I would let Dr. Stephen add to
18 this, because there has been a pilot program that was run for
19 the headboat sector.
20

21 **DR. STEPHEN:** We did run a two-year program for red snapper and
22 gag with seventeen to nineteen vessels the prior two years.
23 With that, we had approved landings locations, hail-ins and
24 hail-outs. In the hail-in coming back in, they did report how
25 many fish they had onboard.
26

27 That was sent out through email notification to port agents as
28 well as law enforcement agents, who then had the opportunity to
29 meet them at the dock, do a count there, and then we also had
30 the landing transaction, which was separate from the hail-in,
31 that we also verified, and so we had a three-point verification
32 of the values, and we had IFQ staff looking over those daily, to
33 make sure the numbers matched, or, if there was a discrepancy,
34 to track down what the discrepancy was.
35

36 We've also had input from the agents who participated in that,
37 which will be in the 2015 report for the headboat survey
38 program, of input they had, and you can see some of their input
39 in the 2014 and suggestions of ways to make it easier on them.
40

41 **CHAIRMAN BARBIERI:** Thank you for that clarification, Jessica.
42 I have David Griffith and then Bob Gill.
43

44 **DR. GRIFFITH:** I am interested in this issue of numbers of fish
45 versus pounds of fish, and, first of all, do you know which is
46 preferred by the headboat captains, the charter captains, and
47 their customers in particular?
48

1 Secondly, when I look at the data that you present in the
2 report, it's all in pounds. There is nothing on numbers of
3 fish, and so, I'm wondering, can you tease the number of fish
4 out from the pound data or do you have that data?
5

6 **DR. DIAGNE:** Yes, and, initially, I believe when the folks
7 report to the Beaufort Survey, they report in number of fish.
8 Then that is converted into pounds. Again, during the exempted
9 fishing permit program for the headboats that was run, they
10 reported in number of fish, and I would let Dr. Stephen speak to
11 that a little more.
12

13 **DR. STEPHEN:** What we did in the pilot program is everything was
14 converted at the beginning of the year, from an average weight
15 used, from pounds to numbers of fish, and that's what the
16 program reported in. Throughout the year, with the port agents,
17 we got average weights, and we compared, every two to four
18 weeks, what the in-season average weights were to the pre-season
19 weights, and they were fairly close. The first year, they were
20 very close, and, the second year, we had a little bit more of a
21 discrepancy, but it was still within an easy range of using that
22 pre-season weight.
23

24 We're anticipating, if we go forward with this program,
25 something similar, but probably not necessarily at that
26 frequency, considering the increased number of boats, might be
27 done, in order to track what's going on. We're still
28 considering a lot of different options with the fish to weight.
29

30 One of the other things put forward that should be in
31 consideration is that this combination of pounds are distributed
32 to the accounts that then get converted to a weight for a
33 vessel. Particularly with red snapper, the average weight is
34 different in different regions, and so a fish in Texas is not
35 necessarily equal to a fish in the Panhandle.
36

37 What we would do is force the conversion fish numbers back to
38 pounds before the transfer occurs, so that everyone is getting a
39 fish number equivalent to the poundage in their region. That's
40 not decided on yet. It's still just an idea being explored, and
41 we would love some feedback on that.
42

43 **CHAIRMAN BARBIERI:** A follow-up, David?
44

45 **DR. GRIFFITH:** I'm not sure, but did you answer the question
46 about which do they prefer? Do you have any information on
47 that?
48

1 **DR. DIAGNE:** Yes, the indication, so far, would be that they
2 would prefer the distribution in pounds, but the reporting in
3 number of fish.

4
5 **CHAIRMAN BARBIERI:** Bob Gill.

6
7 **MR. GILL:** Thank you, Mr. Chairman. Assane, would you clarify
8 the interplay between the sunset provision being considered in
9 Amendment 45 and these amendments? If the sunset provision
10 carries through and is not postponed or eliminated, then
11 Amendments 41 and 42 are moot, are they not? If it's extended,
12 then they can come into play for at least whatever extension of
13 the sunset provision exists.

14
15 **DR. DIAGNE:** Yes, and perhaps a little bit of background.
16 Before we started these Amendments 41 and 42, for red snapper
17 and red snapper only, the council decided to separate the
18 recreational sector into two components. One component is the
19 federal for-hire component, meaning everybody with a federal
20 for-hire reef fish permit and the other component, we called it
21 in Amendment 40 the private angling component, and that includes
22 anglers fishing from private vessels as well as state-permitted
23 vessels, guideboats and the likes, but that was for red snapper
24 only.

25
26 In that amendment, the council also chose to set a sunset
27 provision. Essentially, the program, potentially, could lapse
28 by the end of 2017. Subsequently, the council has initiated the
29 development of an amendment, which is Reef Fish Amendment 45, to
30 consider modifications to that sunset provision.

31
32 In April, the council picked a preferred alternative that would
33 potentially extend that to 2020. That being said, this is
34 specific to red snapper. When the council directed us, as
35 staff, to initiate an amendment for the headboat sector, it
36 included a variety of reef fish species, and, as you saw
37 earlier, I believe in Action 2, the preferred would include five
38 major species.

39
40 The understanding is that Amendment 42 is independent from
41 sector separation, if you would, because it includes a wide
42 range of species, species that had nothing to do with Amendment
43 40, if you would. 40 was specific to red snapper, but, here, in
44 this amendment, you are designing a management plan for five
45 major reef fish species, and so, essentially, I am not sure
46 about 41. Essentially, in 41, you could say that, if sector
47 separation lapses, 41 would become moot, but, for 42, it seems
48 to me that it is a separate issue, given the breadth of the

1 species and the consideration there.

2

3 **CHAIRMAN BARBIERI:** A follow-up, Bob?

4

5 **MR. GILL:** A follow-on. Thank you, Mr. Chairman. I appreciate
6 that explanation, but if the sunset provision does take effect,
7 then 42 changes -- It goes down to the four species options,
8 because red snapper would then not be separate, correct?

9

10 **DR. DIAGNE:** No, if the sunset provision kicks in, 42 would
11 still address the five species, but then the difference is that,
12 instead of allocating to the headboat component a portion of the
13 federal for-hire quota, it would be then a portion of the
14 recreational red snapper quota. That's the only difference for
15 the headboat sector, and the idea here is that the headboat
16 component is small enough, give or take sixty-seven vessels,
17 that it was not really lumped in and considered at the same
18 level as the charter/for-hire group.

19

20 **CHAIRMAN BARBIERI:** Any other questions for Assane? Seeing
21 none, before we move on to Ava, we had another member of the
22 Standing SSC join us, and so, for the purpose of voice
23 identification, would you please identify yourself?

24

25 **DR. KAI LORENZEN:** Kai Lorenzen, Standing SSC. Thanks.

26

27 **CHAIRMAN BARBIERI:** Thank you. Yes, Assane.

28

29 **DR. DIAGNE:** Mr. Chair, if I may, I have one question for this
30 body. One of the challenging issues for us is to better address
31 this issue of cost recovery. As I mentioned earlier, the Act
32 simply says up to a maximum of 3 percent of the ex-vessel value,
33 and obviously that had commercial fisheries in mind.

34

35 We are interested, perhaps, in getting some feedback, if any, as
36 to what would be the more suitable directions when it comes to
37 looking at the ex-vessel value, and I put that in quotes, for
38 recreational for-hire fisheries.

39

40 **CHAIRMAN BARBIERI:** Thank you, Assane, and a question question.
41 Where does this amendment stand, in terms of the timelines for
42 final action?

43

44 **DR. DIAGNE:** This is very early in the process, as you can see.
45 The council still has a way to go before we can even look at the
46 public hearing draft and then final action, and so I suspect
47 this group will have another opportunity to see this. Perhaps
48 then maybe that would be discussed later, too.

1
2 **CHAIRMAN BARBIERI:** Right, and that was the reason for my
3 question, because if folks don't really have any input right
4 now, this is not our last opportunity to provide input on this
5 issue, but, having said that, any input from the committee
6 regarding the cost recovery and the other issues in this
7 Amendment 42? Jim.
8
9 **DR. TOLAN:** Thank you, Mr. Chairman. I would only ask, in terms
10 of the cost recovery, is has this issue been broached to that
11 sector, and what is their feel on the cost recovery?
12
13 **DR. LASSETER:** I can speak to that. Each of the APs that have
14 met and convened for each of these documents have discussed and
15 recommended that they would be willing to pay cost recovery.
16 They have not commented on the specific alternatives, which is
17 how to calculate cost recovery. I believe the Headboat AP did
18 make a recommendation, as far as cost recovery. They supported
19 it, but what was the last meeting?
20
21 **DR. DIAGNE:** Their recommendation is more along the lines that
22 they are supportive of the idea, that they are willing to
23 participate. Anyway, the decision would not be theirs. That is
24 a requirement of the Act, either way.
25
26 **CHAIRMAN BARBIERI:** Thank you. Joe.
27
28 **DR. POWERS:** One of the -- In reading this, I wonder about the
29 procedures when you're using it based on total fees. Are you
30 talking about fees for an individual per trip or what? I guess
31 my concern is this would imply another set of monitoring, would
32 it not?
33
34 **DR. DIAGNE:** Yes, this would imply them reporting the fees
35 collected to us, if you would. Yes, absolutely.
36
37 **DR. TOLAN:** That really kind of gets to what I was hoping to get
38 at, from a headboat perspective. They're just going to pass
39 that cost on to the customer, and so has that sector, I guess
40 the customer, been informed or do they -- I mean the AP knows
41 about it, but I'm just thinking, from a customer point of view,
42 from fishing on a headboat to begin with, now the cost is going
43 to go up even more to be able to go fishing on a headboat. Is
44 this something that has a lot of public support?
45
46 **DR. DIAGNE:** Through the, I guess, public input process, when
47 this amendment is further developed, we are going to have a
48 series of public hearings and the like, and so the public would

1 have a chance to comment.

2
3 **CHAIRMAN BARBIERI:** If there is no other questions or input for
4 Assane, let's move on to Ava's presentation on Amendment 41,
5 please, Ava.

6
7 **REEF FISH AMENDMENT 41 (RED SNAPPER CHARTER/FOR-HIRE)**

8
9 **DR. LASSETER:** Thank you, Mr. Chairman. We're just going to
10 take a look at the document here. I'm not going to go in as
11 great detail through all of the actions and alternatives. If we
12 could skim down to page 15, I did want to emphasize, as we just
13 discussed, that, for both of these documents, these are early
14 drafts. These are quite early in the process of amendment
15 development.

16
17 The council did request that scoping meetings be held, and prior
18 versions of this, when they were even more simple, or complex,
19 if you would -- They were all over the place, considering a
20 broader range of potential approaches, and we did go out for
21 scoping.

22
23 Now, we are working on developing the decision points,
24 identifying the decision points, and developing the range of
25 alternatives, and so these are very early drafts, and so if we
26 could blow up that figure at the bottom of the page there.

27
28 Also, 42, in contrast to 41, only considered what is in this
29 figure on the left side, the Alternative 1 and Alternative 2.
30 For 41, Section A, Action 1, similar to Amendment 42, the first
31 decision is what type of allocation-based management program is
32 the council interested in developing for the charter vessels.

33
34 Similar to 42, the Alternative 1, there on the left, says
35 traditional management, use the framework action process. This
36 would be seasons, where National Marine Fisheries Service would
37 establish the length of the season, given the amount of the
38 quota, past rates of efforts, landings. They could manipulate
39 the bag limit. Currently, it's two per person per day. They
40 could reduce it down to one and could modify the season start
41 date. Of course, in front of this body as well, the council is
42 kind of wary about modifying the minimum size limit.

43
44 Also in contrast to 42, the council has requested additional
45 information about this Alternative 1 approach. We would not
46 need to modify seasons and bag limits in a full plan amendment,
47 a document like this. It could be done in this framework action
48 process, but the council, for this body of vessels, for this

1 fleet of vessels, does still want to see what the seasons and
2 bag limits could look like alongside an allocation-based
3 management approach, and so we are taking that to the council at
4 this next meeting.

5
6 Under the Alternative 2, fishing quotas, that is similar to
7 Amendment 42. That Alternative 2, again, that is the extent of
8 what Amendment 42 is considering at this time, IFQs and PFQs.
9 We have combined those into one alternative for this document,
10 fishing quotas, and so under both IFQs and PFQs, both shares
11 would be distributed and then annual allocation would be
12 distributed that is the pounds represented by that amount of
13 shares, which is a proportion of the quota for the given quota,
14 for that year's given quota.

15
16 The IFQs, under this Alternative 2, that's similar to the
17 commercial programs that we have in the Gulf of Mexico now, the
18 PFQs there, the difference being the shares would be attached to
19 the permit and not distributed to the individual, like the 2a.

20
21 Now, for the charter vessel fleet, this was both a
22 recommendation of the advisory panel and the council adopted it
23 and added it to the document. The AP expressed preference not
24 to use these durable shares, but to have allocation calculated
25 regularly, every year.

26
27 In discussion with the National Marine Fisheries Service staff,
28 we are going to propose alternatives to the council that might
29 not do that every year, but every two or three years, because it
30 would be a very timely, calculated process to calculate this
31 every year, but the idea behind this is that we don't have the
32 landings histories for these individual vessels.

33
34 The charter vessel operators that sit on our AP expressed
35 concern with some of the consequences that can result as vessel
36 permits move or participation changes, and so they expressed
37 support for this program that did not use the shares and
38 allocation, but rather only an allocation-based approach, and so
39 that's the Alternative 3 that we have named it permit fishing
40 allocation. To distinguish for PFQ, we're just going to use
41 shares and allocation.

42
43 That's Alternative 2 and Alternative 3, and then there you see
44 Alternative 4, harvest tags. This is another approach that the
45 council is considering of a stand-alone harvest tag program.
46 Harvest tags could also be used as an enforcement validation
47 tool underneath either of the options of Alternative 2 or
48 Alternative 3.

1
2 When you're talking about calculating the allocation on a
3 regular basis and distributing it, there is very little
4 difference between the PFAs and the harvest tags. It would be a
5 different level of structure in the system, likely, for how it
6 would be distributed.

7
8 Here, you have the four alternatives for this Action 1.
9 Underneath the Alternative 2, 3, and 4, we have divided the
10 document into additional sections that pertain to that
11 allocation-based management approach only, and so the Section A
12 includes three actions that address any one of these programs
13 selected.

14
15 Action 1, the council would pick which approach it wants to
16 take, and Action 2 will address program participation. Action 3
17 addresses distribution of the quota, and I will go through each
18 of those briefly, and then the document moves into Section B.
19 If the council selects a fishing quota program, the document
20 includes actions for a transferability of shares,
21 transferability of allocation, and caps on shares, as required
22 by Magnuson.

23
24 The Section C would provide actions and alternatives to support
25 a PFA program, if that's the council's decision, and, there,
26 we've provided preliminary actions for the transferability of
27 allocation and caps on allocation, because, under this one,
28 there is no shares. There is only the allocation.

29
30 Then, finally, the same two types of actions for the harvest
31 tags under Section D, transferability and caps on the tags.
32 That's Action 1. That's the decision point of which type of
33 program to select if an allocation-based management program is
34 going to be selected. Let's scroll down to Action 2, which is
35 on page 20.

36
37 Similar to Amendment 42, there is an action provided, as
38 requested by the council, to allow participation in the program
39 to be voluntary, to be optional. Here, of course, the
40 Alternative 1 would assume that everybody would be in the
41 program, everybody is automatically -- The program applies to
42 all charter vessels with this permit that are not, of course, in
43 the headboat program.

44
45 The Alternative 2 establishes the voluntary program and provides
46 three options for when people could join or leave the program,
47 only at the beginning, at the implementation of the program,
48 every year, or every three years, and, of course, the more

1 frequently you allow people to join and leave the program --
2 That may not be possible at all if the shares are used, if those
3 quota programs are used, and it could just make the annual
4 allocation programs a bit more complex, but the council does
5 want to consider allowing this type of flexibility for
6 participation in the program.

7
8 Then, finally, Action 3 is on page 22. This action addresses
9 how that charter quota that would be assigned to this program
10 would be distributed among the charter vessels, keeping in mind,
11 again, that we do not have -- In contrast to Amendment 42, we do
12 not have landings histories for individual vessels in this
13 program, and so we have to come up with some other proxies to
14 represent this type of how landings could be distributed around
15 the Gulf.

16
17 We have several alternatives here and we are still -- Again, the
18 council is in the process of refining the alternatives and
19 removing and adding alternatives, and so Alternative 2 would
20 distribute the quota equally among all the charter permit
21 holders, 1,247 of them.

22
23 Now, in the introduction, you saw there were some tables in
24 there that showed that you had varying passenger capacity and
25 you have varying proportions of the quota that are landed across
26 the Gulf, and so Alternatives 3 and 4 and 5 get at those other
27 components.

28
29 Alternative 3 would distribute the quota based on passenger
30 capacity, and so there's actually an example provided in the box
31 on the next couple of pages that shows how that would be
32 calculated, using units. Alternative 4 would distribute the
33 quota based on tiers, and so it would aggregate passenger
34 capacities in lumps, in tiers, all the six-packs getting one
35 unit and seven or greater getting two units, under Option 4a.
36 Then 4b is dividing those vessels with a passenger capacity of
37 larger than seven, breaking them down into two or three units.

38
39 Alternatives 3 and 4 are both looking at passenger capacity of
40 the vessel. Alternative 5 then switches to this regional
41 perspective. Now, we don't, again, have the vessel landings by
42 vessel, but we do have regional proportions of the quota that
43 are caught, and so those regions are provided in the Chapter 1,
44 and there is two options provided for the years that could be
45 used that the council is currently considering for allocating
46 among the charter vessels.

47
48 Alternative 6 combines these approaches of equal distribution,

1 using passenger capacity, and using regional distribution.
2 Alternative 7 is required by Magnuson that the council consider
3 distributing limited access privileges by auction, and
4 Alternative 8, similar to Alternative 6, mixes in auction with
5 any of the other preferred allocation approaches, and so, again,
6 this an opportunity for the council to look at different ways
7 and mixes of approaching distributing allocation to charter
8 vessels.

9
10 Those are the actions that apply to all of the management
11 programs, if they select an allocation-based management program.
12 The remaining sub-actions about the caps on shares, the
13 transferability, are currently very similar to what was in
14 Amendment 42, and so I won't go over those in great detail right
15 now, unless there is any questions, and I will turn it back over
16 to Mr. Chairman.

17
18 **CHAIRMAN BARBIERI:** Thank you, Ava. That was very, very
19 informative, and so I will open up the floor for any questions
20 or comments from the committee regarding Amendment 41. Kai
21 Lorenzen.

22
23 **DR. LORENZEN:** Thank you, Mr. Chairman. I have a question. We
24 have many issues in front of us here that lend themselves to
25 some level of scientific or economic analysis, for example
26 different ways of allocating shares, and I was wondering what
27 the council is planning and doing in terms of further analyses
28 on these.

29
30 **DR. LASSETER:** At this time, I'm not sure of any particular
31 analyses that are going to be conducted outside of what staff
32 will be -- Staff will be providing an analysis of the
33 alternatives as we get to that point, when we get towards a
34 public hearing draft.

35
36 **DR. DIAGNE:** As mentioned, both of these amendments are in the
37 very early stages. That's the reason why you don't see any
38 analysis in the document, but, through the normal development
39 process, we have our IPTs, the working group, if you would, and
40 within the IPT, we have members from the social science group.

41
42 The Southeast Fisheries Science Center is part of it, as well as
43 National Marine Fisheries Service, and so, as we proceed, we are
44 going to sit down and look at the analysis needed to look at the
45 potential impact, if you would, of each one of these, from the
46 allocation to the component as a whole to the individual
47 distributions, and then we will see, based on available data,
48 the analysis that we'll provide to support the council's

1 decision.

2
3 **CHAIRMAN BARBIERI:** I have Ken and then Joe and then David.

4
5 **DR. ROBERTS:** Thank you, Mr. Chairman. A question about what is
6 the orientation of the auction? What is it designed to do? Is
7 it designed to raise money, more revenue, or spread things out
8 on the basis of more powerful boats who are able to bid higher
9 or get a value, de facto of a particular fish, just generally?

10
11 **DR. DIAGNE:** Yes, in general -- I mean the first thing, perhaps,
12 is that it is now a requirement of the Magnuson Act that when
13 one designs a limited access privilege program that auctions be
14 considered as a method of initial distribution of the harvesting
15 privilege, and that is the primary reason why we consider these
16 in these documents. Moving forward, any LAPP in its design
17 would have to consider auctions.

18
19 Now, whether the council, at the end of the day, would decide to
20 go this route or not, that is a decision that has yet to be
21 made, but obviously if one were to auction harvesting privilege,
22 then you would collect some revenues, essentially, and those
23 would be turned into the general fund. It doesn't come back,
24 necessarily, for the management of catch shares, but it would
25 just be sent to the general fund.

26
27 **CHAIRMAN BARBIERI:** Thank you. That was a good question.
28 David.

29
30 **DR. GRIFFITH:** Ava, you said there is no history of landings in
31 this industry, and that -- With the commercial IFQ, that was a
32 real contentious issue, the years they chose and all that stuff,
33 and so these options here under Action 3, this is the way you're
34 going to -- I mean these are the proposals to determine how to
35 allocate at this time? I mean isn't there any data on landings
36 from the charter boats? None at all?

37
38 **DR. LASSETER:** We do have -- Part of the Marine Recreational
39 Information Program, MRIP, does a for-hire survey, surveys the
40 for-hire vessels, but the system does not record individual
41 vessel landings. That survey is used to estimate the
42 recreational landings, more broadly, and so we can receive the
43 estimates for the charter landings at a county level, and we
44 have aggregated them according to the way the MRIP survey does,
45 and that's provided in the introduction.

46
47 We can see them by -- We have them available by state, those
48 smaller states. We can break Texas down, I believe, and we have

1 provided them for three regions of Florida, the Panhandle, going
2 from Escambia to Dixie Counties, the Peninsula, Levy to Collier
3 Counties, and then the Keys separate. If you look at those
4 landings earlier in the document, I want to say page 7, Table
5 1.1.4 and 1.1.5, we have updated them now to include a broader
6 range of years. You can see, regionally, about what the
7 landings are, but it's not at the vessel level.

8
9 **CHAIRMAN BARBIERI:** Ben and then Paul.

10
11 **DR. BLOUNT:** Thank you, Mr. Chairman. This follows up somewhat
12 on David's question or concern about how allocation quota might
13 occur in the absence of landings data, and it seems, to me, that
14 that would almost argue against an IFQ or a PFQ system or a
15 quota that could be allocated on a simpler set of bases, and one
16 where transferability issues wouldn't come in. That's just an
17 observation on my part, but I keep thinking of how complex this
18 could get if you did have transferability within this system,
19 where you're operating on two or three boats sizes, as opposed
20 to landings. Thank you.

21
22 **CHAIRMAN BARBIERI:** Paul.

23
24 **DR. MICKLE:** Thank you, Mr. Chairman. I think Dr. Griffith is
25 right that that issue of the history of catch has gotten really
26 sticky since the last time we went through this, and with the
27 potential reporting programs by the states being certified, it
28 could add a lot of data that's obviously needed, but it's going
29 to add a lot of argument as well, and so I think we need to keep
30 this on the radar and identify that now, at this early stage.

31
32 **CHAIRMAN BARBIERI:** Yes, Steven.

33
34 **DR. SCYPHERS:** I had a general question about as both of these
35 amendments move forward. Will it be somewhat of a tiered
36 process, where, after the initial decisions on the early aspects
37 of how the management system is put in place -- It seems like a
38 lot of the other things that come later in the actions will be
39 conditional on the early decisions, and will the scoping
40 meetings and feedback system be set up to allow anglers to have
41 that initial preferences set in place, when they can then start
42 thinking more specifically?

43
44 **DR. DIAGNE:** Yes, in short. Essentially, as we go through the
45 development process, this is going to take the council several
46 iterations. Through a public input process, then people would
47 make their choices, if you would, and preferences known, as the
48 council refines, until we get to final action.

1
2 A final thing though is these limited access privilege programs
3 are subject to referendums, and so, essentially, before they can
4 be implemented, the participants would have to vote, and a
5 simple majority of them would have to approve this program, too.
6

7 **DR. LASSETER:** I did actually forget to mention that, that the
8 Magnuson-Stevens Act does require, for anything that's
9 determined to be an individual fishing quota program, which our
10 preliminary guidance from NOAA GC is that even the PFA, the
11 permit fishing allocation program, or harvest tags -- She
12 believes, at this time, that they're going to qualify as
13 essentially being an IFQ and will trigger a referendum amongst
14 substantial participants in the fishery, and so the council and
15 NMFS will need to determine who that is and what that looks
16 like.
17

18 **CHAIRMAN BARBIERI:** Thank you, Ava. Any other questions or
19 comments for Ava and Assane regarding -- Walter.
20

21 **DR. KEITHLY:** Thank you, Mr. Chairman. I want to just follow up
22 on Assane's question to us about cost recovery fees. Looking at
23 it from a broader perspective, we have met -- The Socioeconomic
24 Panel, over the years, has met several times regarding the issue
25 of allocation between the commercial and recreational sectors.
26

27 Certainly the price of annual allocation provides useful
28 information on the value of the species, at least to a component
29 of the recreational fishery. I'm not saying that all
30 recreational fishermen are the same. Those on headboats may be
31 different than the private recreational fishermen, but it seems,
32 to me, that that information on the price of allocation is very
33 relevant information that can be used to begin addressing
34 allocation issues.
35

36 If the fee is based on that allocation price, I am concerned
37 that you may have an incentive for the vessel captains to not
38 accurately report that price correctly, since the lower price
39 they give, the less fees they would have to pay, and so it's
40 just something to keep in mind, that if you go with an
41 allocation price as the basis for your fee that you're maybe
42 encouraging the captains to underreport what that price actually
43 is, unless there is a way to verify it somehow, and I don't see
44 how you would be able to do that.
45

46 **CHAIRMAN BARBIERI:** Yes, Assane or Jessica.
47

48 **DR. STEPHEN:** I just wanted to mention, in relation to that,

1 that we do have a problem in the commercial with underreporting
2 of allocation prices as well as ex-vessel prices, and so that's
3 something we're aware of, and I'm glad Walter brought that up.

4

5 **CHAIRMAN BARBIERI:** Assane, would you like to add to that?

6

7 **DR. DIAGNE:** No, Mr. Chair, and thank you.

8

9 **CHAIRMAN BARBIERI:** Yes, Sherry.

10

11 **DR. S. LARKIN:** I like these two documents, in that this is
12 being developed and thought about. One thing that strikes me
13 though, because when you think about what it is that you hope to
14 accomplish in five years or ten years, what metrics are you
15 going to look at to say if this was a success or not, I keep
16 going back to, and I think that's really important, is the
17 stated purpose and need.

18

19 I think one of those is fleshed out a little more than the
20 other. It's a little more fleshed out in 42 than 41, but just
21 thinking about when you make all these choices about how to
22 measure or how to do cost recovery, how each of those addresses
23 each of the objectives stated in the purpose and need -- Like
24 who is it that we're hoping to benefit economically from it, I
25 like how the one says, look, this is the purpose of enhancing
26 benefits for the sector. That's something that you can measure.
27 I think the more that those purpose and needs are fleshed out,
28 it will be easier, when you think about the millions of options
29 for how to implement the program, that will have an impact on
30 how this is successful and whatever the time horizon is.

31

32 **CHAIRMAN BARBIERI:** Yes, Jeff.

33

34 **DR. ISELY:** I just want to point out, again, that's what driving
35 this whole thing is the overfishing situation with red snapper
36 and the fact that the red snapper season is so short that it's
37 economically impacting both the charter boat and the headboat
38 fleet, and so the goal is to spread their quota out over the
39 entire year, and there will be some pushback from the
40 recreational side on this, and so that's what is driving this
41 whole thing.

42

43 **CHAIRMAN BARBIERI:** A response, Sherry?

44

45 **DR. S. LARKIN:** That's the kind of thing that would be perfect
46 to be in here, because that's not stated. If the goal is to
47 spread out the season -- It may be implied, but those are the
48 kind of details that, if that's a stated goal, it would be good

1 to have in there.

2
3 **DR. ISELY:** It's kind of the objective, but I don't know how
4 clearly you're allowed to state that, from a political point of
5 view. I mean I'm bringing it up here because what's driving
6 this is not the fact that NOAA or NMFS or the Magnuson Act is
7 trying to regulate the headboat or the charter boat fleet, but
8 that they brought this to us because they're so limited in the
9 time that they can fish and there's so much competition with the
10 recreational fleet during those open periods that it's impacting
11 their entire business, so that they can't make it.

12
13 If they can limit the red snapper catch during the red snapper
14 season and then spread that out over the calendar year, then
15 they're allowed to use that to entice anglers to come in. The
16 pushback is that, if I'm a recreational angler, I'm going to
17 fish hard during the recreational season and, as soon as it
18 closes, then I will start going out on the charter boats or
19 headboats and catching more red snapper, so I can extend my
20 benefits personally throughout the year and I can personally
21 exceed what would be my limit, and that's where the tradeoff is
22 coming in, in terms of the socioeconomics.

23
24 The cost recovery is strictly a function of Magnuson-Stevens
25 that says if you're going to have a limited entry fishery that
26 you have to extract some rent, and so that's a side issue for
27 this whole thing.

28
29 The charter boat/headboat designation is another side issue,
30 because they're operating quite a bit differently, and the
31 charter boats have wanted to not be lumped with the headboats
32 for these same sort of issues. They want their own separate
33 allocation, and, right now, they're all being managed as a
34 recreational fleet, even though they are commercial, because
35 their catches aren't sold, and so that leads to the issue of ex-
36 vessel value when none of the recreational catch is sold.

37
38 The people on those boats take their catch home, and so the
39 captains of the headboats and charter boats are not going to
40 determine a price for those fish. They're only going to count
41 the number of fish that leave their vessel.

42
43 **CHAIRMAN BARBIERI:** Thank you for that, Jeff and Sherry. I mean
44 this is, I imagine, exactly the type of input and discussions
45 points that staff are looking for in terms of clarifying the
46 document or expanding the scope of information that's in this
47 document. Any other questions or comments regarding Amendment
48 41 or 42 that you can provide to Assane and Ava? Seeing none, I

1 think that we can complete -- If Assane and Ava feel that they
2 have got enough information from the committee -- I think this
3 is the first exposure that the committee has to these
4 amendments, and so we're going to see them again in the future,
5 as they develop some more. There will be other opportunities
6 for community input. Before we go to the next item, which is
7 the Market Power Analysis for the Gulf IFQ Programs, let's take
8 an early break and return at 10:45.

9
10 (Whereupon, a brief recess was taken.)

11
12 **CHAIRMAN BARBIERI:** I would ask committee members to return to
13 your seats. Our next agenda item is sort of a continuation of
14 the discussion that we have started here regarding IFQ programs
15 for the Gulf, or potential IFQ programs for the Gulf, and we're
16 going to have Dr. Travis and Dr. Mitchell give presentations on
17 the Market Power Analysis for the Gulf IFQ Programs. If you
18 guys are ready, let's go ahead and get started.

19
20 **MARKET POWER ANALYSIS FOR THE GULF IFQ PROGRAMS**

21
22 **DR. MIKE TRAVIS:** I am just going to do the introduction. Glenn
23 will be doing the presentation, since this is his report and
24 analysis, and just a little bit of background. Sherry is not
25 here, but, kind of going back to what she said about looking at
26 how you set up these types of programs and the importance of
27 looking at are certain components of the programs going to
28 achieve the goals and objectives that you set up for the
29 program, this analysis directly relates to that idea.

30
31 We are required, in all of our LAPPs, to establish caps or
32 limits on shares and/or allocation or landings. There's been
33 some discussion about that recently, and the purpose, the
34 primary purpose, not the sole purpose, but the primary purpose
35 of these caps is to constrain market power, to ensure that no
36 particular entity, whether it's an individual, business, or some
37 other entity, is able to exercise control and markets. Markets
38 could be the product markets, the markets for annual allocation,
39 and the markets for quota shares.

40
41 By market power, and, of course, Lee can correct me, because he
42 authored one of the more important documents on this subject,
43 but market power simply means that you have the ability to
44 control or manipulate prices in that particular market, and so
45 the purpose of the analysis is to see if the caps that we set up
46 for the red snapper and the grouper/tilefish programs are doing
47 what they're supposed to be doing.

1 Just as a little bit more background, remember that, for red
2 snapper, we do have a cap on quota shares. We do not have an
3 allocations or a landings cap. For grouper/tilefish, we have a
4 cap on quota shares as well as an allocation cap. With that, I
5 will turn it over to Glenn.

6
7 **DR. GLENN MITCHELL:** Thank you. I will be going through a
8 presentation that I have lifted some of the cogent points of my
9 analysis, and there is a more detailed report that should be
10 available to everybody. None of the numbers from the report are
11 in the presentation, but if we want to delve into them in the
12 time that we're allowed, then I am certainly eager to do so, if
13 you would like, and I will try not to suck up the extra thirty
14 minutes we were allocated. I will try to finish on time, but
15 it's up to the Chair if you want us to go on further, if this is
16 productive.

17
18 I have really got five parts of my presentation here. I will
19 give a quick overview of the fishery and the focus of the scope
20 of my analysis. Three of the many, and most important, points
21 of the statement of work that I was engaged to do are the
22 relevant market analysis, the market power analysis, and the
23 scale efficiencies. Then, finally, my recommendations that came
24 out of this analysis for the ITQ program, in terms of
25 accumulation limits going forward.

26
27 What I will try and do is pause roughly at each of these five
28 categories and see if there's questions and then also entertain
29 questions at the end, if there is time.

30
31 What we have here is a situation where we have regulatory
32 boundaries, both geographic and product-type boundaries, and
33 they aren't necessarily the same as the economic markets that
34 those regulations interact with and those products are sold in.
35 In this particular case, I am looking at the Gulf of Mexico reef
36 fish ITQ program, and this is the third opportunity I've had to
37 do one of these analyses, which is very interesting, to me.

38
39 My research background in grad school was in resource economics
40 and tradable pollution permits and how these spurred innovation
41 and so on, and I moved into antitrust analysis after I left grad
42 school and went into economic practice, and I learned a lot
43 about markets and relevant markets and things like that, and
44 this is one of the few opportunities I have to combine those
45 interests together, and so I learn a little bit more about
46 fisheries each time I do it.

47
48 It's nowhere near the depth of institutional knowledge that this

1 group has, and it tends to be a little bit more scattered,
2 because I learned a little bit about surf clams and a little bit
3 about similar types of groundfish in the North Atlantic, and now
4 I'm learning about reef fish in the Gulf of Mexico.

5
6 A number of ways that we initially, just the first pass, look at
7 the economic analysis, we see the overlap of the regulation
8 versus the markets. Just some examples here of the Gulf of
9 Mexico regulatory region is one peninsula, one thin peninsula,
10 away from the South Atlantic regulatory region, and, in terms of
11 markets, the fish that are caught in the two different areas are
12 very similar and might very well be economic substitutes for
13 each other, in terms of where they're sold and how they're used.

14
15 The reef fish that are caught in the Gulf of Mexico or the South
16 Atlantic or elsewhere may or may not be substitutes for other
17 seafood that is harvested in the same regions and often with the
18 same vessels. The ITQ regulations apply only to a subset of the
19 reef fish that are harvested in the Gulf of Mexico.

20
21 There are several categories that we'll talk about, and you're
22 probably familiar with, but primarily red snapper and red
23 grouper are the largest of the ITQ-regulated fish, and there are
24 several other species that constitute a much smaller portion of
25 the regulatory market, but then there's also a large harvest of
26 other reef fish, other kinds of snapper and grouper, that aren't
27 included in the ITQ program.

28
29 There is imports and exports, and, here, we have the traditional
30 meaning of imports into the U.S. from other countries, but, when
31 we're looking at this analysis of what's going on with the Gulf
32 of Mexico, we also have to consider imports, so to speak, from
33 other areas of the country or exports into other areas of the
34 country and whether the markets we should be thinking about are
35 geographically larger than the Gulf of Mexico, larger than the
36 United States, or somewhere in between.

37
38 As I go through this presentation and this report, I will be
39 using a couple of terms that may or may not be commonly used for
40 you folks, but I will be talking about quota share as the fixed
41 portion of the annual quota that is assigned to each of the
42 participants in the industry, and so these would be the folks
43 that have the five-year history of harvest of landings that were
44 used to determine the initial allocation at the beginning of the
45 program and then could transfer that to other folks at any time
46 over the course of the program.

47
48 I will also be talking about quota allocation, which would be

1 the annual privilege that flows from the quota share holdings
2 and that also can be transferred to different individuals,
3 different businesses, and this is constrained in time, in that
4 it only applies for the year that the allocation is valid for.

5
6 The analysis that I considered looks at red snapper from the
7 beginning of this program in 2007 and looks at the grouper
8 tilefish categories from 2010, and all the data I looked at
9 ended in 2014. Some of the articles and other information came
10 out in 2015, but most of the analysis focuses on 2010 through
11 2014, with a little bit more for the red snapper in earlier
12 years.

13
14 Finally, I will be focused on whether accumulation limits affect
15 the markets, affecting the transactions, accumulation of either
16 quota share or quota allocation, and there can be a lot of other
17 ways that market power could be exercised in these industries,
18 and this particular analysis will focus on just the ways that
19 relate to accumulating being a lot of quota share or a lot of
20 quota allocation, because that's what the limits required by
21 regulatory details that I don't know too much about, but they
22 required me to focus my analysis. Any questions before I dive
23 into the relevant market? Okay.

24
25 From my perspective, whenever an economist wants to define a
26 relevant market, from an antitrust perspective, we need to
27 consider the activity that is potentially anticompetitive. A
28 lot of relevant market work is done based on horizontal merger
29 guidelines that the Department of Justice and the FTC use to
30 regulate mergers between competitors.

31
32 In that particular situation, the activity under consideration
33 is whether the merged firms will, together, control enough of
34 the market where they can engage in market power that they
35 didn't have prior to the merger. There are other contexts to
36 look at market power and relevant markets. For example, in
37 cases, monopolization cases, we're often looking at situations
38 where a firm already has a very large share of a market and may
39 have already controlled the price to a point where it's above
40 what the competitive price would have been, absent some sort of
41 activity that might have been anticompetitive, and we have to
42 consider the relevant market absent the activity that has
43 already occurred.

44
45 Here, the activity that we're looking at is the accumulation of
46 quota share or quota allocation, and I am going to take that
47 activity and look at it on a number of different levels of
48 market definition. First of all, directly with quota share and

1 quota allocation of markets, those privileges can be transferred
2 among individuals and businesses and so those themselves have
3 markets, two different markets, one for quota share and one for
4 quota allocation, potentially relevant markets in and of
5 themselves or subsets of those markets that could be relevant
6 markets.

7
8 Extending from that, the next level would be the landed fish
9 that comes from the use of the quota allocation, and I think
10 this is probably the area where most of the attention is, most
11 of the focus is. There is some concern about whether market
12 power exists within the quota share and quota allocation
13 transactions, but I think a lot of the concern that I hear about
14 and read about is whether the quota program can lead to market
15 power and landings, and so that's definitely going to be an area
16 of consideration.

17
18 It could be that the species categories within the ITQ program
19 could be broader, to include all ITQ-regulated reef fish or all
20 reef fish or more types of seafood or different geographic
21 regions.

22
23 What I have excluded from any more detailed analysis, but I
24 discuss briefly in the report, are relevant markets that are
25 smaller than the IFQ categories, the IFQ species categories, and
26 so an example of that might be red snapper of a certain size
27 that's useful for fillets or red snapper of a certain region,
28 say Texas rather than the Florida coast, and I have excluded
29 also, further downstream or upstream markets, the transactions
30 occurring after the dealers and processors, on down to the
31 consumers, and also transactions and the factors going into the
32 production, into the harvest, which is vessels and gear and so
33 on.

34
35 The primary reason to exclude those is because it could not
36 construct a theory of harm to competition that was related to
37 accumulation of quota share or quota allocation. There are
38 plenty of theories of harm that we could construct in those
39 different upstream or downstream markets, but none of them that
40 related specifically to the focus of this analysis.

41
42 **CHAIRMAN BARBIERI:** Glenn, if you don't mind folks interrupting
43 to ask questions --

44
45 **MR. GILL:** Thank you, Mr. Chairman. Sorry for interrupting,
46 but, then again, I'm not. Dr. Mitchell, could you clarify -- If
47 I understood you correctly, the landed category includes the
48 dealer or downstream of the producers, but not further than

1 that. Then the question, for example, is say a dealer had
2 shares and also lands category, and so the aggregate is higher.
3 That's what you're including in the landed category, and is that
4 correct?

5
6 **DR. MITCHELL:** If I understand the question correctly, the
7 landed fish category, and I'm talking about the transactions
8 that occur between vessel operators and dealers, when they bring
9 the fish in from the harvest. That's the slice of the market
10 that we're looking at there.

11
12 If there are further transactions between dealers and processors
13 or other customers that happen after the vessels have unloaded
14 their fish, that I am not looking at. The use of the quota
15 allocation occurs at the first category, but not at the second
16 category, although dealers themselves may be involved and may be
17 owners of the allocation that gets used in the first
18 transaction.

19
20 **DR. TRAVIS:** If I could follow up on that just a little bit. We
21 have data directly with respect to transactions, transfers,
22 within the quota allocation market, the quota share market, and
23 the sales markets from the boat to the dealer. We typically do
24 not have transaction data from dealers to processors and other
25 entities further up the chain. If we had had that data, we
26 could have looked at that, but we don't.

27
28 **DR. MITCHELL:** Now, I am going to move backwards. We started
29 with the landed fish and we'll move to the quota share and quota
30 allocation, and the way I like to approach the relevant market
31 analysis in all of my work is to gather a good deal of
32 qualitative information and analysis and try and get a good
33 sense, qualitatively, of what the relevant markets appear to be,
34 based on how the transactions occur and what the industry
35 participants believe to be the case, and then to augment that
36 with the more detailed data analysis, whenever possible. We've
37 done both here. The results are mixed, but we'll get to that.

38
39 In terms of the qualitative overall look at the markets for
40 landed fish, we see right away that you could distinguish
41 between different species in terms of their product
42 characteristics, certainly between reef fish and other types of
43 seafood and other types of food, and those product
44 characteristics may or may not be sufficient to differentiate
45 demand enough to segregate into different relevant markets.

46
47 There is also end use differences, in terms of especially for
48 the different sizes of fish that are caught, whether they're

1 useful for fillets or other reasons, or other uses, where
2 they're delivered and when, in terms of whether they're going to
3 become fresh product or frozen product, and other
4 differentiating factors like that.

5
6 That could lead to subcategories within the species. However,
7 because of the focus on the ITQ accumulation limits, I'm not
8 going to be looking at those subcategories.

9
10 We also have to consider, when we look at relevant markets, the
11 geographic delineations of the market. In the case of the Gulf
12 of Mexico ITQ-regulated reef fish, we have a good geography to
13 start with, to think about starting with, which is the Gulf of
14 Mexico, and then, as I mentioned before, we have to consider
15 whether harvest activities occurring elsewhere are interacting
16 with the harvest activities in the Gulf of Mexico and whether
17 there is reason to delineate further submarkets within the Gulf
18 of Mexico, given that we're looking at accumulation of ITQ that
19 pertains to the entire Gulf. I say accumulation of ITQ, and
20 that's my shorthand for accumulation of quota share or quota
21 allocation.

22
23 Another factor that comes into play here, a lot more so than in
24 a lot of other relevant market analyses, is the supply
25 substitution possibility. By that, I mean, first of all, that
26 relevant markets are distinguished, in economic terms, by the
27 differences in demand, by the other products that compete
28 sufficiently with a product to constrain its prices, absent
29 anticompetitive activities, but we do consider supply when it
30 interacts sufficiently to affect demand.

31
32 In, for example, the horizontal merger guidelines, it's kind of
33 an afterthought whether there is supply substitution among
34 different industries that could come in to compete, but, here,
35 we have harvesters that are engaged in multiproduct activities,
36 where they are, in this particular fishery, harvesting multiple
37 species at the same time. Almost all of the data shows that
38 vessels are harvesting at least two different species on a
39 regular basis, and often more than that.

40
41 If you have, for some reason, an increase in market demand for a
42 particular species that happens to be harvested at the same
43 time, because it's in the same place, as another species, then
44 that might lead to an increased harvesting activity for the
45 other species and a change in quantity related to the price
46 increase of the first species, and so that leads to changes in
47 the product transactions that are attributable to price across
48 the different species that only occur because of the supply

1 complementary, the fact that they're both harvested together.
2
3 Taking all of these considerations into account and having
4 access to a lot of really good initial ethnographic research on
5 the industry that the service was undertaking and all the
6 publicly-available information about the industry, it was clear
7 that there could very well be very broad markets for the ITQ-
8 regulated reef fish.
9
10 There is a lot of imports, a lot of exports, a lot of very
11 similar products from other locations, including the South
12 Atlantic, as well as parts of the Gulf of Mexico not regulated
13 by the United States, and overlaps across, outside, of the ITQ-
14 regulated portion of the reef fish.
15
16 Kind of the starting hypothesis with it would be that there
17 would be some relatively large markets that would be inclusive
18 of all the ITQ-regulated reef fish in the Gulf of Mexico, and
19 possibly bigger than that, but I wanted to then turn to more
20 empirical analysis of quantitative data, to see if we can
21 support that or find something different, and so we did some
22 demand analysis.
23
24 This is some of the data that Mike mentioned, that we were able
25 to look at the data that's kept by the service on transactions
26 among the ITQ share and allocation, as well as the landings that
27 go with the allocation use, and, in addition, the logbook data
28 that includes some species outside of the ITQ-regulated program,
29 both in the Gulf of Mexico and in the South Atlantic that we
30 have some access to, and we also have some cost data on portion
31 of the logbook participants that chose to participate in the
32 cost survey.
33
34 In the practical question, we were faced with lots of data,
35 which we haven't had in some previous fisheries analyses that we
36 looked at, but it was how to aggregate it in a sensible way for
37 a demand analysis. With red snapper and red grouper, there are
38 a lot of transactions, and it would make sense to aggregate,
39 much like we do in consumer products, usually on a weekly basis,
40 by location and do some very extensive analysis of transactions
41 aggregated on that basis. That gives you a lot of transactions,
42 a lot of data, and it allows you a lot of flexibility with the
43 econometric techniques that you use.
44
45 Unfortunately, that would not apply to entire scope of the
46 species that I was looking at and the other species in the ITQ-
47 regulated program, the tilefish particularly, and sometimes the
48 gag grouper, have a lot more intermittent data, often because

1 they're harvested more intermittently, but also because there is
2 some filtering that we had to do with the data, which I could
3 get into if there are questions about that, to ensure that we
4 only had real prices for real transactions.

5
6 We ended up with kind of a compromise of doing monthly
7 aggregation over the five-year span of all the regulatory
8 programs, 2010 through 2014, which is sixty data points, which
9 is good, but not a lot, and it kind of limits our flexibility,
10 in terms of finding relationships within the data.

11
12 For those of you who are into the econometrics, we performed a
13 log linear demand system econometric analysis and, as those of
14 you who are into this know, there are limitations and
15 econometric reasons not to believe the numbers that come out of
16 that, and so we looked at endogeneity and simultaneity using
17 two-stage and three-stage least squares on that same data, and
18 we also did some initial analysis with demand systems that use
19 shares, as opposed to quantities, in the dependent variable in
20 the linear approximate almost ideal demand system.

21
22 What we got out of all of that was almost the same in all cases,
23 and so it didn't really matter that much, given our sixty data
24 points, and a lot of the more advanced stuff that I just rattled
25 off real quickly really requires a lot more data to be reliable,
26 and so even if it had shown something different, I probably
27 would have been a little bit leery about using it, but it didn't
28 really show anything different. The end result to the demand
29 analysis was not very informative.

30
31 The red snapper, we did get its own elasticity that made sense
32 and some cross-elasticity with other products. I think all the
33 other species groups, we didn't get anything that made sense.
34 We didn't get a lot of significant results. There was just too
35 much noise in the data to ferret out the substitution among the
36 different species.

37
38 There is a couple different ways to interpret that. One might
39 be that that could be a confirmation that there is one broad
40 category of reef fish, with the possible exception of red
41 snapper, or it could be that we just didn't have enough data to
42 pick out the individual different demands for the different
43 species, and so we proceeded with our analysis, or I proceeded
44 with my analysis, based on the assumption that it's probably a
45 broad market, but we need to consider the possibility of smaller
46 markets, down to the species categories, within the ITQ program.

47
48 Then, quickly, we can turn to the other markets, the more direct

1 markets, for a relevant market definition, which would be the
2 quota share and the quota allocation. The quota share market is
3 interesting among these three that we're looking at, in that
4 it's most like a financial investment, unlike fishing
5 production.

6
7 If you think about what quota share gives you, it gives the
8 right to receive quota allocation, which has a price. You don't
9 know what the price is going to be ahead of time, but you have
10 some expectation of what it's going to be. You don't know how
11 much you're going to get, because the quotas themselves change
12 from year to year, but you have some idea of you will get a
13 certain amount of quota allocation at some expected price.

14
15 Much like many other financial instruments, if you buy quota
16 share or choose not to sell it, you're investing in something
17 that's going to give you a financial return that you're not
18 certain about, and there's lots of different investments that
19 have those same characteristics.

20
21 One thing that differentiates quota share from other types of
22 financial investments is that your expectations about the
23 allocation prices and allocation amounts that you're going to
24 get may be largely informed by your experience within the
25 industry, as opposed to somebody outside the industry, and so,
26 either because your own experience or because of your
27 connections to other people within the industry, people who are
28 participating in the industry may have substantially more
29 information for trading quota share than people outside the
30 industry.

31
32 That, in and of itself, is probably enough to distinguish it
33 from other financial instruments and other types of investments.
34 However, I think anything beyond that is stretching it to the
35 point where there is really no reason to differentiate, in terms
36 of demand substitution, and so there is no reason to
37 differentiate between the different types of species for quota
38 share transactions.

39
40 You're in the industry and you know what's going on or you're
41 not in the industry and you don't, but, once you're in the
42 industry, I'm going to make the assumption that you know enough
43 about the different types of species that you know whether to
44 buy or sell or hold your quota share. That leads to the
45 conclusion that the relevant market for quota share is the
46 entire Gulf of Mexico IFQ program.

47
48 Quota allocation kind of falls in between quota share and landed

1 fish, in that it's not really a physical instrument. It's a
2 financial instrument as well, but it has a limited time that
3 it's useful, and it's directly tied to production in a way that
4 quota shares is much more loosely tied to production. It's tied
5 to quota allocation is tied to the immediate production
6 decisions that you're making from day to day and week to week.

7
8 It could be treated much more like an input into production and
9 we can analyze the demand for quota allocation, but, when we do
10 that, we have to be careful not to treat it like any other
11 input into production, because quota allocation is not
12 substitutable for other types of inputs. You can substitute use
13 less allocation and more bait, for example, or more fuel.

14
15 What you can do is substitute different types of allocation for
16 each other. For example, you can choose to change your vessel
17 targeting and get different species, in which case you're using
18 less of one type of quota allocation and more of another, and so
19 it's possible that there is substitution across different quota
20 allocation species groups, and it's possible that there is not
21 and that they should be treated separately.

22
23 Again, we tried the demand system approach to this, because we
24 have basically the same information on quota allocation
25 transactions as we do on landings transactions, approximately
26 sixty data points aggregated monthly, with somewhat more holes
27 there, because there is a little bit more sparse data on quota
28 allocation transactions, but, again, no definitive results for
29 the demand analysis, and so that did not really help form the
30 opinion.

31
32 I am left there with the conclusion that the relevant markets
33 for quota allocation, we can assume are IFQ species groups each
34 year or possibly an aggregate of all groups within any given
35 year.

36
37 That's a lot of attention to relevant markets and probably more
38 than half of my presentation, mostly because it was required as
39 part of our analysis. What we really need to know is whether
40 there is market power, and sometimes we can even skip over
41 relevant markets to get to that, but that's what we came up
42 with. Before I move on to market power and the rest of it, are
43 there any more questions, quick questions, that come to mind
44 right away?

45
46 **DR. KEITHLY:** Going back to the output demand equations that you
47 estimated, generally when we model -- I am asking this because I
48 have a project that I'm struggling with, but when we estimate

1 demand for dockside landings and so forth in the absence of an
2 IFQ program -- If you look at it on a monthly basis, you usually
3 see that that's an inverse demand function. Why did you choose
4 to estimate it as a quantity-dependent demand function in this
5 case? Is it because there's an IFQ program in place?
6

7 **DR. MITCHELL:** The question is why use the quantity as the
8 dependent variable instead of the alternative being to do the
9 inverse demand function with the price, and I don't want to
10 overstate what we did. We explored some alternative
11 specifications early on in the process and the data would allow
12 us to do it either way, and so it doesn't really matter. It is
13 not, as you speculated, because it's an IFQ program. That
14 wouldn't have affected whether to do it one way or the other.
15

16 I think we were -- Early on in the process, I decided that we
17 were getting reasonably consistent results either way, which
18 were not very good either way, and we wanted to explore doing
19 the linear approximate almost ideal demand systems and expand
20 our budget on that and see if we could get anything productive,
21 and that didn't really pan out, and those are quantity shares,
22 typically, although they could be revenue shares as well.
23

24 The answer is our early analysis suggests that it wouldn't have
25 made any difference, but we didn't go very far into that. There
26 could be another course to take.
27

28 **DR. KEITHLY:** The second question, is you state in your
29 document, is imports dominate these markets. I forget what the
30 numbers were, thirty-million pounds of red snapper imports or
31 whatever, yet, in your demand analyses, you simply used South
32 Atlantic landings as substitute products. Is it because you did
33 not have the imports broken down to specific species, other than
34 grouper or whatever, that you did not include imports, because
35 it seems that that may have been the more relevant variable in
36 this analysis.
37

38 **DR. MITCHELL:** To answer that question, and that's a very good
39 point, the imports dominate -- Well, the imports are a large
40 part of U.S. consumption, is what I could say. I can't say
41 whether they dominate the Gulf of Mexico reef fish landed fish
42 market, because we don't have any data on specifically imports
43 that are sold to the same places that the Gulf of Mexico reef
44 fish are sold to, and so I suspect the imports have a large
45 influence and are part of what are driving the lack of results
46 within the Gulf of Mexico reef fish, and it would require a lot
47 more data work, some of which is available by species on the
48 import or by species category. It could roughly map to some of

1 the species categories in the ITQ program. It's not exactly the
2 same, but it would require additional work, and that might pan
3 out on some larger market analysis.

4

5 **DR. KEITHLY:** One more question.

6

7 **DR. MITCHELL:** One more question. You only get three questions.

8

9 **DR. KEITHLY:** You estimated OLS SUR and then two or three-stage
10 least squares. You mentioned that two and three-stage squares
11 gave you very similar results. That's not surprising, because
12 you're using the same exogenous variables or all right-hand side
13 variables, and I shouldn't say exogenous in this case, in which
14 case you could have identical results, or should, I would think.
15 Did you get significant differences between the OLS results and
16 the simultaneous equation results?

17

18 **DR. MITCHELL:** No, adding the -- For those of you who aren't in
19 the know, or maybe you all are, but adding the simultaneous kind
20 of supply equations or other equations into the system can kind
21 of help you tighten up the results and get stuff that you
22 wouldn't have seen just with the demand equations. In this
23 case, we added cost of other inputs, and it didn't change
24 anything.

25

26 **DR. KEITHLY:** Thank you.

27

28 **DR. MITCHELL:** We did that kind of because we have the cost
29 variables from our linear analysis that we were talking about,
30 and that was relatively easy to bring those in. We also brought
31 in a couple of variables having to do with imports and overall
32 U.S. consumption, but those didn't make any difference either.

33

34 I was kidding about you only get three questions within the
35 presentation, but if there's time at the end, I will definitely
36 answer more, or you can transfer your allocation of questions
37 from other participants who aren't using theirs, but you have to
38 determine your own prices and report them accurately.

39

40 Let's talk a little bit about market power. What we would like
41 to do is to identify when people are controlling prices in a way
42 that they wouldn't be able to do in competitive markets. We can
43 sometimes see that through their direct behavior or we can
44 sometimes see that through the profits that they're making,
45 although that's not necessarily definitive, but what we usually
46 end up doing is falling back on our looking at the overall
47 structure of the market and seeing whether the activity within
48 that structure is more consistent with the exercise of market

1 power or with competitive activity, and that's what I did here.
2
3 I assessed the concentration, and I saw variations in
4 concentration among different species or among different points
5 in time, and I was trying to see if that was related to changes
6 in pricing or profits overall, and, try as I might, I could not
7 find any evidence of market power being exercised in any of the
8 possible relevant markets that I talked about earlier.
9
10 We used the ITQ demand data to measure concentration for landed
11 fish and also for transactions and quota allocation and quota
12 share, and those are in Table 6 and 7 of the report, I believe.
13
14 In doing this, we also made use of another set of data that was
15 made available to us. When people participate in the ITQ
16 program, that generates data on the ownership of the accounts.
17 They can be owned by businesses or by people or by businesses
18 and people, and that allows the possibility for somebody who
19 might have multiple accounts, for us to aggregate those multiple
20 accounts together to a single entity.
21
22 I don't think this was done in any exact way. It was done the
23 best we could with the data that we had available, but there
24 were clearly people with identical business names or identical
25 personal names who had multiple ITQ accounts, and we could see
26 why that might happen over the course of operations. Somebody
27 might acquire another vessel or another business that already
28 has a preexisting account, and there's no particular reason,
29 necessarily, operationally, to merge the two accounts together
30 into one and then maybe continue operating with two accounts or
31 three accounts or more.
32
33 You may have overlapping ownership in different entities. There
34 may be -- It was a little bit in this industry, but more so, we
35 saw it in some of the other fisheries I looked at. You may have
36 financial institutions owning ITQ accounts, because the ITQ was
37 collateral for a loan that then ended up getting repossessed and
38 so on.
39
40 What we did was we attempted to use the data that was available
41 to us to, as best as we could, aggregate across the different
42 ITQ accounts into single entities, which made a little bit of a
43 difference in our concentration figures. It was nothing that
44 would change it qualitatively, but, if you look at it by ITQ
45 accounts, it's definitely giving an inaccurately low measure of
46 concentration.
47
48 One thing that is definitely missing and that you should be

1 aware of is that if dealers or processors own businesses that
2 own permits, we're not necessarily going to capture that in our
3 dataset, and so they might be vertical relationships that
4 control allocation or quota share, and we don't have that
5 information available to us.

6
7 Again, we will start with the landed fish, and I looked at that
8 both with individual species groups as well as an aggregate for
9 all the landed fish, and found very low concentration figures,
10 both in HHI and also more simpler measures of concentration, who
11 are the largest three or five suppliers.

12
13 There are some species groups that have relatively high
14 concentrations for some years. These are small species groups,
15 like the tilefish group, deepwater grouper, but, amongst all of
16 those, and a little bit referring to the next analysis about
17 scale efficiencies, there are no evidence of abnormally high
18 profits or changes in profits over time.

19
20 There are some sets where we saw higher concentrations, either
21 by species group or over time within a species group, but there
22 was no change in the level of output or price that could be
23 related to those changes in concentration, and so, even when we
24 saw increased concentrations, we didn't see subsequent changes
25 in price or profitability or output that would indicate market
26 power being used.

27
28 Now, that's a little bit of an assumption there, because it's
29 possible that there would have been changes had there not been
30 market power, but you have to then presume that there's some
31 other factor that would have caused changes that were then
32 ameliorated by the use of market power and absent any
33 information on other factors, which we don't see any.

34
35 The only big factor that was affecting this industry that we
36 could find was the 2010 oil spill, but, other than that, there
37 are no other particular events that had really widespread impact
38 on the industry. There some red tide events or red algae that
39 had some small impacts, some quota adjustments in mid-year that
40 had small impacts, and we took those into account, and we didn't
41 see any evidence that there was any market power being used for
42 landed fish.

43
44 Finally, for market power with a quota share or quota
45 allocation, before getting into that at some point -- This has
46 to be said somewhere, and this was really where it fit, for some
47 reason, but there are in place accumulation caps for quota share
48 and quota allocation currently.

1
2 Those accumulation caps can be met without necessarily
3 constraining harvest, and so the harvest amount that an entity
4 can harvest could be higher than the accumulation cap. The way
5 that occurs is two ways. One is if there is multiple accounts
6 that they can harvest and use allocation within multiple
7 accounts. That can certainly get you a harvest beyond the cap,
8 but, even if you only have one account, you could harvest beyond
9 the cap just by accumulating more allocation over the course of
10 the season, because you can start off with a small amount and
11 just buy more later and harvest more fish.

12
13 It's important to recognize that the concentration figures for
14 allocation and share might not match the landings concentration
15 amounts. It turns out that the allocation concentration was
16 relatively low and the quota share concentration, which is
17 really just the January measurement of the allocation
18 concentration, was also low.

19
20 We saw some changes in the quota allocation that could indicate
21 increased concentration, and, again, we did the same sort of
22 analysis. Did that lead to changes in price or behavior? We
23 didn't find anything to suggest that there was market power
24 being exercised when there was slightly more concentration in
25 the allocation, and, with quota share, they were much more
26 limited data, but we also have, for reasons that I discussed in
27 the relevant market analysis, I think a very firm reason to
28 believe that quota share elasticity would be much higher than
29 the quota allocation elasticity, and, therefore, if we're
30 confident that allocation is -- If there's no market power
31 there, and the quota shares are actually at a lower
32 concentration, then I went on to make the conclusion that there
33 is no market power within quota share as well.

34
35 I think we then go to scale efficiencies, but, before I do that,
36 does anybody have questions about market power? The end result
37 there is that we didn't find any evidence of market power being
38 used under the current allocation caps that are in place.

39
40 **CHAIRMAN BARBIERI:** Glenn, we have Sherry.

41
42 **DR. S. LARKIN:** I think I have two questions in there. One is
43 the previous slide talked about abnormally high profits, and so
44 could you talk a little bit about how profit was calculated and
45 what was considered abnormally high?

46
47 **DR. MITCHELL:** I will do the first part of the question a little
48 bit more when I get to the next section, because we'll talk

1 about the costs, and that will lead right into that. The second
2 part, abnormal would be changes over time or across species that
3 are not accounted for by any else other than possibly
4 concentration, increase in concentration, and so abnormal
5 relative to the other species or other times that we're
6 observing the same species.

7
8 **DR. S. LARKIN:** The second one, and maybe it's a little
9 premature for this, but I'm sitting here trying to figure out
10 how this piece of work sort of fits in with other information
11 that we know about this market, and I'm wondering if this is
12 like a 30,000-foot view of what's going on across the Gulf and
13 across these markets and sort of how the results that come out
14 of this help add to the story of potential concentration in the
15 transfer markets.

16
17 I mean we kind of know that social networks play a role in those
18 markets, and we have some information on regions, and so I guess
19 maybe it's more of a comment. Is it correct to think that this
20 analysis is looking from the top-down, at like the 30,000-foot
21 view, versus looking from the bottom-up at what's going at
22 locally and -- There's a lot of things different about examining
23 this market from an HHI perspective that's used with other types
24 of commodity-based goods versus looking at a market that doesn't
25 have an official trading platform and doesn't have any
26 formalized structure to it. Does that make any sense?

27
28 **DR. MITCHELL:** Yes, and so I think there's a potential that
29 constraints within the market could occur, so that people could
30 exercise market power in limited areas of the market. Say if
31 it's not a smoothly, efficiently-running market like we think of
32 say the stock exchange, where there is lots of transactions and
33 lots of exposure and visibility into it. In a lot of cases,
34 transactions are occurring through more limited networks, or
35 maybe through nodes that are doing lots of transactions and
36 could, by themselves, do a little bit of limitation constriction
37 of the market.

38
39 Those, we did not look at those. We did a little bit of looking
40 at geography and we did a little bit of looking at the identity
41 of the transactors. Do those with higher shares have different
42 prices than those with lower shares, and we didn't see -- There
43 was nothing that was showing up as significant in those limited
44 analysis we did in those, but, to answer the earlier part of
45 your question, it is more of a 30,000-foot look across the whole
46 Gulf of Mexico transactions for the quota allocation and for
47 quota share as well. I will come back to the calculation of
48 profits in a second, actually right now.

1
2 The final task before I get to the recommendations, and this
3 shouldn't take more than five or ten minutes to wrap this up,
4 but the final task was to look at scale efficiencies, the reason
5 here being -- Why is this added in this market power analysis?
6 The reason being that if you set the quota accumulation caps for
7 quota share or quota allocation too low, then you might impede
8 operators from achieving efficient scale, and so it certainly
9 was the case in surf clam fishing, where there were clearly
10 economies of scale related to large-scale trawling for surf
11 clams.

12
13 I don't immediately see any evidence of economies of scale for
14 reef fishing, but I am not going to assume it just straight off
15 of a qualitative analysis. Instead, we're going to also, again,
16 look at the data here.

17
18 What we did here was we used the logbook cost data from the Gulf
19 of Mexico survey participants, which is only a subsample of data
20 of all the costs, but we took those and collapsed into single
21 quality-differentiated product using price indices, and we
22 segregated out IFQs, because it's substitutable with other
23 products, and then we grouped the other inputs into I think
24 three categories and estimated a translog cost function as kind
25 of a rough aggregate estimate of how the industry functions,
26 without differentiating by gear or by types of vessels or so on.

27
28 We figured out what is the best -- What is the cost per vessel
29 trip, and, given the substitutability among things like bait and
30 labor and fuel to go places. The result of that analysis was
31 actually surprisingly clear, compared to the demand analysis.

32
33 All the proper signs were observed in the data. The cost is
34 increasing as output increases, which is what you generally
35 would want, and, whenever any input price increases, the cost
36 increases, and so those are all kind of checks on making sure
37 that the function is being estimated correctly.

38
39 We can take the results of that and get a measure of the
40 efficient scale, the point at which the marginal cost is equal
41 to the average cost, and make sure that that's a minimum and not
42 a maximum. For this case, it was approximately 5,000 pounds per
43 vessel trip. The current average varies across different
44 species, but it's all lower than 5,000 pounds. For all the
45 species together, it's roughly 3,000 pounds, I think a little
46 bit less, depending on the year.

47
48 That suggests that the industry is not operating at the most

1 efficient scale at this point, but it just suggests that. It
2 doesn't really nail that down, because we did not differentiate
3 by different types of gear, different vessels, and different
4 species.

5
6 I think it's sufficient to say that the current accumulation
7 caps, which would allow for much higher than 5,000 pounds per
8 vessel trip, are not what is constraining people from operating
9 at an efficient scale, if they're not, and, really, that was the
10 main reason to do the scale efficiency analysis here.

11
12 The side product of this was that once you back out the cost of
13 all the other inputs from the average price of the harvest, we
14 come up with a figure that's pretty close to the average price
15 of the ITQs, and so that suggests that, although there is quite
16 a bit of variation among different vessel operators and
17 different species, that, on average, the profit level is pretty
18 close to zero for the industry as a whole, or for the Gulf of
19 Mexico reef fish ITQ harvest as a whole.

20
21 Now, people can substitute away from ITQ species and harvest
22 other species, and so there is quite a bit of other species
23 included in the cost analysis, and so it's not that there is
24 necessarily down to zero profits for everybody, but it suggests
25 that there is nobody -- In some further cuts of the data that we
26 looked at, there is nobody making exorbitant profits on ITQ-
27 regulated fish that would suggest that market power is
28 occurring. I think that answers that earlier question.

29
30 Then I am going to go quickly to the recommendations that flowed
31 out of this analysis. Starting now with quota share, I didn't
32 observe any economic inefficiency caused by the current caps,
33 and so they're not too low. I think that the analysis argues, I
34 argue in the analysis, that the relevant cap would be for all
35 the species together and not for individual species groups and
36 that 15 percent cap is supported by the data, that that could be
37 a low enough cap to prevent any further concentration than what
38 is already occurring and is occurring without any use of market
39 power, without any evident consequent market power.

40
41 If it was deemed necessary to do caps by species group, I talk
42 about 7 percent. That, I would have to update a little bit,
43 because there was an update to Table 7 late in the game here
44 that I did include in the draft, but I didn't include it in my -
45 - I didn't revise my recommendations sufficiently.

46
47 The idea of this at a minimum cap at current levels or 7
48 percent, whichever is higher, is driven by what's the highest

1 concentration we see in the current quota share analysis and,
2 seeing that we have observed no market power within that highest
3 concentration, it would be okay for any species group to be at
4 that concentration.

5
6 At that point, the highest was 775 for tilefish, and so that's
7 about 7 percent per participant, if you have a dozen or so
8 equal-sized participants. The revision to Table 7 increased
9 that 775 to I think 878, and that would correspond to more like
10 a 9 percent cap, and so I'm going to be making that change to
11 the report, but that's if you were to do caps by species group.
12 That's what it relies upon, and it relies upon the assumption
13 that it's okay to take the evidence from one species group, say
14 tilefish, and apply it to different species groups or species,
15 in this case say red snapper, which may be a more difficult
16 stretch that the council may not want to make.

17
18 The current red snapper accumulation limit is 6 percent and the
19 concentration figures for red snapper are already much lower
20 than they would be if people were accumulating 6 percent, and so
21 certainly 6 percent is sufficient, and I believe that moving up
22 to the level of the tilefish, which would be 9 percent, wouldn't
23 make that much difference, based on the evidence that I saw.

24
25 Then I made recommendations on quota allocation, mostly to point
26 out that only effectively monitoring, periodically during the
27 year, can we expect quota allocation to have any significant
28 constraint on harvesting activity. If there is a concern about
29 quota allocation being used and accumulated in a way that could
30 affect harvesting and relevant markets and market power in the
31 harvesting sector, and if you're going to set accumulation
32 limits for that purpose, it would be necessary to monitor the
33 accumulation of allocation, based on what's available and hasn't
34 been used, during the course of the year and not just at the
35 beginning of the year or at some point in the middle of the
36 year.

37
38 I did it quarterly in the report. Quarterly or monthly probably
39 makes sense, something like that, but, given what I did in the
40 report, the quarterly showed that there was increases in
41 concentration over the course of the year, but none that
42 affected prices, and so I don't believe that any allocation caps
43 are necessary. If there must be allocation caps of some sort,
44 if that's the case, then it's clear, from the data, that caps at
45 9 percent or for the aggregate -- It says 7 here, but it should
46 be 9, and at 10 percent for species groups are supported by the
47 existing experience already.

1 That was real quick on the end, and maybe not as clear as it
2 could have been, given the change in one of the numbers, but are
3 there any more questions that I should address at this point?

4

5 **CHAIRMAN BARBIERI:** I have Walter and then David and Ken.

6

7 **DR. KEITHLY:** Thank you for the presentation. I have just one
8 question. It's not clear to me what equations you used to
9 estimate the elasticity for quota allocation. Was that done on
10 a monthly basis, similar to the demand, with quantity being the
11 dependent variable again?

12

13 **DR. MITCHELL:** It's the exact same model as the fish demand.
14 It's the same level of aggregation, the same variables.

15

16 **DR. KEITHLY:** But your supply, by definition, available for sale
17 goes down as the year progresses. Can you control for that
18 somehow or did you control for that?

19

20 **DR. MITCHELL:** Extent allocation that hasn't been used I think
21 was the control variable for that, and I think -- So each month,
22 there will be less -- Whatever was the initial quota minus
23 whatever was used in the previous months is the extent
24 allocation supply that's available.

25

26 **DR. KEITHLY:** Is it demand or -- I am being confused. Are these
27 demand equations or supply equations at this point?

28

29 **DR. MITCHELL:** Demand equations with -- That particular variable
30 comes in as a potential endogenous variable for the two-stage
31 and three-stage least squares.

32

33 **CHAIRMAN BARBIERI:** Thank you. I have David and then Ken.

34

35 **DR. GRIFFITH:** Under relevant market quota share allocation, can
36 you go to that slide for a second? It's on page 7, I think.
37 You said something about the relevant market for quota share is
38 all Gulf of Mexico IFQ program. That means you don't
39 differentiate between snapper and grouper at all?

40

41 **DR. MITCHELL:** No, because of the analysis that, to me,
42 indicates that the quota share is simply a financial instrument.

43

44 **DR. GRIFFITH:** Yes, but that's somehow dependent on this
45 specialized knowledge, right?

46

47 **DR. MITCHELL:** Right.

48

1 **DR. GRIFFITH:** You mentioned that, in one case, a financial
2 institution owns shares, and I know of cases where people have
3 inherited shares who aren't fishermen, who don't have this
4 specialized knowledge, or have gotten them in a divorce
5 settlement, and so what happens when that specialized knowledge
6 is beginning to be eroded? Then does this relevant market
7 conclusion not stand up anymore or what?

8
9 **DR. MITCHELL:** Well, as long as there are a large number of
10 participants with specialized knowledge that are able to
11 participate in the market, then I would expect them to be
12 driving the price. Now, I expect there would be participants
13 who are mispricing, because they don't have that information,
14 but they do -- They can observe -- Well, they can't observe
15 prices, and so if there end up being a large number of market
16 participants that didn't have the information, then they would
17 be mispricing, potentially, and losing money. Then you expect
18 the people that have the information to acquire those shares
19 over time.

20
21 **DR. GRIFFITH:** Then I have one more question. I'm sure you're
22 familiar with the term "fish lords" or "sea lords". Based on
23 your analysis, there are no such things as sea lords right now
24 in the IFQ program?

25
26 **DR. MITCHELL:** I am familiar with the term, but I'm not familiar
27 with the commonly-accepted definition of it. There are
28 definitely people that own lots of shares that are not landing.
29 There are entities owning lots of shares, but not landing, but
30 they're not the biggest people that are landing. The biggest
31 people that are landing fish are the ones that have substantial
32 shares and are buying allocation to make up the rest that they
33 don't have shares for. Did you have something to add?

34
35 **DR. STEPHEN:** I was just going to add to the relevant market.
36 We've had a lot of phone calls from people who the person was
37 running it had died, and they call and ask us about prices. We
38 do an annual report, and so they can see what the annual monthly
39 prices were for the previous year within it, and a lot of times
40 we tell them to talk to the people they had been dealing with.

41
42 The dealers function, in a large way, in helping the fishermen
43 determine some of the prices, even if they're not directly
44 involved in the transaction, and so there is a community where,
45 if someone has lost a spouse and they're now in charge of it,
46 they can get some sense of what's going on before either selling
47 it or deciding to keep it and fish it through another captain.

48

1 **CHAIRMAN BARBIERI:** Thank you, Jessica. Ken.
2

3 **DR. ROBERTS:** Thank you, Mr. Chairman. Within the last year,
4 there was substantial criticism of the IFQ program because of
5 this thing of people getting rich and whatnot by not even
6 fishing, and I know you just addressed some of that. The
7 question I have is, if you had that information of how much was
8 actually leased repetitively by a permit holder, quantitatively,
9 and it doesn't have to come from the same person, would that in
10 any way be large enough to change some of your conclusions, do
11 you think? If not, do we have enough information that you had
12 available that you could put in your report that would show us
13 how much leased activity is going to certain concentrated groups
14 of people?
15

16 **DR. MITCHELL:** I think, and folks can correct me if I'm wrong,
17 but I think I have the information on who owns the shares and I
18 have the information on where those shares end up getting used,
19 whether they're transferred to somebody else or used by that
20 owner or not used at all, the allocation that flows from those
21 shares.
22

23 There is no missing information there. The only missing
24 information would be if there are entities that own multiple
25 accounts that have shares and I don't observe that they own
26 multiple accounts, and I don't think that's really there, but it
27 could be.
28

29 **DR. TRAVIS:** No, that should not be there. The one constraint
30 though, and he did touch on this earlier, is that, although we
31 have complete information on the ownership of the entities that
32 own the shares and the allocation, and so we have great
33 ownership data for the harvesting sector, but, in terms of
34 dealers, that is where we're missing a key piece of information.
35 We don't have information regarding the specific individuals or
36 other businesses that own the dealers and then may subsequently
37 participate in that market. Does that make sense?
38

39 **DR. ROBERTS:** A follow-up. Yes, but, if you had that, would it
40 be important?
41

42 **DR. MITCHELL:** Well, it could be important if there are dealers
43 that have large concentrations that we're not observing.
44

45 **DR. TRAVIS:** It's rather hard to say until you actually get the
46 data, but we have observed, in certain other programs --
47 Certainly the surf clam ocean quahog program, there is extensive
48 vertical integration within that fishery and program. Now,

1 whether it's like that in this case, I am rather skeptical as to
2 that magnitude. I wouldn't think so, just because of the larger
3 number of participants, in general, in this program compared to
4 that program.

5
6 **DR. STEPHEN:** Just to add to that, the one other thing is we've
7 seen an increase in fishermen becoming dealers, the ones that we
8 can identify through the dealer and the fishermen. Most of them
9 have been very small-level dealers. It's been a fisherman who
10 just didn't want to sell through a middleman and became a dealer
11 in and of himself to make that progress.

12
13 **DR. MITCHELL:** In order for it to change, with respect to market
14 power, I would have to observe significant differences in
15 concentration because of ownership that I didn't know about,
16 and, related to those differences in concentration, differences
17 in activities, pricing or quantities or profits, that were
18 related to those additional concentrations. Those both would
19 have to occur for me to change the conclusions.

20
21 Now, with respect to the concern that's most publicly stated,
22 yes, lots of people are making money off of them. Who is making
23 the money off of the quota shares, that, I don't really -- That
24 might change if somebody else was owning them, but it wouldn't
25 change the results of the market power analysis.

26
27 **CHAIRMAN BARBIERI:** Thank you, Glenn. I have Lee and then
28 Sherry and Bob Shipp.

29
30 **DR. ANDERSON:** I was just going to make one point on the getting
31 rich issue. The whole idea of individual quotas is to gain
32 efficiency over open access operations, and so I would hope that
33 the folks, if they are being more efficient, can get rich,
34 relatively. I think it's very important to make a distinction
35 between that and market power, which is having the ability to
36 withhold product to increase the market price.

37
38 Dr. Mitchell, I would like to say that I enjoyed your
39 presentation. It looks like you did a very solid work, and, as
40 far as this group is concerned, your conclusions are pretty
41 straightforward. Don't worry about it is kind of what you're
42 saying.

43
44 Now, I have a -- You may not remember me from before, but I am a
45 member of the Mid-Atlantic Council, and so I sat in when you did
46 the surf clam thing, and your report to the council did not come
47 up with that similar conclusion. I don't remember the complete
48 details, but I remember you left a little algorithm to come up

1 with a modified HHI based on things that I can't even tell you
2 about now, but I could go back and read them, and I was a little
3 disappointed -- Let me say it again.

4
5 Your conclusions support what I would do if I was sitting back
6 in my armchair and saying what is going to happen. It's
7 predictable, but it's good there was some work done, and I was
8 somewhat disappointed that we didn't get that same sort of a
9 conclusion for our work.

10
11 Now, that's a different subject and so maybe I'm cheating here,
12 and so, to keep it on our context, how are you able to come up
13 with some very definitive answers here and not have the same
14 definitive answers for us, because we're going to be going
15 forward, and I think people are still going to be rattling our
16 cage, where they may not be rattling the cage down here.

17
18 **DR. MITCHELL:** I would say the number one thing was I had much
19 better questions here.

20
21 **DR. ANDERSON:** Sorry?

22
23 **DR. MITCHELL:** I had much better questions. I was asked
24 different questions. There were three of us that did surf clam,
25 and the questions that were addressed to us were actually
26 substantively different than the questions that were addressed
27 here.

28
29 The questions for surf clam were along the lines of what kind of
30 guidelines would you suggest to ensure that market power doesn't
31 occur in the surf clam industry and things like that, whereas
32 here it was what are the relevant markets, with respect to
33 accumulation of quota allocation and quota share, and is there
34 market power that's being utilized? Are there scale
35 efficiencies that are being impacted by accumulation limits?

36
37 Based on all of that, what are your recommendations, and so the
38 attention was much more on answering those specific questions
39 here than it was in the surf clam.

40
41 **DR. ANDERSON:** So the Mid-Atlantic screwed it and asked you the
42 wrong questions?

43
44 **DR. MITCHELL:** Basically, yes.

45
46 **DR. ANDERSON:** I feel so much better now.

47
48 **DR. MITCHELL:** To be fair, we tried to bring those questions

1 into the analysis, as much as we could, but we're sitting down
2 at the beginning and saying, okay, what's the question and what
3 kind of work are we going to do and this is how much time it's
4 going to take and how much it's going to cost. Then we start to
5 do it and we start to realize that they really want to know if
6 there's market power being exercised, even though they didn't
7 ask. We tried to work that in, but it was more difficult.

8
9 Then we didn't pay enough attention to the data in the surf
10 clam. We were able to do a little bit better with the Northeast
11 Fisheries, in terms of asking initially what kind of data was
12 available, but there was far more data available here than we
13 had for the surf clam analysis.

14
15 **DR. ANDERSON:** I can't resist following up, Mr. Chairman,
16 briefly. If we ask you more stringent questions, similar that
17 were asked here, would your answers to the Mid-Atlantic, do you
18 think, be radically different than they were or that they gave
19 to the Gulf?

20
21 **DR. MITCHELL:** I think probably the first thing I would say is
22 those are really good questions. We don't have any of this kind
23 of transaction data to answer those questions. Is that
24 available? It might be, and then we could explore that. If it
25 is, then we could see.

26
27 Is it going to make a difference? It's a really different
28 industry, the surf clam, as you know. There is much more of an
29 issue, I think, there of economies of scale, and there is --
30 Just from the analysis that we did do, I think there's a much
31 stronger argument that you need concentration in that industry
32 for efficient harvesting than you need it here.

33
34 I don't think that's necessarily a good thing environmentally or
35 regulatorily, but, in terms of economic efficiency, which is
36 what I'm supposed to be talking about, I think that, there,
37 you're going to have much higher accumulation limits than you
38 would have here, although, here, you don't really need to have
39 them at all, because there is so much competition anyway. The
40 scale efficiencies are going to be much more directly involved
41 in the decision for accumulation limits in surf clams than in
42 here.

43
44 **DR. ANDERSON:** I am not worried about market power in the surf
45 clam fishery. Are you worried about market power in the surf
46 clam fishery with the ITQ program and people affecting prices?

47
48 **CHAIRMAN BARBIERI:** Lee, and I apologize for having to

1 interject, but since we still have two people in the queue
2 regarding the reef fish fishery, I think we could have a
3 collegial conversation about the surf clams later over an adult
4 beverage. Most likely we would need one, if I have to join you
5 for that discussion, but do you mind?
6

7 **DR. ANDERSON:** No.
8

9 **CHAIRMAN BARBIERI:** Thank you. Sherry and then Bob Shipp.
10

11 **DR. S. LARKIN:** I liked Lee's comment, because I think it puts
12 this paper in context. I mean you're looking at -- I think it
13 reconfirms something that Walter mentioned. When you're looking
14 at this market, our notion would be that the market for the fish
15 is driven a lot by imports, and so we would expect that maybe
16 particular groups of people don't have a lot of control over
17 that price, and so I think, in one sense, having that
18 information is good.
19

20 I think, going back to a point that I think Ken made, it's one
21 piece of information. We do have other information on dealers
22 from the transactions market, and we know that that does have
23 some elements of concentration built in, and so it's putting all
24 these pieces together to try to analyze what is important for
25 this fishery and what is important for what managers want to
26 look at when they move forward.
27

28 **CHAIRMAN BARBIERI:** Thank you, Sherry. Bob Shipp.
29

30 **DR. SHIPP:** Thank you, Mr. Chairman. I want to go back to
31 something that David and Ken brought up and this issue of sea
32 lords. I think I heard you say that that's really not a very
33 significant activity. Did I hear that correctly? Our
34 impression was it's a pretty significant activity, and so I
35 would like to hear your thoughts on it.
36

37 **DR. MITCHELL:** What I said, and to the extent that I looked at
38 it in the data -- It wasn't actually one of the questions, but I
39 looked at it anyway, because we were talking about it and it's
40 in the articles.
41

42 I didn't do a complete analysis, but I looked at the largest
43 harvesters, and those largest harvesters were people that had
44 the -- I looked at the largest shareholders, and the largest
45 shareholders were primarily the largest harvesters, and so the
46 people who own large shares generally were doing a lot of
47 fishing and buying up more shares to get to be the largest
48 harvesters.

1
2 Now, there were somewhat large shareholders that weren't doing
3 any fishing, and so that might be the definition of "sea lord",
4 and I don't know, and they were not getting any different
5 pricing for their allocation, that I could tell, that flowed to
6 their shares than anybody else was, and so they were getting the
7 same value out of their shares as the people that were using
8 their shares to harvest, and that's as far as I went.

9
10 We did have a discussion, which I am going to introduce into the
11 record, because I thought it was interesting. The five-year
12 history for assigning the share is you have to make arbitrary
13 decisions, as regulators, but that's -- I'm sure there was a big
14 battle over that history of why that period was used and how to
15 calculate that, but there is no particular reason why you can't
16 have that be a rolling five-year history and update it every
17 year to a new five years. If participation in the fishery is
18 deemed as part of the requirement to get share allocation, then
19 eventually you would roll right out of it, if you didn't
20 participate. That's just a suggestion.

21
22 **CHAIRMAN BARBIERI:** Thank you so much for that presentation and
23 addressing all those questions, Glenn and Mike. I want to,
24 before we recess for lunch, I want to remind the Socioeconomic
25 SSC members that there have been very good discussions this
26 morning and that all of this can be used to enhance the language
27 in our report.

28
29 Steven is taking notes here, and we're going to have our draft
30 report circulated to all the members, but whatever you can do to
31 add some of those details that I think have really enriched the
32 presentation and the discussions and helped clarify some of
33 those issues, that would be great. With that, we're going to
34 recess for lunch, and we are going to reconvene at 1:30.

35
36 (Whereupon, the meeting recessed for lunch on June 1, 2016.)

37
38 - - -
39
40 June 1, 2016

41
42 WEDNESDAY AFTERNOON SESSION

43
44 - - -
45
46 The Standing, Reef Fish, Socioeconomic, Shrimp, and Spiny
47 Lobster Scientific and Statistical Committees of the Gulf of
48 Mexico Fishery Management Council reconvened at the Hilton

1 Westshore Tampa Airport Hotel, Tampa, Florida, Wednesday
2 afternoon, June 1, 2016, and was called to order at 1:30 p.m. by
3 Chairman Luiz Barbieri.

4
5 **APPROVAL OF THE MARCH 8, 2016 STANDING AND SPECIAL SHRIMP SSC**
6 **MINUTES**
7

8 **CHAIRMAN BARBIERI:** I am going to reconvene for the afternoon.
9 For those of you just joining us now, welcome to the June 2016
10 Gulf of Mexico Fishery Management Council SSC meeting. We had a
11 meeting of the Standing and Socioeconomic SSCs this morning,
12 dealing with a number of topics, and we are reconvening this
13 afternoon the Standing, Socioeconomic, and Shrimp SSCs to
14 discuss a number of other topics as well.

15
16 The first item on our agenda this afternoon is Approval of the
17 March 8, 2016 Standing and Special Shrimp SSC Minutes. Any
18 comments or questions regarding the Shrimp SSC Minutes?
19

20 **DR. BLOUNT:** Move they be accepted.
21

22 **MR. GILL:** Seconded.
23

24 **CHAIRMAN BARBIERI:** Thank you for that, Ben and Bob. The
25 minutes of the March 8, 2016 Standing and Special SSC Meeting
26 are approved by acclamation. That will lead us to our next
27 agenda item, which is a discussion of Shrimp Amendment 17B,
28 Optimum Yield and Maximum Sustainable Yield, Number of Permits,
29 Permit Pool, and Transit Provisions. We are going to have Dr.
30 Morgan Kilgour give us a presentation and lead the discussion on
31 Review of the Amendment and then discussion of the Aggregate
32 MSY/OY Working Group Summary. Dr. Kilgour.
33

34 **SHRIMP AMENDMENT 17B (OY, MSY, NUMBER OF PERMITS, PERMIT POOL,**
35 **TRANSIT PROVISIONS)**
36 **AGGREGATE MSY/OY WORKING GROUP SUMMARY**
37

38 **DR. MORGAN KILGOUR:** Thank you. The MSY/OY Aggregate Working
39 Group discussion is intertwined with our discussion of Amendment
40 17B, and so if I could go over those results first, that would
41 be helpful, I think, if no one objects. On March 2, there was a
42 working group that was convened to discuss an aggregate MSY and
43 an aggregate OY for the shrimp fishery.
44

45 **MR. ATRAN:** This is Item VIb.
46

47 **DR. KILGOUR:** Overall, the working group decided that using the
48 methodology established by the ad hoc effort working group in

1 2006 would be appropriate for the aggregate MSY, and I believe I
2 sent out that report to the Shrimp and Standing SSC. I
3 apologize for not sending it to the Socioeconomic SSC yesterday,
4 but that explained all of that methodology.

5
6 It basically uses a pooled approach to define what the aggregate
7 MSY is, and the working group in 2016 agreed upon an aggregate
8 MSY of just over 109-million pounds of tails. Are there any
9 questions on this methodology, because now would be the time.

10
11 **CHAIRMAN BARBIERI:** Just for the benefit of the committee,
12 Morgan, can you give us just the thirty-second summary of what
13 the aggregate MSY entails?

14
15 **DR. KILGOUR:** It's a pooled approach that looks at all of the
16 managed shrimp species that are caught from offshore waters, so
17 the COLREGS line out through the EEZ.

18
19 **DR. NANCE:** All species.

20
21 **DR. KILGOUR:** It's all species and not just managed, but all
22 species. Using the pooled approach, it comes up with -- It's
23 the same model that we used for the shrimp stock assessments,
24 correct, or it's a different model? Do you want to explain it
25 for me?

26
27 **DR. NANCE:** All this is, it's taking the aggregate pounds, the
28 aggregate effort, for offshore, the COLREGS line out, all
29 species, all the effort, and doing a simple Graham-Schaefer
30 curve to estimate MSY.

31
32 **CHAIRMAN BARBIERI:** Okay. Thank you. As Morgan pointed out,
33 just as far as the aggregate MSY estimate, any questions or
34 comments from the committee? Ben.

35
36 **DR. BLOUNT:** Just a note that we're talking about all four of
37 the shrimp species here. Jim said that, but just to add that to
38 it.

39
40 **DR. NANCE:** It even has a little, while there is not a lot left,
41 but rock shrimp, *Trachypenaeus*, those are also -- All shrimp
42 that could be caught are in this, but there's very few pounds of
43 what we would consider other species, but they're still in that
44 mix.

45
46 **CHAIRMAN BARBIERI:** David.

47
48 **DR. GRIFFITH:** I was just wondering if you have the data for the

1 inshore -- This is further than nine miles or further than three
2 miles, right, depending on --

3

4 **DR. NANCE:** That's incorrect. This is the COLREGS line out.

5

6 **DR. GRIFFITH:** It's what?

7

8 **DR. NANCE:** The COLREGS line. It's a navigational line which is
9 used by the Coast Guard, and so it defines inshore and offshore
10 waters. This is basically, for purposes here, anything from the
11 beach offshore, and so it does include what would be considered
12 state waters, beach out to nine miles or three miles, depending
13 on the state. It includes all of those data also. It just
14 doesn't include bay systems.

15

16 **CHAIRMAN BARBIERI:** Thank you for the clarification, Jim. Any
17 other questions or comments? Morgan.

18

19 **DR. KILGOUR:** Just one more clarification. The reason why they
20 use the offshore and not just federal waters is because the data
21 can't be partitioned that way. It can be partitioned offshore
22 versus inshore, but not federal versus state versus inshore.

23

24 **CHAIRMAN BARBIERI:** Yes, and thank you, Morgan. If there are no
25 other questions or comments regarding the pooled shrimp MSY
26 estimates, Morgan, you can proceed.

27

28 **DR. KILGOUR:** The bulk of the working group discussion centered
29 around this aggregate OY, which in the shrimp fishery now, OY is
30 equal to MSY, and the group discussed that that probably is not
31 appropriate and that OY needs to be reduced for some certain
32 factors, and they were discussing what factors would be
33 appropriate.

34

35 Actually, looking at the data and what the group wanted to --
36 There are certain constrictions on the shrimp fishery now.
37 There is a sea turtle bycatch threshold that the shrimp fishery
38 is currently under. There is a juvenile red snapper bycatch
39 threshold that the fishery is under, and they also discussed
40 that there are two things that they would like to maintain, and
41 that's a high CPUE and a high landings.

42

43 Looking at those four objectives, they looked at the historical
44 data, which is available in the appendix of that summary, which
45 is on page -- It starts on page 8, and I'm sorry, but I think
46 the conversion just made it kind of screwy, but you have the
47 landings, the CPUE, the predicted landings, and the predicted
48 CPUE.

1
2 The group chose to look at the predicted landings and the
3 predicted CPUE, because that kind of adjusts for differences in
4 the environmental conditions of the fishery, so that it makes
5 basically all things equal for every year, and they found that
6 2009, which is actually the year that is the threshold effort
7 year for the sea turtle bycatch, encompassed all of the things
8 that they wanted OY to adjust for.

9
10 The group, after considerable discussion, thought that using the
11 predicted landings from 2009 would be the appropriate aggregate
12 OY value, and I would be happy to answer any questions or punt
13 some questions to Mike and Jim, if there are any questions for
14 that.

15
16 **CHAIRMAN BARBIERI:** I don't see any right now, Morgan. There
17 might be more as the discussion continues, but go ahead.

18
19 **DR. KILGOUR:** Okay. What I need from the SSCs are basically to
20 comment on this aggregate MSY/OY summary and, if there are any
21 modifications or adjustments that need to be made, now would be
22 the time. These values, the aggregate MSY and the aggregate OY,
23 are used in the actions for Shrimp Amendment 17B, and so we can
24 delve right into that, if you would like to, or if you would
25 like to comment on this working group summary, that would be
26 helpful as well.

27
28 **CHAIRMAN BARBIERI:** This issue is about basically looking at the
29 scientific basis, the criteria that were used, for development
30 of these quantities, management quantities, and whether the SSC
31 would have any comments, suggestions, or concerns that they want
32 to voice regarding those methodologies used. Yes, Jeff.

33
34 **DR. MARX:** Let me get this straight. We have the MSY of 109-
35 million pounds, correct? I'm having a hard time finding the OY
36 on this document. I think it was on the amendment, and so what
37 is your OY?

38
39 **DR. KILGOUR:** I'm sorry. I don't think I ever said that out
40 loud. Do you want me to just talk about it in terms of --

41
42 **DR. MARX:** I can't read minds yet. I'm working on it.

43
44 **DR. KILGOUR:** The OY is just upwards of eight-five-million
45 pounds, and let me get the exact value for you. It's 85,368,059
46 pounds of tails.

47
48 **DR. MARX:** Then, going back in history and just looking at it,

1 we would have crossed that threshold quite a bit of times, when
2 you look at your actual landings.

3
4 **DR. KILGOUR:** Right, but that doesn't matter. It's just setting
5 an OY. There is no management action on the fishery if OY is
6 exceeded.

7
8 **DR. MARX:** All right. I just wanted to make sure that stays
9 that way.

10
11 **CHAIRMAN BARBIERI:** Morgan, I think that the committee is -- My
12 interpretation is the committee's lack of additional questions
13 or comments is basically concurrence with the approach as
14 presented. I mean Jeff asked for clarification, and I am seeing
15 some heads nodding, and basically the committee has no concerns
16 regarding the scientific approach used to estimate those
17 quantities.

18
19 **REVIEW OF AMENDMENT**

20
21 **DR. KILGOUR:** I guess that means we can delve into Amendment
22 17B. The first action that I needed the SSC to weigh in on this
23 action establishing an aggregate MSY for the shrimp fishery, and
24 I will let her get to that page, so I don't -- It's on page 7 of
25 the document.

26
27 The first action is to establish an aggregate MSY for the Gulf
28 of Mexico shrimp fishery, and so the Alternative 1 is no action,
29 there would be no aggregate MSY, and Alternative 2 is to
30 establish this aggregate MSY that was outlined by the aggregate
31 MSY/OY working group, which is 109,237,618 pounds of tails.
32 Those are the only two alternatives that are presented to the
33 council, and so if the SSC has an issue with those two
34 alternatives, now would be the time to weigh in on that.

35
36 **CHAIRMAN BARBIERI:** Morgan, to that point, has this amendment
37 been presented to the council yet in a previous version?

38
39 **DR. KILGOUR:** Right, but the council wanted to hear if the SSC
40 had any issues with the alternative as presented, because, at
41 the last SSC meeting, you didn't get the full MSY/OY Working
42 Group Report, because it had only been three or four days and
43 then the SSC met, and so I wanted you to have the full report
44 before you made any --

45
46 **CHAIRMAN BARBIERI:** Yes, and I see a lot of nodding heads and
47 folks that basically have gone through the working group report
48 and have no concerns with these alternatives as presented.

1
2 **DR. KILGOUR:** You guys are making me look bad. I think I
3 overestimated my time.
4
5 **CHAIRMAN BARBIERI:** Bob Gill.
6
7 **MR. GILL:** Thank you, Mr. Chairman. Morgan, you indicated this
8 has been presented to the council. Therefore, I assume that GC
9 had no concerns with only one alternative?
10
11 **DR. KILGOUR:** No, GC didn't have any concerns. NEPA might be a
12 different story, but --
13
14 **MR. GILL:** For the record, I would raise my eyebrow a little
15 bit, and so I talked to Dr. Nance about why there could not or
16 should not be another alternative offered, and his response was
17 that there is no other way. With that being said, I understand
18 it better, but it did raise an eyebrow that only one option had
19 been provided here, because Alternative 1 is not an acceptable
20 real alternative, but it needs to be there.
21
22 **DR. KILGOUR:** Just for clarification, we do have individual
23 species MSYs. This establishing an aggregate MSY is really
24 necessary for, further on in the document, for Action 3, where
25 we're trying to establish a threshold number of permits for the
26 shrimp fishery.
27
28 You can't do that based on individual species MSY, since they
29 use the same permit to fish for all of the species, and so
30 that's why this aggregate needs to happen, so that there can be
31 a solid number to look at for the threshold numbers, but, as I
32 was reminded, any other value would be arbitrary, based on the
33 analyses that the working group did.
34
35 **CHAIRMAN BARBIERI:** Again, just to remind especially the Shrimp
36 SSC members that this might be a valuable point to be brought up
37 in our report that would help assist the council and staff in
38 justifying having an SSC narrative there that explains the
39 reason behind and how it actually works, in this case in
40 particular. Jeff.
41
42 **DR. MARX:** Thank you, Mr. Chairman. Just a quick comment. In
43 the days that we have with special interest groups and that sort
44 of thing, I am worried about MSY, especially when we could
45 probably -- The number is coming from a thing where we didn't
46 take into account the environment. If it's an annual crop, like
47 we know shrimp to be, if we go and catch 130-million pounds, are
48 we going to have some of these groups coming and knocking on our

1 door and saying we're overfishing, when that's probably not the
2 case?

3
4 **DR. NANCE:** Also, remember that this is an aggregate value, from
5 a management perspective. We do have shrimp stock assessments
6 for each of the different species, and that's what they're for,
7 is to make sure we're not overfishing or overfished. It's, I
8 think, two separate things we're doing. We have those for those
9 concerns. We're looking at this from a management perspective,
10 for permits and things like that, and that's its purpose.

11
12 **CHAIRMAN BARBIERI:** Thank you for that clarification, Jim. Just
13 for the administrative record, we have another Shrimp SSC
14 member, and, for the purposes of voice identification, would you
15 please identify yourself?

16
17 **DR. RYAN GANDY:** Sure. Ryan Gandy, Florida Fish and Wildlife.

18
19 **CHAIRMAN BARBIERI:** Thank you, Ryan. Morgan, I think we are
20 ready to move forward.

21
22 **DR. KILGOUR:** Excellent. Let's move to Action 2, which is
23 another action that I need the SSC to weigh in on, and that's to
24 establish an aggregate OY. The Alternative 1 is no action,
25 don't establish an aggregate OY, and Alternative 2 is to
26 establish an aggregate OY based on the recommendations of the
27 MSY/OY working group, which is that value of eighty-five-
28 million-plus pounds of tails. Again, this value was decided
29 upon based on the sea turtle bycatch threshold, the juvenile red
30 snapper threshold bycatch threshold, and the high CPUE and high
31 landings value that were historically observed.

32
33 **CHAIRMAN BARBIERI:** Bob.

34
35 **MR. GILL:** Thank you, Mr. Chairman. It seems, to me, that the
36 argument for Action 1 doesn't hold true for Action 2. There are
37 several ways we could compute OY, because that's somewhat of a
38 subjective question. My question for that would be why are
39 there no others there and why should there not be others there?

40
41 **DR. KILGOUR:** I will give you the *Readers' Digest* version, and
42 if Mike or Jim want to jump in and elaborate a little bit,
43 that's fine, but, basically, the group discussed maybe coming up
44 with a complicated biosocioeconomic model or having some buffers
45 around this OY that they had decided upon, and they felt that
46 the buffers for the OY would be basically arbitrary, because
47 you're buffering that one point that you are basing off of a
48 historical value and so, really, it's the same value, but you're

1 just adding a buffer or something to it.

2
3 The reason why they decided not to do a complicated
4 biosocioeconomic model was it would be complicated and all of
5 the weight -- You would have to weight values differently, and
6 all of that would be -- You would have to determine what's more
7 important? Is sea turtle bycatch more important? Is high CPUE
8 more important? All of those things that would go into the
9 model would have to be driven by what the council found to be
10 the most important component of the model, and so, after a lot
11 of discussion, they felt that looking at the historical data and
12 the predicted values from that data would be the most clear-cut
13 way to go for establishing this aggregate OY, because it
14 encompasses bycatch scenarios and encompasses high CPUEs and it
15 encompasses high landings, and you're welcome to jump in and
16 elaborate if you want.

17
18 **DR. TRAVIS:** I will jump in on this a little bit. One point
19 that I wanted to clarify, and hopefully Jim will back me up on
20 this, is we have heard a few times that there may have been a
21 misperception that the working group considered this particular
22 value, the OY value, to be a constant, a fixed, value that would
23 just stay in place indefinitely, but that is not the case. This
24 is the value that we came up with using the currently-variable
25 data.

26
27 Any of the factors that went into this subjective evaluation of
28 what OY is, if those things change, then it seems like you would
29 have to revisit the OY issue, but, to back up what Morgan said,
30 we tried to take into account the various factors that National
31 Standard 1, the guidelines in particular, say you're supposed to
32 look at when you're establishing OY.

33
34 I think that we made our best attempt at an initial stab of
35 using those factors to come up with this, but, if it came down
36 to we were developing a more formal model, where we would assign
37 specific weights, quantitative weights, to each particular
38 factor, I think the group started feeling uncomfortable with
39 that and said we may not be the appropriate body to decide what
40 the best weights are and that's probably more in the domain of
41 the council, or even this group, possibly, if they wanted to
42 weigh in on that.

43
44 **CHAIRMAN BARBIERI:** Mike, that group that you mentioned is the
45 IPT?

46
47 **DR. KILGOUR:** No, this is the working group.

48

1 **CHAIRMAN BARBIERI:** Yes, Bob.

2
3 **MR. GILL:** Thank you, Mr. Chairman. I think I appreciate that,
4 but it seems, to me, that Alternative 2 could easily be
5 considered a preferred, that that's the logical choice, and I
6 don't have a problem with that at all, but, not having other
7 possibilities for computation of OY, I would be very surprised
8 if that satisfies NEPA and gets by GC, and that's probably
9 beyond the purview of this body, but it seems, to me, that there
10 are options there that could be provided under some kind of
11 rationale that say, hey, here's another way of considering OY.

12
13 **DR. TRAVIS:** I would agree with that, and I know the working
14 group was rather -- If the SSC had suggestions, in terms of
15 alternative methodologies to use, I am quite sure we would be
16 open to hearing any of those suggestions and revisit the issue
17 and possibly coming up with additional alternatives.

18
19 I will make one other point, and hopefully I don't push this too
20 far, is I guess you could say that, when it came down to it,
21 implicitly, that we probably did place the greatest weight on
22 the sea turtle bycatch threshold. It seemed to -- Even though
23 those other factors are there, it seemed to -- The discussion
24 came back, and I think that happened in the AP meeting as well,
25 but the discussion continually came back to that sea turtle
26 bycatch issue, because if you go past that threshold, the
27 fishery is shut down, and so that seemed to be the overriding
28 concern.

29
30 **CHAIRMAN BARBIERI:** Thank you, Mike. Ben.

31
32 **DR. BLOUNT:** Thank you, Mr. Chairman. Mike just said basically
33 what I was going to say, but maybe to repeat it in a slightly
34 different way is that the working group was, by no means,
35 opposed to other options, speaking to Bob's point, and, in fact,
36 we talked at great length about other possibilities, and we
37 could have put other options there.

38
39 I think it was a factor of our not having the information,
40 either data or analyses or both, that would allow us to set
41 weights that we felt would be appropriate, and so we declined to
42 do anything else, because of sort of lack of certainty there,
43 but certainly the SSC could make a proposal. I don't think it
44 would present a problem to us in that regard.

45
46 **CHAIRMAN BARBIERI:** Thank you, Ben. Any other points regarding
47 development of the option for OY? Mike or Morgan, let me ask
48 you a quick question. I had to miss or I had another -- I was

1 out of town, and I couldn't join the last meeting that involved
2 the working group, the shrimp working group. Was the
3 methodology for developing this OY estimate presented at that
4 meeting to the full SSC?

5
6 **DR. KILGOUR:** No, and so I gave -- Well, kind of. I gave the
7 rationale for the values and I gave the values that were
8 recommended by the working group, but not the methodology, per
9 se, and the SSC did not have access to the summary report
10 either, and so that's why it's being re-presented today.

11
12 **CHAIRMAN BARBIERI:** What's the schedule for presentation of
13 Amendment 17B to the council?

14
15 **DR. KILGOUR:** The council will see another draft options paper
16 at the June council meeting, hopefully with some of the SSC
17 recommendations incorporated into it, and where we go from there
18 is really up to the council and how much they add or take away
19 from the current iteration of the document.

20
21 **CHAIRMAN BARBIERI:** Ben.

22
23 **DR. BLOUNT:** Thank you, Mr. Chairman, and I just wanted to ask
24 Bob Gill, if I could, but did you have something specific in
25 mind or was it just the lack of another alternative that raised
26 red flags for you?

27
28 **MR. GILL:** Just the latter, Ben. This one seems ripe for
29 another alternative, at least one, being there. The absence of
30 that seems, to me, to be problematic.

31
32 **CHAIRMAN BARBIERI:** I see some caucusing over there.

33
34 **DR. KILGOUR:** It would be helpful, since the SSC has brought
35 this concern up, if there was some other viable alternative that
36 would be recommended for at least consideration. I think the
37 overall MSY has been reduced by some percentage, something like
38 that.

39
40 **CHAIRMAN BARBIERI:** Morgan, to that point, perhaps let me try
41 and reframe that. Perhaps the committee could recommend that
42 staff develop a number of approaches or two or three different
43 options or two different options of methodological approaches
44 that could be used to estimate OY, and the committee could
45 review that at a later meeting.

46
47 I mean this could be presented still at the June meeting to the
48 council, noticing this comment from the SSC, and perhaps that

1 would be helpful, because the idea of presenting this to the
2 committee is, first, to provide you and the council some
3 suggestion on how to make it better and make it easier for it to
4 go through the whole NEPA and all the approval processes that
5 are forthcoming, and so that might be an idea. I have Jim and
6 then Steven.

7
8 **DR. TOLAN:** Thank you, Mr. Chairman. As just a quick defense of
9 this single option, and I know it's a concern, just having that
10 one particular option available, but I think it's pretty well
11 spelled out in the discussion why just setting some percentage
12 to knock OY down from MSY, why for this particular species
13 group, this aggregate, is probably not a great idea, and so I
14 think, in their defense, it's pretty well spelled out in the
15 document, and so I commend the job they did on that.

16
17 I am wracking my brain and trying to come up with a way that you
18 could approach some other way to come up with another option for
19 this species aggregate, but I don't really see a way to get
20 there.

21
22 **CHAIRMAN BARBIERI:** Yes, Steven.

23
24 **MR. ATRAN:** On the agenda for tomorrow afternoon, under Reef
25 Fish, there is a discussion of reef fish optimum yield, as it
26 relates to MSY. I'm not going to get into the discussion right
27 now or the reason why it's on the agenda, but we were thinking
28 about maybe considering going to some simplified method of OY
29 for reef fish, maybe some fixed percentage instead of some
30 calculation, and so we are going to consider that for reef fish.
31 Maybe something similar could be considered for shrimp, to just
32 say OY is some fixed percentage of MSY. It would be arbitrary,
33 but at least it would be constant.

34
35 **CHAIRMAN BARBIERI:** Yes, Jim.

36
37 **DR. NANCE:** That's one of the reasons we didn't just choose 5
38 percent or 10 percent. I mean, because those are just drawn --
39 We could have those in as options. There is not really a lot of
40 rationale of why they're in there, but you could have them
41 there, 5 percent, 10 percent, that type of thing, just to have
42 options, and maybe that's the way to go, but what we tried to do
43 here, as Jim pointed out -- We did go through and we proposed
44 some rationale of why we did it this way, instead of just
45 putting out some percent reductions.

46
47 **CHAIRMAN BARBIERI:** I mean I feel that our discussion is on the
48 record, and we have our council liaison present here, who

1 happens to be very interested and sits on the Shrimp Committee,
2 and so the council has the option, and staff, to pursue this
3 further, if they see that this would be beneficial, and there
4 may not be any better way to do it, and this can be sort of a
5 preliminary estimate that is provided to continue with this
6 amendment going through. Eventually, if the council sees
7 problems with this, it can return to the committee for
8 evaluation of different options. Yes, Jeff.

9
10 **DR. MARX:** Thank you, Mr. Chairman. Can I just get a
11 clarification? Jim, you probably know, but for each species
12 calculation of MSY, do we have an OY for each of those species?

13
14 **DR. KILGOUR:** Actually, we do. Right now, OY is equal to MSY
15 for each of the species.

16
17 **CHAIRMAN BARBIERI:** Ken.

18
19 **DR. ROBERTS:** Thank you, Mr. Chairman. This might be useful, I
20 think, for the record. Choosing the point estimate, it said, is
21 based on the history of the fishery. Then the sentence goes on
22 and says that a sociobioeconomic model would be too much
23 subjectivity in it. I think it might be useful, at some point,
24 to -- The latter, I can see. The former, choosing a point value
25 based on the history of the fishery, I think it might be good to
26 make sure you have some discussion in there on what those things
27 in the history of the fishery that led you to strengthen the
28 case for a point estimate, at some point.

29
30 **CHAIRMAN BARBIERI:** Good suggestion. Thank you, Ken. Any other
31 questions or comments for Morgan and Mike regarding this issue?
32 Mary.

33
34 **DR. CHRISTMAN:** Just a question of clarification. I just want
35 to make sure that I understand. The OY that's in Alternative 2
36 was based on the predicted CPUE landings from Table 7, I think
37 it was?

38
39 **DR. NANCE:** It's taking the 2009 effort and applying it to that
40 curve.

41
42 **DR. CHRISTMAN:** So that's based on the regression function
43 that's shown in Figure 2.3? 2.1.1? I am just trying to figure
44 out why, in your discussion, you say you've gotten a point
45 estimate, but you can't put a confidence interval on it, because
46 it's a point estimate, but that's -- I'm a little confused.

47
48 **DR. KILGOUR:** I might punt this one to Jim, and it wasn't that

1 they couldn't put a confidence limit on it, but it's they chose
2 not to, because they felt that it would just be -- It's because
3 it's a predicted value, and so you would be having to put a
4 confidence limit on a predicted value, and they chose not to.

5
6 **DR. CHRISTMAN:** But it's not the confidence interval would be
7 based on a point estimate. By definition, they are, and so I
8 guess it's just the reasoning behind it is a little confusing,
9 and it's probably because there is not a lot of detail about how
10 that particular value in Alternative 2 was derived, and so I'm
11 trying to sort of work back and forth to figure it out.

12
13 **DR. TRAVIS:** Is that the figure from the amendment document or
14 is that from the working group report?

15
16 **DR. KILGOUR:** That's from the amendment.

17
18 **DR. TRAVIS:** Okay, and so the actual equation for the yield
19 curve is not in the amendment document. It is in the working
20 group report. It's associated with Figure 2.1 in the working
21 group report, and so I think that may be what you're looking
22 for. It's the same curve, but, for whatever reason, we yanked
23 out the equation when it got transferred into the amendment
24 document, but it's Figure 2.1 in the working group report. It's
25 page 5.

26
27 **CHAIRMAN BARBIERI:** Does this make it easier, Mary?

28
29 **DR. CHRISTMAN:** It's more informative.

30
31 **CHAIRMAN BARBIERI:** Yes, Joe.

32
33 **DR. POWERS:** While we're on that figure, what was the discussion
34 that went on about why you had a parable where it crosses the X-
35 axis at 49,000?

36
37 **DR. NANCE:** It starts at 50,000, and so it crosses the X, but,
38 if you carry it on down, it would be towards zero.

39
40 **DR. POWERS:** All right, and let me ask it another way. Oh, it's
41 because the Y-axis doesn't go to zero.

42
43 **DR. NANCE:** That's right.

44
45 **CHAIRMAN BARBIERI:** Ryan.

46
47 **DR. GANDY:** Thank you, Mr. Chairman. I guess one of my
48 questions is more basic of the application of this OY, given

1 that it's an aggregate over three stocks. I know it's intended
2 to use for effort management, in that sense, but has anybody
3 looked at how that may -- If it's going to be used to come up
4 with an effort limit, how that may impact as it feeds back down
5 to the prosecution of the three stocks? Does that make sense?
6

7 **DR. NANCE:** We did talk a little bit about it, and maybe, Ryan,
8 you weren't in the room when we did it, but we talked a little
9 bit about this was for management, from a permits standpoint,
10 and we do have the stock assessments for the three individual
11 stocks, which were still being used.
12

13 Those, I think, from a council perspective, would be the ones
14 being used for overfished and overfishing, to make sure that
15 those stocks were being managed properly, and this one, I don't
16 think, would be used at all for if we went over this or that
17 type of thing, but it's more from a permits standpoint, as
18 opposed for effort management.
19

20 **DR. GANDY:** But it will limit the number of permits?
21

22 **DR. NANCE:** Well, that's the different options later. All this
23 does is these first two options create an MSY and an OY that
24 then can be used, later in the document, for permit management.
25

26 **DR. GANDY:** Okay, and so it's the structure.
27

28 **DR. NANCE:** Yes.
29

30 **CHAIRMAN BARBIERI:** Yes, Jeff.
31

32 **DR. MARX:** Looking at 2006, were any turtle thresholds or red
33 snapper thresholds crossed in that year?
34

35 **DR. NANCE:** I don't know if they were in existence then. I
36 think, if my memory serves me right, the red snapper baselines
37 were developed after the 2006 timeframe, and they were based on
38 the baseline of 2001, 2002, and 2003, and I think the 75 percent
39 limit went into effect, I think, in probably 2010 or something
40 like that, 2010, or maybe 2008. I don't think 2006 was -- We
41 didn't have the snapper limit for 2006.
42

43 **CHAIRMAN BARBIERI:** Mike, do you have a clarification?
44

45 **DR. TRAVIS:** Yes, a clarification to Jeff's question. Were you
46 asking if the effort level in 2006 was above the sea turtle
47 threshold?
48

1 **DR. MARX:** Yes, and I just wondering -- It says you picked 2009
2 because it didn't approach those thresholds.
3
4 **DR. TRAVIS:** 2009 is right at the threshold for sea turtles, and
5 so if you go back to 2006 effort levels, you are definitely
6 beyond the sea turtle threshold.
7
8 **DR. KILGOUR:** The bi-op for the shrimp fishery establishes the
9 sea turtle threshold as the effort in 2009, and so that's where
10 that came from, and so 2009 effort is the threshold established
11 in the biological opinion.
12
13 **DR. TRAVIS:** Just to clarify a little bit, that threshold is for
14 the fishery as a whole, and, here, we are only talking about
15 offshore, and so it's a proxy, but --
16
17 **DR. MARX:** I would like to see, and I know this is in hindsight
18 and everything, but having 2014 data would be spectacular,
19 because I think your efforts is going to be sky-high that year,
20 just due to the prices at that point. At least it would give
21 you something to compare a high effort year. I don't know what
22 the CPUE would be, because I don't know that we'll ever attain
23 another effort that we had in 2014, unless something drastically
24 happens with the imports.
25
26 **DR. TRAVIS:** Jeff, just to clarify, are you asking if the effort
27 went up in 2014 or are you asking if it exceeded the sea turtle
28 threshold?
29
30 **DR. MARX:** I'm pretty sure it went up, but I don't think about
31 the -- It's just to put it in reference with all these other
32 data points, to see where it falls. Basically that's kind of
33 what I'm getting at.
34
35 **DR. TRAVIS:** Right, and that's a good question, and we did look
36 at that recently, and I can tell you, based on what I got from
37 Rick Hart, that it did bounce up and it is a little below the
38 2009 level, and so we're still good.
39
40 **DR. NANCE:** It's below the sea turtle and it also is below red
41 snapper.
42
43 **DR. TRAVIS:** Right, which we were very close to the red snapper
44 one.
45
46 **CHAIRMAN BARBIERI:** Again, Jeff, not to harp too much on this,
47 but another good point for beefing up our report, inclusion of
48 some of these comments and additional points that can help

1 clarify the issues for us. I think we are ready to move on.
2 Any other questions or comments for Morgan and Mike? Walter.

3
4 **DR. KEITHLY:** Thank you, Mr. Chairman. Just a -- I'm not
5 arguing for this, but there's been a lot of discussion that it
6 may need a few more alternatives with respect to OY. If you
7 want to consider some, the issue of the confidence interval came
8 up. You could have one alternative as being the minimum of the
9 confidence interval and the other one being at the upper end and
10 then actual value as the alternative, what's Alternative 2 now.

11
12 **DR. CHRISTMAN:** Excuse me, Walter, but could you repeat what you
13 just said? I didn't quite understand. Could you repeat it?

14
15 **DR. KEITHLY:** For 2009, the estimated effort, there will be a
16 confidence interval around it, for catch at least.

17
18 **DR. NANCE:** There is around the effort.

19
20 **DR. KEITHLY:** Around the effort? So you could use the lower
21 bound of that confidence interval as one additional alternative
22 and the upper bound as a second additional alternative and the
23 two alternatives could remain as they are now, the actual value
24 and no OY.

25
26 **CHAIRMAN BARBIERI:** Duly noted.

27
28 **DR. TRAVIS:** We did discuss this, and it's covered in the first
29 full paragraph on page 3 of the working group report, because we
30 were -- Partway during the discussion, I think that was the path
31 we were moving down, and then a few folks, and I was actually
32 trying to remember myself, brought up a couple of points and we
33 decided not to move in that direction.

34
35 **DR. KEITHLY:** Again, I'm not worried about the two alternatives
36 that there are. I think there's enough, but some committee
37 members here appear to be concerned that there is only two
38 alternatives. I am just giving you a method that you could add
39 two more.

40
41 **DR. KILGOUR:** Yes, that's not a problem. We can add that as an
42 alternative, no problem.

43
44 **CHAIRMAN BARBIERI:** I see now, Walter. I mean that's a good
45 suggestion that would add additional options. I mean I think
46 that explanation there that you gave us before is that you
47 already had kind of sort of ruled those out, because they didn't
48 include all of the factors and parameters that you thought would

1 be important for selection of that process, right?

2
3 **DR. KILGOUR:** Okay, and so I guess we can move on to the next
4 action, if there are no more alternative suggestions for optimum
5 yield. The crux of this document is basically to establish this
6 threshold number of permits, how many permits should the shrimp
7 fishery have in order to maintain the shrimp fishery.

8
9 It does not actively remove permits from the fishery, and so if
10 people choose not to renew their permits, then they are
11 passively terminated, but, as long as people continue to renew
12 their permits, they will continue to keep their shrimp permit
13 moratorium permits. I want to say that upfront, because there
14 seems to be a lot of confusion about this action actively
15 reducing the number of permits in the shrimp fishery.

16
17 There's been a lot of discussion on what is the appropriate
18 number of permits in the shrimp fishery, and so that's what this
19 action is dealing with, what is the appropriate number. The
20 first alternative is no action, don't set a threshold number of
21 permits.

22
23 The second alternative is to set a threshold number of permits
24 based on the aggregate OY, and so, again, that aggregate OY that
25 was identified in Action 2 was using the juvenile red snapper
26 threshold, high CPUE, and high landings.

27
28 Alternative 3 looks at the number of active permitted vessels
29 during 2011, when effort was the highest during the moratorium
30 in the area monitored for red snapper. That would be 938
31 permits. Alternative 4 sets the threshold number of active
32 permitted vessels during 2008, when the catch per unit effort in
33 the offshore fishery was the highest.

34
35 Alternative 5 has two options, and this alternative looks at the
36 active number of permitted vessels, and it kind of weighs both
37 the high CPUE and high predicted landings. It's looking at two
38 different things, and all of those are available in the table on
39 page 15, and so we can scroll to that page. That was Option 5a,
40 is 2007, and 5b is 2012.

41
42 Then the last alternative is set a threshold number of permits
43 equal to the number of valid permits, and so not the number of
44 active permitted vessels, but the number of valid permits, based
45 on three different years, the end of 2013, the end of 2014, and
46 the end of the initial permit moratorium expiration date, which
47 is on October 26, 2016. The SSC is requested to look at these
48 alternatives and decide if they all have enough scientific basis

1 to hold their weight.

2

3 **CHAIRMAN BARBIERI:** Jeff.

4

5 **DR. MARX:** Thank you, Mr. Chairman. How many permits, valid
6 permits, were there in 2009? I see the predicted active
7 permitted vessels was 1,074.

8

9 **DR. KILGOUR:** One moment, please. I think it's on page 2. It's
10 Table 1.1.1 on page 2. That has the number of valid permits.
11 In 2009, it's 1,722 permits.

12

13 **CHAIRMAN BARBIERI:** Yes, Joe.

14

15 **DR. POWERS:** Thank you, Mr. Chairman. Essentially, what you're
16 doing here is translating number of permits into fishing days,
17 or vice versa, I guess. If you go to the Figure 2.1 of the
18 report, of the other report, the working group report, what
19 you're saying, essentially, is that all these options that
20 you're talking about are related to the data points that are on
21 the left-hand side of the curve. Is that the case? What is the
22 justification for it not being higher, for example?

23

24 In other words, that optimum yield is achieved to the right of
25 those data points, optimum or maximum sustainable yield, and so
26 I think you're going to need some sort of justification, because
27 if you translated this into -- If it twists around in terms of
28 biomass, you would be saying that the biomass would be pretty
29 high. With these yield curves, you can switch back and forth
30 between biomass and effort, and so I think it needs some
31 justification about why the limitations are as they are, and I
32 suppose that one of the justifications is related to the turtle
33 issue for 2009.

34

35 **CHAIRMAN BARBIERI:** Yes, Steven.

36

37 **MR. ATRAN:** I'm only going to mention this because I don't see
38 it mentioned in the report anywhere, but, on this graph, you've
39 got two very clear sets of data, 2004 and earlier and 2005 and
40 later, and the obvious separation point is Hurricane Katrina,
41 and so it's possible you may have had some sort of a regime
42 change as a result of the storms that year.

43

44 **DR. NANCE:** Remember though that, whether we had the hurricane
45 or not, but we did have tremendous change in fuel price, where
46 fuel price was very high and shrimp price was very low. If it
47 would be just that one factor, we would have seen a change back.
48 We would have effort going back to where it was, and, since that

1 drop in effort, we have not seen it increase since that point,
2 and so it's more -- I'm not saying Katrina didn't have an
3 impact, because it certainly did, but we also see fuel price and
4 shrimp price being controlling factors that have kept things,
5 since they've gone down, where they are now.

6
7 **DR. TRAVIS:** Steve, we did talk about this at great length.
8 Clearly you have two different regimes, one on one side of the
9 curve and one on the other, but I think there was pretty much a
10 consensus that the regimes are dictated by economic and social
11 factors and that economic factors are keeping us on the left
12 side of the curve.

13
14 **MR. ATRAN:** Okay. It just struck me as rather striking that you
15 had all of the earlier years on one side and all of the recent
16 years on the other side.

17
18 **CHAIRMAN BARBIERI:** By the way, if I understood Joe's comment
19 correctly, I mean this is exactly that point, in terms of
20 suggestions to beef up the narrative there, in terms of
21 justifying your choices of years and why they fall where they
22 do.

23
24 **DR. POWERS:** Yes, and if you took this curve literally,
25 basically, if you manage them perfectly, you would have 144,000
26 fishing days, which could get translated into number of permits.
27 What you're doing is saying you want to be on the left-hand side
28 of the curve, and so what I'm suggesting is why, why do you want
29 to be that far over to the left-hand side of the curve?

30
31 **DR. TRAVIS:** I did think that we discussed this in the working
32 group report, at least to some extent, and I'm not saying we
33 can't flesh it out more, of course, but the sea turtle issue and
34 the effort cap there, the juvenile red snapper issue and the
35 effort limit there, and then also with regard to CPUE --
36 Certainly, I mean, we could -- If the economic factors were
37 right and we allowed the effort level to rebound back to what it
38 was in 2004, but the implication of that, for the harvesting
39 sector, is that your CPUEs would go back down, and those CPUEs
40 that we saw back ten years ago are -- I don't know if I want to
41 use this term, but I'm going to use it anyway, but they're not
42 economically sustainable for the harvesting sector. They could
43 not survive, under current economic conditions, with a CPUE that
44 is half of what it's been in recent years.

45
46 **CHAIRMAN BARBIERI:** Jeff.

47
48 **DR. MARX:** Thank you, Mr. Chairman. The problem I have with

1 Alternative 2, which is the AP preferred one, is that you're
2 setting the cap at 1,074. That's what it says. It's equal to
3 the OY, the year with OY, correct?
4

5 **DR. KILGOUR:** Right, but it's not a cap. That's the minimum
6 number. If that number is hit, then the council may take action
7 or not. Those are different actions in this document, but it's
8 not a cap. It's, once the number of permits hits that number,
9 what is the council going to do?
10

11 **DR. MARX:** Okay. With that number, you're trying to relate that
12 back to 2009, when you had the predicted vessels was 1,074, and
13 that was a high CPUE year. The problem was, at that time, you
14 had 1,700 active permits, and so there is a --
15

16 **DR. KILGOUR:** You're correct that we had 1,700 valid permits,
17 but not active permits.
18

19 **DR. MARX:** I apologize. That's what I meant, valid permits. I
20 think that's what is getting a lot of people sort of -- If we're
21 setting the threshold at 1,074, if you have -- Like in that
22 year, we're talking 40 percent of the vessels weren't active.
23 If you drop to this number of 1,074, and I think I saw a graph
24 in here that had about 25 or 33 percent is generally latent,
25 they're not fishing, and so if you drop this level to 1,074,
26 you're only going to have 600 vessels or 700 vessels that are
27 actively fishing, probably. That's dangerously -- You talk
28 about economic sustainability, and those guys -- Eventually,
29 you're going to hit a point where the docks aren't going to be
30 able to supply ice and they're not going to be able to stay in
31 business for these guys.
32

33 **DR. KILGOUR:** Right, and the AP discussed this at length, and
34 there have been a lot of discussions on this percentage of
35 inactive vessels, because the AP discussed how not every -- In
36 no year has there been 100 percent activity on all of those
37 permits.
38

39 However, the AP was really concerned with having that 30 or 40
40 percent buffer, because they felt like, as the fishery
41 constricts farther and farther, it's starting to become
42 profitable again, and if you set that threshold number too high,
43 then your effort could skyrocket and the fishery is closed.
44

45 So the AP discussed that threshold number at length, and they
46 really felt that setting it equal to the number of active
47 permits in 2009 was the best, safest course of action. Now,
48 they also discussed that this is not an active reduction in

1 permits. As long as you renew your permit now, you continue to
2 have your permit.

3
4 This is just at 1,074, if that's what the fishery goes down to,
5 what is the council going to do? In Action 4 and Action 5, it's
6 establishing a permit pool to open up permits for other people
7 to access permits in this fishery, and so I want to stress that
8 that was a concern and it has been discussed at length, but they
9 were really concerned with effort suddenly increasing quickly
10 because economics -- Like in 2014, economics were great, and
11 they were within a whisper, to use Mike's terminology, a whisper
12 of being shut down because of juvenile red snapper bycatch, and
13 so it was discussed at length, and they just felt like having
14 that 30 or 40 percent buffer was being too risky.

15
16 **DR. TRAVIS:** If I could add to that, just to clarify, this is
17 the number of vessels active in offshore waters, and so those
18 estimates are overestimates of the number of vessels that are
19 actually active in federal waters, the EEZ, and so, in that
20 sense, there's already a buffer being built in.

21
22 We are looking at a way to estimate just how big of a buffer
23 that is, because the traditional landings, landings and effort
24 data, that we get from say state trip tickets and port agent
25 reports, that data does not allow us to estimate how many
26 vessels are active in the EEZ, but we have some other data
27 sources that we're looking at, to see if we can come up with an
28 estimate of how many vessels were actually active in the EEZ in
29 those particular years. If that pans out, which I'm hoping it
30 will, we'll have a sense of just how big that buffer probably
31 is.

32
33 **DR. KILGOUR:** One last parting comments. Last year, sixteen
34 permits were terminated, and so it's gone from having about
35 thirty permits for the previous three years to half that last
36 year, and so, to get to that 1,074 for the number of valid
37 permits -- Right now, and I think we're at 1,452, something
38 around there, it would be about ten years before we got there.

39
40 **DR. MARX:** Just a follow-up. I understand, but I worry about
41 the active permits dropping too low. That's what we want to
42 avoid.

43
44 **DR. KILGOUR:** I did not make that clear. That threshold number,
45 it's based on the number of active permits, that 1,074, but the
46 only thing that we can monitor is the number of valid or
47 renewable permits, and so that 1,074 threshold is the number of
48 valid or renewable permits. When that becomes 1,074, then that

1 trigger hits. The number is based on the number of active
2 permits, but the threshold is triggered on the number of valid
3 permits. Did I say that correctly?
4

5 **CHAIRMAN BARBIERI:** Before we move on, Jeff, is that clear now?
6

7 **DR. MARX:** Yes, that was good. Thank you.
8

9 **CHAIRMAN BARBIERI:** Thank you, Morgan. Mr. Gill.
10

11 **MR. GILL:** Thank you, Mr. Chairman. To that point, Morgan, do
12 you define active as any landings or some minimal amount of
13 landings? How do you define active?
14

15 **DR. KILGOUR:** I believe that's defined in the document, but it's
16 a vessel with offshore landings, any offshore landings.
17

18 **CHAIRMAN BARBIERI:** Any additional questions or comments or
19 clarifications for Morgan and Mike? Seeing none, I think we are
20 ready to proceed, Morgan.
21

22 **DR. KILGOUR:** That's pretty much it for this document. Actions
23 4, 5, and 6 are basically management actions that the SSC
24 doesn't really need to discuss, unless you want to talk about
25 transit provisions or eligibility measures. That's it for 17B.
26

27 **CHAIRMAN BARBIERI:** Morgan, do you think that you got enough
28 feedback from the committee regarding the points that you're
29 looking for for improvement of the document?
30

31 **DR. KILGOUR:** If I can be a little greedy, it would be good if
32 we could get some feedback on not just Alternative 2 in Action
33 3, but Alternatives 3, 4, and 5, which are based on either CPUE,
34 landings, or a combination of the two.
35

36 I know that the council has discussed these at length, and
37 there's been discussion on the fishery needs to be managed for
38 OY. If OY is set in that Action 2 at eighty-five-million-plus
39 pounds of tails, then is there good rationale for having a
40 threshold set at high CPUE, high landings, or a combination of
41 the two, or juvenile red snapper bycatch? I believe that's
42 Alternative 3.
43

44 **CHAIRMAN BARBIERI:** That's a great summary, Morgan, but it might
45 make it easier on the committee if you can just kind of walk us
46 through real quickly, in a very abbreviated way, just to help
47 them see all the different options being presented.
48

1 **DR. KILGOUR:** Again, Alternative 2 is based on that OY that
2 we've been discussing, and so that takes into account the sea
3 turtle, the juvenile red snapper bycatch threshold, the CPUE,
4 and the landings. Alternative 3 just sets the threshold number
5 at the number of active permits in 2011, when the juvenile red
6 snapper bycatch threshold was almost met.

7
8 Alternative 4 is based on the number of active permitted vessels
9 in 2008, when the CPUE was the highest, and Alternative 5 looks
10 at CPUE and landings and the combination of the two, and a lot
11 of the -- The council has been asking questions of is it fair to
12 set this threshold number at a value that would be potentially
13 above a sea turtle threshold or just looking at CPUE or just
14 looking at CPUE and landings and not taking into account these
15 bycatch thresholds.

16
17 **CHAIRMAN BARBIERI:** Any thoughts from the committee? Jeff.

18
19 **DR. MARX:** Thank you, Mr. Chairman. I was coming here saying,
20 I'm not saying anything today, but okay. Alternative 3, I think
21 you can't really consider, just because if you're just looking
22 at one bycatch threshold of the red snapper, you have to -- We
23 can't look at just that, and so I don't like Alternative 3, I
24 guess.

25
26 As far as 4 goes, the CPUE is good, but I think you said that
27 that's a year when both -- Again, if we're not considering the
28 bycatch from red snapper or sea turtles is not in there either,
29 it's too dangerous. We want to avoid shutdowns at all cost, of
30 course.

31
32 Alternative 5, again, the same idea there. You're just looking
33 at CPUE. Alternative 6 is a little -- I don't want to say okay,
34 but using 6 I think would be a good thing, just because you have
35 those permits and that it would at least give us that buffer
36 with active versus your valid permits.

37
38 I know, to your point that there's a buffer there, because most
39 of them don't fish -- That's all offshore, but if you drop that
40 valid permits to 1,074, like in 2, to be 1,074, you said it
41 yourself, that it's not going to have 100 percent -- You're not
42 going to have 100 percent of the active vessels. It's just not
43 going to happen, and that could be a variety of issues, people
44 just don't want to fish and somebody else who is a sea turtle
45 lover could buy it and hold onto it. It's possible.

46
47 I think 6 is a little better, because we have those -- You have
48 2014, like we said, that was a very, very active year. It was

1 one of those years where there was a lot of participation, I
2 would be willing to bet, and you have that 1,470 permits, and
3 your active vessels are probably nowhere near that. Anyway,
4 that's my comments, I guess.

5

6 **CHAIRMAN BARBIERI:** Thank you for that, Jeff. Matthew.

7

8 **DR. FREEMAN:** Just a question, for clarification. Looking at
9 Alternatives 2, 4, and 5 and comparing them with Alternative 3,
10 is Alternative 3 simply referring to effort or catch per unit
11 effort, because it says when effort was highest, in Alternative
12 3?

13

14 **DR. KILGOUR:** It's specifically referring to effort, and so it's
15 when it got closest to hitting that shutdown, because of
16 juvenile red snapper bycatch. Is that clear?

17

18 **DR. FREEMAN:** It was. I just wanted to verify.

19

20 **DR. KILGOUR:** The one thing I want to point out, and I didn't
21 discuss Alternative 6, is that's just setting the threshold
22 based on the number of valid permits, which means that if it was
23 Option 6a or 6b, we would have already have met that, because
24 we're already below that, and so the threshold number would be
25 higher than what's currently in the fishery, which could
26 potentially open up permits, if the council chose to do that,
27 for fishermen, which is something the AP was not wanting to have
28 happen.

29

30 **APPROVAL OF THE SPINY LOBSTER PORTION OF MARCH 10, 2015**
31 **STANDING, SPECIAL SHRIMP, AND SPECIAL SPINY LOBSTER SSC MINUTES**

32

33 **CHAIRMAN BARBIERI:** Thank you, Morgan. I think that, since we
34 are running a wee bit behind schedule, that, unless there are
35 any other questions, substantive questions, or comments from the
36 committee, that we're going to conclude the shrimp portion of
37 the meeting and move on to convening the Standing,
38 Socioeconomic, and Spiny Lobster SSC session. Thank you, Morgan
39 and Mike.

40

41 For the committee's benefit, we have Agenda Items VII and VIII.
42 Agenda Item VII is Approval of the Spiny Lobster Portion of the
43 March 10, 2015 Standing, Special Shrimp, and Special Spiny
44 Lobster SSC Minutes, and I would guess that this is a typo.
45 That should be March 10, 2016, right?

46

47 **DR. KILGOUR:** That's correct. The last time the Spiny Lobster
48 SSC met was in 2015.

1
2 **CHAIRMAN BARBIERI:** I see. The Standing and Spiny Lobster SSC
3 should review and note any changes needed and accept the spiny
4 lobster portion of the March 10, 2015 Meeting Summary, and then
5 we will continue to the next item, to discuss the preliminary
6 landings and some other decisions with quota monitoring for
7 spiny lobster, but, first, let's go to Approval of the Spiny
8 Lobster Portion of that meeting, the March 10, 2015 meeting.
9 Any questions, comments, or suggestions from the committee
10 regarding those meeting minutes? Seeing none, I think I need a
11 motion from the committee to officially approve.

12
13 **MR. GILL:** So moved.

14
15 **SSC MEMBER:** I will second it.

16
17 **REVIEW OF THE 2014/2015 AND 2015/2016 (PRELIMINARY) SPINY**
18 **LOBSTER LANDINGS**

19
20 **CHAIRMAN BARBIERI:** Thank you. With that, we have the minutes
21 of the March 10, 2015 meeting approved by acclamation by the
22 respective committees. That moves us to Agenda Item Number
23 VIII, Review of 2014/2015 and 2015/2016, even though preliminary
24 only, Spiny Lobster Landings.

25
26 The spiny lobster ACT was exceeded in the 2014/2015 fishing
27 season, and the ACL is projected to be exceeded in the 2015/2016
28 fishing season. Because the ACT was exceeded, a review panel
29 was convened. The SSC is asked to comment on the review panel
30 outcomes and summary. The Spiny Lobster AP also met, and the
31 SSC is asked to comment on the AP meeting summary.

32
33 If the ACL is exceeded, this will be the second time in a four-
34 year period, and the whole system of ACLs and AMs will need to
35 be reevaluated. As it is likely that the ACL will be exceeded,
36 the SSC may decide to recommend reviewing the metrics for the
37 spiny lobster ACL. I don't know if you have, Morgan, a
38 presentation on this or if you can just walk us through the main
39 points of the discussion.

40
41 **DR. KILGOUR:** Sure. I don't have a formal presentation. On the
42 screen is the summary of the landings. We have since had more
43 information for the 2015/2016 season since I got together your
44 scope of work, and you will see that, in 2015/2016, with 99
45 percent of the landings accounted for, the ACL has been
46 exceeded.

47
48 This is twice in four years. For the past three years, the ACT

1 has been exceeded, and so, as the amendment is written, where
2 the ACL is determined, now the whole series of ACLs and AMs need
3 to be reevaluated, and so I do have a two slide little
4 PowerPoint, just to kind of review, just to review how all of
5 these were calculated.

6
7 The spiny lobster ACT is the accountability measure. If the ACT
8 is exceeded, then a review panel meets and discusses whether or
9 not something needs to be done. The ACL is set to the ABC, and
10 that was the mean plus or minus one-and-a-half standard
11 deviations. The OFL was equal to MSY, and that's the mean plus
12 two standard deviations.

13
14 Right now, the ACL has been exceeded, and we're I think just
15 below -- We're 400,000 pounds below the OFL for the 2015/2016
16 season, and so the chances of exceeding the OFL are probably
17 very small. The review panel met and determined that -- The
18 mean is based on ten years of data, and those years of data were
19 the ten years of lowest landings in the spiny lobster fishery,
20 and so it's that mean plus one-and-a-half standard deviations.

21
22 When the review panel met the second time, this year in April,
23 they discussed a whole bunch of different ways of recalculating
24 the ACL and recommended that perhaps using the entire time
25 series of data would be appropriate for determining the ACL,
26 which would mean that the ABC would need to be recalculated from
27 the SSC. If we wanted to move forward to the review panel
28 summary --

29
30 **CHAIRMAN BARBIERI:** May I interrupt you there for a second?
31 Just because we have so many new members on the committee, just
32 to refresh your memories, for those older members, but, in terms
33 of how the OFL and the ABC were set up, that basically, since
34 implementation of our ABC control rule, our ABC control rule has
35 a number of tiers.

36
37 Tier 1 is for a quantitative assessment, where you have actually
38 development of a PDF, probability density function, of the
39 distribution of OFL that can give us some probabilistic approach
40 for estimating the probability of overfishing and coming up with
41 that in a quantitative way, but there are some stocks for which
42 we don't have a quantitative assessment and, in this case, we go
43 to other tiers of the ABC control rule.

44
45 If you look at your briefing book that was distributed, there
46 was an ABC control rule document, as approved in the Generic ACL
47 Amendment, back in 2011, and it has all the tiers there. In
48 this case, this was application of Tier 3a, and there are

1 different options within that tier that relate to the level of
2 management risk that the council is willing to assume, given the
3 situation, the stock, in question.

4
5 In this case, the SSC, given the nature of the spiny lobster
6 fishery and the nature of the population structure, made a
7 recommendation that OFL be based on the mean plus two standard
8 deviations on that, and that the ABC be the mean plus one-and-a-
9 half standard deviations, and so this actually follows the
10 application of our ABC control rule. We are using some time
11 series of landings, which I believe that Morgan will get into
12 more detail now.

13
14 **DR. KILGOUR:** The previous ten years of landings -- I can't see,
15 and I don't want to speak off the cuff, but I think it's 2000 to
16 2009. Those were the years that were used to determine the
17 mean, plus that one-and-a-half and two standard deviations.

18
19 **CHAIRMAN BARBIERI:** If I may, again, just, for the benefit of
20 the committee, when we were looking into applying our ABC
21 control rule and actually selecting what period of landings to
22 be used, we received all the historical landings, to date, at
23 that point.

24
25 I think 2009 was the terminal year of landings that we had in
26 front of us for spiny lobster, but information had been
27 presented to the committee at that point that pointed out that
28 there had been an increase, potentially, in natural mortality,
29 due to a virus infestation on spiny lobster that was
30 potentially, and this was not confirmed, that there was this
31 spike in natural mortality, but the issue was brought up as a
32 potential.

33
34 When the committee looked at this entire time series, beginning
35 in 1991 and going through 2009, we basically identified two
36 regimes, one, of course, ending right before 2000 that had the
37 stock at a higher productivity level before that presumed spike
38 in natural mortality and another regime that was lower in
39 productivity and, at that point, that we were hypothesizing may
40 be related to a decrease in productivity of the stock, given
41 this virus or some other factor, that at that point was unknown.

42
43 Given this regime shift, the committee opted to use a shorter
44 time series, beginning in 2000 and going to 2002, instead of
45 using the entire time series of landings. John, can you add to
46 that?

47
48 **DR. JOHN FROESCHKE:** Yes, and just, the other thing, when we did

1 this, this was done with the ACL/AM Amendment, and Steven could
2 say this better than I, but there were also some criteria in
3 there to select a period of likely ten years or better that was
4 stable through time, meaning that there weren't big dips or
5 regime shifts and things, and so it wasn't done just to select
6 the lowest period of years.

7
8 It was done in a way that was tried to be consistent with the
9 methodology that we were applying to many other species
10 simultaneously. In this case, the period of stability just
11 happened to be the most recent time we had available that
12 happened to be lower than this, perhaps, earlier regime.

13
14 **CHAIRMAN BARBIERI:** Sherry.

15
16 **DR. S. LARKIN:** I'm not sure, and maybe we'll get to this later,
17 but, as part of the review panel, when we met a year ago, we had
18 really long discussions on whether or not this was a
19 productivity shift or it could be caused by a whole suite of
20 other external factors, and we -- I think I am speaking on the
21 group, but we kind of had consensus that we weren't convinced
22 that it was all productivity-based, which is why we later
23 recommended a longer horizon, because it wasn't just a whole
24 suite of socioeconomic shifts, kind of like shrimp, but it was -
25 - There were storms that had happened and there were increases
26 in gas prices that could have explained a lot of things, which
27 is -- That's kind of the background on why we recommended the
28 longer horizon, more recently.

29
30 **CHAIRMAN BARBIERI:** Thank you, and so that explains then how we
31 ended up where we are. It was the stability and having a time
32 series that's relatively stable, in terms of average landings
33 without any major shifts, the fact that back then the committee,
34 with less information, had hypothesized this potential regime
35 shift in lower productivity, but then, as Sherry pointed out,
36 the latest working group deliberations basically had kind of
37 ruled out this regime shift as being biologically derived. Yes,
38 Sherry.

39
40 **DR. S. LARKIN:** I guess stability is good, if you embrace it for
41 the right reasons. I mean I don't know what the numbers look
42 like with two standard deviations versus what the numbers look
43 like if you compare it different ways, and I guess I'm actually
44 a little bit confused about what we're debating right now. Is
45 it the two standard deviations or are we thinking about the time
46 horizon? What sort of decision points do we have to decide?

47
48 **CHAIRMAN BARBIERI:** I think we're going to get to those specific

1 questions. The stability issue, Sherry, is basically because
2 when you have a catch-based, average-landings-based type of
3 proxy for MSY that we can use as OFL, that we have a non-
4 quantitative estimate of MSY, the rule of thumb that is applied
5 is for you to look for ten years or better, if at all possible,
6 of data that represents some stable period, and the idea being
7 that if you can have many, many years at some stable level, that
8 level should be considered sustainable.

9
10 It may not represent the maximum sustainable yield, but it is a
11 sustainable yield that can be used, and this is, I think, from
12 the Restrepo et al. first guidelines when they came out in 1997
13 and then there have been a whole number of data-poor MSY proxy
14 estimation discussions that have come up that have focused on
15 that, the justification behind the perceived need to have some
16 stability in landings for you to estimate what would be a
17 sustainable catch level. Steven, do you want to --

18
19 **MR. ATRAN:** "Stable" really isn't the right word. The right
20 word would be trendless, no trend. You can still have the
21 landings fluctuating wildly from year to year, but we're looking
22 for a period when there was no obvious upward or downward trend
23 which might indicate a change in the fishery.

24
25 **CHAIRMAN BARBIERI:** Morgan, do you have some of the actual
26 action items for the committee to --

27
28 **DR. KILGOUR:** I should go through the recommendations from the
29 review panel, because that's really what I need the SSC to
30 comment on. You guys have pretty much discussed a lot of what
31 the review panel already discussed. After they had all of these
32 discussions, they made a recommendation to calculate the ACL
33 based on landings from 1991 until the most recent landings of
34 2015/2016.

35
36 Instead of calculating it based on those ten years, which,
37 coincidentally, were the lowest landings years, to use the
38 entire time series. That way, we're not constantly hitting the
39 ACT and ACL and having to have a review panel and discuss the
40 ACL every year when nobody on the review panel felt that the
41 fishery was in trouble.

42
43 Just a little history. There was a recommendation from the
44 review panel, and the council sent a letter saying that -- They
45 requested an ACL exemption for this fishery, and that was
46 denied. It has to have an ACL, but we constantly are either
47 bumping right up against this ACL or exceeding it, because the
48 metric was using what happens to be the lowest ten years of

1 landings.

2
3 That's the first motion that I would like the SSC to comment on,
4 is to calculate the ACL based on the landings from 1991 through
5 the most recent landings of 2015/2016.

6
7 **CHAIRMAN BARBIERI:** Bob.

8
9 **MR. GILL:** Thank you, Mr. Chairman. A little more history. If
10 you all that were present at the time recollect, we kind of
11 backed into the ABC and OFL calculations at the time, and Dr.
12 Powers was the one that provided the mechanism by which to do
13 it. I say that, Joe, as a compliment.

14
15 What we did was to calculate the mean and then backtrack to an
16 ABC and an OFL that we could agree on, and so the ACL resulted
17 from that discussion. What we've got here in this motion,
18 however -- I don't know what the number is, but my suspicion is
19 that it will exceed the ABC, and so what we really need is a
20 discussion on the mechanism for the ABC in two parts.

21
22 One is the choice of years and the other is whether or not we
23 retain the mechanism that we currently have, but it seems to me,
24 for this body, that's the discussion we need to have, because
25 there is no sense in us concurring with the motion if it exceeds
26 ABC, because we can't do it anyway, and so my suggestion is the
27 conversation revolves around our ABC determination and whether
28 we ought to change that or not.

29
30 **CHAIRMAN BARBIERI:** Excellent point, Bob. I agree completely.
31 Any other points regarding this issue? David and then Jim.

32
33 **DR. GRIFFITH:** Morgan, I'm wondering what happened around the
34 turn of the century here, because it looks like right before
35 2000 that there were real high catches, and then something
36 happened, and they have been low ever since 2000. What
37 happened?

38
39 **DR. KILGOUR:** Luiz discussed that, and there's been -- There's
40 not a good answer. At the time, they discovered the PaV1 virus,
41 and they thought that that might be what caused the fishery
42 landings to go down, was perhaps the explosion of this virus,
43 but that's not definitive.

44
45 There were also other -- Sherry brought up that there were other
46 conditions, economic conditions, that changed. Fuel prices were
47 going up and things like that that could have possibly caused
48 the landings to go down, but the landings went down for

1 everywhere, and so not just for the spiny lobster fishery here,
2 but throughout the Caribbean and in Mexico, and so they went
3 down everywhere. They have since, for everywhere, started to
4 rebound, and so there is no good answer. They pointed to this
5 virus, but that was never definitive, and so they don't know.

6

7 **CHAIRMAN BARBIERI:** Yes, Bob.

8

9 **DR. SHIPP:** This falls under the category of old memories again,
10 but it seems to me that at one time we didn't have any concern
11 about spiny lobster, because all our larvae were supposed to
12 have come from the Caribbean and any larvae produced by our
13 stock was lost, and that was the situation, we thought, ten
14 years ago. What has happened since then? Is this just a legal
15 requirement that we set these goals? From the biology of the
16 species, it seems like it makes no sense to worry about it,
17 because our stocks are not self-sustaining.

18

19 **CHAIRMAN BARBIERI:** Thank you, Bob. Jim.

20

21 **DR. TOLAN:** If I remember, and this goes back to the bad memory
22 conversation, but if I remember the last time we had this
23 brought up, that was one of the very points, was we were relying
24 on the Caribbean to supply Florida with larvae.

25

26 I am trying to go back and look and see if I was the one that
27 opposed this motion about the timeframe, because, to me, it
28 looked like, while there may have been some large perturbation
29 to the stock in the early part of the 2000s, that the last ten
30 years look to be a very slow recovery, and the stock was getting
31 much better and better, and, setting the limit where we did,
32 we're basically handcuffing these catch numbers, because we're
33 always going to be bumping up to that ACL.

34

35 I am going back and quickly trying to see if I was the one who
36 opposed this, but I think this stock is doing much better than
37 we think it is.

38

39 **CHAIRMAN BARBIERI:** Yes, Bob.

40

41 **MR. GILL:** Thank you, Mr. Chairman, and, to that point, Jim,
42 part of the rationale was looking at a -- At the time, looking
43 at a possible maybe paradigm shift in the stock, we wanted to be
44 a little bit conservative. Given the catch rates that we were
45 looking at over that timeframe, it would have never hit the ACL,
46 and so it was a conservative but non-capping, if you will,
47 consideration in there as well. Now, everything is improving,
48 and so, in retrospect, it is inhibiting, and that's why we're

1 talking about it today.

2
3 **DR. TOLAN:** Mr. Chairman, just a chance for a rebuttal. I
4 certainly agree with that. I think the point I was trying to
5 make earlier was clearly, in the history of the stock, those
6 catch numbers, those high, high levels, were sustainable and
7 then something happened and they were much, much depressed, but,
8 over the last ten years, the last decade, it's been steadily
9 climbing, doing much better and that it could approach those
10 numbers again.

11
12 **CHAIRMAN BARBIERI:** Thank you for all of that. To clarify, I
13 mean basically what we do as a committee is we would be
14 reevaluating our previous recommendations for OFL and ABC for
15 spiny lobster, and we do this on a regular basis, every time
16 that we evaluate a quantitative stock assessment and that we
17 have new estimates of MSY and we apply our ABC control rule and
18 we come up with fresh, updated estimates of OFL and ABC.

19
20 In this case, basically, I believe this is all we're being asked
21 to do, is to review the time series of landings that we used the
22 last time for estimating the OFL and ABC and then apply our ABC
23 control using that revised time series. As Bob pointed out,
24 instead of making a recommendation, in terms of ACL, since this
25 a council function, we actually just provide new values, updated
26 values, for OFL and ABC. Mr. Gill.

27
28 **MR. GILL:** Thank you, Mr. Chairman. To move things along, it
29 seems, to me, the methodology that we utilized is fine. **I am**
30 **not aware of anything that I would recommend better, but I would**
31 **like to make a motion that we use the time series of 1991**
32 **through 2015/2016 for calculation of ABC, according to that**
33 **methodology.**

34
35 **DR. SHIPP:** Second.

36
37 **CHAIRMAN BARBIERI:** We have a second, and we have a motion on
38 the board from Bob Gill and it was seconded by Bob Shipp. Is
39 there discussion on the motion?

40
41 **MR. GILL:** It's for ABC calculation.

42
43 **CHAIRMAN BARBIERI:** Bob, to that point, may I provide a friendly
44 amendment that perhaps you make this for both OFL and ABC,
45 because that's already embedded in the methodology of our ABC
46 control rule? John, do you have a comment?

47
48 **DR. FROESCHKE:** Yes, three quick points. One, this method, the

1 thing that always has given me pause, is, from a management or
2 science uncertainty, it's sort of a bad thing. Given that our
3 ACLs are set mean plus variance, we get bonuses for additional
4 uncertainty, rather than some sort of penalty. That's sort of
5 weird.

6
7 The other thing is, as trivial as these calculations are, it
8 still is based on the foundation of independent observations and
9 some sort of Gaussian-based distribution of your residuals, if
10 you will. The time series are not independent, likely, and the
11 time series is too short to know if you're meeting that
12 assumption or you're not, and so it's, perhaps, minor that we're
13 violating -- There are really only two things that we don't know
14 for how we're doing with either of those, and so that's always
15 sort of given me pause.

16
17 In previous meetings, I have given my two-cents on ways that we
18 could do better at that. It's never really gotten traction, but
19 there are ways that you could sort of re-estimate the degrees of
20 freedom, based on those kinds of things, or use quintiles or
21 something that you sort of have a known probability of
22 exceeding.

23
24 **CHAIRMAN BARBIERI:** Thank you, John, and I mean I think those
25 are valid points. Of course, the ABC control rule we are
26 operating under now was not just approved by this committee, but
27 it has been approved by the council itself and it's codified
28 now, and so that's the rule that we have to apply until this
29 committee decides to revise it and propose something different
30 to the council.

31
32 I think that your comments are spot-on and very relevant, and we
33 could actually -- I mean, from time to time, we have discussed
34 the structure of the ABC control rule, and this something that
35 we can perhaps count on you to help us develop some thoughts of
36 different options and how to handle this going into the future,
37 and so duly noted, but, as far as getting our business today, we
38 need to apply the existing ABC control rule for what we have
39 right now, and so there is a motion on the board. Walter and
40 then Joe.

41
42 **DR. KEITHLY:** Thank you, Mr. Chairman. I'm a little concerned
43 with this motion. Bob Shipp made the comment a while ago that,
44 historically, we thought everything came from the Caribbean,
45 which gave some latitude for a higher OFL and ABC. The document
46 now suggests though that some genetic testing indicates that up
47 to 40 percent of the stock is locally recruited.

48

1 As such, if anything, I'm hesitant to vote in favor or speak in
2 favor of this motion, because, if anything, I think that
3 evidence is beginning to point out that much of the stock is
4 locally recruited and, as such, maybe we should be a little bit
5 more precautionous in our decisions.

6

7 **CHAIRMAN BARBIERI:** Morgan, to that point?

8

9 **DR. KILGOUR:** I was meaning to discuss that. There have been
10 two papers that have come out about this recruitment. One still
11 is -- I think it's in press now, and that is the actual genetic
12 testing, and it's suggesting somewhere upwards of 20 to 30
13 percent of self-recruitment.

14

15 The 40 percent comes from a modeling paper that's looking at
16 larval drift and not necessarily genetically-based, and so I
17 just want to make that clarification for that. That genetic is
18 somewhere between 20 and 40 percent, and we will know more when
19 the results of that paper come out.

20

21 **CHAIRMAN BARBIERI:** Thank you for that, Morgan. I have Joe and
22 then Bob.

23

24 **DR. POWERS:** Thank you, Mr. Chairman. I'm a little worried in
25 terms of if we were to accept this motion. What is really the
26 justification, because what I've heard is basically the
27 justification is it's run into the limit and, therefore, we
28 should change the limit.

29

30 I think, while I don't disagree with that, in terms of the
31 context of spiny lobster biology, and I'm trying to remember,
32 but the assessment themselves that have been done actually
33 estimated some of these things, but I think we rejected those
34 estimates, and so we fall back to this other position, but I'm
35 still -- I would like to build up a little bit more of a record,
36 because, basically, what I've heard is we don't like the limit
37 because we've exceeded the limit.

38

39 **CHAIRMAN BARBIERI:** Thank you, Joe. Bob.

40

41 **MR. GILL:** Thank you, Mr. Chairman. A couple of comments. One,
42 to Walter's comment about being a little more conservative,
43 first of all, this is the longest time series that we've got,
44 and, the longer the time series, generally speaking, the better,
45 at least in my opinion, but it incorporates all those years of
46 low landings and so that's going to depress whatever that number
47 is from the previous ten-year landings history. I think that's
48 got to build in conservatism, independent of how the larval

1 input and recruitment, et cetera, fall out.

2
3 To Joe's comment, I don't see this reacting to an ACL overage
4 problem so much as when we established the ABC back whenever it
5 was, six years ago, we did it out of concern with the data that
6 we had that we needed to be really conservative, because we
7 didn't know what we had.

8
9 We set an artificially low number, to try to protect against
10 that eventuality. That eventuality, it looks like it's not the
11 case, based on the current data, and, as Jim pointed out, we're
12 climbing back to the old-time numbers of landings, and it looks
13 like, instead of a regime shift, that we have whatever the event
14 or events were at the time that caused the problem in terms of
15 harvest, they are being mollified over time.

16
17 I think we're addressing a correction to the action that we made
18 back when, when it looked possibly more severe than the reality
19 of stock is.

20
21 **CHAIRMAN BARBIERI:** Thank you, Bob. Jim.

22
23 **DR. TOLAN:** Just a comment to Dr. Powers. Had this methodology
24 been used on the first ten years of data, the ACL number we
25 would have set would have never approached that in the last ten
26 or fifteen years of data collection, and so I think using the
27 longer time series - I think it's a pretty valid way to go, as
28 long as we're using the same methodology to arrive at that ABC
29 number.

30
31 **CHAIRMAN BARBIERI:** Okay, folks. We've had a lot of good
32 discussion. Steven.

33
34 **MR. ATRAN:** Before you vote, I noticed the summary of the joint
35 meeting of the Gulf Council Spiny Lobster AP and South Atlantic
36 Spiny Lobster AP had some comments about this motion, and I
37 didn't know if you wanted to have Morgan go over that or not.

38
39 **CHAIRMAN BARBIERI:** Yes.

40
41 **DR. KILGOUR:** Yes, that's true. I didn't get to the Joint AP
42 Summary yet, but the APs had -- They made a similar motion, but
43 they had a lot of discussion on the use of shorts, and those are
44 counted in the landings data, and the short methodology is based
45 on data that's about ten years old, and so the AP felt that
46 there needed to be some more updated information on the current
47 state of the fishery to update those mortality estimates, which
48 are included in the total landings.

1
2 The AP actually liked the review panel's motion to recommend
3 that the -- To calculate the ACL based on the entire time
4 series, from 1991 through the most recent landings, but the AP
5 also had something else that they wanted. They wanted it to be
6 a priority species for size monitoring.

7
8 Tom Matthews, from FWC, noted that he felt that perhaps spiny
9 lobster were growth overfished, and one thing that the AP wanted
10 to recommend, that they spent a lot of time talking about, was
11 they weren't so concerned with -- They felt that the ACL was the
12 wrong metric to manage the fishery, and they thought that the
13 ACL needed to be higher, but they wanted there to be some type
14 of trigger that would force something to happen if the fishery
15 was in jeopardy.

16
17 They made a motion to recommend that there be a lower landing
18 trigger, where if this lower threshold was met two years in a
19 row that the fishery be reviewed, because perhaps there is
20 something wrong and it needs some adjustment. It made the
21 recommendation that there be a lower landing trigger, based on
22 the average of the three low landings years of 2001/2002,
23 2002/2003, and 2003/2004 that would initiate a review panel if
24 those landings were below that trigger for two consecutive
25 years.

26
27 They were really concerned with not so much the current state of
28 the fishery. They think that it's fine and healthy, but if it
29 drops below a certain level, perhaps that should be reviewed, to
30 make sure that it's not in danger.

31
32 **CHAIRMAN BARBIERI:** Morgan, to that point, I mean my
33 recollection is that this fishery is monitored now. It's
34 managed with an ACT, right?

35
36 **DR. KILGOUR:** Right, but, right now, it's do you hit the ACT or
37 do you hit the ACL? If so, a review panel is convened, and so
38 these are upper limits. They were worried that perhaps landings
39 are at a historic low for two years in a row and is there
40 something going on in the fishery and perhaps management needs
41 to come in and address this, because the fishery might be in
42 trouble, and that wouldn't show up, because you wouldn't be
43 approaching the ACT or the ACL, because those are only triggered
44 if you exceed them.

45
46 **CHAIRMAN BARBIERI:** Okay. I think those are valid points to be
47 discussed with the council, in terms of how it wants to manage
48 the fishery and how precautionary we're setting management

1 triggers for the fishery, but, in terms of us setting what is
2 the OFL and the ABC, we are a little more constrained by just
3 straight application of our ABC control rule and really just the
4 time series, the length of the time series, and what specific
5 years we have there is what more clearly defines the values that
6 are going to be subsequently derived.

7
8 I think that we've had very good discussion. We have a motion
9 on the board, and it has been seconded. The committee
10 recommends to use the time series of 1991 to 2015/2016 for an
11 ABC and OFL calculation for spiny lobster. **Those in favor of**
12 **this motion, signify by raising your right hand, fifteen; those**
13 **opposed, please raise your right hand as well.**

14
15 **MR. ATRAN:** The motion passes fifteen to five.

16
17 **CHAIRMAN BARBIERI:** Any abstentions? Okay. The motion carries.
18 Morgan, any other issues that we need to cover under spiny
19 lobster? If not, this concludes our spiny lobster catch level
20 recommendation discussion. Morgan, are there any other non-reef
21 business items to be discussed under this session?

22
23 **DR. KILGOUR:** Not from me.

24
25 **CHAIRMAN BARBIERI:** If not, we are right on time for our break.
26 Let's take a fifteen-minute break and reconvene at 3:45 for the
27 Standing and Reef Fish SSC Session.

28
29 (Whereupon, a brief recess was taken.)

30
31 **CHAIRMAN BARBIERI:** We have just a little more to go this
32 afternoon. Steven, I don't know if we need to get some of the
33 Reef Fish SSC Members who have just joined us to identify
34 themselves for a voice identification.

35
36 **MR. ATRAN:** That would be useful.

37
38 **CHAIRMAN BARBIERI:** We have John Mareska and we have Marcus and
39 we have Robert.

40
41 **MR. JOHN MARESKA:** John Mareska, Alabama Department of Marine
42 Resources, Reef Fish SSC.

43
44 **DR. ROBERT ELLIS:** Robert Ellis, Reef Fish SSC, Florida Fish and
45 Wildlife.

46
47 **DR. MARCOS DRYMON:** Marcus Drymon, University of South Alabama,
48 Dauphin Island Sea Lab, Reef Fish SSC.

1
2 **CHAIRMAN BARBIERI:** Thank you, guys. We are at the almost
3 completing our agenda for today, but we are now starting our
4 Standing and Reef Fish SSC session, and so the first order of
5 business is Approval of the January 5 and 6, 2016 Standing and
6 Special Reef Fish SSC Minutes. Bob.

7
8 **APPROVAL OF JANUARY 5-6, 2016 STANDING AND SPECIAL REEF FISH SSC**
9 **MINUTES**

10
11 **MR. GILL:** Move approval.

12
13 **CHAIRMAN BARBIERI:** We have a move for approval of the minutes
14 of the January Standing and Reef Fish SSC. Do we have a second?

15
16 **MR. MARESKA:** I will second that.

17
18 **CHAIRMAN BARBIERI:** It's seconded by John Mareska. Any
19 opposition?

20
21 **DR. KEITHLY:** Mr. Chairman, I would just make a note that on
22 Tables 4 and 5, it would probably be good to put in the units of
23 measurement, OFL and ABC recommendations for the West Shelf
24 stock of hogfish. The way it's written, it looks like 257
25 pounds, instead of 257,000 pounds.

26
27 **CHAIRMAN BARBIERI:** What page?

28
29 **DR. KEITHLY:** Page 8 and page 9.

30
31 **CHAIRMAN BARBIERI:** Pages 8 and 9?

32
33 **DR. KEITHLY:** Yes, Table 4 and Table 5.

34
35 **CHAIRMAN BARBIERI:** Thank you for that, Walter. I see Steven
36 here taking notes, and I trust that those corrections will be
37 made to the minutes. The motion by Mr. Gill and seconded by Mr.
38 Mareska, given this modifications or corrections as suggested by
39 Walter -- By the way, I just got an email. I've also got Jason
40 Adriance on the webinar. Jason couldn't join us today, given
41 the change in the meeting schedule, and so he is joining us
42 through the webinar. Thank you, Jason.

43
44 For those members here, any opposition to us approving the
45 meeting minutes from the January meeting, given the corrections
46 proposed by Walter? Seeing no opposition, the minutes of the
47 January meeting are approved, with the noted corrections. The
48 second item on the agenda for us is SSC Members Serving as

1 Council State Designees and Mr. Atran.

2
3 **SSC MEMBERS SERVING AS COUNCIL STATE DESIGNEEES**
4

5 **MR. ATRAN:** Thank you, Mr. Chairman. There is no handouts on
6 this. This is just for discussion. We've been made aware that
7 one of the states is considering appointing as a secondary
8 designee to the council a person who is currently serving on the
9 SSC.

10
11 The question has come up of can somebody who is on the SSC
12 simultaneously be a state designee? This person, if they do get
13 the appointment, I don't believe they would be the primary
14 representative. They would be the substitute if the primary
15 representative can't make it.

16
17 In the past, for people who are not state representatives, just
18 university folks or whatnot who get appointed, they have
19 resigned from the SSC when they get appointed to the council.
20 Greg Stunz was the most recent example of that, I believe two
21 years ago, but this is a little bit of a different case, where
22 we've got a position where they can be designees.

23
24 We asked NOAA General Counsel if there is any legal basis for
25 allowing or disallowing this, and her response was that she
26 could not find any legal basis for saying that a designee cannot
27 also serve on the SSC, and she suggested that the council
28 discuss this issue and make a policy decision.

29
30 We wanted to get some input from the SSC itself of do we have a
31 conflict of interest in a situation like this? Are there any
32 concerns that we need to be aware of? Do you agree or disagree
33 with somebody simultaneously serving on the SSC and being a
34 state designee? I will throw it open to discussion.

35
36 **CHAIRMAN BARBIERI:** By state designee, you mean serving as a
37 council member as well?

38
39 **MR. ATRAN:** That's correct. On the council, each state fishery
40 management agency has a voting member on the council.
41 Officially, it's the head of the agency, but he can appoint one
42 or more designees to serve in his place or her place.

43
44 **CHAIRMAN BARBIERI:** I have Bob Shipp and then Bob Gill.

45
46 **DR. SHIPP:** I think Bob Gill may be about to say the same thing
47 that I am, but I have found myself in a similar situation, being
48 on the council and now on the SSC, and I would find it very

1 uncomfortable to serve in both roles. I do think that not only
2 a conflict of interest, but there are various pressures that are
3 inappropriate for SSC members that council members do entertain,
4 and so, again, this is the first I've heard of it, but my knee-
5 jerk reaction would be to oppose it.

6
7 **CHAIRMAN BARBIERI:** Thank you for that. Bob Gill and then Jim.

8
9 **MR. GILL:** Thank you, Mr. Chairman, and I echo Dr. Shipp's
10 comments, but I would also add that I think it would put the
11 council sensitive to the comment that that person could be
12 voting twice on exactly the same issue, and, if it's a close
13 vote in either one, be a deciding factor as to which way it
14 goes, and my suggestion is the council shouldn't get anywhere
15 near that. That just opens the door to all sorts of issues.

16
17 **CHAIRMAN BARBIERI:** Thank you, Bob. Jim.

18
19 **DR. TOLAN:** Thank you, Mr. Chairman. As a state employee, I
20 will give you my perspective on this. My upper management tells
21 me to come here to represent the state, but do so by providing
22 the best available science advice that I can give. Now, that
23 may be very different than if I'm sitting in front of the
24 council providing state issues, and so I would be very much
25 against this move.

26
27 **CHAIRMAN BARBIERI:** Thank you, Jim. Any other comments from
28 other SSC members? Lee.

29
30 **DR. ANDERSON:** Well, I have a semi-different opinion. First, I
31 am a current member of the Mid-Atlantic Council, serving as an
32 SSC member here, and there are some differences, because there
33 is not the conflict. Also, our council had a policy before the
34 change in the rules where the SSC set the ABCs that we had -- I
35 served as a member on both, and I think Dr. Nancy Targett also
36 served on both, and so we did it, and I didn't find much of an
37 issue, but if you guys are feeling very strongly about it -- I
38 am just telling you what I think.

39
40 Sometimes, you try to make an artificial separation between
41 science and policy. Since I'm a social scientist, I think
42 they're pretty close, and so I wouldn't find a big objection to
43 it, but I certainly wouldn't fall on my sword to have this guy
44 remain on the SSC if he becomes an alternate.

45
46 **CHAIRMAN BARBIERI:** Thank you, Lee. Paul.

47
48 **DR. MICKLE:** I know I'm new and this is kind of an interesting

1 conversation, but, just thinking of scenarios in my mind, I can
2 see myself, as a scientist, voting one way here and on the
3 council voting another, because of the constituents that I'm
4 representing. I would probably end up not liking myself very
5 much and feeling very uncomfortable, and so I oppose it.

6
7 **CHAIRMAN BARBIERI:** Thank you, Paul. Walter.

8
9 **DR. KEITHLY:** I think this is an issue that the council should
10 take up and make a decision. I just don't see any scientific
11 basis for the SSC being involved in this decision at all.

12
13 **CHAIRMAN BARBIERI:** Okay. Thank you, Walter. Any other
14 comments? I mean I don't see a consensus from the committee
15 going forward, but I see a leaning towards recommending against
16 this person serving on both the SSC and the council. I don't
17 know if there are any SSC members willing to make a more
18 explicit, perhaps, statement to that effect or to make a
19 specific recommendation. I mean our comments have been captured
20 on the record and are there to inform the council. Do you,
21 Steven, feel that you have enough information to get back with
22 the council on this?

23
24 **MR. ATRAN:** Well, Walter Keithly is absolutely right that this
25 is a policy decision for the council to make, but, since it does
26 involve SSC members, I thought it was useful to get the feedback
27 from the SSC, and what I'm getting of the folks who did respond
28 -- We had six people talk.

29
30 Four were definitely opposed, one person was not opposed, but
31 didn't really have a strong feeling, and then one person thought
32 that this is not an SSC issue, and so, basically, you said you
33 didn't see a consensus, and we haven't had any motions, but what
34 I am hearing is that, generally, most SSC members who spoke are
35 opposed to this. They feel there's a conflict of interest.

36
37 **CHAIRMAN BARBIERI:** That's my impression as well. Director
38 Gregory.

39
40 **MR. DOUGLAS GREGORY:** It's a minor point, but it wasn't staff
41 that wanted to bring this to the SSC. We talked about this at
42 the council meeting, and the council wanted the SSC's input
43 before they made a decision. I just wanted to clarify that.
44 Thanks.

45
46 **CHAIRMAN BARBIERI:** Thank you for that, and we appreciate the
47 council actually requesting our opinion, for us to weigh in on
48 this, and we will make our comments noted. Bob.

1
2 **DR. SHIPP:** I just wanted to say that I don't disagree with
3 Walter at all. It definitely is a council decision, but I was
4 glad to hear Doug tell us that the council had requested this,
5 and I think it legitimizes our conversation.
6

7 **CHAIRMAN BARBIERI:** Thank you, everybody, for this discussion.
8 I think we have enough guidance for the council on how the
9 committee feels about this topic, and that moves us into our
10 next, last, but definitely least, item for today, which is a
11 Discussion of Methods to Address Recreational Red Snapper ACL
12 Underharvest. I think Mr. Atran has a presentation for us or a
13 discussion.
14

15 **DISCUSSION OF METHODS TO ADDRESS RECREATIONAL RED SNAPPER ACL**
16 **UNDERHARVEST**
17

18 **MR. ATRAN:** It's just a discussion and not really a
19 presentation. We really haven't put together anything, other
20 than some really preliminary documents, and I'm not going to go
21 over those in any big detail.
22

23 As some of you may know, up until a few years ago, we had a
24 problem with the recreational sector overharvesting its quota on
25 a fairly regular basis, and so, finally, in 2014, I guess it
26 was, we put in a 20 percent buffer. We basically set an ACT for
27 the recreational sector that was 20 percent below their ACL and
28 managed on that basis. The NMFS folks who do their projections
29 on how long the season should be -- I'm not sure if they did
30 anything different or not, but they started getting a little bit
31 more accurate on how long the season should be.
32

33 In 2014, the recreational sector was below both its ACL and its
34 ACT. Then, last year, which was the first year under sector
35 separation, I believe that the for-hire component was below both
36 its ACL and its ACT and the private recreational sector exceeded
37 its ACT, but it was still below its ACL.
38

39 Even though we have the ACT, the whole idea is that we would
40 like each sector to catch its ACL. That's what the rebuilding
41 plan is based on, and so we had the council ask if we could come
42 up with some way to allow the recreational sector to catch that
43 underharvest if they don't catch their full ACL.
44

45 We originally came back to the council with the document that's
46 up on the screen. I'm really not going to go into it, but it
47 was to try to put together a process for evaluating what was
48 caught under the original recreational season and project what

1 would end up being caught under the state season, because some
2 of them are open much later than the federal season, and
3 determine if it is possible to reopen the season, have a
4 supplemental season say in October or some time later in the
5 year, in order to catch the remainder of the ACL or maybe get up
6 to 80 or 90 percent of the ACL. It will still leave a little
7 bit of a buffer there.

8
9 This method would require that there be enough time for the
10 National Marine Fisheries Service to do that analysis and that
11 they be able to do an analysis with a reasonable degree of
12 certainty and then that we reopen the season on relatively short
13 notice, but it does fall, more or less, on the specific idea
14 that the council had come up with.

15
16 When we presented this to the council, we got an alternate
17 suggestion, and that's that we carry over underharvest to the
18 following year, and there is, on the other document, which is
19 Item 12(b), we have some proposed revisions to the National
20 Standard 1 Guidelines with regard to the ABC control rule.

21
22 In these revisions, it says that the council can develop ABC
23 control rules that allow changes in catch limits to be phased in
24 or account for the carryover of some unused portion of the ACL
25 from one year to the next, providing that there is a
26 comprehensive analysis and we articulate within the FMP when
27 this procedure can and cannot be used.

28
29 Then there is a little bit more specificity about carryover ABC
30 control rules, and basically it says that the resulting ABC
31 recommended by the SSC must prevent overfishing and consider
32 scientific uncertainty consist with the council's risk policy.

33
34 What's happening right now is, since we generally set our ACLs
35 at the ABC level, or at the allocation of the ABC for the
36 sector, we can't go over that unless the SSC agrees to, at least
37 on a temporary basis, allow an increase in ABC to account for
38 that underharvest being carried over in the following year.

39
40 I should point out that, although these are proposed revisions,
41 there is nothing in the current National Standard 1 Guidelines
42 that would prevent us from doing this. We have, in fact, done
43 it a couple of times. You may remember, back in 2010, after the
44 BP oil spill, when fishing effort overall was way down in the
45 Gulf, we had such an underharvest of the red snapper fishery
46 that we did open up a supplemental season, in order to allow
47 more of that harvest to be caught that year, but that was kind
48 of a one-time deal.

1
2 What we're talking about here is actually having some process
3 put in place so that, on a regular basis, we can come up with
4 some way to allow the recreational sector to catch more of their
5 ACL than what they're currently catching, especially when
6 they're well below that level, and so, basically, we wanted to
7 see if there's any guidance that you folks could provide in
8 trying to set up some sort of a format, of a process, for doing
9 one of these two things, either having a supplemental reopening
10 later in the year or having a carryover of unused ACL to the
11 following year, which would require that the SSC reevaluate ABC
12 for that follow-up year. I think that's about as far as I can
13 go without going really into the weeds on this.

14
15 **CHAIRMAN BARBIERI:** Joe.

16
17 **DR. POWERS:** Thank you, Mr. Chairman. Ideally, if we were to do
18 a stock assessment each year, then you would take this into
19 account and the quota would go up or down, the ACLs would go up
20 and down, but, essentially, what you're doing here is saying,
21 well, the stock is probably better off, and so, therefore, I'm
22 going to give it a little kick.

23
24 One of the things you can do, in that regard, is to carry over
25 completely, but you can also have some sort of discounted
26 carryover, and the discount would be something like E to the
27 minus-M, that you're basically saying that the survival -- Take
28 out some of the survival and that sort of thing, but I would
29 also comment that what about the other side, when it's over?
30 Are you going to carry those over to the next year? What's the
31 process for doing that? I think it needs a little bit of
32 thought here.

33
34 **CHAIRMAN BARBIERI:** Dr. Crabtree.

35
36 **DR. ROY CRABTREE:** Just a couple of points. To the last point
37 Joe made, there is a payback provision now in the red snapper
38 accountability measures. If we go over the ACLs, we pay it back
39 the next year.

40
41 I would also point out that, with the carryover provision here,
42 I don't view this as just the recreational. The commercial
43 sector is under by several hundred-thousand pounds almost every
44 year, and so, presumably, if we do this, we would carry over
45 both sides of it, but we added the payback provision in, I
46 think, in 2013.

47
48 **CHAIRMAN BARBIERI:** Any other thoughts or comments from the

1 committee regarding this issue? Joe, if I understood what you
2 said correctly, one thing is for us conceptually to think that
3 this is okay. Another thing is to try and develop some kind of
4 process for getting there and putting a little more thought into
5 how we would come up with that carryover and how that would be
6 implemented over one or multiple years, depending on how it
7 happens.

8
9 **DR. POWERS:** Yes, and the point I'm trying to make too is that,
10 if you actually did an assessment each year, you would take this
11 into account, and so what you're trying to do here is sort of
12 quasi adjusting for the assessment, and I am not convinced that
13 it would be a one-for-one sort of a relationship.

14
15 **CHAIRMAN BARBIERI:** Right. John Mareska.

16
17 **MR. MARESKA:** I was wondering if there is any legal issues,
18 because, during the regular season, the projections are based on
19 the ACT, and, from what I read, we're trying to change -- If we
20 reopen the season, now the projections we're based on will be
21 reaching the ACL.

22
23 **MR. ATRAN:** The rebuilding plan is based upon the ACL being
24 caught each year, since the ACL is set equal to the ABC. The
25 ACT is really an accountability measure. It's because in the
26 past we've gone over our quota so often that we shoot low. We
27 aim low, so that if we end up hitting high that we're still
28 under the ACL, but if we're under the ACL anyway, is there some
29 way that we could let the recreational sector catch more of that
30 ACL?

31
32 As far as legal issues, I'm sure there will be legal issues that
33 come up, but, right now, as far as setting the initial season,
34 we are setting the season based on the ACT. Again, we're not
35 concerned with exceeding the ACT. We're concerned with
36 exceeding the ACL.

37
38 **MR. MARESKA:** Yes, and I guess that's what causes concern, is
39 you're basically -- If you don't achieve your ACT, now you're
40 shooting for the ACL, and so you basically just removed your
41 accountability measure, because, if you open the season again,
42 you could easily just exceed it again, and so -- But, as Dr.
43 Crabtree pointed out, if you go over, then you have to pay that
44 back.

45
46 **CHAIRMAN BARBIERI:** Yes, and, since Dr. Crabtree is here, maybe
47 he can help clarify that issue.

48

1 **DR. CRABTREE:** I think you make a really good point there. The
2 way I had envisioned this working, with the reopening, is say we
3 fished and we were one-million pounds below the ACL. We would
4 then take that one-million pounds and set another ACT on it with
5 a buffer and then set a season to catch that ACT, and so if it
6 was 20 percent and we had a million pounds, we would then try to
7 catch 800,000 pounds. It might be, because the amount is
8 smaller, that we would need to have a larger buffer even at that
9 point.

10
11 There are a lot of logistical issues with this though, because
12 Steve is right that there are problems with getting the landings
13 and knowing what was caught, and then I have pointed out to the
14 council, for this to have any hope of working, we would need to
15 have a much closer coordination with the states, in terms of
16 what they're going to do than we have been able to achieve, and
17 so it seems to me that the carryover is a more straightforward
18 way to deal with it over the long term.

19
20 **CHAIRMAN BARBIERI:** Thank you. Jim.

21
22 **DR. TOLAN:** Thank you, Mr. Chairman. When I first saw this, it
23 seemed reasonable enough, given that the overage is taken away
24 immediately the following year. Some of the data constraints
25 and how quickly we can get to those final numbers, I think
26 that's been addressed, but, just knowing the direction that
27 we've gotten from the council when they're looking for constant
28 catch streams for years into the future, this seems like an
29 accounting nightmare. It seems to be really tough to implement.

30
31 **CHAIRMAN BARBIERI:** Ben.

32
33 **DR. BLOUNT:** I was just thinking of another option. That is,
34 instead of extending the season, add that amount to the
35 following year or to the following period, when the ACL and the
36 ACT has been measured or set. That would give you a little bit
37 of time and leeway in terms of dealing with the accountability
38 measure, perhaps, or maybe it raises other questions too, but it
39 just seems to me that that's another possibility.

40
41 **CHAIRMAN BARBIERI:** Unless I misunderstood this, Ben, isn't this
42 exactly what is being proposed? By pushing, transferring, that
43 amount, that poundage of fish, you're going to be adding,
44 potentially, to the following year's season.

45
46 **DR. CRABTREE:** Yes, I think that's basically right. I agree
47 with Joe too that some discounting would likely be appropriate,
48 but if we had a million pounds of fish uncaught below the ACL,

1 we would then take some fraction of that and add it into that
2 sector's quota for the next year and set the buffer and set the
3 season. They would pick up some additional fishing time for
4 that.

5

6 **DR. BLOUNT:** Okay. Thank you.

7

8 **CHAIRMAN BARBIERI:** David.

9

10 **DR. GRIFFITH:** I was just curious about what is the season right
11 now? It's very short, isn't it?

12

13 **MR. ATRAN:** On the private recreational -- The season just
14 opened today, and we've got nine days for the private
15 recreational component and forty-four days for the for-hire
16 industry. Both of those are fairly short.

17

18 **CHAIRMAN BARBIERI:** Yes, Lee.

19

20 **DR. ANDERSON:** It just occurs to me, and I may have missed
21 something here, but if this happens regularly -- The idea of a
22 target is to make sure you don't get to the ACL, but if you are
23 consistently hitting the target, that means maybe your accuracy
24 is okay and next year you can increase the ACT, and hopefully
25 you will continue to hit the ACT and still be below the ACL. I
26 may be missing something, but that seems to make sense to me.

27

28 **CHAIRMAN BARBIERI:** Very good point, Lee. Any other comments or
29 questions or clarifications regarding this issue? Yes, Ken.

30

31 **DR. ROBERTS:** Mr. Chairman, this is so new to me, but something
32 is on my mind here that -- As I listen to the conversation, I am
33 thinking that we generalize too much that recreational group is
34 a homogenous group. We spend a lot of time discussing ways of
35 making it even less homogeneous than it is now, in terms of
36 either a permit system or a share, ITQ, system.

37

38 If you do that, within-year adjustments, late in the season,
39 let's say, those people who have those shares, they have the
40 option to take them all year anyway, and I would be opposed to
41 giving somebody more share later in the season if they hadn't
42 used what they have already used. I think the classes of people
43 are getting ready to be quite different, and I think we just
44 need to take that into consideration for the in-year
45 adjustments. Carryover is, I think, a different thing.

46

47 **CHAIRMAN BARBIERI:** Do you want to clarify that, Dr. Crabtree?

48

1 **DR. CRABTREE:** Well, there are those concerns, and I think the
2 council would have to figure that out, but I think, if you're
3 conceptually okay with the idea of some sort of carryover
4 provision, then staff could work on potential processes, and
5 then I think the issue would be, as Joe brought up, the
6 discounting and what is safe to do.

7

8 **CHAIRMAN BARBIERI:** Yes, Steven.

9

10 **MR. ATRAN:** If we were going to go with a carryover type of
11 function -- As I said, we would have to come to the SSC and ask
12 the SSC to reevaluate, at least for one year, what the ABC could
13 be, and we would not have a new stock assessment. We might have
14 some new landings information, but that would be about it, and
15 so one question is what information would the SSC need in order
16 to make a decision of whether or not to allow a temporary
17 increase in the ABC?

18

19 **CHAIRMAN BARBIERI:** Joe.

20

21 **DR. POWERS:** I think that about the only thing you could do is
22 just go back in history and look at the stock assessment at some
23 previous point in time versus what the actual catches were and
24 then go through sort of a could-of-would-of-should-of kind of
25 analysis, in terms of trying to say what the differences in the
26 ABC, et cetera, would be if in fact you had carryover versus
27 not, but, again, it would be based on prior history.

28

29 **CHAIRMAN BARBIERI:** Just to add to that a little bit, I mean
30 another thing is perhaps to put a provision there that would
31 require a three to five-year evaluation of the performance of
32 this new methodology. As you are carrying over, if that's
33 bumping against your ACT there and you are readjusting your ACT,
34 but it's still consistently being below your ACL, I mean the
35 actual impact on the biological production on the stock has
36 really no impact at all. We can look at that performance over
37 time and have time to adjust, if necessary. Yes, John Mareska.

38

39 **MR. MARESKA:** Again, red snapper is such a mess. Has the
40 council considered using both of these options? In a season
41 where the ACT is not achieved, then you could have an extended
42 season, but they're trying to get closer to the ACL, and that
43 was one of the considerations, is to open it when they don't
44 achieve the ACL. Possibly that smaller amount could go carry
45 forward to the next season.

46

47 **CHAIRMAN BARBIERI:** Yes, Steven.

48

1 **MR. ATRAN:** If I understood what you said, I think Roy already
2 has authority -- If the ACT has not been met, since that's what
3 the season is based on, I believe he already has authority to
4 reopen a season, in that case, but not if it's based on the ACL,
5 because our seasons for red snapper are based on the ACT.

6
7 **MR. MARESKA:** I guess I'm just trying to get an approach where
8 we don't have to reevaluate the ABC on an annual basis.

9
10 **CHAIRMAN BARBIERI:** Yes, Jim.

11
12 **DR. TOLAN:** I guess, going back to my original point about the
13 bookkeeping nightmare, I can easily see this -- The season goes
14 for nine days and you don't quite catch the total number.
15 October rolls around and you reopen it. A bunch of people go
16 fishing, and now you go over the number totally, and then it
17 gets to, okay, we've got to subtract that amount from the next
18 year. I just think it's a bookkeeping nightmare.

19
20 **CHAIRMAN BARBIERI:** I think that, for that very reason, this
21 proposal is to, instead of having a second mini-season within
22 the same year, you actually would transfer that to the following
23 year. Dr. Crabtree.

24
25 **DR. CRABTREE:** That, to me, is the cleaner way to do this,
26 because I have the concerns you raised, Jim, that we reopen in
27 the fall and then we go over, but I think it's essentially that
28 you would set up a control rule that prescribes how you're going
29 to handle this and how you're going to do it, and then the SSC
30 would need to meet early in the year and review the landings and
31 apply whatever pre-agreed control rule is there, and here's your
32 new ABC.

33
34 It seems, if all that was all worked out, it would be a
35 relatively straightforward thing to do, and then we would set up
36 some sort of framework by which the Fisheries Service makes the
37 adjustments. Then that would be factored into the season that
38 year. The buffers remain the same and everything, and so I
39 don't think there is any additional risk entailed in going over
40 the ACL than what we have now. It would allow some more of the
41 ACL to be caught up, which Steve is right. I think that is what
42 the recovery is based on.

43
44 **CHAIRMAN BARBIERI:** Yes, Jim.

45
46 **DR. TOLAN:** I may have missed that, but I guess the reason I was
47 stressing that situation so much is, in the document we were
48 provided, all the draft actions and alternatives dealt with in

1 season and what's the definition of a weekend? Is it from
2 Friday to Saturday? I guess that's why I was so focused on that
3 accounting nightmare.

4
5 **DR. CRABTREE:** Yes, it was, and we talked a lot about that, and
6 I think it was some of that nightmare that led us to try to
7 think of an alternative way to catch the extra fish without
8 getting into all of those accounting nightmares.

9
10 **DR. TOLAN:** Then I rescind my nightmare.

11
12 **DR. ISELY:** Another practical matter to think about is even if
13 you're 10 percent below the ACL, that's what, an extra day? Who
14 is going to us an extra one-day season in the fall? That's not
15 terribly useful.

16
17 **CHAIRMAN BARBIERI:** That's another good point, Jeff, from that
18 socioeconomic perspective of optimizing the utilization of the
19 resource. Yes, that's a very good point. Dr. Crabtree, do we
20 have any idea when the Fisheries Service will have completed
21 this revision of NS 1 and that document, the official document,
22 will be published in the Federal Register?

23
24 **DR. CRABTREE:** I think the goal was to get to a final rule late
25 in the summer or early in the fall. It should happen before we
26 take a final action on it, but I tend to think Steve is right.
27 I think we have the authority to do this under the existing
28 rules and things, but, at any rate, I think, before we
29 implemented the process, this should be final.

30
31 **CHAIRMAN BARBIERI:** Yes, and I don't disagree with that one bit,
32 but it's basically because, for many people, having that revised
33 NS 1 document may provide some peace of mind and perhaps explain
34 some more of the background and give some more of the structural
35 components of how this would take place, and it might help us
36 work through some of this discussion. Any other points or
37 questions?

38
39 My take-home message here, unless anybody on the committee
40 disagrees, is that we have -- Basically, the SSC, by and large,
41 agrees, conceptually, with the use of this process. The devil
42 is in the details, and we would like to see a more detailed
43 document outlining the procedural steps to get to implementing
44 this provision. Joe.

45
46 **DR. POWERS:** I have a technical question on Table 1 in I guess
47 it's the other document for this. It's referring to the federal
48 season. Is this all the catches, including both federal and

1 state waters, that are in this table?

2

3 **MR. ATRAN:** Yes.

4

5 **DR. POWERS:** Are the state water ones available to the public,
6 as of yet?

7

8 **MR. ATRAN:** For the most recent year? I don't know what we've
9 got under the current year. Except for 2015, these were final
10 landings for earlier years. 2015 is still preliminary, as of
11 when this was written. This was originally prepared for the
12 January council meeting, and so we obviously didn't have all of
13 the 2015 numbers.

14

15 I don't know if -- John is not in the room anymore, but somebody
16 who is more involved in the data collection process might be
17 able to tell us when the state numbers are available. I don't
18 know exactly when they're finalized. I know Texas only reports
19 their numbers twice a year, and so we rarely have the final
20 numbers from them until very late in the year.

21

22 **CHAIRMAN BARBIERI:** Okay. Any other questions or comments on
23 this item? Seeing none, I think that this completes our meeting
24 for today. We are about thirty minutes ahead of schedule, but,
25 considering that we're going to have a very full day tomorrow,
26 my feeling is that we just recess a bit earlier and come back
27 tomorrow feeling all fresh and renewed.

28

29 **SSC MEMBER:** The discounted carryover.

30

31 **CHAIRMAN BARBIERI:** Yes, exactly. We will apply the discounted
32 carryover to tomorrow, in terms of those thirty minutes. We
33 will be recessing now, and for those of you on the webinar, just
34 to let you know that tomorrow that we are starting at 8:30 a.m.
35 It's 8:30 instead of 9:00 tomorrow, in this same room. Thank
36 you.

37

38 (Whereupon, the meeting recessed on June 1, 2016.)

39

40

- - -

41

42

June 2, 2016

43

44

THURSDAY MORNING SESSION

45

46

- - -

47

48 The Standing, Reef Fish, Socioeconomic, Shrimp, and Spiny

1 Lobster Scientific and Statistical Committees of the Gulf of
2 Mexico Fishery Management Council reconvened at the Hilton
3 Westshore Tampa Airport Hotel, Tampa, Florida, Thursday morning,
4 June 2, 2016, and was called to order at 8:30 a.m. by Chairman
5 Luiz Barbieri.

6
7 **CHAIRMAN BARBIERI:** Welcome back to the meeting. We were
8 notified that Clay Porch's flight this morning got delayed, and
9 we need to rearrange our agenda to accommodate the little bit of
10 delay that we're going to have for Clay's item. I'm glad to see
11 that Matt is already here, but our first agenda item this
12 morning, we're supposed to start with the Review and Approval of
13 the Terms of Reference for the Gag Update Assessment and then we
14 had the SEDAR Schedule.

15
16 We would bypass Clay's short presentation and, considering the
17 fact that Ryan is not here and our goal today is, if at all
18 possible, to finish today, I would say, if Matt is ready, that
19 we would do a big rearrangement, because I don't see Mike Larkin
20 in the room either to give us the Gray Triggerfish Presentation.
21 I don't know if Mike is scheduled to give this by webinar or --

22
23 **MR. ATRAN:** No, he's going to be here.

24
25 **CHAIRMAN BARBIERI:** In person, but --

26
27 **MR. ATRAN:** He probably got stuck in traffic like you did.

28
29 **CHAIRMAN BARBIERI:** Most likely. Matt, if you are ready -- I
30 saw you get your cup of coffee, and so the fuel is there, and we
31 start with the SEDAR 45, which is a great way to start the day,
32 with the stock assessment review. While we get Matt's
33 presentation together, I wanted to remind the committee that
34 this is an update assessment, right, Matt?

35
36 **DR. MATTHEW SMITH:** It's a standard.

37
38 **CHAIRMAN BARBIERI:** It's a standard assessment, but, one way or
39 the other, this assessment -- This is the relevance of the type
40 of assessment it is, but it has not been reviewed by CIE, and so
41 this review is really up to the SSC, and so I ask you to, as
42 always, look very carefully at this assessment and help us go
43 through the whole process and evaluate, and I'm sure that Matt
44 and Dan did a fantastic job with this assessment, but, still,
45 just a reminder. Yes, Steven.

46
47 **MR. ATRAN:** Matt, just a reminder to those of us, and maybe
48 notifying those who never heard, but, if it's not already in

1 your presentation, could you briefly describe what's different
2 between a standard assessment and a benchmark or an update? I
3 know you already partially explained it.

4
5 **CHAIRMAN BARBIERI:** Right.

6
7 **DR. SMITH:** Yes, and are we ready?

8
9 **CHAIRMAN BARBIERI:** We're ready.

10
11 **SEDAR 45 VERMILION SNAPPER STANDARD ASSESSMENT**

12
13 **DR. SMITH:** Okay. Well, this is, as was announced, the SEDAR 45
14 Gulf of Mexico vermilion snapper stock assessment review that
15 was conducted primarily by myself, Matthew Smith, and a
16 colleague of mine, Dan Goethel, who is currently overseas, and
17 so he left me on the hook for doing this, which is fine.

18
19 As Steven alluded to, I wanted to, right off the bat, tell you
20 the difference between the benchmark, the standard, and the
21 update assessment, because I was here for the gray trigger,
22 which I think might have been one of the first standard
23 assessments that came before this review group, and there was
24 some confusion around exactly what was involved in that process.

25
26 The terms of reference for this assessment was that it was a
27 standard assessment. To my understanding, this was designed to
28 be kind of an intermediary between a full benchmark assessment
29 and an update assessment, with the goal being to maintain the
30 shorter timeline of an update assessment, but to still allow for
31 flexibility in the inputs that could be changed and updated in
32 the stock assessment.

33
34 As we go through this standard assessment, you're going to see a
35 lot of differences in life history, all the data updates, the
36 indices being added, and it's going to look a lot like a
37 benchmark, but, as Luiz alluded to, it was not a full benchmark.
38 It has different review standards and limitations on what we can
39 change.

40
41 The things that we are allowed to change, or we were encouraged
42 to look at, were decided prior to this in the terms of
43 reference, and those were that we were supposed to look at the
44 new fishery independent indices of abundance, which hadn't been
45 included in the vermilion snapper assessment, to date.

46
47 We were to evaluate discards and decide whether they should be
48 included or not and specifically look at episodic events, like

1 red tide, and how it might impact natural mortality rate, as
2 well as other life history characteristics, but specifically to
3 look at natural mortality rate. Those were the three specific
4 things that we were tasked with in the terms of reference for
5 this assessment.

6
7 Outside of that, we obviously were able to update the data, and
8 we did a thorough overhaul on all the life history for this
9 species, as well as the indices and the landings, and then
10 develop a new base model and project stock status. That, in a
11 nutshell, is what we were tasked with for this assessment. Are
12 there any questions on that before we move on? I just want to
13 make sure everyone is on the same page.

14
15 A brief outline of what I'm going to go through today. This
16 presentation is kind of long, as I guess most of these are.
17 Some slides I'm going to move through fairly quickly, and other
18 ones I will spend some time on, because they were major changes
19 and have important ramifications down the road in terms of stock
20 status projections.

21
22 We will have a brief assessment history, like one slide on that,
23 and then we'll review the data inputs and the changes we made to
24 them. We will go over, briefly, the continuity model that was
25 produced, and then we'll get into the new base model, all the
26 assumptions, model fit, results, and diagnostics from that, and
27 then we'll end with projections.

28
29 The assessment history, starting back in SEDAR 9, I think in
30 2005, was the first time there was enough credible age data to
31 do an age-structured production model for vermilion snapper. At
32 that time, the SSASPM model was put into place and used to
33 assess and was accepted as the model for assessment.

34
35 In 2010, during the update, that model was used again, with the
36 difference being a change in the way that the shrimp bycatch was
37 handled. Briefly, for those who may not be familiar with it,
38 shrimp bycatch used to be handled as just a fixed bycatch every
39 year, which was the median of all the bycatch estimates from the
40 time series, and that was done because there was little faith in
41 the annual estimates of shrimp bycatch, and so they tried to
42 even it out.

43
44 The change was, rather than using that fixed removal, is that
45 they did what was termed now as super-year, which allows the
46 annual bycatch to be taken from a distribution, sort of sampled
47 from a distribution, which is influenced by the shrimp effort
48 index that is centered around that median that was previously

1 fixed. Rather than have the bycatch stay fixed through the
2 whole time series, it is centered around a median, but allowed
3 to vary, depending on the shrimp effort index, which was a
4 significant change at the time.

5
6 Also, during the update assessment, a Stock Synthesis
7 exploratory run was done, alongside the SSASPM model, as a proof
8 of concept for that software going forward. The graphic on the
9 right-hand side of the screen there just shows the results of
10 those two runs overlaid on top of each other.

11
12 The blue line there is the SS run. The red line is the SSASPM
13 run, and so, at that time, Stock Synthesis was deemed as a
14 credible alternative and put forward as the model to be used
15 during the next assessment, which is the current one, the SEDAR
16 45 assessment. For this assessment, the Stock Synthesis
17 modeling framework was what we used to conduct the assessment.

18
19 The data sources, like I sort of alluded to off the top, we went
20 through and updated everything we could get new information for,
21 and so we did all the life history. The length/weight
22 conversions were changed. We switched from total length to fork
23 length for this assessment.

24
25 We redid the growth curve, reproduction, natural mortality, all
26 the fishery-dependent data, including landings. The shrimp
27 bycatch and the age compositions from them were updated.
28 Discards for the recreational and commercial sectors were
29 evaluated, but they were not adopted, and we will get into that
30 later.

31
32 The fishery-independent indices were also assessed and ended up
33 being added. All three of those were added to the assessment,
34 and so we updated pretty much everything, as well as introduced
35 at least three new sources of data.

36
37 The life history, like I said, we converted from total length to
38 fork length, and, unlike the previous assessment, which just fit
39 a regular Von Bertalanffy growth curve to the age/length data,
40 we fit a truncated or censored growth curve this go-round, which
41 allows for the difference in the observed age/length
42 relationship from the landed data -- A lot of this data is
43 coming from fishery-dependent sources, commercial or
44 recreational.

45
46 You get the landed age-length relationship, but not necessarily
47 the catch, and so there was a minimum size limit in place in the
48 vermilion snapper, and so the assumption is, in the catch, some

1 of those fish that are below the minimum size limit, hopefully
2 all of them, are thrown back and they're not available to be
3 sampled at the dock for the age/length relationship.

4
5 The truncated, or censored, growth curve takes into account that
6 loss of data and fits slightly different than a traditional Von
7 Bertalanffy, and we think it's more appropriate when a minimum
8 size regulation is in place, and so that was used for SEDAR 45,
9 and we switched from a constant natural mortality rate, which
10 was used in the past, to a Lorenzen natural mortality schedule.

11
12 This is the growth in the top right figure, with the two lines
13 on it. The red line represents the SEDAR 9 growth curve and
14 this blue line is the new SEDAR 45 growth curve. There is quite
15 a bit of difference between these two. It was an issue of
16 conversation at the data workshop, and so a big thing is the
17 change in L infinity.

18
19 Part of that is the switch from total length to fork length, and
20 so we lose some there. The other part, as I said in the
21 previous slide, is that the fit to the scatter of age/length
22 data is going to be shifted down a little bit, because of the
23 truncated model that was used, because it's accounting for, or
24 trying to account for, a theoretical absence of points here, at
25 about 250 millimeters, or the ten-inch minimum size limit.

26
27 That should have been there from the commercial fishery, but
28 they aren't, because they weren't available in the landed catch.
29 The K , the rate of growth, the new model suggests that these
30 fish grow much faster than they did in the past. Part of that
31 change is because, in the past, they basically started that an
32 age-zero fish was roughly ten inches long, and so there wasn't a
33 whole lot left to grow with these fish, if you start out at ten
34 inches long.

35
36 Now that the model has adjusted and fit the data a little bit
37 better, at least in the younger age groups, the rate of growth
38 has increased quite a bit, and the size at age zero has gone
39 down quite a bit.

40
41 **CHAIRMAN BARBIERI:** Matt, can I interrupt you for a second, just
42 to mention that this is a long presentation and you're going to
43 be covering a lot of material, and do you mind if the committee
44 interrupts you to ask questions during the presentation?

45
46 **DR. SMITH:** No, not at all. It's easier for me, actually, if I
47 get them while I'm thinking of the topic, rather than trying to
48 come back later.

1
2 **CHAIRMAN BARBIERI:** Yes, exactly, and so, on that point, Kai
3 Lorenzen.
4
5 **DR. LORENZEN:** A couple of quick questions about the growth.
6 One was how exactly does that truncation work? Are you assuming
7 a selectivity pattern or are you -- Is it a purely statistical
8 approach that you're taking to -- How does that model work?
9
10 **DR. SMITH:** It's a purely statistical approach. It's assuming a
11 normal distribution around the growth curve, the mean of the
12 growth curve, and it's assuming that that distribution is
13 truncated at whatever the minimum size limit at the time that
14 that data was collected. If it was a ten-inch minimum size
15 limit, you're assuming that basically a truncated normal from
16 the data you observe -- Then it kind of fills in the data that
17 should be in the catch, rather than the landings, and then it
18 fits the curve to the catch.
19
20 **DR. LORENZEN:** Following on from that, have you explored how
21 much of that change in the growth curve is due to the use of the
22 truncated model versus what you used before and due to the
23 change from standard to total length?
24
25 **DR. SMITH:** We did not dig down into the individual components
26 of the change, and so I can't tell you what percentage,
27 necessarily, of the difference in L_{∞} , for instance, was
28 due to the shift from total length to fork length or from the
29 adoption of the new model. We didn't dig down into the
30 specifics on that one.
31
32 **MR. ATRAN:** I am just wondering, since you said, on this model,
33 you switched from using total length to fork length, on the Von
34 Bertalanffy growth curve for SEDAR 9, do these parameters
35 reflect that change or was there any change in the parameters?
36
37 **DR. SMITH:** No, the parameters that are shown there are still in
38 the units of total length.
39
40 **MR. ATRAN:** Okay, and so the red line is in terms of total
41 length and the blue line is in terms of fork length?
42
43 **DR. SMITH:** Correct.
44
45 **MR. ATRAN:** So you would expect the red line to be longer than
46 the blue line, a larger length.
47
48 **DR. SMITH:** Yes, we would expect that to be a higher L_{∞} ,

1 because you're cutting off the whole caudal fin, or not the
2 whole caudal fin, but part of the caudal fin for the fork
3 length.

4

5 **CHAIRMAN BARBIERI:** Go ahead, Matt. Thank you.

6

7 **DR. SMITH:** Moving on to reproduction, this is going to be a
8 recurring major issue in this assessment. We believe that the
9 changes we have made are for the better, but it's a significant
10 change, and so I'm going spend some time on this and make sure
11 everybody is okay with it before we move on.

12

13 We will start with the right-hand side of the plot, which is
14 pretty straightforward. We have the logistic maturity curve and
15 the power function for fecundity at length. Both of these
16 relationships are in terms of length. They were input into the
17 model in terms of length and then converted to age within SS,
18 using the growth curve that was input, and so that conversion
19 was done internal in the Stock Synthesis assessment. We
20 verified it independently, just using an Excel spreadsheet, to
21 make sure everything was doing what we thought it should be
22 doing, and it was, to the best of our knowledge.

23

24 Moving to the panel on the left, with the two lines on it, the
25 blue line, again, is the SEDAR 9 update fecundity-at-age and the
26 red line is the new SEDAR 45, and there is a marked difference
27 between these two. Previously, the fecundity-at-age comparison,
28 or relationship, was suggesting that the difference between a
29 one-year-old vermilion snapper and a fourteen-plus-year-old
30 vermilion snapper was almost negligible, in terms of their
31 contribution to the spawning stock.

32

33 The new relationship is saying quite the opposite, that as these
34 fish get longer and older that they contribute quite a bit more
35 to the spawning stock biomass. This has major ramifications in
36 terms of stock status and the projections that we'll get into,
37 and the main difference, as best as we can tell, from digging
38 through the old literature and looking at the inputs that were
39 used in the previous models, it was that, at the time of SEDAR 9
40 and the update, there were length-based maturity and fecundity
41 relationships, as well as age-based relationships that were
42 produced.

43

44 The age-based relationship was fit with a linear model. The
45 length-based relationship was fit with a power function. When
46 they were switching to the age-based assessment model, they used
47 the age relationship, which was linear, and they also used the
48 maturity assumption that there was zero percent maturity at age

1 zero and 100 percent thereafter. When you combine those two
2 things, you get the kind of linear, gradual linear ramp, that
3 you see with the SEDAR 9 fecundity-at-age comparison.

4
5 We believe that using the length is more appropriate. These
6 fish, as we saw from the growth, can be almost any size at any
7 age, so that, to say that a fourteen-year-old -- Rather than use
8 the fact that that fourteen-year-old was only 200 millimeters
9 long, for example, that the body size of the animal is more
10 appropriate for determining their ability to produce eggs, their
11 fecundity, rather than the age, since there's not really a
12 strong length/age relationship.

13
14 We were fairly comfortable with our decision to go ahead and
15 just use the raw length relationships that we put into the
16 model, and we also have a lot more faith in the fecundity-at-age
17 relationship that we got. We believe it is much more
18 appropriate for this species, but, again, it is a dramatic
19 difference from what was assumed in the previous assessment, and
20 the implications of that will trickle through the entire rest of
21 the presentation. If there are any questions on this, please
22 ask them now or later, if you think of them later.

23
24 **CHAIRMAN BARBIERI:** Yes, Paul.

25
26 **DR. MICKLE:** A quick question. With vermilion snapper, the
27 literature -- With other species, if you have an older fish and
28 it's still small, like you pointed out, but some literature on
29 other species suggests that older fish spawn more frequently,
30 not dependent upon size, and earlier within the season or later
31 in the season. The occurrence of spawning could potentially
32 occur and produce much more of an output. Is there anything
33 that you know of literature as far as the reproduction histology
34 of this species?

35
36 **DR. SMITH:** Not that I know of that gets into differences by
37 age. We did reassess the spawning frequency as part of this,
38 and it was reduced from eighty-seven spawns a year to eighty-two
39 spawns a year for vermilion snapper, but I don't believe the
40 sample sizes were there to subset by age, per se.

41
42 It just was just lumped all together, and so I do not know
43 whether older fish are going to be spawning more frequently and,
44 to my knowledge, I don't know of anything in the literature that
45 would confirm or deny your suspicions. It's certainly a valid
46 consideration, but, with the information we had at hand, we
47 didn't break it down that finely.

1 **CHAIRMAN BARBIERI:** Any other questions for Matt? Matt, I have
2 a quick one. You talked about coming up with the fecundity
3 estimates based on length, but then I see the function there
4 expressed in age. How did you make that conversion?

5
6 **DR. SMITH:** Right, and so that conversion is done internally in
7 SS, and we also did it externally in Excel, just to make sure we
8 were getting what we thought we should. It uses the Von
9 Bertalanffy growth equation, which is input, to basically
10 convert length to age, and so we see that it uses the Von
11 Bertalanffy and it uses the maturity relationship and the
12 fecundity at length and then it's basically scaled by the spawns
13 per year, and so it's scaled by the fact that we assume that we
14 have eighty-two spawning events per year, to translate all of
15 that into a fecundity-at-age relationship.

16
17 **CHAIRMAN BARBIERI:** I mean could you or did you do any
18 assessment of then what the uncertainty would be?

19
20 **DR. SMITH:** Around this relationship?

21
22 **CHAIRMAN BARBIERI:** Yes.

23
24 **DR. SMITH:** No, there was no implicit uncertainty, I believe.
25 I'm trying to think back through here. There was uncertainty
26 incorporated with the growth curve into the model, and so that
27 would have been taken into account within SS, but with the
28 maturity and the fecundity relationship, those were input
29 without error, and so there would be some error associated with
30 this, in terms of the model using the fecundity relationship to
31 produce recruitment estimates, but it would only come from error
32 in the growth curve, I believe.

33
34 **CHAIRMAN BARBIERI:** Right, but there should be some level of
35 variability in fecundity-at-age, right, but that couldn't be
36 captured in this analysis as is.

37
38 **DR. SMITH:** I believe -- It's not presented here, but I believe
39 that any error that would have been incorporated in a fecundity-
40 at-age relationship would come from the error that was input for
41 the growth curve. We did not input, explicitly, error for
42 logistic maturity or for the fecundity at length relationship.

43
44 I believe there would be some error, but it's probably not
45 enough. I don't know if there is a way to explicitly input
46 error for the maturity or the fecundity at length relationships
47 in the current SS. There's a new build coming out, which will
48 probably get more elaborate and more complicated, and we might

1 be able to do that in a future assessment, but, for this one,
2 there is a way to input error for the growth curve. We did
3 that.

4
5 The conversions were made internally, and that relationship was
6 used internally to create recruitment events in the model, and
7 I'm assuming it utilizes the error from the growth curve when
8 it's doing that.

9
10 **CHAIRMAN BARBIERI:** I am thinking about the propagation of that
11 uncertainty and, as you think about projections and you think
12 about all the other outputs that we want to be evaluating, what
13 would be the uncertainty associated with those.

14
15 **DR. SMITH:** It's a very valid concern, as we'll see when we get
16 to the projections, which is, I believe, a somewhat chronic
17 problem with these assessments, is that the error being forecast
18 in the projections is nowhere near where we think is credible,
19 and that comes up in these projections as well and we're going
20 to have to work through that. Part of that is that a lot of the
21 things we're putting in, we are doing some external analysis to
22 do it and then inputting those into the model. At its base
23 level, SS allows you to input very raw data and it, in theory,
24 does all the calculations internally and will propagate that
25 error through.

26
27 We have not gotten to the point yet, at least in the Southeast
28 Center, where we're inputting data at the rawest form. We're
29 still doing some external calculations on it. As our data
30 sources improve and as we get better at using the software, we
31 might get there, but, for now, we are not there yet, but there
32 was that input with the growth curve, in this case, but not with
33 the maturity functions.

34
35 **CHAIRMAN BARBIERI:** Thank you, Matt. Joe.

36
37 **DR. POWERS:** Just a quick comment. This graph on the left makes
38 me question the blue line more than the red line. If you look
39 at the actual parameter values, the fecundity/length
40 relationship, the exponent is about three, and so what means is
41 that basically the egg production, or fecundity, is more or less
42 proportional to spawning stock biomass, and that's kind of the
43 standard assumption anyway, and so I'm much more comfortable
44 with this.

45
46 **DR. SMITH:** We are as well, and we went back and looked at the
47 SEDAR 9 and the update fits to this. The fecundity at length
48 relationship was very, very similar. Again, it had an exponent

1 very close to three. It was very similar to the fecundity at
2 length relationship that we're using now.

3
4 The difference came when they converted to age and they fit to
5 that. The best fitting model was a linear model and, as best we
6 can tell, the results from that age fit were used, rather than
7 the length at the time, and the consequences of that are shown
8 on the screen, but we think going with the length is more
9 appropriate for now, for this assessment and for future
10 assessments.

11
12 **CHAIRMAN BARBIERI:** Yes, Steven.

13
14 **MR. ATRAN:** Just a comment. When you look at the previous slide
15 and the graph that shows the age at length, it's such a huge
16 variability of length at any given age that the fecundity at
17 length can't be any worse than the fecundity-at-age. You've got
18 huge variability there, and I would have more confidence in the
19 length-based fecundity estimates anyway.

20
21 **DR. SMITH:** Yes, I don't have the -- I didn't pull the graphics
22 from the previous assessment. I believe I have the working
23 paper with me, and so if you want to see that after we break, I
24 can maybe dig it up and we can look at it, but the fit to the
25 fecundity-at-age from the SEDAR 9 was fairly poor. You had wide
26 scatter at each age, which is what you're suggesting here from
27 the length/age relationship, very wide scatter and a fairly flat
28 linear fit to it, and the power function to the fecundity at
29 length data, even back then, seemed to fit much better.

30
31 **CHAIRMAN BARBIERI:** Thanks, Matt. Go ahead.

32
33 **DR. SMITH:** Natural mortality, this one is pretty
34 straightforward. The red line was the SEDAR 9, which was just
35 assuming a constant 0.25. We switched to a Lorenzen natural
36 mortality relationship and then, as has become sort of a custom
37 for the Southeast assessments, we prorated the age-zero natural
38 mortality by half, because we're assuming a mid-year birthday
39 for these fish, and so the blue line is the natural mortality
40 curve that was used in the SEDAR 45 assessment.

41
42 Moving on to landings, both of these images, the red line is the
43 SEDAR 9 update data. The blue line, which is mostly masked by
44 the red line, is the SEDAR 45 landings data. You can see that
45 we added four data points in this update. By and large, we had
46 good historical agreement with the landings data. There were a
47 few changes, very, very subtle changes, to some of the
48 historical data, but, by and large, the historical data matched

1 up, with a few additional data points.

2
3 In all cases, the data is suggesting basically a downward trend
4 in landings from the commercial fishery, both in the east and
5 the west.

6
7 For the recreational, the same thing. The red line is the
8 update assessment and the blue line is the SEDAR 45 assessment,
9 in the top left panel. The little lower bottom-right panel is
10 the regional breakdown of landings, and so I will start with the
11 top-left figure.

12
13 There's fairly good agreement. There are some differences in
14 the historical stuff, the first five years. The old MRFSS used
15 to include the headboat, which was then removed from it in the
16 update. That data hadn't been removed for the SEDAR 45
17 assessment. It is now, and headboat is treated separately, and
18 so you can see that the SEDAR 45 values come down.

19
20 Then, in the most recent part of the time series, you can see a
21 couple of differences. That is an adjustment that's being made
22 to all the recreational data to account for changes in survey
23 design and the sampling program within the MRFSS and the MRIP,
24 and so those differences in the historical landings, we believe,
25 are accounted for.

26
27 Recreational landings seem to be increasing in the most recent
28 part of the time series. If you look at the lower-right panel,
29 the vast majority of the landings are coming out of the eastern
30 Gulf of Mexico, primarily the western Florida area, with a much
31 smaller component coming out of the west.

32
33 **MR. GILL:** Matt, do you recall the average weight of the
34 recreational catch in vermilion, because you have this in
35 numbers of fish, whereas commercial is in pounds, and so in
36 order to compare the two.

37
38 **DR. SMITH:** I don't remember the average weight. I am not even
39 sure that we looked at that, thinking back at it. The modeling
40 framework allows you to input landings in different units. We
41 don't have to standardize the units to input them, and then it
42 uses, internally, the length/weight relationship to convert, if
43 it needs to. We input these in numbers for the recreational
44 fishery, and I don't believe we ever externally looked at the
45 weight component of the recreational fishery.

46
47 Moving on to discards, on the left is the commercial discards
48 and landings and on the right is the recreational. The green

1 and the purple line on the top part of the left commercial slide
2 represent the landings for both the east in the green and the
3 west in the purple.

4
5 The two lines at the bottom are the discards, with the blue
6 being from the east and the red being from the west. From the
7 data and assessment workshop, we came up with a range of
8 basically 10 to 20 percent discard mortality rate. What you're
9 seeing here is total discards, not dead discards, but this is
10 total discards that are shown here.

11
12 When we took into account the relatively small magnitude of
13 total discards multiplied by a fairly low discard mortality
14 rate, we decided, at the data and assessment workshop, to not
15 explicitly include discards in this assessment, as they were
16 believed to be a very small component of the total kill for both
17 the commercial and the recreational fishery.

18
19 The same thing with a different color scheme for the
20 recreational. The red is the landings and the blue is the
21 discards, and a similar discard mortality rate was assumed when
22 we were doing this analysis.

23
24 For the purposes of SEDAR 45, discards were evaluated, and we
25 opted not to include them explicitly in the model. Part of that
26 was the fact that it was believed to be a relatively small
27 magnitude of the kill. The other part was that we have made a
28 number of very substantive changes to this already, in terms of
29 the standard assessment, and so we certainly think the discards
30 should be reevaluated the next go-around for vermilion snapper,
31 but they were not included in SEDAR 45.

32
33 Shrimp bycatch was a real stickler for vermilion snapper. This
34 is another issue that has caused a fairly major change in the
35 model. On the figure, you've got two lines. The red line is
36 the shrimp bycatch annual estimates that were included in the
37 SEDAR 9 update assessment. The blue line is the shrimp bycatch
38 annual estimates from the SEDAR 45 assessment, and so, as you
39 can pretty clearly see, beginning in around 2003 or 2004, the
40 two trends diverge substantially.

41
42 This raised a bunch of red flags within the assessment team and
43 the data workshop team, and we did a lot of work -- Jeff mainly
44 did a lot of work trying to figure out what the source of this
45 difference was, and the main conclusions that we came to were a
46 couple.

47
48 Jeff did a huge amount of runs of basically forensic exploratory

1 analysis on the data that would have been available at the time
2 of the update, to try and figure out how they did their
3 assessment to get the fit that they got, and the conclusion that
4 he came up with, after I don't know how many runs, but a lot, was
5 that the observer data, for whatever reason, was not included in
6 the bycatch calculations during the update assessment.

7
8 Just to make sure that the stuff we were doing for SEDAR 45 was
9 accurate and it wasn't us that was making any sort of mistake or
10 omission in the data, we took the data that we used in our
11 Bayesian approach to get our bycatch estimates and sent it to a
12 colleague who uses a different approach to do a similar type of
13 analysis on the shrimp bycatch. He did the analysis and sent it
14 back, and it basically confirmed the trend that we were seeing
15 in the SEDAR 45 time series.

16
17 We're still not entirely happy with the result, because it
18 suggests that bycatch has trickled off to almost nothing in the
19 most recent part of the time series. There is still some
20 bycatch there. Although it looks like it's at zero, there is
21 still some, but it's just very small, and that is not reflected
22 in the change in effort.

23
24 The effort has gone down quite a bit, but it hasn't necessarily
25 gone down quite that much, and the shrimp bycatch has been an
26 issue in a number of the fisheries. In gray trigger, it was an
27 issue, and, again, it's an issue here. It's something that
28 we're going to look at, hopefully, within the Southeast Center,
29 to try and get a handle on what the best way to approach the
30 bycatch is, because we're not fully satisfied with either of
31 these results.

32
33 However, we believe, with the data and the methods and our
34 understanding of the data that we have at present, that the blue
35 line that we're going to use for the SEDAR 45 assessment is the
36 best available estimate of the shrimp bycatch, and that's based
37 on the analysis that Jeff did as well as the corroborating
38 analysis that was done by a colleague in the Panama City Lab.

39
40 **CHAIRMAN BARBIERI:** A quick question here from Carrie.

41
42 **DR. CARRIE SIMMONS:** Thank you, Mr. Chairman. Thanks, Matt.
43 Just a quick question on this. Did you guys have any
44 information on the SEAMAP trawl that you could possibly look at
45 and compare to see if you're seeing a similar trend with this
46 type of downward decrease in catch? Did you have enough samples
47 that could possibly look at that SEAMAP groundfish survey to see
48 if you're seeing a similar trend?

1
2 **DR. ISELY:** The SEAMAP data are the primarily CPUE data that go
3 into this. The drop is basically a drop in effort. With the
4 imports of Vietnamese shrimp, as well as Hurricane Katrina
5 wiping out the shrimp fleet, we see a huge decrease in effort
6 starting in 2005, and it really hasn't recovered yet. The
7 previous data incorporated SEAMAP, but it used a different
8 effort set, and so it applied effort from a small area to the
9 entire Gulf, and it was inappropriate at the time, and so that's
10 why the big difference, but SEAMAP is the base dataset we use
11 for all the CPUE data.

12
13 **DR. CHRISTMAN:** Just to reiterate what Jeff said, if you look at
14 a document from yesterday, 6(b), I think it is, shrimp aggregate
15 MSY, Figure 2.2, shows a huge drop in effort in the shrimp
16 industry, and you're mimicking exactly that drop that was seen
17 yesterday.

18
19 **CHAIRMAN BARBIERI:** Leann, do you have a question too or a
20 comment?

21
22 **MS. BOSARGE:** Just a comment. Let me start by saying that I am
23 not a scientist at all, but I do come from the shrimp fishery,
24 and just another observation is that these -- You mentioned
25 triggerfish and then we have this assessment here, and so I
26 would think that the pink shrimp fishery is going to have the
27 biggest impact, as far as bycatch, on both of those species,
28 because it's predominantly a Florida fishery. Most of that
29 effort takes place off of Florida.

30
31 The effort in the pink shrimp fishery has definitely tanked over
32 that time period, relative to some of the effort in the brown
33 and white shrimp, and so I think there's been a more dramatic
34 decrease in that effort, and so that may be where you're seeing
35 some of this as well.

36
37 **DR. SMITH:** Thank you. That's actually very helpful. We were
38 looking at trying to break down components of this data in terms
39 of CPUE and effort declines and, like I said, the magnitudes in
40 I guess sort of the all-encompassing shrimp, which would combine
41 all of those fleets, didn't appear to match what we're seeing
42 here, but these are predominantly eastern Gulf species, and so
43 it may be that the bycatch is coming from predominantly, like
44 you suggested, one of the fleets which has suffered more than
45 the other ones. We will take that back and certainly use that
46 information when we're trying to dig into how to better handle
47 shrimp bycatch.

48

1 **MS. BOSARGE:** It actually dropped off so dramatically that it
2 caused the Center or somebody to start using a different model
3 for pink shrimp. Well, for shrimp in general, but, because the
4 model that you had couldn't handle that drastic decrease in the
5 effort, we had to switch models for the stocks for shrimp, and
6 so the pink shrimp has definitely had a big, big decrease.

7
8 **CHAIRMAN BARBIERI:** Thank you for that, Leann. Steven.

9
10 **MR. ATRAN:** This is going back to the previous slide and,
11 actually, it's something that won't come up until later, when we
12 get around to talking about OFLs and ABCs, if we get to that
13 point. Ryan Rindone, who is all things SEDAR, sent us an email
14 reminding us that the terms of reference for this SEDAR say to
15 provide commercial and recreational landings and discards in
16 numbers and weight, or pounds.

17
18 I think the stock assessment has done this. Matt said that they
19 made an explicit decision not to include the discard mortality
20 in the estimate, and so the National Standard Guidelines do
21 require that we explicitly account for discard mortality in our
22 ABCs. If these discards are not being included in the
23 assessment itself, if we have those numbers, perhaps when we
24 start talking about OFL and ABC, those should be deducted from
25 whatever the OFL and the ABC would have been. Like I said, that
26 won't come up until later, but, while it's still fresh in my
27 mind, I wanted to get that out.

28
29 **DR. SMITH:** So you would be looking for an estimate of dead
30 discards?

31
32 **MR. ATRAN:** Yes.

33
34 **CHAIRMAN BARBIERI:** I would rather wait, if you don't mind, and
35 handle this discussion later, because I think there was an
36 explicit decision from the analytical team not to include
37 discards, given the small magnitude, and so I think we're going
38 to have to evaluate it from that perspective as a decision from
39 the team.

40
41 **MR. ATRAN:** Yes, and I'm not questioning the decision not to
42 include the discards in the analysis, but just, because they
43 need to be accounted for somewhere, when we get to the point of
44 looking at OFLs and ABCs, maybe deduct them from the OFLs and
45 the ABCs for the directed harvest.

46
47 **CHAIRMAN BARBIERI:** Steven, I just don't know how we could do
48 that, deduct, if they are not explicitly accounted for in the

1 actual assessment model.

2
3 **MR. ATRAN:** We'll have the numbers. Let's say it's 50,000
4 pounds of dead discards and we get X million pounds for an ABC.
5 We could just deduct 50,000 pounds from that ABC.

6
7 **CHAIRMAN BARBIERI:** But what year and what's the recruitment
8 stream, input stream, that causes that level of discards and
9 what are the changes in selectivity that lead to differences in
10 discards?

11
12 Having an absolute number of discards, it's not feasible to, as
13 far as I am understanding how -- The magnitude of discards is
14 going to be tied, very closely, to recruitment inputs and
15 variability in that and changes in selectivity functions and all
16 sorts of things. I just cannot see how that could be handled
17 analytically. Yes, Jeff.

18
19 **DR. ISELY:** I think basically what we're saying in the
20 assessment is that the discards were not significantly different
21 from zero, and so, in essence, they're accounted for in the
22 model as being zero.

23
24 **CHAIRMAN BARBIERI:** That's my point exactly by the previous
25 comment, that I mean I think the SSC needs to look at this, on
26 whether the role of discards is so negligible in this that --
27 It's not that it was improperly accounted, considering NS 1
28 Guidelines, which are non-analytical in nature. It's this
29 committee's role to actually make the call on whether the
30 discards represent a significant type of removals or not. In
31 this case, the analytical team made a decision not to consider
32 them relevant, in terms of the magnitude of removals.

33
34 **MR. ATRAN:** Maybe we ought to pick up this discussion when we
35 get to the point of declaring OFLs and ABCs, because we're
36 getting off track here, but I just wanted to see if we could
37 have those numbers available at the time.

38
39 **DR. SMITH:** I believe so. I did the best I could to put
40 everything I could get onto a portable hard drive, as well as
41 being able to VPN back into the network, and so I should be able
42 to get that. It's all within the assessment documentation.
43 Every piece of data we got is in there, and so I don't know if I
44 have them queued up in my back pocket, in my back pocket slides,
45 but, if I don't, I can more likely find them. If not during the
46 lunch break, certainly by the end of today. If I can get them,
47 I will be able to get them by the end of the day.

48

1 **CHAIRMAN BARBIERI:** Go ahead, Matt.

2
3 **DR. SMITH:** The ramifications of the change in the shrimp
4 bycatch, the annual estimates -- Like I said, we do not directly
5 use the annual estimates. Rather, we use a super-year approach.
6 If you can see them on the slide there, they are two horizontal
7 lines going along the bottom. The red one was the previous
8 median value for the super-year and the blue one is the new
9 value. Those correspond to values of 8.87 million fish in the
10 past and 4.49 million fish at present, which are quite a bit
11 different from each other.

12
13 As was done in the SEDAR 9 and SEDAR 9 update, the bycatch was
14 reduced to 75 percent of the total. This was done because a
15 modal analysis of length frequency data in the bycatch suggested
16 that it was predominantly one-year-olds, and so about 75 percent
17 one-plus-year-old fish and about 25 percent zero-age fish, and
18 the model that we were using is an age-one-plus model.

19
20 The mortality on the age-zeroes, or the removals on the age-
21 zeroes, would not be explicitly incorporated into the model, and
22 so we reduced the estimated total removal, in this case the 4.49
23 million fish, by 25 percent to accurately remove the age-one-
24 plus fish from the model.

25
26 That resulted in the current super-year of 3.3675 million fish,
27 as opposed to the 6.65 million that was used during the update,
28 and so that is a fairly substantial difference, in terms of
29 shrimp bycatch removals. We did a lot of sensitivity runs
30 around this, and the predominant result of that change is to
31 shift where R_0 is, and so basically virgin recruitment and
32 virgin biomass. Having a larger shrimp removal resulted in that
33 value being higher than it is estimated at when you have lower
34 removals.

35
36 In terms of stock status, at the end of the day, having a higher
37 shrimp bycatch removal results in a more pessimistic stock
38 status, because we're basically saying that in the past we
39 started higher and we're roughly about the same place now, and
40 so, when you compare where you are now to a higher in the past,
41 it suggests that your SPR is lower than it would be with the
42 smaller removals from the shrimp fishery.

43
44 We will see that stuff in more specifics, I believe, as we get
45 into the models and the model results, but, just to give you an
46 idea of what's coming down the pipe in terms of the
47 ramifications of this change in removals from the shrimp
48 fishery.

1
2 Age compositions, and so we're starting with commercial. The
3 top figure is the east and the bottom figure is the west. A
4 table of just the age data that we have from the vertical line
5 commercial fishery in both the east and west is on the right-
6 hand side. Sample sizes for the commercial age composition are
7 pretty good for the vast majority of the time series that we
8 have, especially from about 2003 onward, in both the east and
9 the west.

10
11 There is not a lot of very strong year classes, but, to my eye,
12 I picked out a couple here that suggest that you can pick up
13 some year classes, some strong year classes, within the age
14 composition data, as well as to suggest that, when those year
15 classes come through, they're showing up in both the east and
16 the west, at least in the commercial. As we'll see, the same
17 ones show up in the recreational as well.

18
19 When there appears to be a recruitment event in the vermilion
20 snapper fishery, it is Gulf-wide and it shows up in all of the
21 fisheries that we have data for.

22
23 Like I said, here is the recreational. Those lines are the same
24 as the ones that were shown in the commercial, and, again,
25 they're not dramatically big year classes, but I think, from my
26 eyes, from staring at it, that I can see some year classes
27 coming through, and they mimic what we saw in the commercial,
28 and so we have some confidence in the age composition data.

29
30 As we saw in the previous slide, commercial was broken down east
31 and west for this assessment. The recreational data was handled
32 Gulf-wide. Part of the reason for this is that, if you can see
33 in the table, the western age composition data is almost non-
34 existent up until about 2007, where we start to get decent age
35 composition data from the western Gulf of Mexico.

36
37 At this point, we weren't confident in our ability to get
38 selectivity estimates for the western Gulf. However, we're
39 fairly confident, by the time this rolls around to the next
40 benchmark or update, that, if this group wants to, we will have
41 the data that we need to basically go to a full spatially-
42 structured model with some sort of east and west divide, and
43 determining where that divide is will be an issue for debate.

44
45 It appears -- I don't believe there's any evidence suggesting
46 that there is genetic distinctions between the east and western
47 stock, and, as we see in the recruitment events, they appear to
48 be Gulf-wide, suggesting some mixing going on there as well, and

1 so it may be more of a fishery-based split, if and when we get
2 to that, to separately model the two fisheries, which do operate
3 differently, at least in the commercial sector, they operate
4 slightly differently, to get better estimation of local
5 abundance.

6
7 That's down the pipe. We didn't do a spatially-structured model
8 for this. We considered it, going in, but were deterred by this
9 absence of good data for the western age composition. Like I
10 said, in the future, we will hopefully have what we need to go
11 ahead with that.

12
13 This is the shrimp effort. As we alluded to, there are major
14 declines in the shrimp effort, beginning in around 2003 or 2004
15 or 2005, possibly. It drops off dramatically and then
16 stabilizes. This would represent, sort of as we talked about
17 earlier, a composite of all the shrimp fleets. This is not a
18 fleet-specific plot, by any means, and so the individual shrimp
19 fishery fleets may have experienced different drops in effort.
20 They most likely did.

21
22 What the multiple lines on here represent is an attempt to
23 reweight the shrimp effort to more accurately reflect the effort
24 that was in the areas where the vermilion snapper were to be
25 found, and so to try and weight this towards the eastern portion
26 of the Gulf. We used the SEAMAP groundfish survey catch rates
27 to do that, and the result of that analysis was practically no
28 change in the data.

29
30 In terms of the values used for the assessment, we used the
31 SEDAR 45 reweighted values, which are the blue, the shrimp
32 effort values, but they didn't differ dramatically from the raw,
33 unweighted values, which are shown in the green.

34
35 Another fairly substantial change, and something that we spent
36 some time on at the data and assessment workshop, was the
37 commercial indices of abundance, and the reason for this was the
38 fact that we believed, as a panel, that the introduction of the
39 red snapper IFQ in 2007 had the potential to be very influential
40 on the vermilion snapper commercial logbook data.

41
42 The thought behind that was that people who, depending on the
43 amount of IFQ you had for red snapper, they could basically use
44 vermilion snapper as a substitute species, and the amount
45 outstanding IFQ could influence fishermen behavior, and so
46 multiple approaches were taken.

47
48 We fit a truncated commercial index, we fit an index to the full

1 time series, and then we fit a split index, where we basically
2 created two indexes instead of one, one that stopped in 2006 and
3 then another one that started in 2007.

4
5 On the graphs that you're looking at, on the left-hand side is
6 the eastern Gulf and the right-hand side is the western Gulf.
7 The full time series is showing in green. The old SEDAR 9
8 update is shown in red, and the split series is shown with the
9 blue and the purple, with the blue being the pre-IFQ and purple
10 being the post-IFQ.

11
12 A common comment that comes when looking at these, specifically
13 if we focus on the east, is this difference, this disconnect,
14 between the pre-IFQ and the post-IFQ, and that is of no
15 consequence. It appears at though something went dramatically
16 wrong there, but it does not matter in terms of the model.

17
18 Both of these that you're looking at are basically standardized
19 around one and, to capture this increasing trend, this index is
20 shifted down, but these are fit separately. They do not
21 influence each other inside of the model, and they basically act
22 completely separately. The increasing trend here is what it's
23 important and not necessarily the magnitude, in terms of it
24 starting right at the end of this one and going up.

25
26 For the continuity model, the decision from the data and
27 assessment group was to use a truncated, to just cut the index
28 at 2007 and not include the IFQ, because it wasn't considered in
29 the update assessment. For the base model, we used the split
30 index with the pre and post-IFQ commercial index. Any questions
31 about this, because it is quite a bit of a change. I don't know
32 if it's been done before or shown before. Okay.

33
34 For the recreational indices of abundance, we fit a MRFSS/MRIP
35 index, which is the top panel, and then we fit a headboat east
36 and a headboat west index, which are the bottom two panels, east
37 being in the middle and west being at the bottom.

38
39 The SEDAR 9 update values are shown in red, and the 45 values
40 that were used are shown in blue. It's fairly good historic
41 agreement between them, despite the fact that the factors
42 included in the model were allowed to change between the two
43 updates, and so the factors are not necessarily the same that
44 were used in the standardizing procedures. Despite that, the
45 trends in the two are fairly similar.

46
47 By and large, they're showing relatively flat trends, with
48 possibly a slight uptick, especially in the MRFSS index, the

1 MRFSS/MRIP index, and it's flat, with maybe a slight uptick, in
2 some of headboat indices for the recreational fishery.

3
4 Fishery-independent indices, this is sort of a shotgun blast of
5 all three of the indices. We had the larval, the SEAMAP
6 groundfish, which was restricted to the eastern Gulf of Mexico,
7 and the SEAMAP video survey. All three of these indices were
8 incorporated into the model. The larval index was used as an
9 index of spawning abundance, and the video and the groundfish
10 were used as indices of relative abundance.

11
12 They're sort of patchwork as the programs build up. They had
13 lots of what they refer to as data holidays in here, where they
14 basically ran out of money or had a boat break down or any
15 number of issues that can restrict your sampling. They're
16 getting a little bit more consistent going into the later part
17 of the time series, which is why we're considering these and
18 we're adopting them now, is that the time series are getting a
19 little bit more consistent. As I said, they're all included in
20 this model.

21
22 This is sort of a recap on life history, because there was a lot
23 there. The major updates were that we shifted the way that we
24 model the growth, we updated the fecundity and maturity, we
25 switched the natural mortality relationship from a constant to a
26 Lorenzen, we adopted the split index for the commercial IFQ, to
27 include the CPUE analysis. Shrimp bycatch was updated and
28 changed quite a bit. We have reweighted the shrimp effort for
29 the SEAMAP groundfish, or we're using the SEAMAP groundfish
30 data, and added all of those fishery-independent data, and so
31 these are major changes in the data from the previous
32 assessment.

33
34 Moving on to -- We will go through the continuity model first,
35 very briefly, and then get into the base model, but it's just
36 sort of an overview of the framework that we used to assess it.

37
38 The assessment was done for both of these with the SS3
39 statistical catch-at-age model. It was a single area model, in
40 that we didn't have any explicit spatial structure in there.
41 Data years were 1950 to 2014. We didn't have data for most of
42 the sources that went all the way back to 1950. Where we built
43 up the historic data, we used a vertical ramp until we met up to
44 the spot where we had data for each of the individual data
45 sources.

46
47 Four fleets were considered, a commercial east and west fleet, a
48 recreational combined fleet, and the shrimp bycatch. We used a

1 bias-adjusted Beverton-Holt stock-recruitment function that
2 estimated deviations from the most data-rich portion of the time
3 series, which was 1994 to 2012, and we used age-zero age-
4 fourteen-plus, although the age-zero is just back-calculated
5 within SS. We input data for age-one to fourteen and then SS
6 uses natural mortality rate to basically back-calculate what the
7 age-zero recruitment would have been.

8
9 Like I said, life history parameters, a lot of them were updated
10 and they were externally scaled to account for an assumed
11 January 1 birthdate, which is inside the model, that is assuming
12 a January 1 birthdate. True birthdate is believed to be,
13 roughly, midyear. These animals spawn a lot throughout the
14 course of the spring and summer and into the early fall, and so
15 we just roughly averaged it out to a midyear birthday, and so
16 the life history was adjusted to account for that disconnect
17 between actual birthdate and the assumption of a January 1
18 birthdate in the model.

19
20 The commercial fisheries were fit with separate selectivities.
21 The recreational fisheries share a common selectivity function,
22 and we updated all the data through 2014. Like I said, landings
23 were linearly interpolated back to the start year, to account
24 for absences in the historical time series of data.

25
26 Super-year approach was used to fit the shrimp bycatch. The
27 Gulf-wide shrimp effort index was used to determine the trend in
28 the bycatch fishing mortality rate. Shrimp selectivity was
29 fixed. We estimated all the other selectivities, but shrimp
30 selectivity was fixed, because we didn't have the length data
31 available to us, and that was 100 percent vulnerable at age-one,
32 30 percent at age-two, 3 percent at age-three, and then zero for
33 the larger fish.

34
35 All of the landings, CPUE, surveys, and bycatch assumed a
36 lognormal error structure. Shrimp effort was assumed to have a
37 normal error structure. Age compositions followed a multinomial
38 distribution, and stock-recruitment variations assumed a
39 lognormal error structure.

40
41 **CHAIRMAN BARBIERI:** Matt, before you continue, if we go back a
42 couple of slides, can you give us a little more detail about the
43 common selectivity functions for all three CPUE indices, I mean
44 just a little -- If you can help us fill in some of eth
45 discussion points. I wouldn't expect those to have the same
46 selectivity functions.

47
48 **DR. SMITH:** They have common selectivities, and so, part of that

1 decision to have a common selectivity for those was logistical,
2 in that, if we think back to the age composition data that we
3 had for the recreational fishery, which I can maybe go back.

4
5 The numbers you're seeing here are combined numbers across all
6 fleets. This is the samples that we have from the private,
7 charter, and headboat fleets. If we were to subset these out
8 into those individual component fleets, the sample sizes were
9 not large enough to estimate, with any confidence, separate
10 selectivities for those fleets, and that was a large driving
11 factor for the decision to combine them, as well as the fact
12 that they had been combined as a single fleet historically, but
13 primarily the decision came down to the fact that we were not
14 able to estimate, with any confidence, individual selectivity
15 curves for those fleets, and so, in the absence of being able to
16 estimate them, rather than guess, we just combined them into a
17 single fleet.

18
19 **CHAIRMAN BARBIERI:** Okay. Thank you.

20
21 **DR. SMITH:** As part of the TORs, we were asked to produce a
22 continuity model, and I'm not going to spend much time on that,
23 other than just to run through it real quick. For the purposes
24 of the continuity model, we continued to assume the constant M,
25 which was the previous assumption. We kept the stock-
26 recruitment relationship assumptions in place that were in place
27 during the update, which was to estimate the steepness with a
28 prior on it.

29
30 Estimate R_0 without a prior and then the σ_R was fixed at
31 that time at 0.2, which is a fairly low σ_R , but it was
32 fixed at that, and so we kept it in place for the continuity
33 model. Like I said, we truncated the commercial index, rather
34 than introduce the IFQ, which was a new change. We estimated
35 selectivities, which was what was done in the past. All of them
36 were logistic in the past. We introduced some dome-shaped
37 selectivities into the base model, but, for the continuity, we
38 kept everything logistic except for the shrimp, which was fixed.

39
40 The CVs on the catches and the indexes, as well as the
41 neffectives for the age and length comps -- There weren't any
42 length comps. Excuse, but the continuity for the age
43 compositions and the continuity were fixed at the values that
44 were used in the 2011 update.

45
46 Then it's also important to note that the SS run -- At least I
47 think we see some SS run output that in 2011 had the shrimp
48 bycatch fixed at the median value, rather than using the super-

1 year approach. The SSASPM model, which was accepted for
2 management advice back then, used the super-year approach. It's
3 nuanced, unfortunately, but it is important that there was a
4 difference in those two doing the continuity model.

5
6 The results of that exercise, the blue line is the line that
7 came out of the 2011 update assessment. The green line is the
8 continuity model from the SEDAR 45 assessment with the truncated
9 commercial IFQ, the commercial indices of abundance. Also shown
10 here is the continuity model with the split series, which we
11 just did as an exploratory run and is on this slide, but was not
12 officially used for a continuity model, and then the red line on
13 here is the base model, which we'll get to in a little bit.

14
15 The big take-away is, by and large, the trend from the update
16 was maintained, in that abundance appears to drop off rapidly
17 through this portion of the time series and then stabilize, with
18 a slight uptick. However, there are significant differences
19 between the 2011 model and the updated continuity model, the
20 SEDAR 45 continuity model.

21
22 A large portion of this is attributed to the changes we made in
23 the life history, and so the new continuity model has the new
24 growth relationship, it has the new fecundity relationship, it
25 has the old natural mortality relationship of growth and
26 fecundity and they have been updated.

27
28 We stepped through a series of these, where we incrementally
29 made the changes, and the smoothing off of these peaks comes
30 from the changes in fecundity, where, instead of having an age-
31 one fish be basically as fecund as an age-fourteen-plus fish,
32 which means that as soon as that year class comes in, the model
33 is saying you're going to have these big spikes in recruitment,
34 because you've got all these new spawners, but it smooths off
35 those, because those fish have to grow, and some of them die
36 before they become major contributors to the spawning stock, and
37 then changes in growth played a large part in the shifts in the
38 most recent part of the time series in stock status. That is
39 the continuity model.

40
41 Moving on to the new base model, for the base model, just to
42 recap, we use a Lorenzen M, again. All the stock-recruitment
43 parameters were allowed to be freely estimated, and so we didn't
44 fix the σ_R , as was done in the previous assessment. We
45 allowed them all to be freely estimated in the model.

46
47 We used the split CPUE index. We allowed the recreational
48 fishery to have a domed selectivity. We included all of the

1 fishery-independent indices and had a dome-shaped selectivity on
2 the length data for the SEAMAP groundfish and a dome-shaped
3 selectivity on the SEAMAP video survey. As I said, the SEAMAP
4 larval survey was considered a straight index of SSB, and it
5 doesn't have any selectivity incorporated with it.

6
7 For the commercial, which maintained a logistic selectivity in
8 the base model, we did sensitivity runs trying to introduce
9 dome-shaped selectivities into the commercial fishery, and they
10 did not fit as well as the logistic, and so the logistic were
11 kept for the commercial sensitivity runs and the recreational
12 suggested the dome-shaped selectivity was more appropriate
13 there, and that's what we went with for the base model.

14
15 **DR. CHRISTMAN:** You had two selectivities, one for west and one
16 for east, for commercial before, correct?

17
18 **DR. SMITH:** Correct.

19
20 **DR. CHRISTMAN:** So do we have four now, four selectivity
21 functions?

22
23 **DR. SMITH:** We have still two for the commercial, and so the
24 selectivity for the pre and the post-IFQ is the same for the
25 commercial. There are still two there. There is not a
26 selectivity for the pre-IFQ and a selectivity for the post-IFQ.
27 As the time series builds, we may get there, but, for now, we're
28 keeping it as a common selectivity for those two parts of that
29 index.

30
31 A little bit more of the nitty-gritty, some real heavy stuff
32 here. For the landings, the CVs, the data weightings --
33 Basically, the CVs and the errors that you input into SS, in
34 terms of landings and data inputs, are used to scale the
35 relative weight and contribution of those data sources to how
36 the model fits the data. The tighter the CV, or the standard
37 error, is for a data source, the more weight that it gets when
38 the model is trying to make sense of all the different data
39 inputs, and so these are important in terms of assigning trust
40 and belief to a certain data source that you want to be the most
41 important contributor to your model, and so that is sort of
42 laying the groundwork.

43
44 The recreational CV was estimated from the recreational data,
45 and it came out to roughly 0.15, and so we used the value for
46 the recreational. In previous assessments, and as sort of a
47 general rule -- Not a rule, but a general guideline at the
48 Center, we have more faith in the data from the commercial

1 fishery, from the logbook fishery, because it is fairly well
2 regulated, and it's supposed to be a census, but it's not
3 necessarily a census, but it's close.

4
5 We have more faith in that, and the general guideline is to use
6 a three-to-one relationship between those two. Because we had
7 an estimate for recreational at 0.15, we used an estimate of
8 0.05 for the commercial, and so it's going to give the
9 commercial more weight than the recreational landings data.

10
11 For the CPUE indices, we had annual estimates of variation for
12 those that we wanted to maintain, but we wanted to have all the
13 indexes have basically equal weight, rather than one where we
14 have tons and tons of data, just due to the fact that we have
15 lots of samples, or lots of years, to drive the index component.
16 We wanted them all to have equal weight.

17
18 To accomplish that, we standardized them, so that the mean value
19 of the annual CVs of those indices for all of them was going to
20 be 0.2, but the interannual variation was going to be
21 maintained, so that, on average, every index would have a CV of
22 0.2, so on par contributing with the recreational, but not as
23 substantial as the recreational fishery, in terms of its weight
24 in the model, but maintain the interannual variability.

25
26 Shrimp bycatch error was fit at 0.1, which is sort of a
27 carryover from the previous models, and the length and age
28 compositions in the past had their neffectives capped at twenty-
29 five. We upped that cap to a hundred and then iteratively
30 reweighted these, in order to get the most appropriate,
31 according to the Stock Synthesis model, neffectives for our
32 length and age compositions.

33
34 Any one that came up over a hundred that was going to get lots
35 of lots of weight, we capped it at a hundred, to keep one or two
36 strong years from driving the entire fit to the age and length
37 composition.

38
39 **CHAIRMAN BARBIERI:** Matt, a quick question. Your effective
40 sample size is in number of fish, I imagine, instead of number
41 of trips?

42
43 **DR. SMITH:** Yes. That's sort of a hybrid, I guess. It's not
44 truly raw fish. Once you get to the neffectives, the raw
45 numbers that we had that we fed in would have been raw fish
46 counts. Once we go through the process of kind of iteratively
47 reweighting these, the numbers diverge quite a bit from that, to
48 reflect some of the cluster sampling aspect that goes into the

1 age and length composition data acquisition. That wasn't
2 explicitly handled, in terms of a statistical model to estimate
3 what the sample size would be from a cluster sample, but it was
4 handled internally in the model, through the process of doing
5 multiple iterations, until it sort of converged on the effective
6 Ns that produced the best fit to the age and length composition,
7 if that makes any sense at all.

8

9 **CHAIRMAN BARBIERI:** Yes, it does. Thanks.

10

11 **DR. SMITH:** Total for the model, we had 309 estimated
12 parameters. The vast majority of those were fishing mortality
13 rates for the three fleets, which was 260. Logistic
14 selectivities for the commercial fishery were eight, eighteen
15 parameters for the dome-shaped selectivities, one catchability
16 coefficient for the shrimp fishery, three stock-recruitment
17 parameters, and then nineteen stock-recruit deviations for the
18 data-rich time period.

19

20 **SSC MEMBER:** The stock-recruitment parameters, what was the
21 sigma_R? Did you use that?

22

23 **DR. SMITH:** We allowed that to be freely estimated.

24

25 **SSC MEMBER:** Okay. What was it, do you remember?

26

27 **DR. SMITH:** It came out actually pretty close to 0.2. I think
28 we get to that. I believe it's up here somewhere. It came out
29 fairly tight, and the stock recruitment relationship that was
30 estimated from the model, again, comes into play in projections,
31 because we, through conversations internally and with Rick
32 Methot how best to handle stock recruitment in terms of these
33 models, the suggestion was to allow the parameters to all be
34 freely estimated, so that the model could do its best to fit the
35 signal in the age and length data to get the most accurate
36 modeling of the recruitment events.

37

38 Then, in terms of projections, if we don't believe the values
39 that we were getting out of the model reflect the true biology
40 of vermilion snapper, to take a different approach in
41 projections and just use an assumed short-term constant
42 recruitment assumption, which is the direction we ended up going
43 with vermilion snapper, but, for the purposes of getting the
44 best model fit, the advice from Rick was to allow these all to
45 be freely estimated, and I believe the sigma_R ended up being
46 low. I'm pretty sure we get into that in the results and the
47 diagnostics.

48

1 The first thing we'll look at for the base model is fits to the
2 data. On the left is the commercial data. The observed values
3 are shown just with the dots. The model fit is shown with the
4 line. As you would expect, because the CV was so tight on the
5 commercial data, the fit to both the commercial east and west
6 data in the model is very good. It does an excellent job of
7 capturing the annual variability in commercial landings.

8
9 The recreational, which was not fit as tightly, still does a
10 pretty good job of capturing general trends. It misses some of
11 the specific points by a little bit more than the commercial,
12 but, again, that is a result of the differences that we imposed
13 there on the CVs for those two data sources.

14
15 The shrimp bycatch, on the left is the bycatch estimates itself.
16 It dashed-blue line is the median of that super-year, which was
17 used to kind of set the median value for the shrimp Fs, the
18 shrimp fishing mortalities. The effort data on the right was
19 used to drive or to inform the shrimp Fs that come out of the
20 bycatch, and it fit the effort fairly well. There was a little
21 bit of a disconnect in this period here, but it fully captures
22 the decline in effort in the most recent part of the time
23 series.

24
25 On to the indices. We're going to start looking first at the
26 commercial index of abundance for the pre-IFQ period. On the
27 left is the east and on the right is the west. These fit okay,
28 and a lot of what we're going to see with the indices, we will
29 have to keep in mind that, despite the fact that we have two
30 fleets here with two separate selectivities, this is still a
31 single area model, and so we're assuming one population, and so
32 there is not allowed to be differences in abundance in the east
33 and the west.

34
35 The only thing that SS can do to try and fit these differently
36 is to use the selectivity data, and so when you see, here in the
37 east, this index kind of trending up a little bit and, here in
38 the west, this index trending down, the model is forced to, due
39 to the fact that we haven't been able to fully spatially
40 structure this, split the difference.

41
42 The individual fits here for the east and the west don't look
43 that great, but, if you consider it in a sort of combined -- Do
44 the mental exercise of trying to combine those two, it does the
45 best it can to split the difference between the east and the
46 west. Anyway, in all of these slides, the red dots are going to
47 be the observed value that was input. The blue lines are going
48 to be the model fit to those values.

1
2 **CHAIRMAN BARBIERI:** Matt, catchability changes or your
3 estimation of catchability there -- I mean every time that I see
4 a change like this, where you have the first half of that
5 distribution there on the east under fitting and then over
6 fitting thereafter, to me, it suggests some potential change in
7 catchability there that couldn't be accounted for. Did you guys
8 discuss that at all?

9
10 **DR. SMITH:** Not specifically. One thing that does come up is
11 the selectivities for these in the west are quite a bit
12 different. We didn't explicitly look at catchability, and there
13 is a possibility for local differences in population abundance
14 that could attribute to these differences between the two
15 indices, but, without spatially structuring this so those two,
16 east and west, or however they provide populations, can change
17 independently, we can't capture that in here.

18
19 Selectivity was not explicitly estimated in the model for -- We
20 didn't specify a parameter for it. We only estimated a
21 catchability for the shrimp bycatch fleet, and so it was not --
22 To my knowledge, catchability, we didn't discuss it as a
23 potential source of this error, and it wasn't explicitly
24 handled.

25
26 If we get to a point where we can spatially structure this, as
27 well as other stocks -- I know a lot of the ones that I've seen,
28 this issue with the indices is a reoccurring problem, and a big
29 part of it is that we are creating sort of spatially-structured
30 indices for a population that is not being spatially-structured,
31 and so you can get these differing signals that can tell you
32 different stories, but can't be accounted for, because there is
33 no flexibility in the population.

34
35 **CHAIRMAN BARBIERI:** Okay. Thank you.

36
37 **DR. SMITH:** That issue will be a reoccurring trend in a lot of
38 these. This is the post-IFQ, starting in 2007 and going up to
39 2014. Like we saw earlier, the east suggested an increase and
40 the west suggested a flat, or possibly slightly-declining,
41 index. Again, the model's best attempt to split the difference
42 comes up with basically a flat index from the commercial CPUE
43 after the IFQ is introduced.

44
45 CPUEs, indices of relative abundance, for the recreational
46 fishery, we have the MRFSS/MRIP east index on the top and
47 headboat east on the bottom left and headboat west on the bottom
48 right. All of these are fit to the same selectivity. Unlike

1 with the commercial, where we had different selectivities, these
2 all have the same common selectivity and the common population,
3 and so they're on different scales here.

4
5 If they were scaled the same, what you would notice is that this
6 blue line is identical for all three of these, and so, again,
7 the model is restricted in its ability to fit these separate
8 pieces of data. It has to try and fit a common indices of
9 abundance, a common trend, to all three pieces of information,
10 and so the individual fits are not always going to be great,
11 but, by and large, it still captures the general trend in the
12 observed data.

13
14 The fishery-independent surveys, for the most part, suggested
15 flat or slightly increasing, in the most recent part of the time
16 series, indices, with the larval being the longest time series.
17 These are on different X-axes, if you can see them. The video
18 begins in 1995, the groundfish begins in 2009, and the larval
19 begins in 1985, and so, for the area where they have similar
20 overlap, they are all basically suggesting the same trend.
21 Larval just goes back in time a little bit more, and it has the
22 same general trend that we saw in the recreational and the
23 commercial.

24
25 Fits to age composition, we opted to go with just sort of the
26 composite fit to the age composition. If anyone is interested
27 in seeing the annual breakdown of these, we can look at them
28 later. Composite fit to the age composition was fairly good.
29 We had some slight differences in the east and the west, where
30 the model was suggesting there should be a few more age-three,
31 four and five fish than we observed, but, by and large, the fit
32 to the age comps was pretty good.

33
34 When we look at residuals for those, we see fairly good
35 residuals, without much pattern. Except for very recent in the
36 commercial fisheries, we have a fairly strong residual pattern
37 coming out of the last three years of data, where we have a
38 positive residual, suggesting that the model is predicting that
39 there should be more older fish than we're observing. We don't
40 have an explanation specifically for this at present, but it's
41 an issue that can be looked at in a future assessment.

42
43 The recreational, the residual pattern, when we had a logistic
44 selectivity on that, was fairly strong. When we introduced the
45 dome-shaped selectivity, we wind up with the residual pattern
46 that we see here, which is a fairly good. It's not suggesting
47 any real pattern or misfit with the recreational fishery.

1 We had length composition data for the fishery-independent
2 surveys. The composite fit to the length comp is shown on the
3 left. Both of those were fit fairly well, and the residuals for
4 them are on the right. There is no obvious pattern suggesting
5 misfit for the survey length composition data. Now on to
6 summary results.

7
8 **CHAIRMAN BARBIERI:** Matt, let me -- Since we've been at this for
9 an hour-and-a-half already, let me ask the committee -- Do you
10 guys want to take a quick ten-minute break? Yes. Let's take a
11 ten-minute break, Matt, if you don't mind.

12
13 (Whereupon, a brief recess was taken.)

14
15 **CHAIRMAN BARBIERI:** All right, folks. This was a very liberal
16 ten-minute break, and so if I may ask you to return to your
17 seats. I am hoping that Matt is around somewhere. There we go.

18
19 **DR. SMITH:** Okay. Moving on to some of the results from the
20 base model fit, on the left-hand figure is the harvest rate,
21 which is the total number killed divided by the exploitable
22 number of the age-one-plus fish in the population.

23
24 As you can see, harvest rate, throughout the historic time
25 series, increases up until about -- It's estimated to increase
26 up until about 1995 or 1996, reaching a peak of around 20
27 percent removal for a given year, and then it begins to decline
28 rapidly thereafter.

29
30 That decline in total removal for the harvest rate also
31 coincides with the decline in the shrimp fishery effort, and, on
32 the right-hand side is the continuous Fs for the different
33 fleets that were estimated in the model. We can see that the
34 component of fishing mortality from the shrimp bycatch fleet was
35 the predominant source of removals historically and has declined
36 substantially. That coincides with that decline in effort from
37 the shrimp fishery.

38
39 The commercial east is in blue and the commercial west is in
40 green and the recreational fleet is in yellow on that slide.
41 They've had fairly stable fishing mortality rates, with
42 potentially some slight increases in the recreational in the
43 most recent part of the time series, and declines in the
44 commercial in the most recent part of the time series.

45
46 **MR. ATRAN:** Are these apical Fs?

47
48 **DR. SMITH:** No.

1
2 **MR. ATRAN:** They're averaged across all age groups?
3
4 **DR. SMITH:** They should incorporate the selectivities.
5 Estimated selectivities for the different fleets -- As I said,
6 we fit logistic selectivity for the commercial east and west,
7 which are the top-left and the top-center panel. It's hard to
8 see the difference there. I guess you can see it, but there is
9 a difference, with the commercial west typically catching one to
10 two-year older fish than the commercial east.
11
12 The recreational fishery had a pretty strong dome estimated to
13 it, with the predominant age group being captured was age-four,
14 five, and six, and then declining as they got older. The shrimp
15 fishery was fixed. We're in the lower-left panel. It was fixed
16 and not estimated in the model, and so it is what it is.
17
18 The video and the groundfish selectivities were length-based.
19 The other four that we looked at were age-based. Those were
20 estimated inside the model, and they have the domed patterns
21 that we see there. Are there any issues with the selectivities
22 or questions?
23
24 **CHAIRMAN BARBIERI:** John.
25
26 **MR. MARESKA:** Thank you, Mr. Chairman. Some of these
27 selectivities and the previous slide, if you can go back to it,
28 that was all age-based, and so an age-one fish, again, there's
29 so much variability in the size of an age-one, and so how was
30 that addressed, the fact that some of those age-ones may be --
31 If you go back a slide. No, not that one.
32
33 **DR. SMITH:** The length/age relationship slide?
34
35 **MR. MARESKA:** Not the length/age relationship slide. I guess
36 that's the -- Here we go. That's it right there. Your harvest
37 rate of number killed were age-one, and so age-one, some of
38 those fish -- If we look at the size-at-age, a lot of those were
39 legal-sized fish that were age-one, right? These are harvest
40 and not discards. Okay. My bad.
41
42 **DR. SMITH:** Right. This is not age-one explicitly, but this is
43 overall harvest rate for the population, which, inside the model
44 framework, was age-one through fourteen-plus, and so this is
45 total number killed across all ages divided by the exploitable
46 number of those ages, and so all age-one-plus here.
47
48 **MR. MARESKA:** That cleared it up. Thank you.

1
2 **DR. SMITH:** Moving on to recruitment, in the top-left panel,
3 there are the estimated log recruitment deviations. We see
4 fairly strong correlation, as least historically, in the
5 recruitment events for vermilion snapper, where we have periods
6 of below-average recruitment followed by periods of above-
7 average recruitment.
8
9 We appear to currently be in a period of above-average
10 recruitment, at least for the last three data years. Whether or
11 not that's true now or into the future, no one knows, but, for
12 the most recent part of the data in the model, there was an
13 above-average recruitment estimated.
14
15 On the top right panel is the stock recruit data that was used
16 to fit and estimate the stock recruitment parameters. All of
17 the tail off to the right is just sort of burn-in. The actual
18 data is this shotgun blast here in the middle, which makes you
19 wonder how it estimated any parameters to fit that data, but it
20 did, and this comes back to play. We will look at some
21 diagnostics from this in a little bit, and it also comes into
22 play in projections, in terms of the fact that the estimated
23 parameters we got from this relationship we did not have a lot
24 of faith in, in terms of using them to project stock status.
25
26 Then, in the lower-right is the composite, with the estimated
27 spawning stock biomass and the recruitment events overlaid on
28 top of it, and so, again, we have somewhat dramatic swings in
29 recruitment without necessarily corresponding swings in spawning
30 stock biomass, leaving us to this kind of shotgun pattern when
31 we put them on the stock-recruitment relationship.
32
33 Stock status from the base model, vermilion snapper, at least
34 using the age-structured models that we're using now, has
35 historically been in fairly good shape, having never been
36 technically overfished throughout the course of the time series.
37
38 We start out with historical data kind of burning in and get
39 into the actual data. The data-rich period, where we have good
40 age compositions, begins in 1994. At that point, the stock was
41 considered to be experiencing overfishing, but not yet
42 overfished.
43
44 It continued to decline in abundance and then reached this area
45 where the start of this orange is the SPR 30 biomass and then
46 the MSST, which is sort of the management threshold, where we
47 get into the area where we're not quite below biomass at MSST,
48 but below biomass at the SPR 30 reference point. The stock

1 stays there for a good part of the time series, and then, in the
2 most recent part of the time series, 2014, it ticks back up into
3 having a biomass above the SPR 30 biomass reference point.

4
5 By and large, the vermilion stock is apparently experiencing
6 expert management and is right near the reference points that
7 are laid out for it, and so everybody pat yourselves on the
8 back.

9
10 Now we'll move on to diagnostics, so we can determine whether or
11 not these results are credible. The first one we're going to
12 look at is the stock recruitment parameters, because they're a
13 significant source of uncertainty and potential problems.

14
15 I will start with the figure in the top right. This is a
16 likelihood profile plot for R_0 . This is the parameter we
17 believe is best estimated in the model. If you're not used to
18 looking at these, what you want to see is this nice kind of U or
19 V-shaped profile, which is indicating fairly strong agreement
20 amongst all the sources of the data that the value of your
21 parameter is at the bottom of that V or U.

22
23 For R_0 , we believe that was fairly well estimated. Steepness
24 and variance, the estimated value of steepness from the model
25 was 0.57, and the σ_R was 0.23. For species like vermilion
26 snapper, at face value, we didn't necessarily give a lot of
27 credibility to a steepness of 0.57, and, again, as before, in
28 the update assessment, the 2011 update, the σ_R was 0.2.
29 This variance was estimated to be quite tight as well, and this
30 is a fairly tight variance for a stock-recruitment relationship.

31
32 The important thing to consider with steepness and variance is
33 that those two parameters are highly correlated, and we did an
34 analysis of the data where we fit a whole series of σ_R and
35 steepness values to create this contour plot, and what you're
36 looking at, in terms of the color gradient, is the likelihood of
37 the model for a given combination of σ_R and steepness.

38
39 You see this broad swath of kind of dark blue, and that is the
40 lowest likelihood, where the model, the final model, was down
41 here, in terms of σ_R of 0.23 and a steepness of like 0.5,
42 but a wide range of parameter values, ranging up to a steepness
43 of 0.8 or 0.85, and σ_R values of 0.5 to 0.6, are almost
44 equally as likely, given the data that we had available for this
45 species.

46
47 As I said before, from the discussions with Rick Methot and
48 internally, it was considered that allowing them all to be

1 estimated simultaneously would give us the best possible
2 recruitment estimates for the model, but that we don't have a
3 really strong evidence one way or the other to suggest that
4 these are the true values, or the best values, for vermilion
5 snapper.

6
7 When it comes to the projections, we opted to, rather than use
8 the stock recruitment relationship and conduct the true MSY-type
9 projections, to forego using them to assume a constant scenario
10 and to use proxies of MSY for reference points and stock status.
11 Any questions about this before we move on?

12
13 We also did a number of kind of standard diagnostics for the
14 model. The first one we're going to look at is retrospective
15 analysis. There was no real pathological trends in the
16 retrospectives, and so, here, we're going through the different
17 peels. Zero is the dark blue, the light blue is the one-year
18 peel, the green is the two-year, yellow is three-year, orange is
19 four-year, and red is the five-year peel. There's no really
20 strong retrospective pattern from doing that.

21
22 We do start to get some divergence in the four and five-year
23 peels, and we attribute that, in large part, to a lot of the
24 indices that we had, the post-commercial IFQ as well as some of
25 the fishery-independent indices. Once you peel back that far,
26 you're running into situations where you have only one or two
27 years of data in those indices left, and the selectivities, as
28 well as some of the parameters for them, become much more
29 difficult to estimate, and so we were very pleased with the
30 retrospective patterns from the model.

31
32 Jitter analysis, we used a jitter value of 0.2, which is a
33 little bit more. Typically, jitter values of 0.1 are applied.
34 We ramped it up to 0.2, just to see if we could get it to break.
35 The base model likelihood was 327. This is the total components
36 of the jitter and then the total likelihood. The important
37 take-away is that, while there are some cases where the model
38 diverges, the vast majority of them wind up at the 327 value of
39 the base model that we're using, suggesting that this base model
40 is not at a local minimum and that it, in fact, found as best of
41 a global minimum as we can get, regardless of the starting
42 values for the parameters.

43
44 There were a few cases, here in the length comp, and we also see
45 it in the age comp, where there were individual runs that
46 resulted in very poor or very different convergence, and, again,
47 we attribute those to some of the survey parameters, in terms of
48 the selectivity parameters for the surveys have highly

1 correlated parameters in them, and not a lot of data to support
2 them.

3
4 While, in most cases, they are estimated fairly well, you can
5 find yourself in situations where, depending on your starting
6 values, you get very poor estimation of those selectivity
7 parameters, but, summarized, by and large, jitter analysis
8 suggests that the base model is in fact the best fit for for the
9 data that's available.

10
11 Index jack-knifing, here, what we're doing is we're removing an
12 index one at a time and refitting the model to see whether or
13 not any of our indices of abundance have an overwhelmingly
14 strong contribution to the results. The general result of that
15 analysis was that, no, there is no singular index that is
16 driving this, and that's due, largely -- Not largely, but
17 potentially due, in part, to the fact that we did that
18 standardizing of the CV process for these indices, where we
19 standardized them all to a CV of 0.2, kind of putting them on
20 the same scale.

21
22 Then, of the couple that did seem to have an effect, the larval
23 and the commercial east prior to the IFQ, are these two lines
24 that kind of stand out a little bit up to the top here. They
25 suggested a somewhat lower SSB0 and R0, but not substantially,
26 and so general agreement through the index jack-knifing
27 procedure.

28
29 The continuity model comparison to the base model, we saw a
30 figure similar to this before, but, just to recap, the base
31 model here is shown in red. The two continuity models are the
32 yellow and the green, with the truncated and the split series
33 index. They're all basically telling the same story. The base
34 model suggests a slightly more optimistic stock status in the
35 time series, but general agreement between the continuity models
36 and the new base models.

37
38 Then just a few other sensitivity runs. I touched on some of
39 this earlier, but, in the plot on the left, the red line is
40 basically taking the base model, the new base model, and using
41 the old shrimp data, and, as I alluded to earlier, these are all
42 on the same scale. They're standardized, but the effect of
43 using that old shrimp was to increase the SSB0 and the R0 here.
44 This age-zero recruits, and so R0 you can see, historically,
45 with the old shrimp, was estimated to be quite a bit higher than
46 with the new shrimp.

47
48 The general trends are still captured if you use the old shrimp,

1 but the stock status comes down quite a bit, because you wind
2 up, more or less, in the same area, but you're comparing it back
3 to a much higher SSB0 at the virgin conditions. We're going to
4 move on to projections, but are there any questions on the model
5 itself, the assessment model? All right.

6
7 The projections for this are a little bit convoluted, a little
8 confusing, but we're going to try and work through them. In the
9 SEDAR 9 update process -- Obviously the ideal is to use an MSY-
10 based projection. Without confidence in the stock-recruitment
11 parameters, which we didn't have during the update and we don't
12 have now, we're going to use a proxy for MSY.

13
14 Typically, that is a SPR-based proxy, with SPR 30 having been
15 used historically for vermilion snapper. During the update
16 assessment and the projection process, it was discovered that a
17 yield per recruit, or basically an Fmax projection, produced an
18 F that was quite a bit lower than the SPR 30 F, which is shown
19 in the graph down here, where the Fmax yield per recruit
20 analysis is the blue line, the SPR 30 analysis is the green
21 line, and the resulting fishing mortalities that came out of
22 them are shown with the two dashed lines, with the SPR 30 being
23 up close to one and the Fmax fishing mortality rate being below
24 0.5.

25
26 At the time, given this result, the yield per recruit analysis
27 was used for projections and for management purposes. Critical
28 to this occurring here was one of the things that we spent some
29 time on earlier, which is this fecundity-at-age comparison.
30 Now, we spent a lot of time discussing how the yield per
31 recruit, the Fmax, analysis ended up producing a lower fishing
32 mortality rate than the SPR 30 analysis.

33
34 We did a couple of exploratory model runs with the updated data,
35 as well as looking at some of the 2011 data that was available,
36 and discovered that, even with the updated data, if we included
37 this fecundity-at-age that was used in the past, we were able to
38 recreate the scenario where we got an Fmax F that was below our
39 SPR 30 F.

40
41 The reason being for that, sort of as we touched on earlier, is
42 that, with this relationship, you don't have any big gains by
43 having these older fish in the population. You can fish them
44 extremely hard and still get good spawning stock biomass out of
45 your young fish.

46
47 With the new fecundity-at-age relationship that we have here,
48 there's a lot more value in maintaining older animals in the

1 population, and so when we looked at projections for SEDAR 45,
2 the initial goal was to do an SPR 30 projection. Then, from
3 conversations with Steven, we learned about the fact that the
4 Fmax approach was used in the past and that we should explore
5 that as well as a potential alternative for projections, which
6 we did.

7
8 The change here in this fecundity-at-age relationship, as well
9 as to a smaller, much smaller, extent the change in the shrimp
10 bycatch, made it such that the SPR 30 analysis was the much more
11 conservative projection, where it resulted in the F for the SPR
12 30 in the SEDAR 45 analysis being quite a bit lower than the F
13 when we just did a straight yield-per-recruit analysis. We'll
14 see some more of that in the next couple of slides.

15
16 For the projections, the assumptions that we had going in was
17 that F should be equal to -- From the terms of reference, we
18 should project the fishing mortality rate equal to FMSY, if
19 possible. As I just said, FMSY was not considered to be
20 possible, because the stock-recruitment parameters were not
21 deemed to be reliable, and so we projected out a proxy.

22
23 We were asked to produce an optimum yield projection, a F
24 rebuild, if necessary, and an F0, if necessary. Neither the F
25 rebuild or the F0 were done, because the stock was not
26 considered to be overfishing or experiencing overfishing.

27
28 We were also asked to do projections with landings fixed at the
29 2014 target and then for all of the projections -- If the short-
30 term projections indicated a declining trend, to develop a
31 constant catch projection for those scenarios. As I said, we
32 looked at both the Fmax yield per recruit as well as the SPR
33 proxies and are presenting the SPR proxies here, based on the
34 fact that, given the updates in the data, the yield per recruit
35 Fmax proxy no longer seems to be a viable alternative.

36
37 All projections were done based on a sixty-year projection,
38 where we assumed that equilibrium was reached over the last ten
39 years. The MSST was calculated as one minus M times the SSB
40 proxy, where the natural mortality rate here was set equal to
41 0.25, for the purposes of calculating MSST.

42
43 All of the fleet dynamics in the projections were allowed to
44 continue as they were in the terminal year. Shrimp bycatch was
45 fixed at the recent average value, and then we were able to
46 obtain provisional landings for 2015 and calculate some
47 provisional landings for 2016, such that projections will start
48 in 2017.

1
2 Recruitment, rather than using the stock-recruitment parameters,
3 was fixed, and we fixed it at the geometric mean of the most
4 recent part of the time series, 2004 to 2014, so that that value
5 was recruited every year in our projections. Again, we did that
6 because the stock-recruitment parameters were not thought to be
7 reliably estimated.

8
9 It's important to keep in mind that, when we're using a constant
10 recruitment assumption, rather than using the stock-recruitment
11 relationship, that this is really only appropriate for short-
12 term projections, because obviously, at some point in time,
13 there is a stock-recruitment relationship. You can't get
14 recruits with no spawners out there, and so you can run into
15 some potentially dangerous situations if you do long-term
16 projections without a stock-recruitment relationship and just
17 take the results you get at face value.

18
19 The projections and the yields that we're going to look at are
20 all from short-term projections rather than long-term
21 equilibrium-type projections, because it's not appropriate to do
22 those in the absence of a stock-recruitment relationship.

23
24 **MR. ATRAN:** This is a minor point, and maybe somebody who is a
25 little bit more up on the statistics can answer this for me, but
26 on using the geometric mean rather than an arithmetic mean, I
27 thought the geometric mean was used if you were averaging
28 ratios, and aren't these recruitments absolute numbers? I am
29 just wondering if geometric mean would be the correct way to go.
30 It's probably not going to make a big difference, but it's just
31 something I would throw out there.

32
33 **DR. SMITH:** I don't think we calculated the arithmetic mean to
34 know whether or not it differed greatly from the geometric mean.
35 In this case, the geometric mean has been used for doing this
36 type of analysis in the past, and it was used here as well.
37 Statistically speaking, I'm not sure what the explanation is for
38 why that's more appropriate or not.

39
40 **DR. POWERS:** Remember when you did the actual stock assessment,
41 those sigma_R's, you're using a log deviation, and so that's
42 sort of equivalent.

43
44 **DR. SMITH:** Correct.

45
46 **CHAIRMAN BARBIERI:** Matt, that's consistent with the expected
47 distributional pattern, but let me ask you something. In terms
48 of you using the average recruitment, were you able to insert

1 any kind of uncertainty or stochasticity for your recruitment
2 stream and the projections?

3
4 **DR. SMITH:** No, for this exercise, we just basically did a
5 deterministic analysis, where the recruitments were coming in at
6 the geometric mean of that time period without any variation.
7 We didn't do stochastic runs, where we allowed that to vary
8 randomly based on some measure of uncertainty, potentially the
9 σ_R from the stock-recruitment relationship. This was just
10 done deterministically.

11
12 The result of that shows up in the propagated uncertainty in the
13 projections and leads us to, rather than using, which we will
14 get to, but, rather than suggesting a P* type of approach to
15 setting a control rule for this, to err on the side of using
16 something like the optimum yield. That's what the analytical
17 team has come forward with as probably the best possible
18 solution for vermilion snapper, but that would be up to you guys
19 to decide.

20
21 This is a little more fine-tuned detail on the projections. The
22 relative F values were fixed at the average from 2012 to 2014.
23 This has become sort of a standard practice. We take the last
24 three years of fishing mortality rates and use the ratio between
25 the different fleets that you get from that in the projections.
26 The magnitude of fishing can increase or decrease, but the ratio
27 between the fleets will be maintained at whatever it was from
28 this most recent part of the time series.

29
30 Selectivity from the terminal year was used for all the fleets.
31 We didn't have time-varying selectivity, and so that could have
32 been any year, but, in this case, we used the last year.

33
34 Recruitment was fixed at 17,343,300 fish, which is that
35 geometric mean value that we got from before. Shrimp bycatch
36 was fixed at the 0.0735 and kept at that rate, and so it was not
37 varying with time and it did not increase or decrease with the
38 other fleets, as they were adjusted. The shrimp fishery was
39 held fixed.

40
41 The 2015 landings from the provisional data were estimated to be
42 2,311,000 pounds whole weight and then the 2016 landings were
43 calculated to be 2,733,000 pounds whole weight, and those values
44 were used to fill in the gaps for 2015, 2016, and projections,
45 so that we could start projecting in 2017.

46
47 **MR. ATRAN:** That bottom row, I'm a little confused on your
48 explanation. That 2016 landings is a terminal three-year

1 average 80 percent of ACL and so you're taking 80 percent of the
2 ACL for each year and averaging those out or you're taking 80
3 percent of the actual landings for each year?
4

5 **DR. SMITH:** The 2015 provisional landings, we had data almost
6 completely for that. For 2016, we didn't have very good data at
7 all for the landings, and so the options for us to use were we
8 could just plug in the ACL and say that the ACL was going to be
9 caught in 2016. If we look back at historical data for this --
10 In the past, the ACL has not been reached, for the past five or
11 six years or so, or possibly longer.
12

13 Rather than just say, given that information, that they were
14 going to catch the ACL in 2016, we opted to calculate basically
15 the average underharvest that was being done in the past, which
16 turned out to be roughly 80 percent, and take 80 percent of what
17 the ACL for 2016 was scheduled to be and use that as the
18 landings.
19

20 As I've been sort of suggesting and hinting at this the whole
21 time, just to recap, with uncertainty in the projections, fixing
22 the recruitment, as Luiz pointed out, as well as other
23 parameters, where we didn't incorporate any specific uncertainty
24 into the model, led to underestimated uncertainty in the
25 projections, as well as a low stock-recruitment variance.
26

27 The outputs that we from our stock-recruitment did not seem to
28 be appropriate for a P* type of approach. We did some rough P*
29 calculations, using the previously-assigned value of P*, and the
30 difference between the OFLs and the ABCs from that type of
31 approach were miniscule. They were on the order of 50,000
32 pounds, and so just not even worth doing the calculation.
33

34 Based on that, and from historical assessments, where we've had
35 problems with uncertainty in the projections, we proceeded, and
36 we were doing the optimum yield runs anyway, because they were
37 in the TORs, but we decided, as the analytical team, that the
38 best available information we had for establishing an ABC would
39 be to put forward the FOY run as a candidate for that.
40

41 Now we will get into some projection results. I hinted at this
42 earlier, and I was looking for this slide, and I couldn't
43 remember where it was, but here it is now. This is the result
44 of the yield per recruit, so the Fmax run, on the left, as well
45 as a -- This is an Fmax run with the fixed bycatch, and so this
46 is the fixed shrimp bycatch, which is what we're using for our
47 current projections. We are fixing our bycatch.
48

1 In the past, they had used a linked bycatch, and the linked
2 bycatch basically allowed the shrimp fishery bycatch to increase
3 or decrease with the directed fleets, which is not necessarily
4 realistic, because what the directed fleets do or do not do in
5 response to management doesn't necessarily impact how the
6 bycatch fleet is going to operate, but this is an approach that
7 was used in the past, and we explored it as well, just to see
8 what the implications were for the Fmax calculations.

9
10 With the fixed bycatch, we went through a yield-per-recruit
11 analysis on the vermilion snapper, and we wind up with the
12 maximum yield per recruit occurring at a fishing mortality rate
13 of about 0.246, which winds up with an SPR in the range of 0.12.

14
15 From the linked approach, we see, rather than just this
16 asymptotic, we at least see a relationship occurring. Again,
17 though, fishing mortality rate winds up at about 0.16. It's
18 hard to see there, but that is 0.16, and it results in an SPR of
19 0.22. From the SPR 30 analysis, we wind up with a fishing
20 mortality rate of 0.11, approximately. That gives us an SPR of
21 30 percent in equilibrium.

22
23 Based on the fact that we're using a fixed bycatch approach, our
24 alternatives, and this is sort of more of a justification for
25 why we steered away from using the Fmax, was that we were
26 winding up with this situation, where we had an asymptotic
27 yield-per-recruit type relationship that resulted in extremely
28 high fishing mortality rate and a very low spawner per recruit
29 ratio, versus the SPR 30, which, given the new fecundity-at-age
30 relationship, seems to make a lot more sense, in terms of
31 managing this stock, resulting in a more modest fishing
32 mortality rate that, as we'll see, is still capable of producing
33 ACLs in the order of where they have been in the past, as well
34 as protects spawning stock biomass, by having a much more high
35 SPR ratio of 30 percent.

36
37 **CHAIRMAN BARBIERI:** Just a second, Matt. Steven, do you have
38 another question?

39
40 **MR. ATRAN:** A comment. I could probably hold off, if you want.

41
42 **CHAIRMAN BARBIERI:** Well, I mean if it's relevant.

43
44 **MR. ATRAN:** Well, it is. I think you're kind of just dismissing
45 this 12 percent SPR as a potential target, but our National
46 Standard 1 Guidelines state that -- This is in defining what MSY
47 is supposed to be, but, by inference, the SPR associated with it
48 is the largest long-term average catch that can be taken from a

1 stock under prevailing ecological and environmental conditions
2 and fishery technological characteristics, such as gear
3 selectivity and distribution of catch among fleets.

4
5 If your more realistic model is showing the 12 percent versus
6 the 30 percent, I think it's worth actually considering that.
7 I'm not sure that it's any less sustainable, given that you
8 really have no discernable relationship on your spawner-recruit
9 curve, but, if you go by what the National Standard 1 Guidelines
10 say, you should at least be considering that other SPR.

11
12 **CHAIRMAN BARBIERI:** Let's discuss this later, in terms of
13 choices of reference points. I mean, it looks to me, if we go
14 back to your previous slide, that you had given us some
15 background to explain that the results of F_{max} , the values of
16 previously-estimated F_{max} to F_{30} , had been unusual.

17
18 I mean it was kind of unexpected for a species like vermilion
19 snapper, but then the fecundity, the changes in fecundity-at-
20 age, I mean all the life history parameter changes, the updates,
21 I think justify well that this new set of reference points
22 actually comes across much more sensibly and fall into the
23 pattern that would be expected.

24
25 To me, this justification made a lot of sense, and so going with
26 that -- To me, in this case, it would be up to the committee to
27 choose recommendations in terms of the exploitation reference
28 points that might be different from F_{max} , because it's well-
29 justified and biologically-meaningful, given this latest
30 assessment, and so I don't see a reason why we should -- You
31 know we have to remain with an estimate that's based for the
32 exploitation status and catch advice that would be based on
33 F_{max} .

34
35 **DR. SMITH:** I think was sort of the direction that the
36 analytical team was leaning. This had historically been managed
37 under an SPR 30 reference point, and then, during the update, we
38 had this situation occur, which we believe we have sort of
39 rooted out the reason that this happened, where the F_{max} was
40 almost half of what the $F_{SPR\ 30}$ was, which is an unusual result,
41 to say the least.

42
43 At the time, during the update, this was the situation, and the
44 more prudent approach was to adopt F_{max} for management purposes.
45 However, in the past, SPR 30 had been put forward for this
46 species, and so when we looked at this, and certainly, as the
47 analytical team, we basically saw it kind of return back to a
48 situation which seemed more consistent with vermilion snapper

1 life history, where the SPR 30 was a much more conservative
2 approach.

3
4 When we look at the yields that come out of that, and given the
5 history of this fishery, where they haven't been hitting ACLs
6 anyway, we wind up with a situation that you can sort of have
7 the best of both worlds, in our opinion, from SPR 30, where you
8 can maintain a higher spawning stock biomass as well as have
9 yields that come out of it that are basically right at where the
10 ACL is now and allow the fishery to continue operating as it
11 has, in the near term.

12
13 Then when we come and reassess this, if the situation has
14 changed and landings for vermilion snapper have gone up, it may
15 become an issue for conversation then as well, but I also
16 understand that there are procedural issues in place, which I
17 think is what Steven is concerned about. The specifics of the
18 procedurals for this, I am by no means an expert on, but I know
19 there are issues in play there.

20
21 **CHAIRMAN BARBIERI:** In that case, I mean the management -- The
22 FMP, the management reference points, have traditionally been
23 based on the 30 percent SPR metric, and so the last time, we
24 actually had to justify the use of Fmax, because of this
25 particular outcome.

26
27 We had to depart from the fishery management plan and the
28 council-chosen reference points, because of that. In this case,
29 I think you're provided very good justification and explanation
30 for why we are back to considering an F 30 reference point, and
31 the whole thing just kind of seems to fit so much better into
32 what would be expected biologically than what we saw the last
33 time. To me, this type of justification would have to be
34 substantiated in our report, but, to me, it makes more sense
35 this way.

36
37 **MR. ATRAN:** Procedurally, and, actually, this is going to tie in
38 with the last item on the agenda, which is Draft Amendment 44,
39 setting MSST and MSY proxies. We're trying to make sure that
40 all the species we have under the Reef Fish FMP have some MSY
41 proxies or the actual MSY, and I've had a very difficult time
42 trying to actually track what we've been doing with vermilion
43 snapper.

44
45 Officially, in our FMP, and our attorneys tell us that it's the
46 council that decides what proxy is to be used. It should be
47 based on a recommendation from the SSC.

48

1 Officially, what our FMP is says is don't use a proxy, use the
2 actual MSY and FMSY estimates. As you pointed out, the past
3 couple of assessments used F30 percent SPR, and then the update
4 assessment used Fmax, and I think it was because Fmax was
5 producing a more conservative value than F30 percent. I'm not
6 quite sure -- I'm still trying to digest what you've got here,
7 but, at some point, I would like the SSC to make an explicit
8 recommendation of what MSY proxy is going to be used, and I will
9 make sure that this gets into this MSY proxy amendment, because,
10 once the council agrees with you, we're going to be stuck with
11 that for a long time. It takes a full plan amendment to
12 officially change it.

13
14 **DR. SMITH:** Okay. We do have -- They're not in this
15 presentation, but if it comes to it, after we wrap up and
16 discuss, if people on the SSC want to see the Fmax results, I am
17 almost positive that I have them. We can get them queued up and
18 we can look at them.

19
20 The direction that the analytical team wanted to go when we were
21 putting together this presentation was to try and present a case
22 to go back to the FSPR 30, which we think is an appropriate
23 reference point for vermilion snapper, and to proceed in that
24 direction, but we did, because of the conversations we had with
25 Steven leading up to this meeting and months ago, we knew that
26 the Fmax had been used in the update, and so we did these
27 analyses to see how that would flesh out, given all the updates
28 to the life history and the data.

29
30 Those runs do exist. They're not in the presentation that we're
31 looking at now, but, if needed, I can get them dug up and
32 displayed, so people can see them.

33
34 The mortality rate metrics, as we had in the previous slide, the
35 F associated with the SPR 30 percent was 0.103, F at optimum
36 yield was 0.087, and F current is estimated to be 0.075, which
37 then, when we take the F current over the MFMT, was 0.073,
38 suggesting that overfishing is not occurring in vermilion
39 snapper.

40
41 In terms of the biomass metrics, I won't go through all those
42 big numbers, but the important part is that, in the bottom three
43 rows, the SSB current estimate over the SSB FSPR 30 proxy is
44 1.05, over the MSST is 1.4, and the SSB current over SSB0, or
45 the SPR currently, is estimated to be 0.32, and the stock is
46 currently estimated to be above the 30 percent reference point
47 and not overfished, by either the MSST or just the SSB FSPR 30
48 reference point.

1
2 For projections, and so these are not the constant catch
3 projections, but the raw projections, we see that the SPR
4 reaches 30 percent relatively quickly in the projections, around
5 2024, and then continues that way ad nauseum with the
6 projections.

7
8 The OFLs are decreasing and then seem to stabilize around 3.37
9 or 3.39. The current ACL is 3.4 million pounds and so, when
10 projecting at the FSPR 30, we wind up back in the situation
11 where we're basically looking at roughly the same scenario that
12 we've had in the past for this species, which makes sense when
13 you think about it, because we're right around our management
14 target, that these would wind up roughly the same as they have
15 been.

16
17 Projecting at OY, the values come out somewhat lower. We wind
18 up roughly around three-million pounds at equilibrium, and we do
19 have constant catch projections for these.

20
21 Constant catch, there were two. The one TOR requested a catch
22 at the 2014 target. We interpreted that to be the 2014 ACT, and
23 so we projected at 2.94 million pounds constant catch. That
24 resulted in an SPR of roughly 0.34 or 0.35, and so we can
25 continue that catch level for the near term and the stock should
26 remain not overfished.

27
28 Then, in terms of the constant catch version of the OY
29 projections, we took an average of the first five years, 2017
30 through 2021, which was 3.11 million pounds, and projected at
31 that. Again, projecting at that level of removals did not
32 result in the stock becoming overfished.

33
34 This is sort of a grand summary and then we can discuss. We
35 migrated from the Statistically Structured Age Structured
36 Production Model to SS3 and updated the median shrimp bycatch,
37 which has decreased severely. That had strong impacts on the
38 virgin SSB and recruitment and also some impacts on the terminal
39 stock status, which we looked at.

40
41 We updated the commercial CPUE time series to include the IFQ
42 and the projections that we did, we believe they severely
43 underestimated uncertainty, such that the traditional, or the
44 often-used, P* type of approach is not appropriate, at least at
45 this current junction, for setting ABCs.

46
47 The model results indicated that the stock was not overfished
48 and not experiencing overfishing. Then projections at FOY, in

1 the bottom slide here, you have the projections that we looked
2 at. This is the not constant catch OY and the percent of the
3 current ACL that it represents, about 94 percent, down to 88
4 percent. Up top here is some of the historical data that we
5 used earlier, in terms of the percent of the ACL that has
6 historically been caught by this fishery, which averaged out to
7 around 80 percent in the past.

8
9 Long story short, the projections and the yields that are coming
10 out of the optimum yield stream would be a slight reduction from
11 the current ACL, but still would be basically on par with the
12 landings that are being taken by the fishery at present, and
13 that is that, after two-and-a-half hours or whatever that was,
14 and so thank you very much for your attention, and we will do
15 our best to field any questions and dig up information, if it's
16 needed.

17
18 **CHAIRMAN BARBIERI:** Thank you, Matt. That was an excellent
19 presentation, and it was a very informative report as well.
20 Before we go into our action items and go into addressing those,
21 are there any additional questions specific about the
22 presentation for Matt? Leann.

23
24 **MS. BOSARGE:** Matt, again, I don't have the background in this,
25 but I want to make sure I understood something, and it's back to
26 that shrimp bycatch. On Slide 43, you are giving us a snapshot
27 here of the essentially the removals, and we can see, in the
28 past, when the shrimp fleet was a hot-ticket item, before
29 globalization hit us, that there was a whole lot of removals
30 coming from the shrimp fleet.

31
32 Predominantly, that was most of the mortality, it looks like,
33 and so when you go back to Slide 13, if you can flip back to
34 that, here is what I'm not sure that I'm understanding. That is
35 your shrimp bycatch, and you were talking about how observer
36 data has shown it trailing off here more recently, and that
37 makes sense, because the fleet itself has contracted
38 substantially, but then you talked about the super-year
39 approach, which is essentially a horizontal line that is closer
40 to more recent year reduced bycatch.

41
42 Are you telling the model, with that super-year approach, that
43 assume shrimp bycatch all the way back to the, and I can't see
44 what year, but, anyway, all the way back in time was around this
45 level? You're not letting it see that huge mortality from the
46 shrimp fleet when we were a much larger fleet, versus the lower
47 mortality now? Are you fixing that back in time?

48

1 **DR. SMITH:** No, we're not, and the difference, if you could go
2 up to Slide 17, is the super-year approach actually gets away
3 from the issue you're concerned with, which was that, in the
4 past, the median value had been calculated and had been fixed as
5 a constant removal throughout the time series, and so that was
6 exactly the situation that you're concerned with.

7
8 The super-year approach gets away from that, by -- Again, we
9 don't have faith, necessarily, in the annual estimates that
10 we're getting from that analysis of shrimp bycatch, because it's
11 very noisy data, and so we take a median from that, which is
12 that super-year value, and then we use this information in the
13 effort index to influence the estimates of fishing mortality
14 rate that came out of that first slide that you were looking at.

15
16 If you look at the trend from that first slide, it's going to be
17 more reflective of the effort, and so the effort is driving the
18 estimates of mortality, and the super-year approach is just kind
19 of scaling the magnitude of the mortality. It's not being held
20 constant through time. That's what was being done in the past,
21 and you're right to pick up on that as not being an appropriate
22 way to go, and so it was addressed during the update assessment,
23 I believe, in 2011, where we shifted to this approach where we
24 used the effort index as well as the super-year approach.

25
26 **CHAIRMAN BARBIERI:** Excellent point, Leann. Kai.

27
28 **DR. LORENZEN:** First, I wanted to compliment the assessment team
29 on a job that looks really well done. One comment on the shrimp
30 bycatch, that is switched to the size or age-dependent natural
31 mortality rate, which assumes a higher natural mortality rate at
32 age-one, of course, should overall reduce the impact of the
33 shrimp bycatch in the assessment, and so there is a slight
34 change there that people may not have noticed.

35
36 Finally, I wanted to come back to the growth model, briefly,
37 because, if I recall your comparison between the 2011 update and
38 current continuity model and the current base model, I think you
39 mentioned that a large part of that change was attributable to
40 the change in the growth model. Is that correct?

41
42 **DR. SMITH:** Yes, and when we were introducing all these
43 different data updates, we did so in sort of a sequential
44 process, and when we updated the life history, which was the
45 growth model as well as the reproductive, the reproductive
46 update sort of caused a lot of smoothing. The previous
47 assessment had been very jaggedly peaked. The reproductive
48 smoothed it, and the growth model update sort of stretched it.

1
2 **DR. LORENZEN:** I don't see a big issue there, and I think the
3 growth model -- The current way of estimating the growth model
4 is probably an improvement over what you've done in the past.
5 At the same time, I think, and this is a note for perhaps the
6 next assessment, but I think it would be useful to take a closer
7 look at the growth model and the way it's estimated, perhaps
8 include an explicit estimation of selectivity and the growth
9 model, which could be done in assessment or separately.
10
11 It may also be useful to look at both temporal and spatial
12 patterns in growth, given that the range of variation seems
13 very, very large, but this is really something for the research
14 list rather than a concern I have about the current assessment.
15 Thanks.
16
17 **CHAIRMAN BARBIERI:** Thank you, Kai. Mary.
18
19 **DR. CHRISTMAN:** I just wanted to confirm that your projections
20 are assuming the last three years of the shrimp bycatch effort,
21 that that effort is going to stay low, projecting forward? I
22 have no idea. Maybe Leann can address whether that's accurate
23 for the future.
24
25 **CHAIRMAN BARBIERI:** Go ahead, Leann.
26
27 **MS. BOSARGE:** I don't see globalization reversing anytime soon
28 and so, yes, I would say that's probably about right.
29
30 **DR. CHRISTMAN:** I hadn't realized that that was what was
31 happening in the industry, and so thank you.
32
33 **DR. SMITH:** To answer Mary's question, that is true. We are
34 basically maintaining those last three years of the estimated
35 values for the shrimp fishery, which are based on that low
36 effort, and projecting them into the future as fixed.
37
38 **CHAIRMAN BARBIERI:** Any other questions or comments or
39 suggestions for Matt? Then let's proceed in addressing our
40 action items for the committee. I will draw your attention to
41 Item XVII in our scope of work.
42
43 SSC members should determine if the assessment is the best
44 scientific information available, and, if so, which model run to
45 accept for management. In this case, we have a base model
46 presentation from Matt. If the assessment is accepted, the SSC
47 should determine, in a separate action, if the stock is
48 overfished or is experiencing overfishing. That's basically

1 whether we accept the stock status determination that came out
2 of this base model or not.

3
4 The SSC should then use the ABC Control Rule Tier 1 Spreadsheet
5 to determine the appropriate P^* and should recommend yield
6 streams for OFL and ABC to achieve the rebuilding target if the
7 stock is overfished, or to maintain the stock at levels at or
8 above SSB MSY if the stock is not overfished.

9
10 You may remember that Matt pointed out that the analytical team
11 is recommending that we don't use the P^* approach, given the
12 fact that the uncertainty propagation within this assessment
13 couldn't be done in a way that would include what they believe
14 is the realistic amount of uncertainty, much larger than what it
15 actually came out.

16
17 I am going to then ask you to think about, initially, the best
18 scientific information available. If that's the case, I mean
19 that automatically puts us in a situation of accepting the stock
20 status determination as presented by the base model. Then we
21 will proceed with the other action items. Steven.

22
23 **MR. ATRAN:** Just a slight modification on what you said. You're
24 right that the first thing should be determine if this is the
25 best scientific information available, completely independent of
26 what the results are.

27
28 If you do, in between that and accepting the base model, as I
29 said before, I would like to get a specific recommendation on
30 which MSY proxy you want to use, so that I have something to
31 support my other work on the amendment setting MSY proxies. I
32 think I know which way you're going to go with that. Then you
33 can determine your overfished and overfishing status and any
34 projections.

35
36 **CHAIRMAN BARBIERI:** We can do it that way if that's your
37 preference. I mean, since the base model already includes some
38 reference points the analytical team has put forth, suggested 30
39 percent SPR reference points for exploitation and biomass
40 status, by accepting the base model and considering this
41 assessment the best scientific information available, are
42 implicitly accepting those reference point recommendations as
43 proxies for --

44
45 **MR. ATRAN:** You could accept the inputs or you could accept the
46 outputs, in terms of what is the current biomass or what's the
47 current fishing mortality, but then, depending upon whether
48 you're going to use 30 percent SPR, F_{max} , FC_{max} , and I would

1 like to know where the "C" came from, or whatever, but now
2 you've got a different number to put in the denominator. You
3 could use the same outputs with different reference points, and
4 so that's really not part of the assessment itself.

5
6 **CHAIRMAN BARBIERI:** That's fine. That's probably my
7 misunderstanding. How do you want to structure this, Steven, in
8 terms of the motions by the committee?

9
10 **MR. ATRAN:** The first thing is, is this the best scientific
11 information available? Incorporated in that, you could say it
12 is, but, if you have any concerns about this assessment or any
13 recommendations for what to do different in the next assessment,
14 those should also be explicitly stated, but you can have some
15 stated concerns and at the same time say that this is the best
16 available scientific information, but that's the first item you
17 should address.

18
19 **CHAIRMAN BARBIERI:** Bob Gill.

20
21 **MR. GILL:** Mr. Chairman, would you like a motion to that effect?

22
23 **CHAIRMAN BARBIERI:** I would very much appreciate a motion to
24 that effect, Mr. Gill.

25
26 **MR. GILL:** It's to accept the SEDAR 45 vermilion snapper
27 assessment as the best scientific information available and is
28 suitable for management advice. Not the second part?

29
30 **CHAIRMAN BARBIERI:** Yes, without the second part.

31
32 **DR. SHIPP:** I second the motion.

33
34 **CHAIRMAN BARBIERI:** Thank you, Bob. We have a motion on the
35 board, and it has been seconded. The committees accept the
36 SEDAR 45 vermilion standard assessment, vermilion snapper
37 standard assessment, as the best scientific information
38 available. Is there discussion on this motion, if any? Mr.
39 Gill.

40
41 **MR. GILL:** A little wordsmithing, if we could. "Vermilion" has
42 one "l", and it should have "snapper" after it.

43
44 **CHAIRMAN BARBIERI:** Assuming that this is pretty much a
45 consensus, let me ask if there is anybody opposed to this
46 motion? Seeing no opposition, the motion is unanimously
47 accepted. It passes unanimously. The next motion, Steven?

48

1 **MR. ATRAN:** If you would accommodate me, I would like a
2 recommendation as to which MSY proxy you feel should be used. I
3 think you've already provided a rationale. I may need to go
4 back and discuss some of that with you later on, but a specific
5 recommendation of what proxy should be used for MSY would be
6 very helpful to me.

7

8 **CHAIRMAN BARBIERI:** Mr. Gill.

9

10 **MR. GILL:** Thank you, Mr. Chairman. A question. In previous
11 assessments, we've gotten hung up over suitability for
12 management advice, and my understanding was that we always want
13 to state whether it is or it is not. We seem to be not doing
14 that this time, and why is that?

15

16 **MR. ATRAN:** If you would like to make a specific recommendation
17 to that point, you can. I was just starting to get into the
18 specific details, but, Doug, do you remember what Mara said on
19 this?

20

21 **MR. GREGORY:** No, and we can go back and look at the report from
22 the last meeting, but I remember saying that that wasn't really
23 necessary or a purview of the SSC, but she was -- She didn't say
24 it that directly, but that was my impression, but I'm not sure.

25

26 **MR. ATRAN:** I think one of the problems is that, in a previous
27 assessment, it was accepted, but there were issues with the
28 assessment. Not everything in the assessment was useful, but
29 some things were useful, and so accepting it carte blanche as
30 useful for management advice created some legal issues that,
31 fortunately, we were able to work around.

32

33 **CHAIRMAN BARBIERI:** I mean, going back to the motion on the MSY
34 proxy. Let me just remind the committee that, by accepting the
35 assessment as presented as the best available science, we are
36 implicitly accepting the choices of reference points as
37 suggested by the analytical team, which right now are based,
38 both for exploitation and biomass, on 30 percent SPR. Is that
39 okay, Steven? I am just reminding the committee that the base
40 model -- The way that I have understood this process is that the
41 analytical team, whether it's a benchmark update or a standard
42 assessment, evaluates all the different criteria and all the
43 different data and all the different issues associated with the
44 assessment and makes a recommendation on the reference points
45 for exploitation and biomass, whether we're going to use MSY
46 directly or whether the base model is going to be based on an
47 SPR proxy.

48

1 In this case, we got a presentation using SPR 30 percent, and
2 that was justified by the updated fecundity function and the
3 maturity functions and all the other life history information.
4 For this assessment, we are departing from the Fmax reference
5 point to go to a 30 percent.

6
7 **MR. ATRAN:** Actually, and it wasn't in the presentation, but in
8 the assessment itself, Table 21, summary of MSRA benchmarks and
9 reference points, it does provide some status determination
10 reference points for F30 percent SPR and FCmax, and I think Fmax
11 is in here as well. Basically, you do have a choice. Your
12 choices would be to use the actual FMSY, which is not presented
13 in here, and I think Matt gave some very good rationale why it
14 shouldn't be used.

15
16 Use the FCmax, which corresponds to 12 percent SPR and F of
17 0.246, use Fmax, which is an F of 0.081, and I'm not sure what
18 SPR that corresponds to, or use F30 percent SPR, which
19 corresponds to an F of 0.106.

20
21 **CHAIRMAN BARBIERI:** Do you want to present this in the form of a
22 motion, Mr. Atran?

23
24 **MR. ATRAN:** I am asking somebody to make a motion that says we
25 recommend that X be used as the proxy for MSY.

26
27 **DR. POWERS:** I would like to move that the council recommends
28 that the MSY proxy be the fishing mortality rate at 30 percent
29 SPR and the biomass at 30 percent SPR. I guess it really
30 shouldn't be biomass. It's egg production, but, still, you get
31 the point.

32
33 **CHAIRMAN BARBIERI:** He's talking about both the exploitation and
34 biomass proxies for MSY.

35
36 **MR. ATRAN:** Or MSY be the yield when fishing at a fishing
37 mortality rate of 30 percent SPR.

38
39 **CHAIRMAN BARBIERI:** A friendly amendment, Mr. Atran?

40
41 **MR. ATRAN:** I can't make friendly amendments, but I was -- The
42 MSY proxy be the yield when fishing at --

43
44 **DR. POWERS:** Doesn't that need to be FMSY?

45
46 **MR. ATRAN:** It either has to be FMSY or it has to be MSY be the
47 yield, because MSY is a yield and not a fishing mortality rate.
48 At the fishing rate of 30 percent SPR.

1
2 **CHAIRMAN BARBIERI:** Despite the language, we all understand that
3 we're talking about MSY estimated directly, using the stock-
4 recruitment relationship or using proxy reference points at 30
5 percent SPR for both exploitation and biomass. We have a motion
6 on the board and a second by Ben. Is there discussion on the
7 motion? **Again, assuming that this motion will have major**
8 **acceptance by the committee, let me ask those in opposition to**
9 **this motion, would you please signify that by raising your right**
10 **hand? No opposition, and this motion carries unanimously.** The
11 next motion you need, Mr. Atran?

12
13 **MR. ATRAN:** I guess the next thing is, before you recommend
14 projections, you were talking about there was a recommendation
15 that the P* method not be used?

16
17 **CHAIRMAN BARBIERI:** No, that's discussion that we're going to
18 have to have as a committee. I mean the analytical team has
19 made a point to say that the model outputs, as presented in this
20 assessment, don't have enough uncertainty for us to be able to,
21 likely, properly apply our ABC Control Rule Tier 1, and so they
22 are suggesting a different path, in terms of catch advice going
23 forward, and we're going to have to discuss this as a committee,
24 in terms of the yield streams that we are supposed to provide
25 for OFL and ABC for the council, but just to make sure that we
26 get all the necessary committee actions, in terms of stock
27 status determination.

28
29 **MR. ATRAN:** You're correct. The next item, I guess, would be,
30 having accepted the stock assessment and having recommended a
31 proxy for MSY, now you're in a position to recommend the
32 overfished and overfishing status.

33
34 **CHAIRMAN BARBIERI:** Don't everybody jump in all at once, please.
35 **Then I'm going to make a suggestion here that the committee**
36 **recommends that the SEDAR 45 stock assessment of vermilion**
37 **snapper determines that the stock is not overfished and not**
38 **undergoing overfishing.**

39
40 **SSC MEMBER:** The one thing I would change would be the committee
41 determined, instead of recommend.

42
43 **DR. TOLAN:** A question on the motion. Are we determining that
44 or are we agreeing with the determination of the assessment?

45
46 **CHAIRMAN BARBIERI:** Dr. Shipp.

47
48 **DR. SHIPP:** I think the verbiage should be that the committee

1 accepts that the SEDAR 45 stock assessment, et cetera.

2
3 **CHAIRMAN BARBIERI:** Dr. Shipp, given that recommendation, which
4 I accept, would I correctly interpret that as you seconding this
5 motion, as modified?
6

7 **DR. SHIPP:** Yes, you have correctly determined that. Again,
8 you're right on.
9

10 **CHAIRMAN BARBIERI:** Thank you, Dr. Shipp. The motion on the
11 board is the stock status determination for vermilion snapper,
12 as the result of SEDAR 45, is not overfished and not undergoing
13 overfishing. Is there discussion on this motion? Bob.
14

15 **DR. SHIPP:** Again, it's minor editing, but it should be "the
16 committee accepts" and it should be "vermilion snapper
17 determination". I think that's a little bit clearer verbiage.
18

19 **CHAIRMAN BARBIERI:** Any opposition to this motion? Seeing none,
20 the motion carries unanimously. Now, Mr. Atran, I think we are
21 ready to proceed with discussion of catch advice to the council.
22

23 **MR. ATRAN:** I am trying to figure out where does this item fit
24 in about the Tier 1 not being adequate for this particular
25 assessment, or do you feel that there's already been enough
26 discussion on that?
27

28 **CHAIRMAN BARBIERI:** Well, I think that this is part of catch
29 advice to the council, whether we're going to determine that
30 catch advice would be based on an ABC stream applying our Tier 1
31 of the ABC control rule or whether we're going to develop or
32 provide some other methodology for providing yield streams of
33 OFL and ABC.
34

35 With that, we have a situation here of vermilion snapper that
36 the assessment couldn't really account for a lot of the
37 uncertainty in the data and parameter estimates, and the
38 analytical team is recommending that we forego application of
39 our Tier 1 P* approach for ABC determination, using our ABC
40 control rule, and they actually recommended, or suggested
41 perhaps, the use of an optimum yield yield stream for ABC, given
42 the reduction in yield from OY to MSY or its proxy, and so there
43 would be a built-in kind of a buffer there between OFL and ABC
44 if we set ABC equal to the yield stream at OY. We need to
45 discuss those issues as we think about moving forward in
46 providing those yield streams. Mr. Atran.
47

48 **MR. ATRAN:** An alternative to that is, if you feel that Tier 1

1 is not an appropriate method to use out of the ABC control rule,
2 is to drop down to Tier 2 and see if that's appropriate. Tier 2
3 says to calculate a probability density function around the
4 overfishing limit that accounts for scientific uncertainty, but,
5 instead of calculating what a P* should be, you select from a
6 set of options, risk of exceeding OFL equals 50 percent, equals
7 40 percent, or equals 30 percent. That would really kind of
8 correspond to just selecting a P* of 0.5, 0.4, or 0.3 without
9 doing the spreadsheet calculation.

10
11 **CHAIRMAN BARBIERI:** It might be helpful, Charlotte, if you could
12 just project the document there of our ABC control rule. This
13 is our ABC control rule, as approved by the council in the
14 Generic ACL/AM Amendment. Jim.

15
16 **DR. TOLAN:** The beginning of this says that an assessment
17 exists, but does not provide an estimate of MSY or its proxy,
18 but we just passed a motion that said we agree that the proxy
19 for MSY is going to be the F at 30 percent SPR, and so we really
20 are sort of boxed out of using the Tier 2.

21
22 **CHAIRMAN BARBIERI:** No, because if you read the whole language
23 there, Jim, it says "and the probability density function of
24 overfishing limit that reflects the scientific uncertainty for
25 Tier 1" as a condition for use", and so a quantitative
26 assessment provides both an estimate of overfishing limit based
27 on maximum sustainable yield of its proxy and a probability
28 density function of overfishing limit that reflects scientific
29 uncertainty.

30
31 In this case, basically what the analytical team was telling is
32 that we don't have a PDF of OFL that appropriately reflects the
33 distribution, taking into account all of the uncertainty that's
34 expected. Is that right, Matt?

35
36 **DR. SMITH:** That is correct.

37
38 **CHAIRMAN BARBIERI:** As Steven pointed out, another option is to
39 use Tier 2, but, if Tier 2 -- Actually, looking at this Tier 2,
40 I mean, really, you still need to have an OFL that properly
41 accounts for the scientific uncertainty, right? I mean it gives
42 the different levels of the equivalent of P* as the risk of
43 exceeding OFL, but you still have to have a properly-estimated
44 PDF of OFL.

45
46 **MR. ATRAN:** Yes, and this really isn't worded very well compared
47 to the way that we run things, but obviously the OFL is going to
48 be the yield where you've got the 50 percent probability of

1 exceeding whatever your true overfishing yield should be, and so
2 that would be a P^* of 0.5, and then your ABC would be 0.5 or
3 lower, and this says just to select one instead of trying to
4 calculate one.

5
6 As far as the probability density function itself, I think the
7 last one or two times that you've done a PDF, rather than try to
8 calculate a variance for the PDF, you have just gone with a
9 fixed variance of 0.37, based upon the Martell and Froese
10 report.

11
12 **CHAIRMAN BARBIERI:** I understand that, but if the risk of
13 exceeding OFL there is expressed as a percentage, and so this is
14 going to have -- You still have to apply a value to a PDF of OFL
15 to come up with the actual -- If we don't have a PDF -- I mean
16 this is what the analytical team is telling us. If we choose,
17 for example -- Suppose we choose B, and so the risk of exceeding
18 OFL is 40 percent, which, in reality, that's your value of P^* ,
19 but that value of P^* will have to be used in conjunction with a
20 PDF of OFL, so we actually know what the ABC value, the actual
21 catch, that's going to be associated with that probability of
22 overfishing.

23
24 **MR. ATRAN:** That's what I've been saying. One of the problems,
25 in the past, with trying to calculate a PDF is that you've
26 looked at a range of model scenarios, usually fluctuating the
27 natural morality rate, to try to get some idea of variance,
28 given the uncertainty in the assessment, but you have not gotten
29 very high levels of variance out of that.

30
31 I know at least one time in the past, and maybe more, that you
32 used a global standard deviation that came out of the report
33 that was done by the Pacific Council, where they looked at a
34 number of stocks out in the Pacific and came up with a pooled
35 variance of 0.37. My understanding is that, if you're using a
36 predetermined variance, that you can develop a PDF on just about
37 anything. Am I incorrect about that?

38
39 **CHAIRMAN BARBIERI:** Clay.

40
41 **DR. CLAY PORCH:** Steve, you're right. I mean he's referring to
42 the Ralston approach, where they looked at the empirical
43 performance of a lot of assessments in the Northwest and came up
44 with a variance for the OFL.

45
46 You could borrow it from the Northwest assessments. I don't
47 remember the example you're talking about where we actually
48 applied it. The ABC Control Rule Group looked at it, but

1 obviously it's not codified here, and so I mean maybe there was
2 a species we applied it, but I don't recall, whereas we have
3 applied the 75 percent of the FMSY proxy, I think, for a couple
4 of species.

5
6 In fact, Will Patterson had made a recommendation that we codify
7 it in the ABC control rule, and, of course, when it went to the
8 council, that got kicked back to us, and so that's part of the
9 reason that Tier 2 is almost unintelligible and not especially
10 useful. It really needs to be rewritten, but the bottom line is
11 -- I can't remember which species, but I believe, for a couple
12 of them, we have used the 75 percent, the OY definition, for the
13 ABC.

14
15 I can't recall when we have used the Ralston et al. variances.
16 The idea was we would eventually repeat that sort of analysis in
17 the Southeast and then present that as a possible alternative,
18 but we just haven't done it yet.

19
20 **CHAIRMAN BARBIERI:** A couple of issues here. I mean we could --
21 Your suggestion is that we could use the Ralston et al. CV to
22 actually estimate a new PDF of OFL, using that measure
23 dispersion there, to come up with the shape. If we do this, we
24 could just apply a Tier 1. I mean we're just going to need to
25 make a choice of P* based on the application of the Tier 1 ABC
26 control rule and then request stochastic projections that would
27 be done at that level of catch, given that probability of
28 overfishing as determined by the ABC control rule. That's
29 another option.

30
31 We wouldn't be able, most likely, to have this done at this
32 meeting, but we could request -- Just to clarify, when we make a
33 catch level recommendation to the council, we are required to
34 make recommendations on ABC yield streams, and those are
35 supposed to, according to NS 1, to be made according to our ABC
36 control rule or we have to provide a justification of why we're
37 departing from our ABC control rule, and so we have that option,
38 which we could go with some other value of ABC that is less than
39 OFL and we feel would help us better account for uncertainty in
40 where the actual OFL is.

41
42 Another option is for us to borrow the Ralston et al. CV of OFL
43 that has been used in the Pacific, I believe, and then use that
44 and ask that the analytical team go back and prepare a new PDF
45 of OFL that would use that CV.

46
47 Hopefully that wouldn't be too narrow and it would better
48 account for the shape of the PDF that would give us realistic

1 probabilities of overfishing. If we use that and we come up
2 with our yield streams, we have stochastic yield streams at P*
3 50 percent for OFL and whatever value comes out of our ABC
4 control rule for ABC, or we can do something else, if other
5 ideas come to mind. Any specific preferences from the committee
6 on which of those -- Clay.

7
8 **DR. PORCH:** I'm not on the committee, but just, if it helps, you
9 may recall that Rios and Calay submitted a paper where they
10 computed the buffers with the Ralston et al. approach and the
11 FOY approach, and the buffers were pretty similar. They were
12 intended to be a little bit bigger than when we applied P* with
13 the single model asymptotic variance approach, and so I don't
14 think it will make that much difference, and so maybe you might
15 want to focus on being more consistent with what was done in the
16 past, if it doesn't make that much difference after all.

17
18 **CHAIRMAN BARBIERI:** Thank you for that, Clay. We have looked at
19 the performance of applying the 75 percent of MSY, of its proxy,
20 as a yield stream for ABC, and it came fairly close to what it
21 would be if we went through the process of requesting stochastic
22 projections at P*, given the CV of 0.37. As the Chair, I am
23 trying to avoid making motions myself, but -- Go ahead, John.

24
25 **MR. MARESKA:** I guess I will go on record as being in favor of
26 the 75 percent of the MSY rather than the Ralston approach,
27 which is stocks that don't even occur in the Gulf of Mexico.

28
29 **CHAIRMAN BARBIERI:** Can you help out there, John, a little bit,
30 in terms of building the motion?

31
32 **MR. MARESKA:** What we're shooting for here is the -- The
33 committee recommends that we want 75 percent of MSY be used to
34 determine the ABC. Is that right? Of vermilion snapper.

35
36 **CHAIRMAN BARBIERI:** Joe, you're thinking about, instead of 75
37 percent of MSY, you're thinking about a yield stream at 75
38 percent of F 30 percent? You're thinking that --

39
40 **DR. POWERS:** We've already said that the proxy we're going to
41 use for MSY is 3 percent, and so it's either way, but the point
42 is that it's not 75 percent of MSY. It's 75 percent of some F
43 level.

44
45 **CHAIRMAN BARBIERI:** That would be 75 percent. Recommends that
46 the yield stream at 75 percent of FMSY. Is that right, John? I
47 am just paraphrasing.

48

1 **MR. MARESKA:** It's not MSY. It's F 30 percent SPR, right?
2
3 **CHAIRMAN BARBIERI:** Of F 30 percent SPR, yes.
4
5 **DR. POWERS:** Charlotte, it would be recommends that the yield
6 stream at 75 percent of 30 percent SPR, et cetera.
7
8 **CHAIRMAN BARBIERI:** It would help, to add to that as well, if we
9 had a projection time horizon here of whether we're going to do
10 three years or five years or however long we would like to
11 recommend that yield stream to be built. Steven.
12
13 **MR. ATRAN:** I'm wondering if maybe that ought to be a separate
14 discussion, and I am thinking maybe you might combine this with
15 saying that the yield at 75 percent of 30 percent SPR be used to
16 determine the ABC and the yield at F 30 percent SPR be used to
17 determine the OFL. Would that make sense?
18
19 **CHAIRMAN BARBIERI:** Do you agree with that, John, as a
20 modification to --
21
22 **MR. MARESKA:** Yes, I would accept that.
23
24 **MR. ATRAN:** The yield at F 30 percent SPR be used to determine
25 the OFL. That covers both OFL and ABC.
26
27 **CHAIRMAN BARBIERI:** I don't believe you have seconded that
28 motion, Mr. Atran.
29
30 **DR. POWERS:** I will second it.
31
32 **CHAIRMAN BARBIERI:** The motion is seconded by Joe Powers. The
33 motion on the board is the committee recommends that the yield
34 stream at 75 percent of F30 percent SPR be used to determine the
35 ABC and the yield at F30 percent SPR be used to determine the
36 OFL of vermilion snapper. Is there discussion? Jim.
37
38 **DR. TOLAN:** Are we going to put a time horizon this? If so, I
39 recommend three years.
40
41 **CHAIRMAN BARBIERI:** Mr. Atran actually requested that we do this
42 through a separate motion. Any other questions or discussion
43 points regarding this motion? **Seeing none, then let me ask if**
44 **anybody is opposed to this motion as presented? Seeing no**
45 **opposition, the motion is approved unanimously.** The next
46 motion, Mr. Atran?
47
48 **MR. ATRAN:** Obviously I'm not going to make a motion, but I

1 guess now is the appropriate time to talk about how long of a
2 time period you want to make your recommendation for, and one of
3 the reasons that I wanted you to do this as a separate item is
4 because it ties in with an issue we've got coming up later on in
5 the agenda about a series of motions that you had made over
6 about two or three SSC meetings last year, where, with a
7 declining yield stream, which it looks like you have here --
8 Basically, what it ended up with was you saying if, at the end
9 of your time period, there has been no new stock assessment, you
10 should drop down to whatever the equilibrium yield is.

11
12 I don't know if we've been presented with an equilibrium yield
13 here, and we've gotten conflicting information from the SSC,
14 conflicting advice, on how to use that equilibrium yield or
15 whether to use it at all. I'm not going to get into that
16 discussion right now, unless you want me to, because it's a
17 separate agenda item, but what we have, apparently, is a stock
18 that is very healthy.

19
20 Apparently it's above its 30 percent SPR level, even above its
21 OY level, and so your yield stream is declining. Do you want to
22 limit yourself to only three years, given that? I understand
23 the increasing uncertainty going out in time, but, usually, I
24 think we try to time these things so that we can get a new stock
25 assessment before the yield stream that you're recommending runs
26 out.

27
28 As far as I know, there is no new vermilion snapper assessment
29 on the SEDAR schedule, and so I am wondering what to do. If you
30 only do a three-year or a five-year timeframe, what do we do
31 when that timeframe is up? Also, don't forget that, with a
32 declining yield stream, the council would like both the annual
33 yields and a constant catch scenario considered.

34
35 **CHAIRMAN BARBIERI:** Matt.

36
37 **DR. SMITH:** I don't know if it's still up or not, but if you
38 pull up the presentation, since the OY seems to have been
39 approved, we did do a constant catch projection with FOY. It's
40 on Slide 70, just to give you an idea.

41
42 **CHAIRMAN BARBIERI:** Matt, it sounds like a technical, a slight
43 technical, lawyer-ish, but what the SSC is recommending is yield
44 at 75 percent of F30 percent. We are not recommending OY.
45 That's the recommendation that goes with the council, as a
46 management measure.

47
48 **DR. SMITH:** Okay.

1
2 **CHAIRMAN BARBIERI:** I know it's a subtle issue there, if the
3 true values in our minds are the same, but we want to make sure
4 that that is on the record officially, that the recommendation
5 is for yield at 75 percent at F30 percent, and that has nothing
6 to do with the council's choice in determining optimum yield,
7 which follows, according to the National Standard Guidelines,
8 another set of definitions, legally.
9
10 **DR. SMITH:** Thank you for that correction. Then this can just
11 be used as a general reference then, I guess, to help guide
12 conversation. The goal with this analysis was a 75 percent of
13 the F SPR 30 that generated these numbers, and we used an
14 average of the first five years to come up with that constant
15 catch value, and so just to give members an idea of where the
16 SPR goes when fishing at that value for I guess the ten-year
17 horizon that we have up there.
18
19 **CHAIRMAN BARBIERI:** Great. That, I think, addresses that issue,
20 that we now have yield streams for constant F and constant
21 catch. John.
22
23 **MR. MARESKA:** In the timeframe, I kind of agree with a lot of
24 things that Steven has said, but, typically, I don't like to go
25 beyond three years, but, with this fishery, they haven't
26 achieved their ACT or ACL in the past two years, and it doesn't
27 look like any of that is going to change. I am more comfortable
28 with going for five years, in this case.
29
30 **CHAIRMAN BARBIERI:** Do I hear that in the form of a motion,
31 John?
32
33 **MR. MARESKA:** Yes, that can be a motion, five years for yield
34 stream, and so that would be 2017 through 2021.
35
36 **CHAIRMAN BARBIERI:** This would be for the yield streams of OFL
37 and ABC used for projections for vermilion snapper. The motion
38 is from John Mareska.
39
40 **DR. BLOUNT:** I would just say that I agree with him completely
41 and second the motion.
42
43 **CHAIRMAN BARBIERI:** Thank you, Ben. The motion on the board has
44 been seconded. Is there discussion? No questions or discussion
45 points. **With that, let me ask if there is any committee member**
46 **that is opposed to this motion as presented on the board?**
47 **Seeing none, the motion --** Marcus.
48

1 **DR. DRYMON:** One just question. Does this suggest that there
2 will be a new SEDAR within five years for vermilion snapper or
3 do we know the schedule that far ahead?
4

5 **CHAIRMAN BARBIERI:** I don't know that question. Mr. Rindone is
6 here and he can help us with that, but, before he says anything,
7 Marcus, we can make a recommendation to the SEDAR Steering
8 Committee that we would like to, and the council will make a
9 choice to the SEDAR Steering Committee on following that
10 recommendation or not, but we can make that recommendation. Mr.
11 Rindone.
12

13 **MR. RYAN RINDONE:** Thank you, Mr. Chair. Included in the list
14 of species that the council has said they would like MRIP
15 calibration updates for is vermilion snapper. Granted, it is on
16 the tail-end of that list, but that would result in updates to
17 the recreational side of things. As far as a dedicated
18 assessment, we don't have one on the schedule through 2019, and
19 so that would give the council 2020 and 2021, I suppose, to see
20 that some sort of assessment was done.
21

22 **CHAIRMAN BARBIERI:** Excellent. Marcus, that was a good point,
23 and when we get our draft report, it would be good to make note
24 of that, that the committee is making that recommendation, and
25 thank you for that. Mr. Atran.
26

27 **MR. ATRAN:** When you get to the point of actually recommending
28 some numbers -- Well, we haven't passed this motion for five
29 years, have we?
30

31 **CHAIRMAN BARBIERI:** Yes.
32

33 **MR. ATRAN:** Okay. You are going to do five years' worth of
34 yield projections and, given that it's a big unknown if we're
35 going to get a vermilion snapper assessment within that time
36 period, you might want to think about what we're going to do in
37 year six and beyond if we don't have a new assessment.
38

39 That's where we're running into a problem that we're going to
40 bring up probably this afternoon with respect to hogfish. Do we
41 just fix it at whatever the terminal yield was on year five or
42 do we do something else? At any rate, it's just something to
43 think about when you get to recommending some actual numbers for
44 that five years.
45

46 **CHAIRMAN BARBIERI:** Thank you for that, Mr. Atran. Duly noted.
47 Looking at our list of action items to be completed, I think
48 that providing these yield streams for OFL and ABC complete our

1 review and catch advice for vermilion snapper, the SEDAR 45
2 stock assessment. Any other questions or comments from the
3 committee? Bob.

4
5 **MR. GILL:** Thank you, Mr. Chairman. I guess I would ask Leann.
6 We have a declining yield stream. Is it likely that the council
7 is going to come back and ask us for a constant catch? We have
8 that information before us now, and, if that's the case, then
9 perhaps we could address it, if the committee is so willing, but
10 discussion at the council on their druthers for constant catch -
11 - Granted, there's not a whole lot of difference in the yield
12 stream from year to year, but I would like to hear your
13 comments.

14
15 **MS. BOSARGE:** Yes, in the past, we've been asking you for the
16 constant catch quite often. Now, I have to say, at our last
17 meeting or the meeting before, looking at certain stocks, we
18 constantly -- Well, we don't constantly, but we have some
19 members that say we constantly see this declining quota, and
20 there was mention of, well, then let's not go constant catch.
21 Let's catch everything we can right now and we will deal with it
22 later, and hopefully we will get another assessment. I would
23 say, for efficiency's sake, that yes, if you could go ahead and
24 give us the constant catch, then we can look at both and we can
25 see what we want to do.

26
27 **CHAIRMAN BARBIERI:** Thank you for that, Leann. Mr. Gill.

28
29 **MR. GILL:** A follow-on on that thought or a couple of thoughts.
30 One is they haven't been catching their ACL thus far, and so it
31 gets to be a bit of a moot issue. Secondly, there is not a
32 whole lot of difference in the five-year yield stream, 180,000
33 pounds, if I read it right, and so the constant catch that was
34 projected of 3.11, we're not talking a whole lot of difference.

35
36 Given Leann's comments, I'm inclined to let the council address
37 it, and if they want to tweak the little bumps, then we can do
38 it. If they don't, that's fine, but given that the catch levels
39 have not been approaching their limits or their targets, I'm
40 inclined to let it lie.

41
42 **CHAIRMAN BARBIERI:** Thank you for that, Bob. Any other
43 questions or comments? I think this helps, Bob, in terms of the
44 report and the presentation to the council, envisioning
45 questions that might come up and how we are justifying going the
46 way that we are going. We are now ten minutes after twelve
47 noon. Mr. Atran.

48

1 **MR. ATRAN:** You did not make a specific -- Well, I guess maybe
2 you did. My understanding then is that, as a result of that
3 last motion to recommend five years of yield projections, that
4 you are recommending the projections at FOY for 2017 through
5 2021 that's on slide --

6
7 **CHAIRMAN BARBIERI:** No, sir. Just for the record, and I think
8 our motion is explicit to that effect, if you can put that back
9 up there. The committee recommends that the yield stream at 75
10 percent of F30 percent SPR be used to determine the ABC and the
11 yield at F30 percent SPR be used to determine the OFL of
12 vermilion snapper.

13
14 **MR. ATRAN:** Maybe I'm wrong, but I thought what Matt was calling
15 FOY was 75 percent of F30 percent SPR.

16
17 **CHAIRMAN BARBIERI:** That might be the case. I am just
18 clarifying that the SSC made an explicit motion that does not
19 list FOY, which is the purview of the council.

20
21 **MR. ATRAN:** Perhaps, before we get off of vermilion snapper, we
22 ought to have some explicit motions to recommend a specific OFL
23 stream and a specific ABC stream. That way, there would be no
24 confusion.

25
26 **CHAIRMAN BARBIERI:** Let me make a suggestion here. We are going
27 to take a break for lunch. Basically, you would like to have a
28 table under that lists the actual years and the values of OFL
29 and ABC under the top motion there?

30
31 **MR. ATRAN:** You have already passed that motion. Either that or
32 do a separate motion that has those lists.

33
34 **CHAIRMAN BARBIERI:** But we can just help document in our report,
35 if you don't mind, that we can have a table that has those
36 actual, because it's just a copy-and-paste from Matt's -- It's
37 just relabeling the table that's in there.

38
39 **MR. ATRAN:** Okay. That will do, if you just want to do that as
40 documentation, and we can get together and make sure I'm pulling
41 the numbers off of the right table. The other thing I wanted to
42 make sure is you're recommending the declining yield stream and
43 you're not recommending a constant catch yield stream, unless
44 the council comes back and says we want a constant catch yield
45 stream, and is that correct?

46
47 **CHAIRMAN BARBIERI:** Yes, that's correct.

48

1 **MR. ATRAN:** Okay, and then the other question is --

2
3 **CHAIRMAN BARBIERI:** This is under advisement from our council
4 liaison, who actually give us her view on how the council has
5 reacted to that and how they may not, in this case, be
6 necessarily pushing for a constant catch.

7
8 **MR. ATRAN:** Then my other question would be, for years six and
9 beyond, if we don't have any new projections before then, is it
10 your intent that we remain at the 2021 catch levels until there
11 is a new assessment?

12
13 **CHAIRMAN BARBIERI:** With all due respect, but I expect that we
14 continue having an SSC five years from now, and that the council
15 can -- We can revisit that issue when the time comes, and I
16 don't think we need to make this decision right now, and I'm
17 saying this because my experience, being involved in this since
18 SEDAR 1, is that the SEDAR schedule is so fluid that nothing
19 says that two years from now that we may not end up with
20 vermilion snapper, even though the schedule now doesn't predict
21 it, and so I think it's a little premature. Mr. Gill.

22
23 **MR. GILL:** Thank you, Mr. Chairman. If I read this correctly,
24 the other factor is that the yield in 2021 is fairly close to
25 the long-term equilibrium yield, and probably within the
26 uncertainty level associated with that, and so it's somewhat of
27 an academic question, at least at this point.

28
29 **CHAIRMAN BARBIERI:** With that, we are now fifteen minutes after
30 twelve noon, and my suggestion is that we break for lunch and
31 that we reconvene at 1:30.

32
33 (Whereupon, the meeting recessed for lunch on June 2, 2016.)

34
35 - - -

36
37 June 2, 2016

38
39 THURSDAY AFTERNOON SESSION

40
41 - - -

42
43 The Standing, Reef Fish, Socioeconomic, Shrimp, and Spiny
44 Lobster Scientific and Statistical Committees of the Gulf of
45 Mexico Fishery Management Council reconvened at the Hilton
46 Westshore Tampa Airport Hotel, Tampa, Florida, Thursday
47 afternoon, June 2, 2016, and was called to order at 1:30 p.m. by
48 Chairman Luiz Barbieri.

1
2 **CHAIRMAN BARBIERI:** If folks are ready, I think we're going to
3 go back to the two agenda items that we had scheduled for the
4 morning regarding the SEDAR process, Agenda Items XIII and --

5
6 **MR. ATRAN:** This would be the next item, if we're going to go
7 back.

8
9 **CHAIRMAN BARBIERI:** Yes, and isn't this related to SEDAR?

10
11 **MR. ATRAN:** Yes. I thought you were talking about two items
12 down.

13
14 **CHAIRMAN BARBIERI:** No, and it's Review and Approval of the
15 Terms of Reference for Gag and Greater Amberjack Update
16 Assessments. Mr. Rindone.

17
18 **REVIEW AND APPROVAL OF TERMS OF REFERENCE**
19 **GAG UPDATE ASSESSMENT**

20
21 **MR. RINDONE:** Thank you, Mr. Chair. We are looking to update
22 our previous benchmark assessments of gag and greater amberjack,
23 and so you guys have gotten the terms of reference. A couple of
24 things that were added to just the stock language were the
25 bullet under Number 2, which says to reevaluate the potential
26 effects of red tide on gag, with consideration of the most
27 recent red tide events off of Florida.

28
29 Then we added some specifics, under Term of Reference Number 3,
30 about updating the model parameter estimates to use the
31 geometric mean of the previous three years' fishing mortality to
32 determine $F_{current}$. If you guys feel like arithmetic mean would
33 be more appropriate, then, by all means, make that edit.

34
35 Also, to provide yield streams for the overfishing limit and ABC
36 in pounds annually for at least five years and also to provide
37 constant catch scenarios for three and five years for the
38 council to consider. Other than that, it's pretty much what run
39 what you run from last time, and so, Mr. Chair.

40
41 **CHAIRMAN BARBIERI:** Thank you for that, Ryan. Bob Gill.

42
43 **MR. GILL:** Thank you, Mr. Chairman. A question, Ryan. On the
44 yield streams for at least five years, since my recollection is
45 the SSC hasn't provided any yield recommendations past five
46 years, why are we asking for more than that?

47
48 **MR. RINDONE:** Just to make sure that we get at least five years.

1 If you guys only want to recommend five years, that's fine. You
2 can say annually for five years. That change can absolutely be
3 made.

4
5 It's just that with the potential shift to a different method of
6 how we do the stock assessments, which Dr. Porch will elaborate
7 on later, that's being considered by the SEDAR Steering
8 Committee, we may see a short-term shift in the frequency of
9 assessments, and so we would need to make sure that we have a
10 long enough projection to carry us until we can get the next
11 assessment done for any of our species that we have coming
12 through the pipe right now.

13
14 **CHAIRMAN BARBIERI:** Thank you, Ryan. Mary.

15
16 **DR. CHRISTMAN:** Ryan, the gag update is this year, right?

17
18 **MR. RINDONE:** Yes, ma'am.

19
20 **DR. CHRISTMAN:** Okay, and so the next question I have then is
21 have you talked to John Walter and Skyler Sagarese about the red
22 tide update, the incorporating the episodic events, because I
23 think they're still working on switching over to the new
24 satellite.

25
26 **MR. RINDONE:** I haven't talked with Skyler about this recently,
27 because she's been tied up with SEDAR 49, and I'm trying not to
28 give her any more distractions than she probably wants, but I
29 know that they have been working on setting up the new
30 methodology with the satellite data, but they do have data from
31 2014 that could be folded in for this update assessment, and so
32 that would be something that could be considered.

33
34 If data for 2015 are simply not available or not complete or
35 what have you, then they've at least been considered, which is
36 all that we're asking for that bullet point under Number 2.

37
38 **CHAIRMAN BARBIERI:** Steven.

39
40 **MR. ATRAN:** Our current gag ACL was ultimately left unchanged,
41 even though the SSC recommended an increase in ABC, and I'm
42 trying to remember why, if that was because we had some low
43 recruitment that we didn't know was going to persist or not or
44 if it was because of anecdotal information from fishermen saying
45 they weren't seeing as many fish out there, but, at any rate, do
46 you remember what the cause was for why the ACL wasn't increased
47 and is it something we might need to address in the terms of
48 reference? Either that or, Leann, do you remember what

1 happened?

2

3 **CHAIRMAN BARBIERI:** Actually, we have Dr. Simmons there and able
4 to address that question, hopefully.

5

6 **DR. SIMMONS:** Thank you, Mr. Chair. I believe it was based on a
7 lot of the information we had from fishermen and the Reef Fish
8 AP and the uncertainty in the assessment. They felt like they
9 weren't seeing on the water the progress that the assessment
10 essentially had said that the stock had recovered, and so I
11 think they stated several times, in various meetings we had, and
12 asked the council to be precautionary, and the council took a
13 precautionary approach and we didn't change the catch levels at
14 that time.

15

16 I think the SSC had also tried to incorporate and to discuss
17 recent red tide events that had happened before then, and that
18 also led the council to be more precautionary as well, because
19 it was discussed for several meetings at the SSC level.

20

21 **CHAIRMAN BARBIERI:** Thank you for that clarification, Dr.
22 Simmons. With that, any additional comments or questions? Bob
23 Gill.

24

25 **MR. GILL:** Thank you, Mr. Chairman. The only other thing that I
26 think is helpful in our evaluation is to have the equilibrium
27 values for ABC and OFL, particularly when we get out to the far
28 end of whatever our projections are, to try to set it in
29 context. Sometimes they're not useful, because we don't have
30 much faith in them, like triggerfish, but, on a normal -- I
31 think having those values as part of the normal routine output
32 from the assessment would be very helpful for this body.

33

34 **CHAIRMAN BARBIERI:** That sounds like a reasonable request.
35 Ryan, did you -- Any other comments or questions or suggestions
36 for Ryan? Clay.

37

38 **DR. PORCH:** It's more a comment to Bob's. It may come up again
39 in the agenda item that Steve refers to as OFL versus MSY, but I
40 just want to remind the committee that, if you don't know the
41 spawner-recruit relationship, you cannot calculate equilibrium
42 yields, and that is why, in something like gray triggerfish, we
43 preferred not to show equilibrium OFL or OY or whatever, MSY and
44 OY, because you don't know what the long-term recruitment is.

45

46 In the short term, we're just assuming that recruitment will
47 stay the same as recent levels, but we're not willing to go out
48 on a limb and say those recent levels will continue forever and

1 ever.

2
3 **CHAIRMAN BARBIERI:** Thank you for that, Clay. Perhaps we have
4 those, Ryan, in the terms of reference, if possible, and then it
5 can just be a short paragraph from the analytical team
6 justifying their inability to come up with that metric. Ryan.

7
8 **MR. RINDONE:** I was just saying that we're good to go then on
9 the gag terms of reference, if you guys are comfortable with
10 them.

11
12 **CHAIRMAN BARBIERI:** And that we requested the equilibrium yield
13 when it can be provided.

14
15 **MR. RINDONE:** I will add that language in there.

16
17 **CHAIRMAN BARBIERI:** Now we're ready to address greater
18 amberjack.

19
20 **GREATER AMBERJACK UPDATE ASSESSMENT**

21
22 **MR. RINDONE:** Yes, sir, Mr. Chair. The greater amberjack terms
23 of reference are a lot of the same for an update assessment. We
24 haven't had the specific attention added to Point Number 2 for
25 red tide for greater amberjack, but the points made under Term
26 of Reference Number 3 that were made under gag are also made
27 here for greater amberjack, and, if it seems to be the
28 committee's pleasure, I will add in language about requesting
29 equilibrium values for ABC and OFL, when possible. Other than
30 that, are there any changes, edits, or modifications?

31
32 **CHAIRMAN BARBIERI:** Bob.

33
34 **MR. GILL:** Thank you, Mr. Chairman, and my same two comments on
35 gag apply here equally.

36
37 **CHAIRMAN BARBIERI:** Thank you, and I think that Ryan was saying
38 that yes, duly noted, and they're going to be addressed, as we
39 discussed for gag. Any other questions or comments or
40 suggestions for Ryan regarding the greater amberjack terms of
41 reference? We need to have a clear statement from the
42 committee, hopefully in the form of a motion, actually accepting
43 the terms of reference for these two update assessments.

44
45 **MR. RINDONE:** As modified.

46
47 **CHAIRMAN BARBIERI:** As modified by the suggestions noted. Jeff.

48

1 DR. ISELY: So moved.

2
3 CHAIRMAN BARBIERI: It's so moved by Jeff Isely. Anybody
4 willing to second this?

5
6 DR. SHIPP: I will second it.

7
8 CHAIRMAN BARBIERI: Thank you. Motion seconded by Bob Shipp.
9 There is a motion on the board and it's seconded. It's open for
10 discussion. Any discussion points regarding this motion?
11 Seeing none, we will proceed with the voting process, expecting
12 this to be unanimously approved. I will ask the committee to
13 express, any member, to express whether you have an issue
14 accepting these. **Any opposition to accepting this motion as**
15 **presented? Seeing none, the motion passed unanimously.**

16
17 Mr. Rindone, since you are on, would you mind if we skip an item
18 and go back to Item XV, since we are talking about SEDAR terms
19 of reference? This is the Review of the SEDAR Assessment
20 Schedule, if you don't mind.

21
22 **REVIEW OF SEDAR ASSESSMENT SCHEDULE**
23 **REVIEW OF SEDAR SCHEDULE AS OF APRIL 2016**

24
25 MR. RINDONE: Not a problem. You guys will see Item 15(a) up on
26 the board there, and the schedule for 2016 and 2017 is locked in
27 at this point. It's been finalized by the SEDAR Steering
28 Committee. 2018 is also -- It's not finalized yet, but it's
29 close it it. It will probably be finalized at the September or
30 October meeting of the Steering Committee this year, and then
31 2019 is still proposed, but we'll go through 2018 and 2019,
32 specifically, since those are the ones that are still,
33 potentially, in flux here.

34
35 We have a benchmark assessment for gray snapper that's going to
36 start in 2017, and it will wrap up in early 2018, based on the
37 current timelines, and the MRIP calibration updates for the
38 recreational indices will also -- Those updates are also
39 expected to wrap up in late spring or early summer of 2018.

40
41 We'll be tentatively conducting our first research track
42 assessment, pending the approval of the new method that Clay is
43 going to discuss, for scamp, and we are doing this in tandem
44 with the South Atlantic Council, and that's going to begin, and
45 theoretically end, in 2018. We are also going to be doing an
46 assessment for king mackerel, again, with the South Atlantic,
47 since we have the mixing zone around the Keys, where the two
48 migratory groups mingle in the wintertime.

1
2 In 2019, the council has proposed the following list of species,
3 and staff have provided guidance on the best avenues with which
4 to assess these species, based on both what the SSC has
5 recommended in the past and where these stocks currently sit.

6
7 Gray triggerfish was listed as a top priority of the council,
8 and they thought that it needed a benchmark-style assessment,
9 and so, if the research track is approved, we will tailor that
10 appropriately for gray triggerfish.

11
12 Cobia and Spanish mackerel need general updates. We've heard
13 from some folks in the western Gulf about potential issues with
14 cobia. We haven't heard as much from folks in the eastern Gulf
15 to the same, but the South Atlantic Council is also wanting to
16 update cobia, and they exceeded their recreational ACL last
17 year, by I think 246 percent, for the stock, which occurs from
18 the Florida/Georgia line north, and so they have some concerns
19 that they would like to get ironed out.

20
21 Just for a refresher, cobia, the Gulf stock of cobia, goes from
22 Brownsville all the way up to the Florida/Georgia line, and so,
23 from the Dade/Monroe line north to the Florida/Georgia line, the
24 Gulf Council apportions that portion of the ACL to be managed by
25 the South Atlantic Council, and so that part of the stock is not
26 thought to be in any sort of trouble though.

27
28 Spanish mackerel, because it's been a while, and yellowedge
29 grouper and tilefish were last done as a benchmark assessment in
30 2011, and so it's high time that we took another look at those,
31 and so we're suggesting that those be done as either an update
32 or a standard caliber assessment. Then the FWC will be
33 assessing spiny lobster. Mr. Chair.

34
35 **CHAIRMAN BARBIERI:** Thank you for that, Ryan. Any comments or
36 questions from the committee regarding the proposed SEDAR
37 schedule for Gulf assessments as currently scheduled by the
38 SEDAR Steering Committee? Marcus.

39
40 **DR. DRYMON:** Thank you, Mr. Chair. Ryan, are the shark SEDARs
41 on a different schedule, or are they a different page, or is it
42 that there aren't any proposed in the next several years?

43
44 **MR. RINDONE:** Sharks are managed by the NMFS HMS Division, and
45 those assessments are conducted concurrently with Gulf and
46 Caribbean and South Atlantic assessments, but they're not on
47 this schedule, because we don't dictate the scheduling of the
48 shark assessments. HMS takes care of that, and if the committee

1 wants to know, I can look up which ones are upcoming.

2

3 **CHAIRMAN BARBIERI:** Thank you, Ryan. John Mareska.

4

5 **MR. MARESKA:** Ryan, in 2017, Number 1 there says MRIP
6 calibrations and then updates, and it's got all those species
7 listed. Are all those stocks going to be updated in 2017?

8

9 **MR. RINDONE:** That's the idea.

10

11 **MR. MARESKA:** You've got vermilion snapper there, and we just
12 finished a standard, and you're going to do an update on king
13 and then turn around in 2018 and do a standard? That just seems
14 kind of overkill.

15

16 **Mr. RINDONE:** These are updates to the recreational indices,
17 based on changes to the MRIP data collection system and the MRIP
18 methodologies, and so they're not like -- Clay can probably
19 speak better to this than I can, but they're not full-blown
20 updates like you're used to seeing. It's just on the
21 recreational side.

22

23 **CHAIRMAN BARBIERI:** Clay.

24

25 **DR. PORCH:** Thank you, Mr. Chair. The MRIP calibration updates
26 are what we're calling update-lite. We're going to extract the
27 recreational catches that were used in the last update and
28 replace them with recalibrated catches that take into account
29 not only the APIS adjustment, the intercept part of the survey,
30 but also the calibration that would basically correct for the
31 bias you might incur of having used a telephone survey versus
32 the mail survey.

33

34 The idea then isn't to do a full update, where we have to update
35 all the indices. It's just to try and get at the possible
36 effect that recalibrating the recreational catches might have on
37 the bottom line, and so the OFLs, stock status, et cetera.

38

39 We've done some preliminary work. It hasn't been released yet,
40 and the effect wasn't especially large, and so hopefully you
41 will see that fairly soon, but the number of assessments here
42 really depends a lot on what the constituents want to see. If
43 the council said, well, we're really not interested in seeing
44 any of that and we just want to add another species to assess,
45 then I think that would carry some weight, because, right now,
46 I'm not hearing a big cry to do all these calibration updates,
47 and so, again, if the council wasn't particularly interested in
48 it, or at least not in all of them, you might be able to reduce

1 the number of calibration updates and simply replace it with
2 some other species for a full update.

3

4 **CHAIRMAN BARBIERI:** Thank you, Clay. Mary.

5

6 **DR. CHRISTMAN:** Ryan, how come you have red snapper under the
7 updates as well as a standard in the same year? Is there a need
8 to have them twice?

9

10 **MR. RINDONE:** The council explicitly requested a standard
11 assessment be done for red snapper, and that's why it's on the
12 menu. They also explicitly requested that the calibration
13 updates be done.

14

15 Now, as far as like why we have the species listed that we do,
16 they were prioritized at the time, by species which were
17 overfished and/or undergoing overfishing, which is why you see
18 gray triggerfish, gag, and amberjack is up there. Obviously gag
19 no longer is sitting in that same group, but -- Then red
20 snapper. They're basically just our fab five species at the top
21 of the list and then our next highest priority species that
22 follow.

23

24 The Science Center had originally directed the council to come
25 up with a list for these MRIP calibrations and for it to be
26 eight or nine species long, in order of priority, and that they
27 would be addressed in that order. This direction was given to
28 the councils at the SEDAR Steering Committee, and so if it's not
29 the wish of the committee or the councils to put so much
30 emphasis on this, then you guys certainly need to make that
31 clear, but we're just kind of following the direction we were
32 given.

33

34 **CHAIRMAN BARBIERI:** Dr. Simmons.

35

36 **DR. SIMMONS:** Thank you, Mr. Chair. Kind of the next item down
37 here on this, I did tell some council members we would bring
38 this up when the SSC was discussing the SEDAR schedule. The
39 folks that are in the northern Gulf are really concerned about
40 gray triggerfish, and they really would like to see another
41 assessment as soon as possible, is my understanding.

42

43 They feel like the recruitment is coming back, and they're
44 seeing some evidence of that, and they want to know, basically,
45 if there's any way, realistically, ideally, if this group thinks
46 it would be better to have an assessment earlier than 2019 for
47 them.

48

1 The other thing that Dr. Isely and I were talking about is if
2 there was some other information on the larval indices that
3 weren't used, I think, in the last assessment, if there's any
4 way that we might recommend that the Science Center process
5 those samples, so that they be available the next time a
6 benchmark assessment is conducted on gray triggerfish, that
7 could help inform the model a little bit better.

8
9 If the group was in agreement, potentially, later on, after we
10 get done talking about the schedule, maybe, if you're in
11 agreement, we could draft a recommendation to draft a letter to
12 request that they look at doing that, because my understanding
13 is that it would help inform the assessment. Thank you.

14
15 **CHAIRMAN BARBIERI:** Thank you, Dr. Simmons. Good suggestion
16 there. Any other questions or comments or clarifications? Mr.
17 Atran.

18
19 **MR. ATRAN:** Luiz, you would know this. We've been told that FWC
20 is planning a hogfish update assessment in 2018. Is that
21 correct? Should we maybe get that added on to the SEDAR
22 schedule, because we do have other FWC assessments listed here.

23
24 **CHAIRMAN BARBIERI:** Yes, we can, and let me ask Ryan that we
25 actually discuss, if you don't mind, Ryan, just to remind me
26 that we can discuss this at the next SEDAR Steering Committee
27 meeting.

28
29 **MR. RINDONE:** We can do that.

30
31 **CHAIRMAN BARBIERI:** Thank you. Director Gregory, do you --

32
33 **MR. GREGORY:** I was just commenting on some conclusions the last
34 time you went to a Steering Committee meeting. We will be glad
35 to have you back this September.

36
37 **CHAIRMAN BARBIERI:** If there are no other comments or questions
38 or suggestions from the committee, Ryan, do we need to provide
39 you with a motion? No? It's just a thumbs-up, basically, from
40 the committee that we can express in our report that we are in
41 agreement with the schedule as provided, given some suggestions
42 and additional notes, as discussed. Steven, I think that
43 completes then Item XV and we can move on to Item XIV, Review of
44 Research and Operational Cycles for SEDAR Stock Assessments.
45 Clay, you have a presentation for us?

46
47 **DR. PORCH:** Yes.

48

1 **MR. ATRAN:** Just for the SSC members' information, Clay provided
2 an updated version of this presentation during lunchtime, and it
3 has been uploaded to the server. It's on there as Item 14(b)
4 revised.

5
6 **REVIEW OF RESEARCH AND OPERATIONAL CYCLES FOR SEDAR STOCK**
7 **ASSESSMENTS**
8

9 **DR. PORCH:** It's a minor update, and so if you don't have time
10 to upload it, then no worries. That's not the updated one.

11
12 **CHAIRMAN BARBIERI:** While we get the right presentation there,
13 let me read from our scope of work, to help frame the nature of
14 this discussion. Science Center staff will provide the overview
15 of the research track and operational track assessment process
16 for SEDAR, which will replace the current benchmark, standard,
17 and update assessment process. This new process has been
18 proposed as a more flexible and sustainable way of assessing
19 fish stocks. This presentation is primarily informational, but
20 SSC members may comment and provide suggestions on the new
21 process.

22
23 **DR. PORCH:** As many of you know, we've been talking for a long
24 time about how we can increase throughput through the SEDAR
25 process, and the basic struggle that we have is we're trying to
26 simultaneously satisfy three goals. We want a very transparent
27 process, we want a thorough process that turns over every stone,
28 and, at the same time, we want it to be timely, and you really
29 can't achieve all three things.

30
31 SEDAR is probably about as transparent as it gets. I think it's
32 the most transparent process in the country. It's certainly one
33 of the more thorough. It's also probably the slowest in the
34 country, and so we're going to focus here on how can we make
35 this a little more timely?

36
37 I want to frame it remembering that the Southeast Fisheries
38 Science Center, in particular, serves three councils, the
39 Caribbean, Gulf of Mexico, South Atlantic Council, and Highly
40 Migratory Species and Headquarters for sharks, and ICCAT, the
41 International Commission for the Conservation of Atlantic Tuna,
42 and so we're divided pretty thin.

43
44 Yet, we have more species and FMPs than any other region, with
45 about 300. A lot of them are in the Caribbean. A lot of them
46 are resources where we only have some information on catch, and
47 so we won't be able to do full assessments, but you will see
48 there that I think it's about fifty-one species that we've

1 actually conducted and had assessments accepted for, but there
2 is another fifty-some-odd that possibly could be assessed at
3 some level.

4
5 The problem is how are we going to get to that, given the
6 resources that we have now? I did a little math here, which I
7 can't see from here, and so I will try and remember it, but the
8 bottom line is, in terms of assessment leads, we have about
9 twenty scattered throughout the Southeast to serve the five
10 management bodies that serve as our constituents.

11
12 You figure there's about 107 stocks that could be assessed, if
13 we were assessing all of them, and, if you divide the 107 by
14 twenty and you assume, at the current maximum rate, we can do
15 about one per year, that's an average of updates and benchmark
16 assessments, your refresh rate is going to be about once every
17 five years, which is not very impressive.

18
19 On top of that, the reality is that we're not doing an
20 assessment per assessment lead each year, because we have a
21 bottleneck in our data provision, and particularly in the
22 fishery-dependent data, both in terms of processing otoliths and
23 simply processing the recreational and commercial catches.

24
25 Because of that bottleneck, we're actually probably doing about
26 0.75 assessments per person year. What that translates to, if
27 we were to assess all these species, would be a refresh rate of
28 about once every seven years, and so a difficult situation we
29 find ourselves in.

30
31 The answer here is not going to be completely just revamping
32 SEDAR. Obviously we need some additional resources if we want
33 ever want to really reduce the assessment frequency and assess
34 more species, but I think we can make a dent in it by revising
35 the SEDAR process a little bit.

36
37 You will recall the existing process of a benchmark assessment
38 is a three-workshop process, a data workshop, assessment
39 workshop, and a review workshop. It typically takes between
40 nine months of a year, and it's intended to be an extremely
41 thorough and also very slow process, very thorough, very
42 transparent, and slow.

43
44 We have a second option, which is a standard assessment.
45 Usually there is one workshop that's sort of a combined
46 assessment and data workshop and, instead of having a review
47 panel, an independent review panel, review the assessment, the
48 SSC reviews the results. The standard tries to follow pretty

1 much all the protocols that were laid out in a previous
2 benchmark assessment. The difference is that you may want to
3 make a little tweak, because you got a new data series in or you
4 found some better way to model some process, some new
5 information.

6
7 If the SSC is comfortable with it, they will write it in the
8 terms of reference, and we may or may not hold an assessment
9 workshop. It depends on how important or how big of an issue
10 you think it is that needs to be addressed. If it's a
11 relatively minor change, but maybe more than an update, we might
12 just do it with a webinar. If it's a rather large change, where
13 we really want people to take time to look at that change, then
14 it would be a workshop. It's faster than a benchmark, but not
15 necessarily fast.

16
17 Then there's the update. An update is basically we take more or
18 less exactly what was done in the previous benchmark and add
19 years of information. We might make a minor tweak if the SSC is
20 comfortable with it, but, pretty much, it's just a strict, like
21 it sounds, update of what's in the benchmark. That is much
22 faster. Usually that's three to four months for us.

23
24 The problem with the benchmark, and now I'm going to actually --
25 I don't think I can enlarge this any, but -- I'm almost going to
26 have to walk up there so I can see the screen. That's what
27 happens when you get that eye surgery and it doesn't quite work.
28 20/40 doesn't quite read that screen.

29
30 The problem we have with the benchmark is that the data
31 providers have difficulty meeting deadlines, and this is partly
32 because -- Consider, for example, stock structure. We go into a
33 benchmark assessment with a certain idea of what the stock
34 structure would be, we tell the data providers how to prepare
35 the data, so that we can plug it in our stock assessment model,
36 and then, in the life history group, some information is
37 presented and we go, wait a minute, we need to use a different
38 stock structure.

39
40 Maybe, before, we had the dividing line at the Mississippi River
41 or something and then someone tells us that no, the evidence is
42 that it should be Cape San Blas or something like that. Then we
43 have to tell the data providers to go recalculate everything,
44 and that becomes quite a bit of work for them.

45
46 It could also be fleet structure. We have elected to have two
47 fleets in the model, and then, when we really look into it, we
48 realize these fleets are so different that we need to model them

1 separately, and that requires more work on the part of the data
2 providers. All of that then multiplies the work they have to
3 do, which means they can't serve as many assessments as once.

4
5 Of course, the results are often criticized by the reviewers,
6 but, because we have to produce management advice in a timely
7 fashion, with usually a fairly strict deadline, we don't have
8 time to accommodate everything the reviewers might suggest. We
9 do what we can, but the bottom line is we've got to give advice
10 so the council can make rules. As a result, we're pushing
11 deadlines a lot of times. Often we're missing deadlines.

12
13 Then, finally, just the word "benchmark" itself implies, to a
14 lot of people, the best, and they all want benchmarks, and the
15 council asks for benchmarks all the time, when in fact the model
16 is the same. It's the same components, but it's just that it's
17 a much more lengthy process, because we have to go through all
18 the three workshops and it's more detailed reporting and more
19 work for our data providers.

20
21 The thing with a standard is it's reasonably fast, but it's
22 sometimes criticized by stakeholders, because they think a
23 benchmark is better. It's just sort of that mindset that people
24 are getting into.

25
26 An update is really fast, but, again, it's often criticized by
27 stakeholders, because they think "update", and, again, they
28 think a benchmark is better. Really, it's the same thing. It's
29 just that updates are just adding more years of data, but it's
30 the exact same model.

31
32 We thought a lot of about how can we get past this sort of
33 vicious circle and maybe make some improvements that actually
34 would increase throughput, and the model that we came up with,
35 and by we, I mean this is really collaborative effort. It's
36 myself, other stock assessment scientists, like Erik Williams,
37 John Carmichael, and Rick Methot, who is our Chief Scientist at
38 the National Marine Fisheries Service.

39
40 We were looking a lot at what's done in other places in the
41 country, and one of the ones that seems to work pretty well is
42 the model that's used in the Northwest, where they have a
43 research cycle, where they're not actually generating management
44 advice, but it kind of runs in the background. It's analogous,
45 more or less, to what we call a benchmark assessment, except
46 you're not actually trying to produce management advice. You're
47 just trying to get the science right.

48

1 Then they have their operational assessments. Once you get that
2 research cycle, that research track, approved and you get the
3 independent reviews, now you have a system in place, an
4 assessment system in place, that you will start populating with
5 the most recent data and provide management advice, and so
6 that's what we're more or less trying to achieve here.

7
8 The research cycle, to summarize how we think of it, is it's
9 designed to test and document and review the assessment
10 approach. In that way, it's a lot like a benchmark now. You
11 might have one or two workshops. It's going to depend on the
12 complexity of the problem and who wants to get involved.

13
14 We would still have the IPT-style communication for the
15 assessment panelists, so that they can communicate at will, and
16 it's something that we've already adopted in our SEDAR benchmark
17 process.

18
19 We would still have a review panel meeting with independent
20 external experts, and the findings would be thoroughly document,
21 as now, in an assessment report. Possibly it would be more
22 aggressive in trying to publish them as NOAA tech memos or, if
23 it warranted it, actual peer review publications.

24
25 Unresolved issues and ideas, as they are now, would just be
26 catalogued in terms of recommendations, and then we might
27 address those at the next research cycle. The bottom line is
28 it's not intended to produce assessment results for immediate
29 advice to managers, but, once it's vetted, then it's going to be
30 operationalized.

31
32 The operational assessments, the main goal here is to produce
33 timely advice to management, and so it's conducted by designed
34 analysts using a suite of previously reviewed procedures and
35 datasets, and it would be in consultation with an advisory body,
36 and so it would be much like an assessment panel today that's
37 appointed by the council.

38
39 There would be usually very minor changes to the vetted approach
40 from the previous research cycle, and those would have to be
41 things that the SSC felt competent to review, and they would be
42 put in the terms of reference, like you just developed.

43
44 The findings would be documented much more succinctly than they
45 typically are now, because we could refer to the complete
46 documentation from the research cycle, and then we would just
47 write an executive summary that would be distributed to the
48 council, so they don't have to wade through pages and pages and

1 pages of an update or a benchmark assessment report. Then,
2 again, as we find the anomalies or concerns, we document those
3 as research recommendations to be taken up at the next research
4 cycle.

5
6 What are the advantages of the new approach? A big one is that
7 the analysts now aren't going to be -- For research cycle,
8 they're not going to be under the pressure of producing results
9 by a certain deadline. They can focus on addressing the real
10 problems.

11
12 As I mentioned before, what happens now is, during a benchmark
13 assessment, whether it's consultants or fishermen or other
14 stakeholders, they can come with a real observation that we
15 would really like to account for. It may take some time, both
16 in terms of developing appropriate model structure or collecting
17 new data to really examine whatever the issue is, but we can't
18 do it, because we have to produce the management advice at the
19 end of the nine-month procedure.

20
21 This would give us -- By not having a hard deadline in all the
22 research cycles, it would give us more of an option to really
23 thoroughly address some of the issues that are brought up. It
24 also makes it easier to incorporate suggestions from reviewers
25 after we have the review panel meeting, because, again, we're
26 not constrained to produce management advice right after the
27 review panel. We have some time to actually look at it.

28
29 Also, a big one is the data providers aren't under pressure to
30 provide the latest dataset that accounts for all the changes we
31 made during the benchmark process. This takes a lot of pressure
32 of our data providers, so that they can focus on what would now
33 be called operational assessments, where the parameters are
34 always set well ahead of time for what fleets would be used,
35 what's the stock structure, how to set the data, so they can
36 plan ahead, which will make this a lot more efficient. Right
37 now, that is, by far, the biggest bottleneck, is the data
38 provision.

39
40 It would also result in more opportunities for quality
41 scientific research that will advance the state of the art and
42 address a lot of the questions that are brought up by groups
43 like this.

44
45 Now, during the operational assessments, we're going to have the
46 benefit of standardized, preapproved approaches that -- By
47 having that, you're going to have reduced implementation errors,
48 because you're not changing things on the fly all the time,

1 which always make it possible to make a mistake.
2
3 We've already decided on the assessment methods well ahead of
4 time, so people have plenty of time to brush up on exactly what
5 was being used and make sure they fully understand the approach.
6 It gives us more opportunity to standardize, in general.
7
8 The assessments will be more reproducible, and so if somebody
9 else wanted to duplicate the work they've done, it would be
10 easier for them to do it, and, again, data providers, because
11 they know what's going on ahead of time, will be able to produce
12 inputs more quickly, and it's not just the federal people that
13 I'm talking about. We get a lot of data from the states, and it
14 would help the states if they knew exactly what they were going
15 to be requested well in advance.
16
17 I also want to mention that there will be emphasis placed on
18 succinct communication of management advice and plain language.
19 That's something we're going to work hard on for these
20 operational assessments.
21
22 How is it going to work? We developed sort of a hypothetical
23 example of two years in a SEDAR cycle with five lead assessment
24 analysts and anticipating the current level of support we get
25 from data providers, and, when we actually looked at how long it
26 takes for the data providers to give us the information we need
27 for an assessment, we came up with, after two years, there would
28 be probably three research track assessments and about ten
29 operational assessments.
30
31 The long-term average, with five analysts, would be one to two
32 research track assessments per year and four to six operational
33 assessments per year, which is a substantial increase over what
34 we're doing now.
35
36 If we wanted to increase on that further, I don't think we're
37 going to do it by retooling SEDAR. We're going to have to get
38 more people power, but, still, this would be a substantial
39 increase over what we're doing now for both the South Atlantic
40 and Gulf of Mexico Fishery Management Councils, and this is just
41 a hypothetical timeline down at the bottom. That's it, in a
42 nutshell. Does anybody have any questions?
43
44 I do want to emphasize one thing, and that is that the research
45 cycles are almost, in effect, being conducted in the background,
46 because the data providers can give us data that's older. The
47 main thing is we're trying to get methods down. We're not
48 trying to have the most recent data. It will require some

1 effort on their part, but, in effect, it's as though it's being
2 run in the background, as opposed to a benchmark now, where the
3 data providers are right in the forefront.

4
5 **CHAIRMAN BARBIERI:** Thank you, Clay. Bob Gill.

6
7 **MR. GILL:** Thank you, Mr. Chairman, and thank you, Clay. That
8 was informative. Where is this in the approval process? Is it
9 now winding its way through and the SEDAR Steering Committee
10 will approve it in October or what's the timeline for making
11 this whole process operational?

12
13 **DR. PORCH:** The next steering committee meeting, I guess, is
14 late September or early October. I don't think the date has
15 been set, but, if the council supported this, it would obviously
16 go -- It would help it get approved in the SEDAR Steering
17 Committee. It hasn't been formally approved. People expressed
18 that they liked the idea. John Carmichael supports it, but if
19 the council reps also support it, it would have a better chance
20 of actually getting a yes vote.

21
22 **MR. GILL:** So you're taking it through all three councils and
23 looking for their thumbs-up to take to the steering committee in
24 September or October? Is that the thinking?

25
26 **DR. PORCH:** At least the South Atlantic and the Gulf. The South
27 Atlantic has already seen the -- Their SSC just saw this
28 presentation, almost the same presentation, and so now I am
29 showing it to you. We'll bring it forward to the councils.
30 Hopefully the SSCs will support it, and that will carry some
31 weight with the councils. Hopefully they're attracted to the
32 idea, because I think we will get more assessments out. It's
33 not going to double it, but it will give us more assessments,
34 and I think it will be a more satisfying process overall.
35 Again, John Carmichael has supported the idea.

36
37 **CHAIRMAN BARBIERI:** I have Jim and then Steven.

38
39 **DR. TOLAN:** Thank you, Mr. Chairman. Clay, thanks a lot for
40 this presentation. Just looking over the theoretical timeline
41 and the operational side of each one of the schedules for about
42 three months, is that a realistic number? That seems pretty
43 quick.

44
45 **DR. PORCH:** If it's constructed the way we plan. You conducted
46 the research cycle a year or two earlier and everything is laid
47 out, the data providers know exactly what they need, the model
48 is already set up from the research cycle, and so it shouldn't

1 take more than three months to do an update.
2
3 Some of them may end up taking six months. That's why we say
4 four to six -- Well, four to six operational assessments per
5 year for a group of five seems reasonable, and some years it
6 might be four and some it might be six, depending on what's
7 involved in the update, but, generally -- I keep saying update,
8 but I mean the operational assessment. Generally, it really
9 should take about three months, assuming all the parameters are
10 set like they're supposed to be.

11
12 **CHAIRMAN BARBIERI:** I have Steven and then Ben and then Mary.

13
14 **MR. ATRAN:** I was just wondering, looking at the description of
15 the research cycle, is there going to be any equivalent of a
16 data workshop, in order to gather, from whatever sources, new
17 information?

18
19 **DR. PORCH:** I think it's flexible, but, to me, for something
20 like this, the data workshop is probably the most important,
21 because your assessment is tailored, largely, to what data is
22 available, and that's also one of our best opportunities to work
23 with stakeholders, in particular fishermen, and so I would
24 anticipate that yes, we would have data workshops and probably
25 also an assessment workshop. It depends on the species or
26 species group. That's another point I should have made, is a
27 research track can be for a complex, too. It doesn't have to be
28 species-specific.

29
30 **CHAIRMAN BARBIERI:** I have Ben and then Mary.

31
32 **DR. BLOUNT:** Thank you, Mr. Chairman. Thanks, Clay. That was
33 really very informative. About the data workshop, will the new
34 system obviate the need for webinars?

35
36 **DR. PORCH:** No one likes those webinars. I think it depends.
37 Webinars are convenient when you have this IPT-style
38 communication, where you have an assessment panel and we're all
39 talking among ourselves freely and we come at some decisions.
40 It's important to have, at some point, some public comment
41 period, when the public can see what decisions have been made,
42 and, those, you have to put in the Federal Register, whereas the
43 IPT-style communication, you don't. At some point, there
44 probably would be a webinar. In other cases, it might be a
45 workshop.

46
47 **DR. CHRISTMAN:** Clay, thank you. How often would a species go
48 through the research cycle?

1
2 **DR. PORCH:** Ideally, as little as possible, but I say that a
3 little tongue-in-cheek, because it really depends on what new
4 information comes to light. If there is no new information,
5 then there is probably not much reason to have another research
6 cycle for the same species.

7
8 By no new information, I mean nothing substantially new. If it
9 was a minor new index, you, arguably, don't even need a research
10 track. If it's just somebody did a survey in one particular
11 area, you could even review that separately. It doesn't even
12 have to be part of a research cycle.

13
14 **DR. CHRISTMAN:** I was thinking more like if there were new stock
15 assessment model approaches that use different inputs or there
16 was new data coming out, because of the huge amount of money
17 that's flooding, due to the BP oil spill and that sort of thing.
18 That's what I was thinking about.

19
20 **DR. PORCH:** Yes, and, in that case, I think if you have a
21 fundamental change in the quality of information that's
22 available or completely -- Even the quantity of information,
23 then it might merit a research track cycle. I don't want to be
24 too prescriptive here, because it really would depend on -- If
25 it's, like I said, just say somebody did a survey on a group of
26 reefs and it was fairly representative, then you could arguably
27 have a separate workshop that just reviews those results.

28
29 Then it's a pretty simple matter to plug it into most assessment
30 models. It's just another index, and so you don't necessarily
31 have to have a research cycle, but let's say it was multiple
32 indices or there was something peculiar about it that affected
33 only a couple of different species. Then you might want to wrap
34 it up in a research track cycle, but I don't want to be too
35 prescriptive here. I think that's going to have to be a case-
36 by-case basis, and it's going to depend a lot on what the SSC
37 thinks they can review apart from say an independent peer
38 review.

39
40 **CHAIRMAN BARBIERI:** Okay. I have Steven and then John Mareska.

41
42 **MR. ATRAN:** Where does the SSC fit into this new procedure?

43
44 **DR. PORCH:** The same place they fit now. I mean, ultimately, if
45 you're giving management advice, you're going to look at the
46 operational assessments and do just like you did here with
47 vermilion snapper. The only difference is, when you're doing a
48 research cycle, there's nothing, necessarily, for you to review.

1 There is not management advice coming out of it.

2
3 The SSC might have members participating as part of the
4 assessment panel, like they do now in a benchmark, but there
5 wouldn't be management results that are coming before you from a
6 research cycle. That is going to wait until the operational
7 assessment.

8
9 **MR. ATRAN:** For the research cycle, would there be like a
10 certain number of SSC members solicited to serve on that cycle
11 and, for the operational assessment, a certain number of SSC
12 members solicited for that cycle? That's pretty much the way it
13 works now.

14
15 **DR. PORCH:** Yes, I think that would be pretty much the same.
16 With the benchmark assessment, we have an assessment panel, and
17 that includes members from the SSC and others designated by the
18 council, and so I think that would be the same. You can call it
19 assessment panel or advisory body or whatever you want, but it
20 would function much the same.

21
22 **CHAIRMAN BARBIERI:** I have John Mareska and the Director
23 Gregory.

24
25 **MR. MARESKA:** I just would like to say that I'm in favor of
26 trying this new method, but to, I guess, kind of touch on what
27 Jim was talking about, the timelines, from my experience, even
28 the old standard, which would now be operational, your
29 hypothetical had timelines, and that gives me concern, because
30 my experience has been, even with the standard, those
31 assessments seem rushed.

32
33 There's not enough time to address things that pop up, things
34 you don't anticipate, such as updating the vermilion and that
35 fecundity stuff. That was a significant change for fecundity,
36 but we had no idea how it was actually going to impact the
37 assessment, and to reiterate what you had said, this plan is
38 only going to work if you get more people.

39
40 That's something I see over and over again, whether it's a data
41 workshop or a standard assessment. There is not enough people
42 to get all the information, so that it's there in a timely
43 fashion, and so that really has to be addressed.

44
45 **DR. PORCH:** With regards to something like this, where it seems
46 like a standard is rushed, that, I would say, is a case of does
47 the SSC feel like they will have sufficient opportunity to
48 review everything that's done and they're comfortable with the

1 changes that they're making, that it's within their realm of
2 expertise and that they don't need independent experts.

3
4 If the answer to that was no, then you need to go to a research
5 track assessment, because now you're talking about major changes
6 that the SSC is not comfortable reviewing by itself and it would
7 rather have that independent review.

8
9 To the second point, what I'm actually saying is this
10 research/operational cycle would make us -- It would be more
11 efficient than the current SEDAR process, and it would result in
12 a few more assessments per year across the Center. Right now,
13 we're doing at a clip of about three-quarters of an assessment
14 per lead per year, because the bottleneck is not the assessment
15 leads.

16
17 We're trying to figure out a way to make the process more
18 efficient, so our data providers can serve us more assessments.
19 By doing this, we think we've hit on it. We've done the math,
20 and, basically, I think we can get it up close to the equivalent
21 of one per assessment lead, and so it's going to result in
22 several more assessments per year, but it's not going to double
23 the number of assessments.

24
25 If we wanted to shoot for doubling, then, yes, we would need
26 more capacity, in particular with regards to the data
27 processors, and that's not only at the federal level, but, in
28 some cases, it's at state levels.

29
30 **CHAIRMAN BARBIERI:** Thank you, Clay. Director Gregory.

31
32 **MR. GREGORY:** Thank you. Dr. Porch, you said something earlier
33 that the research cycle would end with the independent peer
34 review. Currently, benchmark assessments are reviewed by the
35 SSC after the independent peer review, and I would think we
36 would want the SSC to do the same with the research cycles.

37
38 Let's just take a hypothetical king mackerel situation. We get
39 data from Mexico that says we've got a western stock and we've
40 got an eastern stock and we've got to do the stock assessment
41 differently. I mean that sort of information, it seems to me,
42 should come through the SSC for discussion before it gets put
43 into the operational system as a fact. I would hate to see the
44 SSC bypassed in any of that, and so that's my main concern with
45 that.

46
47 **DR. PORCH:** First, I would be open to that. That's not a game-
48 changing change for me. If you wanted to have a review workshop

1 and then have the SSC take a look at it after that, that would
2 be okay, but I would submit to you that it's not really that
3 different from -- What I'm proposing here isn't that different
4 from what's being done now, because the management advice would
5 not come from the research track.

6
7 It would be operationalized at the next wherever it is on the
8 slot, and so the SSC is still reviewing it the first time it's
9 actually been used for management advice. There is just a delay
10 while it's all being operationalized. Do you follow what I
11 mean?

12
13 Right now, the benchmark, you have what amounts to a shortened
14 research cycle and then you give management advice. The way we
15 would be doing it, in this approach, is a longer research cycle
16 and then we operationalize it and then you review it. Right
17 now, the benchmark kind of combines the research cycle with an
18 operationalizing cycle. Does that make sense? It's just that
19 it's compressed, but you would get the same number of reviews
20 from the SSC.

21
22 **MR. GREGORY:** Yes, it makes sense, but I just want to caution
23 that we use -- The Gulf Council uses the SSC to review all
24 scientific information for them and not just management advice.
25 It's a red flag for me, because it seems like since we've gotten
26 into this ACL era that the emphasis seems to be that the SSC
27 gives the ABC and that's their job, but the job of the SSC goes
28 beyond that.

29
30 It's not just the management advice, but it's to tell the
31 council that we think this advice you're getting from these
32 people, whoever they are, is the best scientific advice that
33 we're aware of, and that's what the council relies on. I would
34 like to see the same with the research cycle.

35
36 If there's a change in the stock structure, that's the time to
37 discuss it with the SSC and not after it's been accepted by the
38 Center and then put into an operational plan, where it would
39 come to the SSC and say, well, this is what the research cycle
40 has concluded and we're stuck with it and this is the way it is.
41 I think the SSC needs to be in the middle of that, and so that's
42 the only thing, because they do more than just management
43 advice.

44
45 **DR. PORCH:** Fair enough. I guess what I'm saying is that they
46 would actually be reviewing it, under the proposed system, just
47 as much. It's just there is a delay, because, right, now the
48 benchmark is research track and then operationalizing it and

1 then the SSC reviews it anyway, and so there would be actually
2 just more time, because it would be research track and then a
3 gap of time and then whenever it's scheduled to be
4 operationalized.

5
6 You would end up the same frequency of reviewing it. However,
7 having said that, if we tweak this -- Let me put it this way.
8 If it would make an easier sell, I would be happy to tweak it so
9 the SSC gets to review the research track cycle after the
10 independent peer review, but, before it's operationalized, it's
11 basically sending somebody to an SSC meeting and presenting it,
12 much like Matt just presented something.

13
14 **MR. GREGORY:** That's exactly what I'm asking. Part of the
15 frustration that we've had, at least when I was on the SSC, was
16 trying to deal with an update where you're so constricted
17 because this is what the last benchmark said. Therefore, you're
18 limited to what you can do with this, and I would be worried
19 that we would have the same kind of restrictions from a research
20 cycle that didn't get adequate review by the SSC and that we
21 would be locked into something that may not make sense to us or
22 make sense to the SSC. If they can review the research cycle,
23 then that should help minimize that kind of conflict.

24
25 **CHAIRMAN BARBIERI:** I think message taken that that's a
26 recommendation. Mary.

27
28 **DR. CHRISTMAN:** I just wanted to point out that in 14(a), the
29 document that Clay provided supporting the presentation, it
30 actually has Step 4, Action, CIE and SSC Review and Comment.
31 That's during the research cycle, and so he was planning on it,
32 or at least he was thinking of it at the time he wrote that, or
33 whoever it was that wrote it.

34
35 **CHAIRMAN BARBIERI:** Thank you for that, Mary. Thank you for
36 coming, Clay, and giving this overview and addressing a number
37 of questions. I think you got a lot of good questions and
38 recommendations from the committee. It gives you an idea. My
39 impression is that the committee is really responding very
40 positively to this. I mean they have some suggestions and
41 perhaps recommendations for improvement, but, in general, I
42 think the committee is very much in line with this, which is
43 pretty much what happened at the South Atlantic as well. Bob.

44
45 **MR. GILL:** Thank you, Mr. Chairman. To that point, do you want
46 a motion to that effect?

47
48 **CHAIRMAN BARBIERI:** Since this item is informational, I don't

1 think we need to. I think it will just make things a little
2 easier and faster, and it will be included in our report, both
3 the written report as well as the presentation to the council,
4 but I don't think -- It's not an action item. Doug.

5
6 **MR. GREGORY:** No, the council explicitly wanted the SSC's input
7 on whether it should endorse this approach or not. I mean this
8 approach scares a number of people on the council and council
9 staff, that we're frustrated that we're not getting enough
10 assessments now and that we might get less assessments.

11
12 Our concerns are somewhat alleviated by the discussion of the
13 research cycle will be done in the background. How that plays
14 out is really what's important, but there is a lot of concern on
15 the council about the frequency of stock assessments we're
16 getting now and what we might get under a new approach, and so a
17 definitive recommendation from the SSC is very important.

18
19 **CHAIRMAN BARBIERI:** I completely agree. If you think that this
20 should be in the form of a motion, to make it clear, we can do
21 that. Would that be easier? Having heard that, Mr. Gill.

22
23 **MR. GILL:** Thank you, Mr. Chairman. I will make an attempt at
24 it. **The committee recommends approval of the proposed**
25 **research/operational assessment structure.**

26
27 **SSC MEMBER:** Who are recommending that to, the council or
28 ourselves?

29
30 **MR. GILL:** All of our motions go to the council.

31
32 **CHAIRMAN BARBIERI:** Yes. Bob Shipp.

33
34 **DR. SHIPP:** You know I tend to approve it, but I am concerned.
35 It seems, to me, that this is -- It just came up on us pretty
36 rapidly. We haven't had a lot of time to think about it, and,
37 as Doug pointed out, there is concern. I want to approve it,
38 but I just think this is kind of premature to do it at this
39 point.

40
41 **CHAIRMAN BARBIERI:** Mary.

42
43 **DR. CHRISTMAN:** Actually, before I would vote to approve it, I
44 do have a question about implementation, because if you only
45 have limited resources and we have to provide these stock
46 assessments, how are we going to implement this and maintain the
47 schedule of stock assessments? How do you see that playing out?
48 I'm trying to get a sense of is this disruptive or can it start

1 in the background? How would it work?

2
3 **DR. PORCH:** Right now, it's a very inefficient process for our
4 data providers, because, during a benchmark, which we do a lot
5 of benchmarks, some of the parameters change, in terms of fleet
6 definitions and how we're combining data across fleets, stock
7 structure, et cetera. It ends up chewing a lot of the data
8 providers, because they end up calculating things two or three
9 times.

10
11 For a research track, they just give us the data as it is. It
12 can be a year outdated. It doesn't matter. It's concept that
13 matters. You're not trying to get the most recent data, and so
14 then they can focus on the operational tracks, where, in this
15 case, you already know exactly the fleet definitions. It's not
16 going to change. You know the stock structure. You compute the
17 data one time and then they move on to the next operational
18 assessment. This mostly addresses the bottleneck we have with
19 data provision.

20
21 **CHAIRMAN BARBIERI:** Jeff just reminded me, correctly, that this
22 motion hasn't even had a second yet, and we're already into
23 discussion.

24
25 **DR. CHRISTMAN:** I second.

26
27 **CHAIRMAN BARBIERI:** Thank you, Mary. Discussion now?

28
29 **DR. CHRISTMAN:** My question was I'm trying to imagine, if we
30 were to shift over to this new approach, this new modeling
31 approach, how do you see that happening and still providing the
32 SSC and the councils with the stock assessments they need now?
33 That's what I was asking.

34
35 **DR. PORCH:** Most of the stocks that are being assessed now have
36 had fairly benchmarks fairly recently, and so operationalizing
37 them is the same as conducting an update, or maybe, in some
38 cases, a standard, if there's something -- An operational
39 assessment would be either the equivalent of a standard and
40 update, depending on what the SSC thinks needs to be added to
41 the assessment and what they feel comfortable to review, and so
42 I see it as a fairly seamless transition.

43
44 **CHAIRMAN BARBIERI:** Do you have a clarification, Ryan?

45
46 **MR. RINDONE:** Kind of a question that will hopefully clarify
47 something. For when we're looking at the SEDAR schedule and
48 we're talking to the council about these things in the future,

1 we'll just say that something that is expected to be of a
2 standard or update caliber, in the back of our minds, it will
3 just be characterized as an operational assessment. If the
4 council sees that, they will -- At least, through this process,
5 they will learn what latitude is being provided to the
6 analytical team and about what they should expect as far as
7 timelines.

8
9 Now, I guess a follow-up to the -- I take your nodding as yes,
10 but a follow-up to that. When we're talking about these
11 timelines and deliverables and the council is trying to figure
12 out when they're going to get these things, do we need to be
13 changing our current way of forecasting when we want stuff to be
14 completed or -- Because there's obviously being advertised quite
15 the bit of capability to churn out a lot of assessments in say a
16 two-year period, and, of course, needs can change during that
17 time and how much would the councils need to, say, interject a
18 gray triggerfish assessment maybe a year or two ahead of
19 schedule, and how much is that going to throw a wrench into the
20 mix?

21
22 **DR. PORCH:** Obviously it depends on the species we're talking
23 about. If you're talking about red snapper, the further ahead
24 you can get us, the better, because there are so many pieces of
25 information that we need to update, I mean dozens of time series
26 that need to be updated.

27
28 For other species, it may not be quite as much work, but, in
29 general, you want at least a year's notice, if not two, because
30 we have to get the machinery in place to reading otoliths and
31 processing, whether it's processing reproductive samples or --
32 At least in an operational assessment, you do need to read more
33 otoliths to update that part of the time series and updating
34 catch per unit effort, fishery-independent and dependent indices
35 of abundance, et cetera. Again, I don't see that part of the
36 equation changing, and so you want to plan at least a couple of
37 years ahead.

38
39 **CHAIRMAN BARBIERI:** Clay, I perhaps misunderstood how this
40 process is taking place. I mean I thought that this was
41 basically you coming as an informational item to the SSC and we
42 provide some -- But this is not completed yet. I mean even the
43 structure of how all the details are going to be worked out is
44 not done yet or --

45
46 **DR. PORCH:** Right, it's going to be discussed and hopefully
47 adopted at the upcoming steering committee meeting, but we
48 didn't unilaterally impose this. We're coming to the councils

1 to get your views on the matter, and maybe you have some
2 suggestions, like Doug did, that we take the research cycle
3 assessments to the SSC immediately following the review panel,
4 so we can get their input. Basically, we want to get input from
5 the councils and their SSCs and then tweak the procedures so
6 that people are happy with it.

7
8 **CHAIRMAN BARBIERI:** Yes, and I'm saying this because I mean when
9 we send a motion to the council recommending approval, I wonder
10 if it's still a little early in the process for us to do this.

11
12 **MR. GREGORY:** If I may, Luiz. If you look at the SEDAR schedule
13 that Ryan presented, there is a scamp research cycle already
14 listed for 2018. Even before we've got the full approval of all
15 the councils, the Center is going forward with planning them,
16 and so it's not too early.

17
18 **CHAIRMAN BARBIERI:** My question then to the SEDAR Steering
19 Committee, and I know that Bonnie is the Chair, but will there
20 be a document -- Right now, there is a type of a SOPPs document
21 that SEDAR adopts which codifies a lot of these processes, all
22 the procedures, in writing. I mean I would be concerned, the
23 same that when I review a stock assessment that I ask not to
24 have just a PowerPoint presentation, but I want to review the
25 document in front of me.

26
27 I mean my interpretation of this is that, basically, to provide
28 some input and get some suggestions and go back and reiterate,
29 but that, eventually, we will be given the opportunity for a
30 more formal review. I have Kai and then Jeff.

31
32 **DR. LORENZEN:** Thank you, Mr. Chairman. I like the idea, and I
33 trust Clay's assessment that it would improve efficiency, but it
34 also has a lot of open questions, for me, at the moment about
35 exactly how they would be implemented and how those reviews
36 would work and how much latitude there would be and so on.

37
38 I am thinking maybe we can do something in between and
39 essentially do a pilot test of this process, with maybe one
40 research track or two research track assessments and some
41 operational, and see how that works in practice before we just
42 jump into it and say yes, that's what we do.

43
44 **CHAIRMAN BARBIERI:** Jeff.

45
46 **DR. ISELY:** I guess I would offer a friendly amendment to help
47 soften this and change "approve" to "favorably consider".

48

1 **MR. RINDONE:** How about "endorse"?

2

3 **DR. ISELY:** I'm trying to give them them opportunity to get more
4 detail, rather than approve what's been presented to us. That
5 was my point. If somebody can come up with a better wording
6 than that, then --

7

8 **CHAIRMAN BARBIERI:** Are you done, Jeff?

9

10 **DR. ISELY:** Yes.

11

12 **CHAIRMAN BARBIERI:** Okay. Bob.

13

14 **MR. GILL:** The one thought I had relative to that is, after
15 "structure", insert the word "concept", so that the details
16 aren't known, et cetera, but, in general, the idea and the
17 concept that Clay has provided appears to be acceptable, details
18 to be determined, and so if that would help. It would be
19 "assessment structure concept". That would be my suggestion,
20 Mr. Chairman.

21

22 **CHAIRMAN BARBIERI:** Who seconded this? Mary did. Are you okay
23 with that?

24

25 **DR. CHRISTMAN:** Yes.

26

27 **CHAIRMAN BARBIERI:** Ryan and Doug, I am not trying to steer away
28 from making a decision, but it's just that, to give this a
29 complete thumbs-up or thumbs-down, are we ready for that? Ryan.

30

31 **MR. RINDONE:** I think, ultimately, the SEDAR Steering Committee
32 is going to want to have SOPPs in place, similar to what exist
33 for the benchmark/standard/update paradigm that we operate under
34 now, before there is like a final, hard approval.

35

36 I can't imagine that that written language as to how exactly
37 everything is going to go is going to be put through without any
38 sort of consideration by the cooperators, which are the councils
39 and the commissions. Endorsing the structure or the concept or
40 whatever verbiage you guys want to use is very appropriate at
41 this stage, and, as far as any concerns about if it's going to
42 get ahead of us and it's going to be implemented before you guys
43 have a chance to see that, because of what's on the schedule
44 right now for scamp, if, for whatever reason, the cooperators
45 for SEDAR decide to go a different direction, then scamp just
46 becomes a benchmark.

47

48 Clay is right that there's been a whole lot more buy-in in the

1 last several months for this new process as more information has
2 been made available about how it's actually going to operate.
3 The explanations are much improved, but you guys have definitely
4 not seen the last of it. When that formal SOPPs language comes
5 out, you're likely to see it.

6
7 **CHAIRMAN BARBIERI:** Thank you for that clarification, Ryan.
8 Marcus.

9
10 **DR. DRYMON:** Thank you, Mr. Chair. I would just like to say
11 that I've seen this presentation, or a similar version, a few
12 times now, and, thinking about it, and especially just thinking
13 about it today, it doesn't seem, to me, to be too much different
14 than what's already in place.

15
16 I would say, to me, it's just kind of a rebranding of some of
17 the same stages, with the major difference being the benchmark
18 isn't under the same pressure to be used right away, that it has
19 this period to become operationalized, and so I think it's a
20 really good change. I think we could all agree that SEDAR moves
21 pretty slow, and this seems like a very reasonable series of
22 changes to make it move faster, to me.

23
24 **CHAIRMAN BARBIERI:** Thank you, Marcus. Any other comments?
25 David.

26
27 **DR. GRIFFITH:** I just would have trouble -- I mean I don't mind
28 this idea of supporting the concept, but to endorse the whole
29 process right now, especially because Mr. Gregory said that
30 there were some reservations about this that we don't know
31 about, we would have to have, I think, a lot more information
32 about how people had problems with this approach, although it
33 sounds like a very good approach, to me, and it sounds very
34 workable and much more efficient, but I would like to know if
35 you know how stakeholders are going to respond to this calling
36 it something different, calling it an assessment instead of a
37 benchmark or a research cycle, and how they're going to respond
38 to these new terms. I just think we need more information
39 before we endorse the whole thing, but endorsing the concept, I
40 think, is a good idea.

41
42 **CHAIRMAN BARBIERI:** I have John and then Steven.

43
44 **MR. MARESKA:** I definitely think this is going to improve
45 things, and maybe the holdup on some people's part is the
46 concept that a benchmark is better, and if you remove the
47 benchmarks, then you have removed that better assessment, but,
48 from a scientific standpoint, I don't see a big difference in

1 the updates, the standards, and the benchmarks when we're
2 sitting here reviewing all of that information. If an
3 assessment is an assessment, it's all equal, I think they will
4 be able to turn them out a whole lot faster.

5
6 **CHAIRMAN BARBIERI:** Before your comments or questions, Steven,
7 you know this is why I don't think that we are at the stage of
8 making motions to give this a thumbs-up or thumbs-down. I mean
9 I think, at this point, they are presenting a concept to us and
10 asking for feedback, and I can tell you that the South Atlantic
11 SSC responded positively, but provided about eight to ten
12 different bullets in our report that made some of these points.
13 We wrote down some of these recommendations to the Center,
14 basically, and the council on issues that the committee had
15 concerns about and suggestions for improvement.

16
17 My impression is that we were at the stage that we can use our
18 report to basically, in a non-decisional sort of non-action-item
19 topic like this, provide some more explicit recommendations,
20 instead of going through a thumbs-up or thumbs-down motion
21 process. Yes, Steven.

22
23 **MR. ATRAN:** You just about said what I was going to suggest.
24 The idea that you approve the concept, as opposed to the
25 proposal, is kind of an ambiguous difference. When I am reading
26 this, the motion sounds like, hey, you're all for this, but the
27 discussion is that you have some concerns, and so I was going to
28 suggest that -- In the document, I was going to try to write
29 down some of those concerns, based upon my notes. You said that
30 the South Atlantic SSC actually had a bulleted list. I was
31 going to say maybe that you support continued development of the
32 process, but you have certain concerns, or something along those
33 lines.

34
35 **DR. LORENZEN:** Coming back to the idea of having basically a
36 pilot implementation followed by some review maybe by the
37 committee, but the question is, Clay, from your perspective,
38 would that complicate things or would that be a natural thing to
39 do?

40
41 **DR. PORCH:** Really, I think it's a fairly smooth transition, and
42 so a pilot approach -- I mean it would be okay, but it just is
43 going to delay the rate at which we can improve throughput,
44 because basically, if your pilot is one species, that's one out
45 of the fifty or so that we assess, and so that's my only concern
46 there, but my biggest fear is that we languish in indecision,
47 because some people are afraid that there is some subtlety in
48 here that will slow things down rather than speed things up.

1
2 I mean I don't see how that could happen, but there may be some
3 people that are worried about it, either because they didn't see
4 the full presentation and they just heard about it or maybe they
5 have some specific reservations, and if they have -- If someone
6 on this committee has specific reservations, I would like to see
7 them. That would be very helpful.

8
9 What Luiz and Steven were referring to, having a bulleted list
10 of things you're concerned about, would be very helpful, because
11 that gives us something to address in time for the SEDAR
12 Steering Committee meeting.

13
14 **CHAIRMAN BARBIERI:** Yes, John.

15
16 **MR. MARESKA:** I guess I've got a question for Clay. It's my
17 perception that this research framework will allow them to make
18 sure that the model and the assessment is appropriate, so that
19 we don't get to the point where we review it and we say it's the
20 best available science, but not suitable for management. I'm
21 hoping it will remove that scenario.

22
23 **DR. PORCH:** That's certainly one of the precepts behind this
24 approach, in that, right now, a benchmark is constrained. It
25 has a hard ending point, because people are waiting to make
26 management recommendations.

27
28 We can only consider so many changes before we run out of time,
29 and this happens all the time. We saw it with king mackerel and
30 we've seen it routinely with red snapper and a number of other
31 species, whether either new information comes to light or some
32 important potential structural change, and we just don't have
33 time to do it and so we say next time, and then we have another
34 benchmark.

35
36 Whereas, if weren't constrained to provide management advice
37 next month, then we could just say, okay, this is important and
38 we've got to look at it and we'll extend the research cycle a
39 little bit.

40
41 **CHAIRMAN BARBIERI:** Yes, Jeff.

42
43 **DR. ISELY:** From an assessment scientist's point of view, I'm
44 really in favor of this approach. Specifically, for gray
45 trigger, there were a number of stock structures that I wanted
46 to investigate, data structures, and they just weren't permitted
47 under the current system.

48

1 The other problem is that we don't have just have a hard ending
2 with a benchmark, but we have a hard beginning. There is no
3 advantage in starting an assessment early, because you have no
4 idea what the data are going to look like until after the data
5 workshop, and so we really have a very narrow window.

6
7 What I can do with this structure now is actually begin some
8 trials on gray trigger in the background for an assessment
9 coming up several years from now, and then request data in a
10 specific format, after I've evaluated it, and so it gives a lot
11 more flexibility in the assessments, and I don't have to work
12 with the most current data, because we're not trying to come up
13 with projections and current data management, and so we're
14 sticking strictly to the concept of the assessment structure
15 rather than the assessment products, and so I don't see a
16 conflict in saying this is best available science. It will be
17 suitable for management with the appropriate data, and so I
18 don't see the conflict that we're picking up, and I'm in favor
19 of this.

20
21 **CHAIRMAN BARBIERI:** We have a motion on the board that has been
22 seconded. I think we've had a lot of discussion, and so, right
23 now, the committee recommends that the council approve the
24 proposed research/operational assessment structure concept for
25 SEDAR stock assessments. **All those in favor of this motion,**
26 **please signify by raising your right hand; those opposed;**
27 **abstentions.**

28
29 **MR. ATRAN:** I have thirteen to two. I don't see anybody
30 abstaining.

31
32 **CHAIRMAN BARBIERI:** Thank you. **The motion carries.** Let me ask
33 -- We have already discussed the limitations associated with
34 this motion, and so let's just make sure that we work on
35 providing a number of bullet points in our report that can help
36 inform implementation and improvements in this process going
37 forward. Thank you, Clay.

38
39 **DR. PORCH:** Thank you for your time.

40
41 **DECISION TOOL FOR GRAY TRIGGERFISH BAG LIMITS, SIZE LIMITS, AND**
42 **SEASON ANALYSES**

43
44 **CHAIRMAN BARBIERI:** This completes Agenda Item XIV, and that
45 puts us into Agenda Item XVI, Decision Tool for Gray Triggerfish
46 Bag Limits, Size Limits, and Closed Season Analyses, and we have
47 Dr. Mike Larkin here to give us a presentation. I am going to
48 just refresh your minds regarding our scope of work.

1
2 The council has requested analyses of a one-fish bag limit, a
3 fifteen-inch and sixteen-inch fork length size limit, and
4 various closed seasons for the gray triggerfish recreational
5 sector. NMFS staff is preparing a decision tool to analyze
6 combinations of gray triggerfish bag limits, minimum size
7 limits, and closed seasons for their ability to constrain
8 catches to the ACL or ACT. If time permits, NMFS staff may also
9 prepare a decision tool to analyze commercial management
10 measures. The SSC is asked to review the decision tools and
11 determine if they are the best scientific information available.
12 With that, Dr. Larkin.

13
14 **MR. ATRAN:** Just for your information, we no longer have a
15 quorum.

16
17 **CHAIRMAN BARBIERI:** Okay. Thank you.

18
19 **DR. MICHAEL LARKIN:** I am going to try to give this by webinar,
20 because I have an Excel spreadsheet that I wanted to go through
21 at the end, and so if you could bear with me for a second here.
22 What I'm going to go through is when we give the council a
23 decision tool, I think of it kind of like a Rubik's Cube to give
24 them for the different options that they're considering.

25
26 As Luiz pointed out, how do you take into account impacts from
27 seasonal closures and then bag limits and size limits? It gives
28 the council a way to evaluate the impacts of these different
29 decisions and how are the landings going to be impacted, and
30 that's important, because are they going to reach the ACT or the
31 ACL? The current accountability measure for this gray
32 triggerfish stock is you close when the ACT, the annual catch
33 target, is met or predicted to be met, as well will the landings
34 exceed the ACL? In that case, they have a payback provision.

35
36 What I'm going to go through now is a -- I tried to think of a
37 simple way to give the council a way to explore these options in
38 an Excel format, and so I'm going to go through kind of the
39 steps, the background of it, and then I'm going to show you the
40 tool.

41
42 Gray triggerfish is not experiencing overfishing, but it was
43 determined to be overfished in the latest assessment, in SEDAR
44 43. Additional management measures are needed to rebuild the
45 stock and, currently, Amendment 46 is proposing a range of ACLs,
46 ACTs, and changes to seasonal closures, size limits, and bag
47 limits.

48

1 The first thing you have to do for this decision tool is what
2 are the future landings going to be like? We've done this
3 numerous different ways. It depends on the stock, whether
4 they've been open or whether they've been closed. We have done
5 this with regression methods, with general additive models or
6 SARIMA models, but every stock is different, and we're trying to
7 model what the future landings would be based on the assumption
8 that most recent landings will reflect future landings.

9
10 With gray triggerfish, it was really tricky, and I'm going to go
11 through an example to explain why now. It's because the most
12 recent years without any recreational closure, you have to go
13 back to 2008, 2009, and 2011, because, in 2010, a large portion
14 of the Gulf was closed for the oil spill.

15
16 Then, because of predicting when the annual catch target will be
17 met, we had several closures in federal waters. In 2012, it
18 closed on June 11. In 2013, it closed on October 15. In 2014,
19 it closed on May 1. In 2015, it closed February 7, and so it's
20 very -- They're not consistent, because the landings are
21 variable, and this is just federal waters. It's not taking into
22 account state waters, which may or may not have closed, and so
23 I'm going to move on to that with the next slide.

24
25 During those same years when the federal waters closure took
26 place, in 2012 to 2014, Florida remained open all year. In
27 2015, they closed compatible with the federal closure. Alabama,
28 from 2012 to 2014, they closed compatible with the federal
29 closure, but, in 2015, they closed compatible, but they reopened
30 July 1 to July 31. Mississippi, 2012 to 2015, they closed
31 compatible with federal water closures. Louisiana, they closed
32 on July 4 in 2012 instead of our June 11 federal waters closure.
33 In 2013 through 2014, they closed compatible with federal water
34 closures. In 2015, they remained open all year. Then, 2012
35 through 2015, Texas remained open all year.

36
37 Trying to predict future landings is very difficult, because of
38 all these variables, all these different -- Whether it's a
39 federal closure or whether it's open in the state waters or
40 whether it's closed in the state waters, some in different
41 times, and so it makes it very challenging.

42
43 The way I pursued it for this stock is, first, I took it by
44 wave, and so I looked at trying to -- The goal is trying to
45 predict 2017 landings, so we can see, once we get the landings
46 baseline set up, then the impact from the size limits and the
47 bag limits and the seasonal closures.

1 First, what I did for Waves 1 and 2, is they were open from 2012
2 -- The recent years of 2012 through 2014, I just looked at those
3 landings for those two waves and I took the average of those
4 landings, and so you can see that dashed line down there at the
5 bottom, and so the Average Weight 1 and the Average Weight 2
6 landings for 2012, 2013, and 2014. Whereas, in 2015, it closed
7 within actually Wave 1, and so I didn't include that in there.

8
9 Then what about the other waves? Predicting 2017 landings, I
10 had to go back to 2008, 2009, and 2011 and really look at that
11 relationship between Waves 2 and the other waves, and so what's
12 the proportion of landings from Wave 2 to Wave 3, Wave 2 to Wave
13 4, Wave 2 to Wave 5, and Wave 2 to Wave 6.

14
15 I chose these years, 2008, 2009, and 2011, because it was open
16 the full -- The whole Gulf of Mexico was open during that time
17 period, both federal and state waters. I used that, and you can
18 see you're kind of getting similar distributions as you go
19 across the waves there, and so I used that. Using Wave 2, I
20 took the average proportion between Wave 2 and Wave 3 and Wave 2
21 all the way to Wave 6 and used that to determine what the
22 relationship between Wave 2.

23
24 I applied that to my average landings of Wave 1 and Wave 2, and
25 you can see what I have plotted at the bottom here is the dashed
26 line is the predicted landings. Then you can see the actual
27 landings from those years when the stock was open for the whole
28 Gulf of Mexico, both state and federal waters.

29
30 That's what I used for the predicted landings, which I will
31 incorporate into the decision tool, but then I took it -- This
32 gets a little tricky here. I tried to incorporate uncertainty
33 here, and so what is the -- Essentially, my goal is what's an
34 upper bound and lower bound, and so, for my predicted landings,
35 what's the high and what's the low?

36
37 For these, what I did, for example, for Waves 1 and 2, and I
38 will focus on Wave 2 here, was I looked at the distribution of
39 the recreational landings in Wave 2, and so I can do that
40 because I know the proportional standard error. I get that from
41 the Office of Science and Technology, the PSE that we often talk
42 about, and so I know -- For example, in Wave 2, I took the
43 average of 2012, 2013, and 2014. Those are the estimates, and I
44 know the PSE for each one of those years, and so I know the
45 distribution of landings for each one of those years.

46
47 When I break it down by mode, whether it was charter or it was
48 private, I can bootstrap from there. Essentially, I can pick

1 those years, from 2012, 2013, and 2014, and bootstrap from that
2 distribution 1,000 times and use that to get what are other
3 potential estimates that can come from there, again knowing, if
4 I know the estimate and I know the PSE, I know the distribution
5 of landings from each one of those years.

6
7 I did that for Waves 1 and 2 with bootstrapping techniques, and
8 I did it 1,000 times. To be honest with you, I took about 330
9 from one year, 330 from -- Like, for example, 330 samples from
10 2012, 330 samples from 2013, and 330 samples from 2014. I know
11 it's a tongue-twister, but bear with me.

12
13 Anyway, once I have those, I can do confidence intervals from
14 all those potential landings estimates, and so I did that for
15 Wave 1, separately by mode, and then I did that for Wave 2.
16 Headboat, I did not. That's actually a census, and so, that
17 one, I just know what's the census of the logbooks. That, I
18 just have an estimate. I don't have the distribution of
19 landings for each, because it's just, hopefully, and cross your
20 fingers, that's the actual real estimate there.

21
22 Anyway, I did that for Waves 1 and 2, and then the bootstrap
23 samples I had for Wave 2, I applied my proportion of the
24 landings, the relationship between Wave 2 and Wave 3, Wave 2 and
25 Wave 6, to those samples I got from Wave 2 and was able to
26 develop confidence intervals.

27
28 I also need to apologize. I'm working on a report that breaks
29 this down probably a lot better and shows more detail than I'm
30 going through here, and that's still going through clearance in
31 our office, but I plan to provide that as an appendix to
32 Amendment 46.

33
34 Now I know my predicted landings and my upper bound and my lower
35 bound, and this is all going to be incorporated into the
36 decision tool. Now I need to incorporate the management
37 measures that may or may not be implemented, and so, for
38 seasonal closures, I can break it down by monthly or daily. The
39 data source, I'm using my 2017 predicted landings.

40
41 For minimum size limit, I looked at from fourteen, which is the
42 current size limit, up to twenty inches fork length. Bag
43 limits, right now the current bag limit is two, and so, really,
44 I just looked at dropping it down to one, which is currently
45 being considered in Amendment 46.

46
47 The data sources for the minimum size and the bag limits come
48 from essentially dockside intercepts from the MRIP, headboat,

1 Louisiana Creel, and they started in 2014/2015 doing their own
2 recreational survey, and Texas Parks and Wildlife. I used the
3 most recent data dockside intercepts from 2013 to 2015.

4
5 Now, for example, here's an example of the gray triggerfish fork
6 lengths here. What I talk about is the percent reduction in
7 landings, and so here's the distribution when I sum up all of
8 them for all waves, and, over in that table there, is an example
9 that I show you for headboat, but anyway, when I sum up the
10 frequency of the distribution for all the different sizes from
11 the dockside intercepts, and then the red line is the current
12 size limit, I can calculate a percent reduction in landings
13 from, first, converting those lengths to weight, using the
14 equation stated in SEDAR 43.

15
16 For example, if I remove that bin there, that column there, of
17 fourteen inches, so meaning I'm increasing the size limit from
18 the current size limit of fourteen up to fifteen, all those fish
19 that fall in that bin of fourteen inches, I remove them, and I
20 look at the weight of that removal relative to the weight of all
21 the other size bins.

22
23 To give you a quick example, let's say there's 1,000 pounds when
24 you sum up all of these, and you remove those fourteen-inch bins
25 and that removes 100 pounds, essentially, you do a percent
26 reduction of 10 percent, because you just removed about 10
27 percent of the landings by increasing that size bin. You're
28 under the assumption that those fish will not be harvested
29 anymore, and so those 100 pounds are removed and I get a 10
30 percent reduction.

31
32 Over here is an example of what I have in the decision tool.
33 The decision tool, I will show you. I have it broken down by
34 mode and also by month there, but you can see the different
35 percent reductions that were calculated as you go from fifteen
36 up to twenty inches.

37
38 We do it by month. There were some occasions when we would go
39 to -- Our standard procedure is there has to be at least thirty
40 samples of, in this case, gray triggerfish sampled per month.
41 If there's not, then we pull samples from the nearest month.
42 For example, if you're in April and you only have twenty-five
43 samples, but then there's like twenty in May and twenty in
44 March, you actually pull samples from both of those combined,
45 and so it would be March, April, and May combined to get a
46 sample size of thirty.

47
48 That didn't happen that often, but we try to make sure, when

1 we're doing this analysis, that we have a minimum of thirty
2 samples when we're doing both the size limit and the bag limit
3 analysis.

4

5 **CHAIRMAN BARBIERI:** Mike, we have a question here.

6

7 **DR. CHRISTMAN:** I am not completely sure what these percentages
8 are in this table. I think you may have said it just a little
9 bit too fast for me.

10

11 **DR. M. LARKIN:** Sure. I'm sorry. Let me go through that
12 example again. If this is -- Let's say we have all the dockside
13 intercepts of what are the size of fish that were caught, that
14 were harvested, from the surveyors, or even the headboat, if
15 they're recording the lengths, or the dockside intercept
16 recording all these lengths, and so that's our, I guess, you
17 could say our population there.

18

19 Now, what if we want to -- This is what we get, and you can see,
20 in this case, there are still some undersized fish being
21 harvested, but those, I ignore. I make the assumption that
22 undersized harvest is going to continue in the future, but,
23 anyway, look at that -- You see the red line there and you see
24 that column of fourteen.

25

26 Let's say we remove those, meaning those fish are no being
27 harvested, and those fish are actually converted to weight. I
28 take all these lengths and I convert them to weight, and so you
29 remove those fourteen fish, which are no longer being harvested,
30 and convert them over to -- Let me think about this for a
31 second.

32

33 Let's say you have 1,000 pounds is the total and then you reduce
34 the harvest of those fourteen-inch, those fish are in fact being
35 released, and let's say that's about a hundred pounds. I'm just
36 giving an example here, but a hundred pounds, that column of
37 fourteen equates to about a hundred pounds of fish. Therefore,
38 you drop down to 900 pounds, and so you're removing 100 pounds.
39 You're removing 10 percent of landings. 10 percent of the
40 weight is being removed. Therefore, in that case, you would
41 calculate a percent reduction of landings from an increase in
42 the size limit of 10 percent. Does that make sense?

43

44 **DR. CHRISTMAN:** Let's see if I understand this correctly. Are
45 you saying that for a fork length of fifteen in April that 16
46 percent of the fish are of a fork length of fifteen or fifteen
47 or more or by weight or what? I'm not quite sure what these
48 percents are.

1
2 **DR. M. LARKIN:** If you're looking at April and the 16 percent,
3 you're right that that column -- By removing those fourteen-inch
4 fish, you're getting a reduction in your landings of about 16
5 percent.

6
7 **DR. CHRISTMAN:** Okay. Thank you.

8
9 **DR. M. LARKIN:** Sorry. It is tricky, I know. Now, to move on
10 to bag limits, it's a very similar thing, but this one might
11 look silly, because how do you get a bag limit of less than one
12 fish? The way the data comes in is we know -- Let's say on a
13 trip there were four people and there were two gray triggerfish
14 harvested. We don't know like Angler A caught this and Angler B
15 caught this. What we know is if there was four and two, then
16 that equates to about less than one. It's about half a
17 triggerfish per person.

18
19 Meaning if you wanted to maximize -- If you were on a trip that
20 maximized the gray triggerfish bag limit, if you had four
21 people, you could have eight triggerfish. That would be the two
22 there, the two -- In this example, that would be two triggerfish
23 per angler, and so that's why you get a lot of most of the trips
24 -- It's meaning the number of people exceeds the number of
25 triggerfish harvested. That's why you get that less than one,
26 and so that always looks weird when I show that.

27
28 Anyway, this is the distribution of all of them. In this case,
29 I broke it down, just to show you an example here of what I have
30 in the decision tool. When you reduce the bag limit down to
31 one, for example if you did it in January, you get about a 19
32 percent reduction in landings, and so going from two down to
33 one.

34
35 Now, to go more into the decision tool, as I talked about
36 before, it's really to give the council a way to evaluate
37 reductions in harvest associated with the seasonal closures, the
38 size limits, and the bag limits, and there are caveats to this.

39
40 I mean it doesn't take into account ever-shifting closed
41 seasons. You close off a month and everyone could fish the week
42 before or the week after it. It doesn't take into account
43 changes in average size as the stock is rebuilding, and it
44 doesn't take into account changes in fishing effort, and so it
45 certainly has some caveats.

46
47 Another thing is -- Here we go. I was getting ahead of myself.
48 This is how it's calculated in the decision tool, and I will

1 show you where it is, and so the projected landings, and I break
2 it down by mode and month, and you will see how I have that
3 presented in the decision tool, but, really, it's the predicted
4 landings for each mode month times, in this case, OM is the
5 percent of the month that's open to fishing times SL, which is
6 the percent of landings reduced from the change in the size
7 limit. It would be 100 if there is no change in the percent of
8 landings, if there is no landings reduced, and then times BL,
9 which is the percent of landings reduced from the bag limit, and
10 so this is kind of like the root equation that goes into the
11 decision tool that I'm going to show you in a minute.

12
13 Another thing I take into account is you have a little section
14 for discards and total removals, and this is just a hypothetical
15 example of how I calculated it. If you know the predicted
16 landings for the whole year are 400,000, and let's say you
17 impose a size limit that reduced your annual landings down to
18 350,000, that 50,000 pounds, which is essentially being thrown
19 back -- You're increasing the size limit, and so, therefore,
20 those fish that would have been caught now -- Let's say, for
21 example, that fourteen-inch minimum size limit equates to about
22 50,000 pounds being reduced.

23
24 I take those 50,000 pounds and I divide it by the current
25 average weight, which actually I got that from the most recent
26 recreational dataset, but, anyway, that gives me a number of
27 fish discarded, and then I apply those numbers by the discard
28 mortality rate, which is 5 percent from SEDAR 43, from the base
29 model run, and I can calculate dead discards, and so essentially
30 the number of fish discarded times 5 percent to get the number
31 of dead discards. As you'll see, I have a little section in the
32 decision tool where you'll see that calculation.

33
34 Then I also incorporate the total removals, which is dead
35 discards plus the number of fish landed, and so the total --
36 Let's say your total harvest is 350,000 pounds. I divide that
37 also by the average weight, to convert that to numbers, and so
38 you can see the total fish harvested, in terms of numbers, plus
39 the dead discards.

40
41 I just tried to give the council another option, so as they
42 explore different management scenarios that they can see how
43 that impacts the dead discards, how that impacts the number of
44 fish landed, and so this is just a cue here for me to show you
45 here -- So hopefully you guys can see this quite well on the
46 screen. Sorry some of the text comes out small.

47
48 Anyway, this is an example here of -- Here, you have options and

1 so let's say you want to close March -- You can even do like
2 March 15. You can see, in this case, 48 percent of the month is
3 closed, but then, for March 15, all of the month of April. If
4 you watch this, this is the total landings for the year, and so
5 you will see this will change.

6
7 Let's say you want to change the current status quo of a
8 fourteen-inch minimum size limit. If you want to jack that up
9 to sixteen, you will see it will drop down to 310,000. Then if
10 you want to also reduce the bag limit here, you can see it drops
11 down to 265,000.

12
13 Actually, where this is coming from is I have these little
14 matrices here of broken down by headboat, broken down by
15 charter. I didn't have enough to do Texas and LA Creel by
16 themselves, and so I just pulled charter by MRIP, Texas, and LA
17 Creel. Private is also pooled between MRIP, Texas, and LA
18 Creel. That way, I had enough sample size. There are some
19 stocks for Texas that we have enough, but this certainly was not
20 one of them.

21
22 Anyway, then you can break it down. I give you some text here
23 of how the different alternatives are set up for the different
24 ACTs and ACLs and what are they based on. This is all coming
25 out of Amendment 48, and so, down here, you can see how these
26 landings -- From those changes I just made now, here's the total
27 predicted landings, 265,000, here, how are those -- Are they
28 going to exceed the different options for the ACLs? Are they
29 going to exceed the different options for the ACTs here?

30
31 The yellow highlights an overage here, and so you can see one of
32 them, for example all three, has a higher ACL of 431,000, and so
33 you can see that, in this case, it's not yellow. In this case,
34 you will be under the ACL, as well as under the ACT in 3c, and I
35 built in -- Excuse me, but all 3c.

36
37 I built in a little graphic here, so you can kind of see how it
38 changes. These are the different ACTs here. In this case, I
39 just built that graphic in for the ACT, because the current
40 accountability measure is to close the fishery when it meets or
41 is predicted to meet the ACT.

42
43 Then I have different options here. You can see actually the
44 projected closure date, when these different ACTs will be met
45 and how many days in a season, and so you will see, if I go up
46 here and I change July and make that closed, and then I scroll
47 back down, you will see July is now a flat line there, closing
48 harvest in the month of July, and now the overall landings

1 dropped, and these will be modified too, the different closure
2 dates and the seasons.

3
4 Then down here is when I incorporate those discards. You can
5 see, from this management action, what is the projected number
6 of discards, and it's all relative, relative to the status quo,
7 and so meaning if you have the current size limits and the
8 current bag limit, you will assume that's zero discards, but
9 then, if you impose a change in the size limit and the bag
10 limit, then you will have those landings reduced, and those
11 landings are converted to numbers and then multiplied by discard
12 mortality rate.

13
14 Then you will see how these -- They're all relative to different
15 changes that you make, the number of discards and then the dead
16 discards and then as well as converting the total landings into
17 numbers. That's here, and then total removals is adding up the
18 -- In fact, if you click on it here, you can see I'm just simply
19 adding up the dead discards with the landings. It's a nice
20 little bell-and-whistle kind of thing, so you can pursue
21 different management options here. You can see how the landings
22 change.

23
24 Then, down here, is where I incorporate those upper and lower
25 bounds. If you wanted to look at here is from the upper 95
26 percent confidence interval and how they are relative to the
27 ACLs, and so you will see, in this case, they will be a lot
28 higher. In this case, the next one down below is the lower
29 bound, and so it will be even lower, and the negative numbers
30 just mean that the projected overage is from -- That there is in
31 fact an underage. A negative is you're under the ACL and then
32 the yellow is your overage.

33
34 Then I just wanted to show you, real quick, the nuts and bolts
35 of everything here. This is just simply how I defined the ACLs.
36 This, I know it's very tough to look at, but this is just how we
37 developed those drop-down menus for whether we're doing
38 different size limits or closures or bag limits, and this is
39 just a lot of procedures to look at to incorporate the different
40 reductions, for example, from the size limit, and so it's broken
41 down by mode.

42
43 You can also see, in the headboat here, that I have it broken
44 down by -- Landings are broken down by headboat and charter. I
45 know it says MRFSS charter. This is a typo, but this is all the
46 charter landings and all the private landings and then those get
47 multiplied by the different matrices I have for size limits and
48 bag limits here.

1
2 This one, you can see there's not many options here, because,
3 really, we're just reducing down to one, because we can only
4 have two, and then just some more details of the landings. This
5 is just stuff I used to make that figure there. You can
6 actually track it and see if it goes above the different ACT.
7 This is the procedure I used to develop the closure dates, and
8 this is just a fancy graphic to show what the landings are with
9 the upper and lower confidence bound there.

10
11 I know I went through it kind of pretty fast there, but that's
12 our decision tool that we gave the council to try to give them
13 guidance for their different management options.

14
15 **CHAIRMAN BARBIERI:** Thank you, Mike. Any questions or comments
16 for Mike? What we are being asked to do is to approve this
17 methodology that Mike just described as a scientifically-valid
18 method for the council to consider different options, the
19 combinations of multiple management options, and get kind of
20 like instant feedback on the implications of that. Kai.

21
22 **DR. LORENZEN:** Just a question. Did you have a chance to
23 essentially test this retrospectively on some of the past years?

24
25 **DR. M. LARKIN:** That's a great question. I tried for gray
26 triggerfish, but it's really following the assumption that --
27 The answer is yes, but we've had some complications, meaning
28 it's under the assumption that closures will also match -- The
29 states will follow as well, and, for gray triggerfish, it was
30 rather unsuccessful, because it was under the assumption that,
31 okay, the states will close as well, but when they don't and
32 then the landings pursue, that's another variable that kind of
33 throws a monkey in the wrench, and so -- Actually, I'm going to
34 punt over to -- Maybe John I think has looked at that more.
35 Have you and Nick looked at that further, John, in terms of
36 model production and hind-casting, to see success or lack of
37 success?

38
39 **DR. FROESCHKE:** Sort of. I mean the way we've done it is that
40 you basically build it and leave out the terminal year and then
41 use it to test on that. I don't know how portable this approach
42 is to that, because everything seems to be included in all the
43 data.

44
45 One idea that came to my mind is, since you're focused on the
46 early portions of the year, is that you mind use 2010 at least,
47 because that fishery should have proceeded normally until
48 Deepwater Horizon, which they couldn't foresee, and so they

1 wouldn't be responding. That might be a brief set of data that
2 you could use for some sort of out-of-sample testing.

3
4 **DR. M. LARKIN:** Because that was in Wave 2? That was in April,
5 I think, is when it closed, and so, therefore, Wave 1 should be
6 untouched. It sounds like we definitely need to pursue that
7 further, in terms of looking at the success rate of them, but
8 it's also under the assumption that there are no monkey-wrenches
9 thrown in.

10
11 **CHAIRMAN BARBIERI:** A follow-up, Kai?

12
13 **DR. LORENZEN:** For those previous years, you would know -- You
14 could almost quantify the monkey-wrenches too, and so that would
15 be a fairly good test. I am thinking that I like the idea of
16 having a decision tool that will help people look at different
17 options quite quickly and so on.

18
19 At the same time, it seems sort of reasonably -- There are a lot
20 of kind of semi-empirical assumptions going into that, and so,
21 from a scientific perspective, I think it's kind of difficult to
22 judge. The only question is does it do a reasonable job in
23 terms of predictions, and you would find that out by --

24
25 **DR. M. LARKIN:** I think for like greater amberjack, it seemed
26 like it was quite well at predicting keeping us under the ACL
27 and ACT for that one.

28
29 **CHAIRMAN BARBIERI:** Jeff and then John.

30
31 **DR. ISELY:** A couple of comments and then a question. First, I
32 like what you did. I think it's a great way to look at these
33 different variables interactively, and so I really like that,
34 but I would caution, I guess, that you're not going to see the
35 reductions that you expect, for a couple of reasons.

36
37 First, you're going to get a derby-day mentality, where if the
38 season has been closed, people are going to go out on opening
39 day, and that's going to reduce some of your effect. Even
40 though trigger aren't really targeted that much, you're still
41 going to see a little bit, and, secondly, that with this length
42 limit increase, you're going to have growth of those fish, and
43 so you're actually going to increase the numbers of fish at
44 larger sizes later in the year, and those aren't being accounted
45 for in the current size structure. Those are two things I can
46 see.

47
48 I'm not sure how you can incorporate a growth model in this.

1 I'm sure it could be, but it's going to add a level of
2 complexity that would probably need to be modeled with some sort
3 of Bayesian approach, I guess. Then the question I have is you
4 mentioned that you sort of disregarded the undersized fish.
5 Does that mean you left them in as if they had continued
6 catching those fish under fourteen inches?

7
8 **DR. M. LARKIN:** Yes,

9
10 **DR. ISELY:** So you removed just the fourteen-inchers and left
11 the thirteen and below for the additional size analyses?

12
13 **DR. M. LARKIN:** Yes, under the assumption that the most recent
14 underharvest rates will continue. Actually, I did look at that.
15 It has decreased. That was one thing that Carrie and I looked
16 at, because I think the last time it was a lot higher. I think
17 it was like 40 percent, but now I think it's down to like 20
18 percent, which maybe there's another story there. I think they
19 were misunderstanding between fork length and total length, but
20 you're right. To answer your question, I do -- Under the
21 current level of -- Illegal harvest will continue. I make that
22 assumption yes.

23
24 **CHAIRMAN BARBIERI:** John Mareska.

25
26 **MR. MARESKA:** I think you did a good job so far, but, I think,
27 to fully evaluate this, I would also like to see some
28 information on number of trips by wave and the catch rate,
29 because those have a large bearing on your dead discards, and,
30 in the presentation at the end, you included some information
31 about the biology.

32
33 For a fish that we've considered low recruitment, I think the
34 months that were closed that were during that spawning season,
35 and I think that would have definite implications on the
36 recovery rate of this stock.

37
38 **CHAIRMAN BARBIERI:** Thank you, John. Mike, I guess this
39 provides you some good suggestions and recommendations, perhaps
40 for tweaking and kind of refining the current approach that's
41 being used, and perhaps you can return at a future date to kind
42 of show us some of the most recent implementation, and I like
43 Kai's suggestion that we look at performance of how this
44 actually -- How successful it is in predicting some of those
45 changes that we already know happen and we know the outcome of
46 them. Thank you very much, Mike. That was a very useful
47 approach.

48

1 Moving on, we have two items that have to do with questions or
2 issues that Steven has identified or would like to get some
3 clarification from the committee. Can you discuss those with
4 the committee, please, Steven?

5
6 **REEVALUATION OF SSC RECOMMENDATION FOR HOGFISH EQUILIBRIUM ABC**

7
8 **MR. ATRAN:** Agenda Item XVIII, entitled Reevaluation of SSC
9 Recommendation for Hogfish Equilibrium ABC, this is an item that
10 has some implications on the Hogfish Amendment 43 of the council
11 that we'll be taking final action on. It may have some
12 implications for the vermilion snapper ABC that you just voted
13 on earlier today, although we're specifically looking at
14 hogfish.

15
16 I have extracts from three recent SSC summaries in your
17 materials. One was from last May, when you gave a time series
18 of yield projections for hogfish under a declining yield
19 scenario. There was another one from January, when you gave a
20 constant catch scenario, and the one that is of greatest concern
21 was in the middle.

22
23 In September of last year, you were considering the constant
24 catch scenario. You hadn't decided the best way to go about
25 calculating it yet, but you did pass a motion that said, by a
26 vote of eighteen to two, the committee recommends that, if at
27 the end of the projection period, no new assessment is available
28 and the equilibrium ABC is below the ABC of constant catch yield
29 stream, ABC should revert to the equilibrium ABC. We noted that
30 this was meant to apply to all stocks that had declining yield
31 streams and not just hogfish.

32
33 Based on this, we have an alternative that is actually currently
34 a preferred alternative in our hogfish amendment to go with the
35 three-year constant catch yield stream that was recommended by
36 the SSC, but, after those three years, to drop down to the
37 equilibrium yield.

38
39 Two things. Number one, the council didn't really want to do
40 that drop-down. That's a pretty large drop-down, especially
41 considering that there's a new assessment coming up very
42 shortly, but the other thing is that it seems, to me, that we've
43 got some conflicting information about using equilibrium ABCs
44 between the September meeting and the next meeting in January,
45 when you reviewed the red grouper assessment, because, in
46 September, we were looking at this equilibrium number and
47 incorporating it into the ABC recommendations, once we get
48 beyond the projection period.

1
2 Then, in January, with red grouper -- Of course, we had some
3 other problems with the long-range projections, but the SSC was
4 saying that, because these are such long-range projections and
5 there was a great deal of uncertainty with them, they didn't
6 feel that we should be using equilibrium ABCs and OFLs at all,
7 and, in fact, those were not presented to the council in the
8 committee report.

9
10 Of course, we just heard Clay a little while ago talk about some
11 of the problems with those long-range projections when you don't
12 have a good stock-recruit relationship. With that in mind, do
13 you still want to adhere to this motion that you made back in
14 September that if at the end of a series of projections, if we
15 have no new projections, that we should revert to equilibrium
16 ABC, or do you want to modify this?

17
18 Like I said, this is going to make a difference on what the
19 council decides to do with hogfish coming up in a few weeks,
20 but, if this is in place, it's also going to apply to the
21 vermilion snapper assessment that you just made, or at least I
22 think it will.

23
24 What I'm hearing is that, in most cases, the equilibrium ABC
25 does not -- You don't have enough confidence in it for us to
26 actually use it as a management target, but I would like to see
27 what the SSC has to say about this, and, again, do you still
28 want to adhere to this recommendation that you made in
29 September?

30
31 **CHAIRMAN BARBIERI:** Bob Gill.

32
33 **MR. GILL:** Thank you, Mr. Chairman. I must confess that I'm a
34 little confused by some of this. It seems, to me, that the
35 modification that the council made is moot, because that would
36 exceed the ABC that the SSC has provided, and so it doesn't come
37 into play unless a change is made somewhere, either the SSC
38 makes a revised ABC or something, and so I'm not sure of the
39 value, or I understand the value, of that modification, and so
40 perhaps we could start there.

41
42 **MR. ATRAN:** I may have been at fault for misdirecting the
43 council. They said they didn't want to do that big drop down to
44 equilibrium ABC, and I thought it would be okay if we just said
45 that at the end of the three years, under constant catch, that
46 we can just stick with that constant catch level until we get
47 the new assessment, but then, when we went back and reread the
48 motion that was made, it looked like maybe we can't do that.

1
2 I consulted with NOAA General Counsel and they said yes, there
3 might be an issue with what I gave them, and so, under this
4 motion, we would have to go back to the original alternative
5 that says that we would be at constant catch for three years and
6 then drop down to the equilibrium number. I'm not going to use
7 the numbers, because I don't recall them off the top of my head,
8 but I can get them if you want.

9
10 In the case of hogfish, we are planning to get a stock
11 assessment in 2018, which means we will probably have some new
12 numbers in 2019. It might be a moot point, or it might not, and
13 it definitely would not be a moot point for vermilion snapper.

14
15 **CHAIRMAN BARBIERI:** Yes, Bob.

16
17 **MR. GILL:** The second part of that is that, as I see it, we
18 don't have any additional information to make any changes.
19 We've got what we've got. We made a decision and right or
20 wrong, whatever that was, but we have nothing that gives us any
21 suggestion that we can or should make a change, and so I'm not
22 quite sure what this committee is expected to do here.

23
24 **MR. ATRAN:** To that point, you already have made a change
25 between September and January.

26
27 **CHAIRMAN BARBIERI:** No, we did not, Steven. I mean this is the
28 same. Those are two different stocks, and so the assessments
29 are different and the amount of uncertainty is different, and I
30 know that this is something that makes it a bit difficult in
31 terms of the council sometimes understanding what's going on,
32 but we cannot treat each and every stock the same, because the
33 length of our projections and recommendations has to do with the
34 committee's level of comfort with the uncertainty in the
35 assessment and how that uncertainty was accounted for and the
36 projections.

37
38 In some cases, it may be appropriate for us to go with an
39 equilibrium yield as a fallback. In some cases, it won't be.
40 Sometimes we're going to make recommendations that are very
41 short term, two or three years, and sometimes we can make ten
42 years, depending on our -- This is where we can apply our
43 collective professional judgment in evaluating the conditions of
44 that particular stock and making a recommendation accordingly.

45
46 **MR. ATRAN:** Really, I don't think the issue is whether you want
47 to do a three-year or a five-year or a ten-year. The issue is,
48 if we don't have new projections, what happens at the end of

1 that projection period?

2
3 **CHAIRMAN BARBIERI:** We can't respond to this generically. I
4 mean if you're talking about hogfish -- Are you asking about
5 this particular one, hogfish?

6
7 **MR. ATRAN:** This is a generic motion, and so I'm referring to
8 this generically. In the case of hogfish, it may be a moot
9 point, because we may get a new stock assessment before that
10 fourth year even kicks in, but, like I said, this is a generic
11 motion. We may have to apply it to the vermilion snapper yield
12 stream that you folks just voted on. I'm not sure yet.

13
14 **CHAIRMAN BARBIERI:** So what is your specific question for the
15 committee?

16
17 **MR. ATRAN:** To me, I felt that we were getting conflicting
18 information between September and January on equilibrium yields.
19 In one case, you used it for a management recommendation. In
20 another case, you said -- Again, it seemed to be a generic
21 statement that these are long-range projections that you have no
22 confidence in. To me, that's confusing, and maybe I would like
23 some clarification on how and when equilibrium yields should be
24 used.

25
26 **CHAIRMAN BARBIERI:** Bob Gill.

27
28 **MR. GILL:** I don't know if I will shed any light on this, but my
29 take on this is this is the -- Call it a policy. It's the
30 baseline position, and, on a case basis, like with red grouper,
31 SEDAR 42, we said no, that's not going to work and we'll do
32 something, but, in the absence of abnormalities, this is the
33 process by which we think we ought to go forward. I think
34 that's the way I interpret it.

35
36 **CHAIRMAN BARBIERI:** Evaluating whether it is applicable for that
37 particular case -- We can't just say that we're going to apply
38 this for every single time, because there will be differences in
39 how the parameters in the model are estimated, and the whole
40 process, whether we have confidence in our stock-recruitment
41 relationship and you can actually come up with an equilibrium
42 yield estimate that you believe is reasonable -- In some cases,
43 it won't be. Lee.

44
45 **DR. ANDERSON:** I am going to quote what I think is a very smart
46 man, and that was our Chairman earlier, who said that we have
47 these committee meetings quite regularly, and so I think if you
48 have a stream of numbers out there, you don't need to make a

1 decision of what we're going to do three years from now.

2
3 I would think that a policy would be of let's talk to the SSC
4 and see what they think, because there is going to be the
5 expertise of the guys around the table and there may be other
6 information. I just think it doesn't make sense, at the end of
7 a four-year period, to say this is what we're going to do no
8 matter what. Turn it back to the SSC.

9
10 **CHAIRMAN BARBIERI:** Steven.

11
12 **MR. ATRAN:** Yes, but I think the problem is the same as what
13 somebody said. We don't have any new information here, but it's
14 just I was trying to get clarification on use of equilibrium
15 yield. If, at the end of the projection period, we say turn it
16 back to the SSC, but don't provide any new information, they're
17 not going to have anything on which to base a change.

18
19 What I'm hearing is -- I guess it was Bob Gill that I thought
20 put it pretty clearly, that maybe this should be the base case
21 and if you want to deviate from this, you should indicate so, on
22 a case-by-case basis.

23
24 **CHAIRMAN BARBIERI:** This is fine, but I am telling you that I
25 feel very uncomfortable as an SSC member in getting myself to
26 make a motion like this that now represents some kind of rule
27 that we are not allowed to deviate from. I don't consider this
28 process -- Maybe I misunderstand what I'm supposed to do here,
29 but every single assessment that comes before this committee is
30 to be reviewed by the committee. We are going to evaluate the
31 conditions and all the situations for that particular case, and
32 we're going to provide catch advice accordingly.

33
34 It's not something, if you have a question -- I understand there
35 will be times when you have a question, but just come back to us
36 and ask us, okay, in this case, if you're working on a
37 management plan and you need to have long-term projections, you
38 can say, listen, folks, here is something that -- I think that
39 would be easier for us to evaluate on a case-by-case basis.

40
41 **MR. ATRAN:** If you read what's on the screen, it says the
42 following motion is a recommendation to apply to all short-term
43 ABC projections with a declining yield and not just hogfish, and
44 so this took out the case-by-case situation right there.

45
46 **CHAIRMAN BARBIERI:** Let me then ask you something. When does
47 this expire?

1 **MR. ATRAN:** The way it's worded, it's just an ongoing policy.
2

3 **CHAIRMAN BARBIERI:** So this is going to be forever? How many
4 other motions have existed over the last twenty years, or since
5 the implementation of the first SSC, that are continuing in
6 going forward?
7

8 **MR. ATRAN:** I imagine quite a few.
9

10 **CHAIRMAN BARBIERI:** I mean I'm getting to the point, really, in
11 this that I am going to have to revert to NS 2 and all the
12 codified processes there for how the SSC provides scientific
13 advice, and I am going to request legal counsel to please weigh
14 in on how our decisions and how these motions that are made here
15 become part of our SOPPs.
16

17 I mean I don't want this to be we are making decisions that are
18 providing scientific review -- We provide recommendations to the
19 council and we provide catch advice, but I mean I don't want to
20 be bound to some level of strict codification into something
21 that's not completely outlined in some kind of legal
22 documentation, because, in this case, we are allowed to change
23 our minds.
24

25 I mean this is why we have a committee. Otherwise, I could see
26 that we would have an algorithm in place that we would go
27 through and we don't need to pay all these people to take time
28 to come here and exercise their professional judgment and the
29 synergy of discussions. It would be completely automated in an
30 algorithm. We are actually being asked to evaluate every
31 situation and respond accordingly. That's my interpretation of
32 how we're supposed to operate.
33

34 **MR. ATRAN:** Without disagreeing with what you say, I think that
35 is how you should operate, but I'm reading what the summary
36 said, that this does apply to all short-term ABC projections
37 with a declining yield. In this case, you did say this is an
38 ongoing motion.
39

40 **CHAIRMAN BARBIERI:** Right, but, Steven, what happened is, in
41 January, we decided to depart from that, because, in that
42 situation -- That's what I'm saying. In that situation, we felt
43 that departing from that was what our collective best judgment
44 was, and we don't have to be bound to this.
45

46 **MR. ATRAN:** Is it your position then that the motion that's up
47 there was only intended to apply to hogfish?
48

1 **CHAIRMAN BARBIERI:** Steven, what I'm saying is that, in this
2 case, it was in general, but, I will tell you, as an SSC member,
3 if I'm not being given the freedom to reevaluate every
4 situation, I mean I'm not sure I belong on this committee.

5
6 My whole involvement is based on how we are asked to come and
7 exercise our combined, meeting-by-meeting, and I don't want to
8 get caught in some codified set of procedures that is too strict
9 and we are not allowed to make different choices and that you're
10 going to find inconsistencies, because I don't think we can best
11 serve the council in this way. I'm being perfectly honest. I
12 do feel that this would present a problem. Lee.

13
14 **DR. ANDERSON:** You guys seem to be talking past each other. You
15 just repeat the same things, but, it seems to me, if I look at
16 that motion right there and I were to evaluate it, I would say,
17 by eighteen to two, these guys made a poor scientific choice
18 that said we're going to go and we're going to let this be
19 forever without taking a second look at it.

20
21 I think it's a fool's quest to try to have an algorithm that's
22 going to handle everything, and so I agree with you, Mr.
23 Chairman, and if it takes a motion to say send it back after
24 three years or so -- If that's what you need, but I don't think
25 we need it. I would just hope the policy around the table here
26 is that we're going to be -- This committee meets two or three
27 times a year and we can relook at things.

28
29 I don't want to -- The Mid-Atlantic SSC has things that we have
30 three years or something that says that they will automatically
31 be reviewed by the SSC before they go into effect. We would
32 never do something that says it's going to last forever.

33
34 Steve, to your point, you may not have new information, and that
35 may be perfectly true, but they can look at it and say this is
36 all the information we have and now is there any wisdom around
37 this table that can add to it, and it's just better than having
38 it in black and white, and you don't box yourself into a corner.
39 Excuse me for going on.

40
41 **CHAIRMAN BARBIERI:** No, and, Steven, I swear that I'm not trying
42 to be difficult here, but I'm just trying to be honest and
43 direct with you about how I feel about SSC operations in this
44 case, and there are some sort of philosophical principles that I
45 think are very important for how we operate, and I think this is
46 one of them, that we are allowed -- If we're going to be looking
47 at the consistency -- I know that, in the past, you have asked
48 us, like three-year or five-year or long-term, ten-years, and

1 the committee will make different recommendations on the lengths
2 of projections, just because, in that situation, as long as
3 we're justified well, I don't think we have any inconsistencies.
4

5 **MR. ATRAN:** I am trying to find my email from Mara. I can't
6 find it right now, but, again, I don't disagree with you, and I
7 don't really think we're forcing you into a particular position.
8 I think maybe, if you disagree with what was written here --
9 Because I'm kind of focusing on the sentence above the motion,
10 which I wrote, based upon my notes from the meeting. Maybe that
11 wasn't the intent of the SSC.
12

13 **CHAIRMAN BARBIERI:** Steven, let me clarify this. What was the
14 inconsistency that you saw with this?
15

16 **MR. ATRAN:** The inconsistency I saw was that we were making use
17 of equilibrium ABC in a management recommendation in September
18 on this stock, and then, on another stock, in January, we were
19 saying that, because there's a lack of stock-recruit
20 relationship, we had no confidence in the equilibrium numbers,
21 and we weren't even going to present those to the council.
22

23 **CHAIRMAN BARBIERI:** So that's justification right there.
24

25 **MR. ATRAN:** So you're saying you do have confidence in the
26 equilibrium numbers for hogfish?
27

28 **CHAIRMAN BARBIERI:** Well, I will tell you, I am going to call a
29 point of order here. I'm sorry, but I -- You can ask your
30 specific question, Steven, and I don't mean to spend all
31 afternoon here arguing about what we decided back in September
32 of 2015. I think that we have provided justification for every
33 single decision that we make.
34

35 **MR. ATRAN:** Okay. From what I'm hearing and what I'm not
36 hearing, this motion, which was made in the context of hogfish,
37 will continue to apply for hogfish. The vermilion snapper
38 decision we made this morning, and I was trying to get you to
39 say what you want to do at the end of the period, and you
40 specifically said just leave that blank, and so this would not
41 apply to vermilion snapper.
42

43 **CHAIRMAN BARBIERI:** What I'm saying is that, for every single
44 stock managed by the council where you have a yield stream
45 that's being developed, recommended, by the SSC, please come ask
46 us. I mean is this making things difficult for you? Is that
47 the --
48

1 **MR. ATRAN:** I kind of feel like we're talking about two
2 different things, but the bottom line is that there is no
3 sentiment, that I hear, to make any changes to what's on the
4 screen right now, and so it will stay as is.

5
6 **CHAIRMAN BARBIERI:** With that, that don't hold us to this if we
7 decide to change our minds, because we are allowed to. Any
8 other questions or comments regarding this item? That completes
9 the discussion of Item XVIII. Item XIX is OY Exceeding MSY in
10 Some Scenarios.

11
12 **MSY EXCEEDING OY IN SOME SCENARIOS**
13

14 **MR. ATRAN:** I don't think we've ever actually codified, in your
15 words, what OY is. We have generally been using OY as the yield
16 at 75 percent of FMSY, or the MSY proxy. Most of the time,
17 that's worked out pretty well, but we did have a situation with
18 the red grouper stock in January, where, when we brought the
19 projections out, at least long-range, we ended up with OY
20 exceeding MSY in some years, and we had a series of email
21 exchanges with Clay and Shannon, and I'm not sure if you were
22 involved or not.

23
24 **CHAIRMAN BARBIERI:** Yes.

25
26 **MR. ATRAN:** Okay. I think I understand what was happening.
27 It's the OY is being calculated separately for each fleet, and
28 so when you drop down the F, you're changing the overall
29 selectivity, and so that can result in some situations where OY
30 exceeds MSY.

31
32 My feeling is, even though this was an unusual event, is that
33 really we shouldn't have any situations where OY is greater than
34 MSY. By definition in the Magnuson Act, OY is a reduction from
35 MSY, and so I'm not sure if we should continue using that
36 formula or maybe go with something that guarantees that it never
37 happens, like maybe going to a straight 75 percent of MSY
38 instead of 75 percent of FMSY. I wanted to get some input from
39 the SSC to see what you folks felt.

40
41 **CHAIRMAN BARBIERI:** Clay.

42
43 **DR. PORCH:** I just wanted to clarify a little bit. The issue
44 that Steve is alluding to can explain a little bit of the
45 disparity between OY and MSY, but the biggest single issue is
46 that your computing an MSY proxy, in the case of red grouper,
47 and not the actual MSY, and so it's an F proxy. The reason why
48 we compute a F proxy is because we don't really know what the

1 spawner-recruit relationship is.

2
3 We give short-term advice, assuming recent levels of recruitment
4 will persist into the near term, but, to calculate an
5 equilibrium OY and an equilibrium MSY, maximum sustainable
6 yield, we would have to make some assumption about long-term
7 future recruitment.

8
9 Now, if you want to assume long-term future recruitment would be
10 the same as the recent average, and so recent averages will
11 persist forever and ever, then you can just take the result of
12 the long-term projections as your OY. In other words, if you're
13 projecting at your MSY proxy, your F proxy, for 200 years, at
14 the end of that, the catches will stabilize and you could call
15 that your MSY proxy, but now you've basically computed a proxy
16 to the proxy, because remember that originally we're dealing
17 with F proxies, like F30 percent.

18
19 All we're assuming is, in the short term, that recruitment will
20 stay near what it has been in the recent past, but, as soon as
21 you go to start computing what equilibrium biomass is at that,
22 then you're assuming that those near-term recruitments will
23 persist forever. Do you get the subtlety of the -- It's an
24 important, but subtle, distinction.

25
26 What happens is the reason why, in some cases, OY ends up being
27 higher than MSY is because you're using a proxy like F30
28 percent, but then you're turning around to compute MSY and OY,
29 assuming that recruitment will be constant forever.

30
31 All that means is, if you really believe recruitment was going
32 to continue this way forever, then the fishing mortality proxy
33 you're using would be too high, and so it's too high to produce
34 the MSY and you're ending up overfishing. Actually, then your
35 OY is really the MSY, if you really believe that recruitment
36 would continue at recent levels forever, and so there's a
37 discontinuity in the logic there.

38
39 I know it's kind of a twisted tale, but the bottom line is
40 you're using a proxy because you don't know what long-term
41 recruitment would be, but, as soon as you compute the MSY,
42 you're making some assumption about recruitment. In this case,
43 it's just using the end of the projections, assuming recruitment
44 will stay at recent levels forever, and so that's why there's a
45 discontinuity between OY and MSY.

46
47 **MR. ATRAN:** I guess the question still is, is this something
48 maybe we need to address and change the way we define OY or is

1 this such an unusual situation that happened with red grouper
2 that we can pretty much ignore it as just a one-time event?

3
4 **DR. PORCH:** I guess you're asking me. It's happened with a
5 couple of other species in the past. I'm trying to remember
6 which ones they were, but it can happen if -- Basically, I guess
7 it would typically happen if F_{max} is -- It depends on how you
8 compute F_{max} , but, essentially, if your FMSY proxy is any case
9 where it's higher than F_{max} and then you try and compute your OY
10 or MSY by assuming recruitment continues at recent levels
11 forever, then you're going to get that sort of situation, and so
12 you actually would get a higher yield with a lower F than your
13 proxy, but that's because the proxy doesn't assume recruitment
14 will continue forever and ever. It's just using short-term
15 recruitments when you're doing short-term projections. Did I
16 succeed in confusing people further or does that make sense?

17
18 **CHAIRMAN BARBIERI:** Is that okay, Steven, in terms of the -- The
19 current situation, again, is going to be kind of like case
20 specific.

21
22 **MR. ATRAN:** I am going to have to go back and listen to the
23 recording, because I wasn't fully following what you said, but,
24 in my mind, I'm still going through is there a problem? Should
25 we be thinking about maybe adopting a different OY, which would
26 require a plan amendment?

27
28 A couple of suggestions that came up would be just make it 75
29 percent of MSY instead of 75 percent of FMSY. Another
30 suggestion, which I kind of like, would be to say that OY is
31 equal to the ACT, and that would effectively eliminate one of
32 the rather myriad number of management targets, but I am trying
33 to -- In my mind, I don't know if it's worth bringing it up as a
34 potential amendment item along the way.

35
36 **CHAIRMAN BARBIERI:** Clay.

37
38 **DR. PORCH:** Just a reminder. Again, if we don't know the
39 spawner-recruit relationship, we can't technically calculate MSY
40 or OY, in the sense of an equilibrium value. You could put
41 placeholders, and you probably need to put an asterisk. That's
42 MSY if recruitment stays at recent levels over the long term,
43 but, otherwise, you can't really compute it.

44
45 Now, OY actually is supposed to be calculated based on other
46 considerations the council may have, and so it doesn't have to
47 be some kind of formula like 75 percent of FMSY. In fact, I
48 think the 75 percent of FMSY proxy is more useful as an ABC

1 buffer, like we just discussed, and not necessarily OY. It's
2 just that, historically, that's what the council used to
3 calculate OY on, on the basis of 75 percent of whatever your
4 FMSY was, and so that's why there is some confusion there.

5
6 **CHAIRMAN BARBIERI:** Thank you, Clay. Kai, did you have a --

7
8 **DR. LORENZEN:** Nothing very illuminating, probably, but I just
9 wanted to sort of agree. I mean it's an artifact that arises
10 from the use of proxies, in some situations, and I think we just
11 have to deal with it on a case-by-case basis.

12
13 **CHAIRMAN BARBIERI:** Okay.

14
15 **MR. ATRAN:** Okay. Like I said, I've still got some issues going
16 through my head, but I don't think they're SSC issues, and so I
17 just wanted to get whatever input I could from you folks.

18
19 **CHAIRMAN BARBIERI:** Thank you. That completes Item XIX, and we
20 move into Item XX, Review of Draft Amendment 44, MSST and MSY
21 Proxies for Reef Fish Stocks. Steven, I think this is your show
22 as well.

23
24 **REVIEW OF AMENDMENT 44 - MSST AND MSY PROXIES FOR REEF FISH**
25 **STOCKS**

26
27 **MR. ATRAN:** Yes, and I also sent out a very late addendum, a
28 one-page addendum, that has to do with a reorganization of the
29 alternatives in Action 2 that the IPT had made that I didn't get
30 into the version that went out to the SSC. You've actually
31 looked at this before. It got put on the backburner for a long
32 time, because we had so many other pressing issues, but now
33 we're starting to bring it back forward to develop into an
34 amendment.

35
36 There's a couple of reasons why we're developing this amendment.
37 The first had to do with the fact that we have some stocks that
38 have very low natural mortality rates, red snapper being one of
39 them, and when we use the formula that we generally use to
40 calculate MSST, which is one minus M times BMSY, one minus M,
41 for a stock that's got a natural mortality rate of 0.1 or lower,
42 gives us a 90 percent of the MSY level for the MSST, and we're
43 getting so close to the MSY level that it may not be a
44 significant difference.

45
46 Just natural fluctuations alone might cause us to drop up and
47 down around that MSST level, and so one of the things that the
48 council was interested in doing was trying to see if we could

1 provide enough separation between our MSY estimate and our MSST
2 estimate so that we were not getting spurious declarations that
3 the stock is overfished, if it dropped below and it wasn't just
4 due to fluctuations.

5
6 There was some analysis that the Southeast Center did. I think
7 it was reviewed by the SSC last year, and it was either January
8 or May, that evaluated fluctuations under a variety of life
9 history strategies. Basically, if I remember correctly, it
10 concluded that stocks were unlikely to fluctuate by more than
11 about 5 percentage points due to natural fluctuation alone. I
12 think that's what it concluded. I'm going off the top of my
13 head.

14
15 One of the things we wanted to do was address those low-
16 mortality Ms, but, at the same time, we realized that we never
17 assigned MSST to all of the stocks that we have under management
18 in reef fish. We tried to do it back in 1999, under our
19 Sustainable Fisheries Act Amendment, where we were defining
20 everything all of our biomass targets, as an SPR.

21
22 At that time, NMFS rejected the SPR-based estimates. They said
23 you can't make an SPR a biomass reference point. You can do the
24 yield when fishing at FSPR, but not SPR itself. After that, we
25 started assigning status determination criteria on an as-needed
26 basis.

27
28 If we got a stock assessment that indicated the stock was
29 overfished or would be once we adopted the criteria, we would
30 put a plan amendment in place for a rebuilding plan and adopt
31 the criteria at that point, but, if we didn't have a stock
32 assessment or if the stock assessment said the stock was doing
33 fine, we didn't adopt them, and so we only ended up with MSST
34 values for about a half-dozen stocks.

35
36 The National Standard Guidelines of the Magnuson-Steven Act say
37 we're supposed to have them for everything, and so a second
38 reason for this is to try to make sure we have MSST values for
39 all of the stocks that we manage. We already have maximum
40 fishing mortality threshold items, and so we don't need to
41 address that unless somebody wants to change some of them.

42
43 Related to MSST is what we're going to use as the MSY proxy,
44 because, as I said, the current definition was one minus M times
45 BMSY or its proxy, and so the proxy is also part of the MSST
46 definition. We were going to go through and try to get MSST and
47 MSY proxies for all of the stocks that we have under management
48 that don't currently have them. For the ones that currently

1 have them, in most cases, leave them as is. We might need to
2 change one or two, and vermilion snapper is actually one of them
3 I think we need to address.

4
5 Right now, there is two actions in here, and the first action --
6 If we go to page 12, Table 1.2, these are the stocks that we
7 have MSST and MSY proxies for or, in the case of hogfish,
8 proposed. We will have them in Amendment 43.

9
10 You can see that gag, we currently are using Fmax. That's MFMT.
11 For MSST, we're using the one minus M formula, and the MSY proxy
12 is the SSBmax. Red grouper, it's the one minus M formula, with
13 30 percent SPR. Red snapper, the one minus M formula with a
14 proxy of 26 percent SPR.

15
16 Vermilion snapper, officially, we don't have a proxy, as far as
17 I can tell. The last item I could find in our amendments that
18 addressed this was Amendment 23, which was our vermilion snapper
19 rebuilding plan. It rejected alternatives to use an SPR proxy
20 and said just use FMSY, but, as we learned this morning, the
21 stock assessments have been using either SPR 30 percent or Fmax,
22 depending upon which assessment you look at.

23
24 Gray triggerfish is using 30 percent SPR and greater amberjack
25 is 30 percent SPR. Then hogfish is using 30 percent SPR, but
26 it's not using the one minus M formula. At least this is the
27 proposal that's in Amendment 43. The proposal is to go to a
28 flat 75 percent of SSB at 30 percent SPR.

29
30 That's actually one of the alternatives that we have for a more
31 generic adoption that's in this amendment, and so if we could go
32 to Action 1 now, which is two pages onward, what we have is --
33 This mainly applies to species for which we don't already have
34 an MSST defined.

35
36 Alternative 1 is no action. Those species would remain
37 undefined and be addressed on a case-by-case basis as needed,
38 which really doesn't conform with the Magnuson Act. That's what
39 we're doing right now though.

40
41 Alternative 2 would officially codify that formula that we've
42 been using, MSST is one minus M times BMSY, or the BMSY proxy.
43 Alternative 3 is an either/or. It would either be the formula,
44 the one minus M times BMSY, or 75 percent of BMSY, whichever is
45 less, and so, for stocks with a natural mortality rate that's
46 less than 0.25, it would always be 0.75 times BMSY. For stocks
47 that are above 0.25, the formula would apply.

48

1 Alternative 4 doesn't do the either/or. It does a flat 75
2 percent of BMSY for all stocks. By the way, I believe there's
3 only two stocks that would apply under Alternative 3 to that
4 alternative method. Then Alternative 5 would go down to the
5 absolute smallest MSST that we're allowed to go to, 50 percent
6 of BMSY for all stocks, although I don't think the council is
7 moving in that direction.

8
9 We've had some discussions that, in many cases, what's
10 controlling management is the overfishing threshold more than
11 the overfished threshold, and so, from that standpoint, going to
12 a very non-conservative MSST may not be that much of an issue.
13 I won't go through them, but we've got some tables where we put
14 together what natural mortality rates we have.

15
16 **CHAIRMAN BARBIERI:** We have a question from Bob Gill.

17
18 **MR. GILL:** Thank you, Mr. Chairman. Steven, I know you said to
19 the contrary in your discussion, but, as I read Action 1, the
20 way it's written, with the exception of Alternative 1, you're
21 changing all species in the reef fish unit to the same, which
22 says you're taking the existing ones and changing all of them
23 and the ones that are undefined become something new. If the
24 intent of Action 1 is to be for only those that are not
25 currently defined, I think clarification in the way it's written
26 would be very helpful, because I read it the exact opposite.

27
28 **MR. ATRAN:** Actually, the table we had up before shows, with the
29 exception of hogfish, which is in our proposed Amendment 43,
30 they're all using the one minus M formula.

31
32 **MR. GILL:** But they're different than the alternatives you
33 provide. Yes, they're one minus M, but they're not all the same
34 biomass indicators, and so I think you need some clarification
35 as to what the action is trying to achieve in terms of the
36 existing ones as well as the undefined ones.

37
38 **MR. ATRAN:** I think what you're referring to is what MSY proxy
39 would be associated with this, and that's Action 2. Action 1 is
40 just whether or not to use that formula or some other formula.
41 Again, we have natural mortality rates for all the stocks for
42 which it's been calculated. For stocks where we don't have a
43 natural mortality rate, I believe we're proposing to use the
44 most conservative value on that Alternative 3. All the other
45 alternatives are fairly fixed values.

46
47 If we go to Action 2, which is the MSY proxies, you can see that
48 Action 1, again, is no action. We don't have it defined, and we

1 wouldn't define it until we needed to, on a case-by-case basis.
2 Alternative 2 would state that the proxies that have previously
3 been defined shall continue to be, as in Table 1.2, and I think
4 that addresses the issue that you were looking at. They are
5 very closely related, but we split them up into two actions.

6
7 For other stocks, it says that the MSY proxy would be the yield
8 when fishing at F30 percent SPR, and that would apply until
9 otherwise defined. Alternative 3, again, if we already have a
10 definition listed, that would continue to be in place.
11 Otherwise, it would be the proxy when fishing at F40 percent
12 SPR.

13
14 We included that because that is generally the range that's
15 recommended, 30 to 40 percent, although 40 percent, if we use it
16 at all, we usually use it more in the context of optimum yield
17 than MSY, but we wanted to include that as an alternative, to
18 provide a range of alternatives.

19
20 Then Alternative 4, this is the exceptions, or ones where we
21 want to do something different from what's in the above
22 alternatives. Do we want to adopt a different SPR? I've got
23 three stocks in here. We could add more or we could take some
24 of them out, but red snapper, as I said, that was one of the
25 stocks that we had a specific concern with.

26
27 The council -- I don't know if they're still interested in doing
28 this, but, at one time, they were interested in changing the SPR
29 proxy for MSY, and they actually directed us to start an
30 amendment to do that, and so we folded into here, and that's
31 that Option 4a.

32
33 Right now, we're using F26 percent SPR. Sub-Option 1 would make
34 it a little bit more lenient and go down to F23 percent SPR,
35 which was the result corresponding to MSY under the linked MSY
36 analysis that was done last year. Sub-Option 2 would go and be
37 more consistent with most of our stocks. It would be the yield
38 when fishing at F30 percent SPR. You will notice I didn't put
39 in the 12 percent option here, even though I wanted to. Option
40 4b deals with --

41
42 **CHAIRMAN BARBIERI:** By the way, I'm so glad that you didn't,
43 because, just the stress of this discussion, I already had a
44 chocolate chip/M&M cookie, just to raise my serotonin level back
45 to -- That would have been another cookie, and I don't want to
46 go there.

47
48 **MR. ATRAN:** Moving on. Option 4b, vermilion snapper, the

1 default, at least as I can figure, our official default is not
2 having a proxy, actually using FMSY. We've got two options,
3 sub-options, either redefine it as Fmax or redefine it as F30
4 percent SPR. Those seem to be two valid choices to choose
5 between. A lot of the discussion that went on today, I think,
6 would fall into where we would go on that.

7
8 Option 4c gave the IPT a little bit of concern, goliath grouper.
9 The default is undefined officially, although the maximum
10 fishing mortality threshold is F50 percent SPR, and so that's
11 why we have sub-options to either set at 30 percent SPR, as with
12 other stocks, the biomass proxy, or set it at the yield at F50
13 percent SPR, which would be consistent with the maximum fishing
14 mortality threshold, but the problem is, since all we have are
15 these catch-free models, we don't have any way to assign any
16 actual numbers to these values.

17
18 Our IPT thought that might be a problem, that you might need to
19 have some way to assign an actual number to the goliath grouper
20 MSY proxy. I don't think we have any way to do that. All we
21 can do is maybe use a formula as a placeholder until we do have
22 it, but, if anyone has any other suggestions, I am open to them.

23
24 Basically, this was, as I said, designed to get MSY proxies and
25 minimum stock size threshold definitions in place for all of our
26 reef fish. The ones where we already have them in place,
27 maintain them, unless we wanted to change them, which I think we
28 want to do with vermilion snapper.

29
30 I had thought about adding an Action 3 dealing with the optimum
31 yield issue we just discussed, but probably not, based upon the
32 discussion that we had here. We will probably keep this just
33 the two sets of alternatives, unless the council decides to
34 expand it.

35
36 We are proceeding with developing this. This is a little bit
37 more developed than the last time you saw it, but not a whole
38 lot more, and so, really, I guess we're seeking guidance from
39 the SSC on if you have any ideas on an appropriate way to go
40 with either of these actions or if there's anything else we need
41 to consider. We're all ears.

42
43 **CHAIRMAN BARBIERI:** Thank you for that, Steven. Any comments or
44 suggestions or questions from the committee regarding the
45 current state of this amendment, draft amendment?

46
47 Steven, I have a suggestion. I mean I think it's difficult for
48 us -- I mean if you're talking about maximum sustainable yield

1 proxies, I think it's difficult for us to weigh in until we have
2 a better idea from the council about what their management goals
3 are for different stocks. I mean maximum sustainable yield
4 should be conditional on selectivities of different fisheries
5 and so, depending on how conservative the council wants to be
6 relative to -- I mean what are they really looking for in
7 situations where we don't have an MSY, we don't know what MSY
8 is, and we are using a proxy as sort of like a placeholder in
9 those situations?

10
11 In some situations, they might be wanting long-term stability,
12 where you avoid those episodic high peaks in recruitment, that's
13 what they value the most. In other ones, they might be saying,
14 well, maybe we don't care about that, we don't mind, and so we
15 can actually take advantage of those peaks in recruitment and
16 actually harvest those things.

17
18 I think that, even though this is informed strongly by the
19 assessment, as far as some of the results of the assessment will
20 have an implication here, but the choice of the proxy, I think,
21 in this case, because it is a proxy, it can be more aggressive
22 or less aggressive, more conservative or not, I think. I will
23 put this out there for discussion. Yes, Steven.

24
25 **MR. ATRAN:** You're absolutely right when you talk about many of
26 these being placeholders, and I suspect, on a lot of the stocks
27 that we have, we're never going to get a stock assessment on,
28 and so this may never come into play, but, if we do -- This has
29 come into play on a couple of occasions, where we've gotten a
30 stock assessment for the first time and the SSC and the Science
31 Center has to decide, is this an overfished stock? It depends
32 upon what proxies we're using, and, if there is no predefined
33 proxy, then the scientists need to make what amounts to, in some
34 cases, a policy decision and hope that the council goes along
35 with it.

36
37 This is designed to try to take that uncertainty out, so that
38 you have something to go on the first time you do a stock
39 assessment, and then, in the future, when you do supplemental
40 assessments on these stocks. The other reason, which is
41 probably trivial from your point, is to bring ourselves into
42 compliance with the Magnuson-Stevens Act and the National
43 Standard Guidelines that say that we need to have status
44 determination criteria for all stocks that are managed.

45
46 **CHAIRMAN BARBIERI:** My point about that comment is, thinking
47 about the F26 percent SPR, this is one of the few, if not the
48 only, examples where this actually kind of came up analytically.

1
2 I mean most of the other ones, we basically use these step-wise
3 sort of choices based on experience, our experience in looking
4 at the performance of different fisheries over time in different
5 areas, and we say, okay, we kind of need to have this goal of
6 having this much spawning stock biomass left to make sure that
7 we don't increase the risk of some recruitment failure going
8 into the future, because we don't know the stock-recruitment
9 relationship.

10
11 Red snapper is different, because when you're trying to do that
12 accommodating of all the different fleets and kind of finding
13 that optimum level of SPR that I think is balanced across all of
14 those different fleets, and I guess, in this case, including the
15 non-directed fisheries as well, you end up there.

16
17 **DR. PORCH:** In that case with red snapper, I mean it has a long
18 history, even predating the 2004 or 2005 assessment, but the
19 logic there was if you compute the maximum yield per recruit in
20 a way that you can scale all the fisheries up and down, the so-
21 called MSY linked or Fmax linked scenario, including the bycatch
22 fishery, that should be sort of a minimum SPR that would be
23 associated with the MSY.

24
25 I mean the reality is that it should be somewhat bigger if
26 there's a spawner-recruit relationship, but it should be kind of
27 a minimum value, and I think, at the time, it came out -- In
28 2006, it was 26 percent. Later, I think when we recalculated it
29 in the same way, it was something like 24 percent, but the point
30 was that it should be like a minimum estimate of what the SPR
31 that corresponds to the MSY, because it's not taking into
32 account any dependence of recruitment on spawners. Usually,
33 Fmax is sort of a minimum for what MSY would be, or, sorry, a
34 maximum F of what MSY would be.

35
36 That's how that logic came about there, but I guess I do want to
37 comment that picking an MSY proxy isn't really a policy
38 decision. It is a science decision, because the MSY proxy
39 should be a metric that you expect, based on the science, would
40 come closest to the true FMSY. It's not a risk-based decision.
41 It's saying when you select a proxy, the SSC and whatever
42 scientists are participating in the discussion are trying to
43 determine an F proxy that is most likely to be close to the true
44 FMSY.

45
46 **MR. ATRAN:** I actually agree with you, but the NOAA attorneys
47 don't. According to their interpretation of the Magnuson Act
48 and the section that says contents of fishery management plans,

1 it's the council's job to decide what proxy to use for MSY, and
2 I guess there is some policy decision. If you don't know what
3 MSY is, how conservative or how non-conservative do you want to
4 be in assigning a proxy?

5
6 **CHAIRMAN BARBIERI:** If I may add to that, I mean I think the
7 case is whether you get their analytically or not. I mean if
8 you're picking a number to say -- For example, 50 percent SPR
9 for goliath grouper. We kind of come up with some assessment of
10 what we believe is the vulnerability of that stock to the
11 fishing mortality, given life history characteristics and
12 whatever, and we basically make a choice, but that's not
13 necessarily where we would obtain the maximum sustainable yield.

14
15 I mean I don't see many cases of us being able to develop that
16 analytically for situations like this, when they are not just
17 coming out of the assessment, where you have a valid estimate of
18 MSY and you can look at what the corresponding SPR proxy -- How
19 those two would relate to each other.

20
21 **DR. PORCH:** There is a subtlety here, and I am not sure whether
22 the NOAA attorneys appreciate it or not, and so, having not been
23 engaged in the conversation with them, but, when you pick an SPR
24 proxy, for example, it's based on the life history of the
25 animals.

26
27 You're saying a fish with this particular life history, if you
28 look at other examples where MSY was calculated, what SPR
29 corresponded to that, and, typically, it's in the 20 to 50
30 percent SPR range corresponds to MSY, and it varies with the
31 life history of the animal.

32
33 That's the logic that is usually used in picking SPR proxies,
34 and that's a science decision. If you're saying that itself is
35 the analytical process, then I agree with you, but if the
36 analytical process is limited to the idea that cases where you
37 could compute MSY because you know the spawner-recruit
38 relationship, then I wouldn't agree, because then you could make
39 any arbitrary MSY proxy, because, in almost all of our stocks,
40 we don't know what the spawner-recruit relationship is. I think
41 it should be a scientific decision based on the life history of
42 the animals.

43
44 **CHAIRMAN BARBIERI:** Yes, Steven.

45
46 **MR. ATRAN:** Actually, to that point, I don't think there is
47 anything about this in the current draft of this amendment.
48 Back in the late 1990s, when we were putting together that

1 Sustainable Fisheries Act Amendment that ultimately got only
2 partially approved, we did convene two finfish stock assessment
3 panels to explicitly go over the life history characteristics of
4 all of our stocks and make recommendations, and they did it
5 pretty much on a species-by-species basis, although, for the
6 most part, most of them, they said let's use 30 percent SPR as
7 our MSY, and I forget what they addressed for MSST, but they did
8 do more or less what you're talking about, look at what they
9 knew about the stock, about its vulnerability and other factors.

10
11 As I said, the biomass proxies were rejected by NMFS. They said
12 you can't use a straight SPR as a biomass proxy. Once we
13 changed that and said the yield when you're fishing at that
14 proxy or the resulting biomass when you're fishing at that,
15 that's been accepted, and so we could go back and just look at
16 the arguments that we used and the recommendations that we used
17 in that 1999 generic amendment. The only thing is that was
18 seventeen years ago, and so it would be a little hard to say
19 that that is the most recent biological information for most of
20 the stocks, although it may be.

21
22 **CHAIRMAN BARBIERI:** I was in high school then, and so -- Anyway,
23 I think I am leaning towards more of the National Standard
24 approach for looking at proxies, that they are primarily non-
25 analytical and just sticking with that, in a way, and then
26 saying, well, let the councils make a recommendation in terms of
27 being risk averse or risk prone, given the fact that we don't
28 know where MSY is, but there are other ways to get there. Clay.

29
30 **DR. PORCH:** I just want to point out that the National Marine
31 Fisheries Service itself recognizes that none of the councils
32 have been that consistent in their use of proxies, and so we
33 looked across what was being done and we addressed it at the
34 national stock assessment workshop, and the recommendation from
35 that is we need to do a little more work, a little more
36 homework, analogous to what you're referring to, Steven, with
37 the generic MSY proxy stuff that we did back in the 1990s.

38
39 Basically, refresh that and update it and what's the latest view
40 on what's an appropriate proxy, given whatever information that
41 you have, and hopefully that national stock assessment workshop
42 will kind of spur some additional research.

43
44 The plan is, although it's not been formalized yet, but the
45 plan, in Rick Methot's mind and several of us who participated,
46 is to actually convene some workshops to develop best practice
47 guidance, and so hopefully that will happen in the next year or
48 two, but it's not going to be a fix for tomorrow.

1
2 **MR. ATRAN:** An idea popped into my head. I'm not that crazy
3 about it, but do you think that perhaps we ought to form a new
4 reef fish -- I don't know if assessment panel would be the right
5 term, but a new working group to review the proxies for our reef
6 fish status determination criteria? The reason why I say I'm
7 not that crazy about it is, because every time we form a new
8 workgroup, it tends to slow things down, but, in this case,
9 maybe we could get more useful information that would be worth
10 it.

11
12 **CHAIRMAN BARBIERI:** I read this as indecision as to what the
13 proper answer would be, and I so wouldn't necessarily -- It's
14 something that perhaps we need to discuss a little more and see
15 how we decide to proceed. Leann.

16
17 **MS. BOSARGE:** As a council member, I would like to, at some
18 point, get some good feedback, especially in regards to red
19 snapper, from this body. Then the council can chew on that and
20 make a decision there, rather than leaving it completely a
21 management or policy decision, as you were kind of discussing.

22
23 I go back simply to the conversation that was had yesterday,
24 where you're talking about SSC and council members kind of being
25 one and the same, possibly, and there was a comment made that,
26 well, in this room, at this table, I would probably vote one way
27 and then -- Not me personally, but then once I got to the
28 council table, because of other influences and pressures, I may
29 vote a different way. They said that might cause them to lose
30 sleep at night, but, if you can imagine that in this situation
31 too, I think it would be good for us to have a little bit of
32 information from you all as to your leanings and thoughts and
33 back-and-forth discussion on things at some point. If that's a
34 working group or whatever you think is the best way to do that
35 or just at a later meeting, but I think I would feel better if I
36 had a little more input at some point.

37
38 **CHAIRMAN BARBIERI:** Personally, I think that weighs a lot on my
39 mind. It's something that we can help inform the council on one
40 of these issues, and so I would say that we should be
41 discussing, not necessarily here now, but perhaps we can set
42 this up as something that we can discuss at our next meeting or,
43 in preparation for our next meeting, they will be putting
44 together some kind of working group, and I think it should
45 extend beyond -- It should include Science Center folks and
46 perhaps SERO and council members, to be more integrated from
47 different perspectives that would generate the right amount of
48 differences of opinion and discussion points on this. Having

1 heard nothing else, I think that, by and large, everybody is in
2 agreement with this.

3
4 **MR. ATRAN:** So the -- I'm not really hearing if there's
5 definitely a consensus, but there is a consensus to begin
6 working on developing of a working group? At this point, we're
7 not ready to actually assign people and start leading, but
8 working on what the makeup of it should be and what their
9 objectives should be?

10
11 **CHAIRMAN BARBIERI:** I mean I personally would like to see this
12 as an agenda item for our next meeting, that we can discuss this
13 in more detail. It would be good to have some kind of a little
14 discussion on this that would be -- Perhaps those previous
15 documents can be distributed as part of our -- I have them, just
16 because I got them from people. As soon as I got out of high
17 school, I got a copy of those documents, but it's kind of
18 something that I think would be helpful in going into our next
19 meeting.

20
21 **MR. ATRAN:** I have some of them on floppy disk.

22
23 **CHAIRMAN BARBIERI:** Does this conclude then? This might be the
24 conclusion of Agenda Item Number XX, which leaves us with Other
25 Business. Mary.

26
27 **REEF FISH OTHER BUSINESS**

28
29 **DR. CHRISTMAN:** Did we do XII, Red Snapper? Did I somehow miss
30 that?

31
32 **CHAIRMAN BARBIERI:** You may have.

33
34 **DR. CHRISTMAN:** I was here.

35
36 **CHAIRMAN BARBIERI:** By the way, Mary, this is why I always
37 associate these meetings with those cookies and coffee. We need
38 these types of fuel and serotonin-inducing supplements as food
39 for the brain.

40
41 **MR. ATRAN:** Just to give you the ten-second review, the SSC
42 discussed two ways of addressing underharvest, either reopening
43 a supplemental season the same year or carrying over unused
44 harvest to the following year, which would require that the SSC
45 reevaluate ABC. The discussion was that carrying it over would
46 probably be the better way to go, but there's still a lot of
47 issues to be worked out on that. That seemed to be the
48 recommendation.

1
2 Mr. Chairman, before we finish up entirely, I didn't put it on
3 the agenda, but one of the items that was in your package, and I
4 think it's under "Other", is the tentative committee meeting for
5 the upcoming committees, and I believe there's also a bunch of
6 printed copies of this on the back table.

7
8 It seems as though every meeting we get somebody, a few people,
9 calling and saying when is the next SSC meeting scheduled, and
10 so, as you can see, we're just completing our June one. The
11 next one is scheduled July 26 to 28. We schedule them for three
12 days and then expand or contract them as necessary. Then, after
13 that, September 27 to 29.

14
15 We, in the past, have had a meeting in January, before the
16 January council meeting, but Doug felt that it would be more
17 appropriate to hold that meeting in December, before we get into
18 the holiday season, rather than having everybody come back still
19 kind of hung over from the holidays, and so we have one
20 scheduled for December 13 to 15.

21
22 If anybody knows that you're going to have a conflict, please
23 let me know as soon as possible. Send me an email. If there's
24 too many people who can't make it, these are all tentative
25 dates, and we can consider changing them, but these are the
26 dates that we're looking at as of right now.

27
28 For the next meeting in July, the things that I know are going
29 to be on it are we are getting a goliath grouper benchmark
30 assessment to review and we're also -- It's time to come up for
31 election of Chair and Vice Chair, and so anybody who might be
32 interested in filling those positions, you might want to think
33 about that. It sounds like we also added a discussion of a
34 working group for status determination criteria.

35
36 **SSC MEMBER:** Just a quick question. Do we know where the July
37 one will be yet and how far in advance that's unusually set on
38 the location?

39
40 **MR. ATRAN:** It will be in Tampa, unless you hear otherwise. I
41 guess we have some budget issues with going out of town. In
42 this case, we also had, because we had another meeting going on
43 at the council office, our staff was stretched pretty thin right
44 now, and we've got some folks who -- I don't know if we're doing
45 public hearings this week or not, but we just got back from
46 doing public hearings, and so our staff has been stretched
47 pretty thin.

1 I would still like to get you guys into the council conference
2 room. We just expanded it, and we've got a little bit more desk
3 space now, and so we may be back in the council office for the
4 July meeting, but, as of right now, it is scheduled to be in
5 Tampa. Again, that is tentative.

6
7 **CHAIRMAN BARBIERI:** Okay, and so noted that this is our
8 tentative schedule and, as Steve mentioned, let's see if we can
9 provide him with advance notice if folks cannot make it to these
10 meetings as scheduled, and he will try to see whether
11 rescheduling is in order. Any other open agenda or other
12 business items?

13
14 Seeing none, I think that we are finally ready to adjourn the
15 June 2016 meeting of the Gulf Council SSC. Many thanks to staff
16 and committee members and Science Center folks who have helped
17 us, and, of course, our phenomenal council liaison for helping
18 us have what I believe is a very successful and productive
19 meeting. Travel safely back home, and I look forward to seeing
20 you all next time.

21
22 (Whereupon, the meeting adjourned on June 2, 2016.)

23
24

- - -