

GULF OF MEXICO FISHERY MANAGEMENT COUNCIL

REEF FISH MANAGEMENT COMMITTEE

Courtyard Marriott

Gulfport, Mississippi

April 4, 2023

**VOTING MEMBERS**

- 10 Tom Frazer.....Florida
- 11 Kevin Anson (designee for Scott Bannon).....Alabama
- 12 Susan Boggs.....Alabama
- 13 Billy Broussard.....Louisiana
- 14 Dale Diaz.....Mississippi
- 15 Jonathan Dugas.....Louisiana
- 16 Phil Dyskow.....Florida
- 17 Dakus Geeslin (designee for Robin Riechers).....Texas
- 18 Bob Gill.....Florida
- 19 Michael McDermott.....Mississippi
- 20 Chris Schieble (designee for Patrick Banks).....Louisiana
- 21 Joe Spraggins.....Mississippi
- 22 Andy Strelcheck.....NMFS
- 23 Greg Stunz.....Texas
- 24 C.J. Sweetman.....Florida
- 25 Troy Williamson.....Texas

**NON-VOTING MEMBERS**

- 28 Dave Donaldson.....GSMFC
- 29 Lisa Motoi.....USCG

**STAFF**

- 32 Assane Diagne.....Economist
- 33 Matt Freeman.....Economist
- 34 John Froeschke.....Deputy Director
- 35 Beth Hager.....Administrative Officer
- 36 Lisa Hollensead.....Fishery Biologist
- 37 Ava Lasseter.....Anthropologist
- 38 Mary Levy.....NOAA General Counsel
- 39 Natasha Mendez-Ferrer.....Fishery Biologist
- 40 Emily Muehlstein.....Public Information Officer
- 41 Ryan Rindone.....Lead Fishery Biologist/SEDAR Liaison
- 42 Bernadine Roy.....Office Manager
- 43 Carrie Simmons.....Executive Director
- 44 Carly Somerset.....Fisheries Outreach Specialist

**OTHER PARTICIPANTS**

1 Peter Hood.....SERO  
2 Jim Nance.....GMFMC SSC  
3 Kelli O'Donnell.....SERO  
4 Tom Roller.....SAFMC  
5 John Walter.....SEFSC

6  
7  
8

- - -

TABLE OF CONTENTS

1  
2  
3 Table of Contents.....3  
4  
5 Table of Motions.....4  
6  
7 Adoption of Agenda and Approval of Minutes and Action Guide and  
8 Next Steps.....6  
9  
10 Review of Recent Reef Fish, For-Hire, and Individual Fishing  
11 Quota (IFQ) Landings.....7  
12  
13 Public Hearing Draft: Amendment 56: Modifications to the Gag  
14 Grouper Catch Limits, Sector Allocations, and Fishing Seasons...10  
15  
16 IFQ Objectives.....68  
17  
18 Draft Options: Recalibration of Red Snapper Recreational Catch  
19 Limits and Modification of Gray Snapper Catch Limits.....99  
20  
21 SSC Summary Report from the March 2023 Meeting.....110  
22  
23 Other Business.....122  
24     Discussion of Red Grouper.....122  
25  
26 Adjournment.....126  
27  
28                                   - - -  
29

TABLE OF MOTIONS

1  
2  
3 [PAGE 12](#): Motion in Action 1 to select Alternative 2 in Action 1  
4 as the preferred alternative. [The motion carried on page 13.](#)

5  
6 [PAGE 22](#): Motion in Action 2 that Option 3b in Alternative 3 be  
7 the preferred alternative. [The motion carried on page 34.](#)

8  
9 [PAGE 36](#): Motion in Sub-Action 3.1 of Action 3 to add a new  
10 Alternative 3 to set the recreational ACT 20 percent below the  
11 recreational ACL. [The motion carried on page 40.](#)

12  
13 [PAGE 43](#): Motion in Sub-Action 3.2 of Action 3 to make  
14 Alternative 3 the preferred alternative. [The motion carried on](#)  
15 [page 45.](#)

16  
17 [PAGE 57](#): Motion in Action 4 to add an alternative to set the  
18 season for Gulf of Mexico gag grouper to start September 1 and  
19 close September 22. If the ACL is not met, the agency shall  
20 consider opening a following season, within the fishing year, to  
21 allow sufficient landings to attain the ACL. [The motion was](#)  
22 [withdrawn on page 64.](#)

23  
24 [PAGE 65](#): Motion in Action 4 to select Alternative 3 as the  
25 preferred alternative. [The motion carried on page 68.](#)

26  
27 [PAGE 94](#): Motion to initiate the current discussion on revising  
28 the IFQ program by focusing on goals and objectives of the  
29 program for the future. The first step would be to address the  
30 current goal of reducing overcapacity. [The motion failed on](#)  
31 [page 97.](#)

32  
33 [PAGE 105](#): Motion in Action 1 to make Alternative 2 the  
34 preferred alternative. [The motion carried on page 105.](#)

35  
36 [PAGE 108](#): Motion to direct staff to begin work on a plan  
37 amendment to look at updating the states' private recreational  
38 red snapper allocation. [The motion carried on page 109.](#)

39  
40 [PAGE 118](#): Motion to ask staff to bring back an evaluation as to  
41 whether wenchman require federal conservation and management.  
42 [The motion carried on page 122.](#)

43  
44 [PAGE 122](#): Motion to direct staff to initiate a document that  
45 addresses elimination of recreational red grouper overruns by  
46 consideration of changes such as seasons, bag limits, size

1 constraints, and other measures. [The motion carried on page](#)  
2 [125](#).

3

4

5

- - -

1 The Reef Fish Management Committee of the Gulf of Mexico Fishery  
2 Management Council convened at the Courtyard Marriott in  
3 Gulfport, Mississippi on Tuesday morning, April 4, 2023, and was  
4 called to order by Chairman Tom Frazer.

5  
6 **ADOPTION OF AGENDA**  
7 **APPROVAL OF MINUTES**  
8 **ACTION GUIDE AND NEXT STEPS**  
9

10 **CHAIRMAN TOM FRAZER:** All right, and so I will call to order the  
11 Reef Fish Management Committee. The first item on the agenda is  
12 the Adoption of the Agenda, and that will be Tab B, Number 1 in  
13 your briefing materials. Is there any modifications or edits to  
14 the agenda? Mr. Gill.

15  
16 **MR. BOB GILL:** Thank you, Mr. Chairman. I would like to add an  
17 item, under Other Business, of red grouper.

18  
19 **CHAIRMAN FRAZER:** All right. Noted. Are there any other items  
20 to come under Other Business? Mr. Strelcheck.

21  
22 **MR. ANDY STRELCHECK:** During the red snapper calibration  
23 discussion, I would like to talk about the allocation review  
24 policy, in light of red snapper.

25  
26 **CHAIRMAN FRAZER:** Okay. Let me see where we're going to put  
27 that in the agenda. Okay. Noted. Are there any other  
28 modifications to the agenda? Are there any objections to moving  
29 forward with the agenda, as modified by Mr. Gill, and in  
30 addition to Mr. Strelcheck? Seeing none, we'll consider the  
31 modified agenda adopted.

32  
33 The second item on the agenda is the Approval of the January  
34 2023 Minutes. Is there any edits or modifications to those  
35 minutes? Is there any objection to approving the minutes then  
36 as written? Seeing none, I will consider the minutes approved,  
37 and we'll move into Item Number III, which is the Action Guide  
38 and Next Steps. Mr. Rindone.

39  
40 **MR. RYAN RINDONE:** Thank you, sir, and so we'll go ahead and  
41 start off with the Review of the Reef Fish For-Hire and IFQ  
42 Program Landings, and, Ms. O'Donnell, are you on? All right,  
43 and so this is the standard landings updates that you guys are  
44 used to receiving. Kelli, I'm going to pull it up, and as soon  
45 as you're ready.

46  
47 **CHAIRMAN FRAZER:** While we're getting ready for that, Ms. Boggs.  
48

1 **MS. SUSAN BOGGS:** So, I thought we had decided, at a previous  
2 meeting, that we would only reference this and not spend our  
3 time at each meeting reviewing these numbers. Am I -- I mean, I  
4 don't care, but I'm just curious.

5  
6 **CHAIRMAN FRAZER:** Mr. Gill.

7  
8 **MR. GILL:** My memory is that we decided to do it twice a year,  
9 April and October, and this is the April meeting.

10  
11 **CHAIRMAN FRAZER:** That's correct. All right, Ms. O'Donnell.  
12 Are you ready?

13  
14 **REVIEW OF RECENT REEF FISH, FOR-HIRE, AND INDIVIDUAL FISHING**  
15 **QUOTA LANDINGS**

16  
17 **MS. KELLI O'DONNELL:** As with yesterday, the landings for 2022  
18 and 2023 are still considered preliminary. We do have the  
19 recreational landings through Wave 6 for MRIP, LA Creel, and  
20 headboat, and Texas through May 14, and commercial landings  
21 through February 2023. Now, we do have little notes at the  
22 bottom for each species, to show which units they are currently  
23 in, either CHTS, FES, or MRFSS.

24  
25 Red snapper for-hire, we can see that they have had a longer  
26 season in the past couple of years, and, last year, we got  
27 pretty much right up onto the ACT with our projection for the  
28 season length, and average landings between the most recent  
29 three years and the prior three years before that have been  
30 pretty similar, and that is based on having a very similar  
31 season closure date.

32  
33 Gag, there was some discussion that landings seemed to be a  
34 little bit higher in 2021 and 2022, but, overall, but the end of  
35 the year, the total landings have been pretty similar in the  
36 past six years.

37  
38 Red grouper recreational landings, they've had higher landings  
39 in their most three recent years than they have prior to that,  
40 and they did exceed the ACL again last year, which means they  
41 will be monitored to their ACT this year.

42  
43 Triggerfish commercial landings, as we have heard, landings have  
44 been low, and that could be, as we've also heard, due to the low  
45 number of fish trip limit, and, hopefully, with the increase in  
46 that, we will be able to see some increase in the commercial  
47 landings. Recreational gray triggerfish landings have been able  
48 to remain below the ACL the past couple of years, and they did

1 have a closure in 2021, but, in 2022, there was no closure for  
2 this sector.

3  
4 Greater amberjack commercial landings, they have also remained  
5 below their ACT, but I wanted to remind everybody that we are  
6 currently in rulemaking for Reef Fish Amendment 54, and, when  
7 that is implemented, they are currently already at what that  
8 reduced ACT would be, and so to expect a closure to occur  
9 whenever the 54 final rule is effective, and I think that would  
10 be a good point to keep in mind as the greater amberjack  
11 management measures document moves forward. In discussing with  
12 the commercial sector, if they would rather have an extended  
13 season or be able to retain as high of a trip limit as possible,  
14 even if that means a shortened season, and they have also never  
15 triggered the step-down, currently, that was implemented in  
16 2020, which is going from 1,000 pounds down to 250 pounds when  
17 75 percent of the ACT has been met.

18  
19 Recreational landings, it looks super low this year, but that is  
20 because we had implemented that emergency rule that only allowed  
21 the recreational season to be open September and October, and we  
22 will be keeping it closed in May, so that the stock could stay  
23 below in the new ACT that will be implemented with Reef Fish  
24 Amendment 54, and keep in mind that, currently, this is  
25 presented in CHTS units, on this slide, and so you can't compare  
26 it to what FES would be, once 54 is effective.

27  
28 Gray snapper commercial landings have remained fairly similar to  
29 what they have been in the past six years, only slightly less  
30 landing, with 2022 being closer to what it was in 2017 to 2019.  
31 With the stock overall, we can see that they have remained below  
32 their ACL, even in the past six years.

33  
34 Lane snapper commercial, they have also had slightly lower  
35 landings in the past three years than they have in the prior  
36 three-year average before that, and 2022 was less landings than  
37 2021, and, so far, 2023 seems to be right in the middle of both  
38 of those, as far as where landings are currently.

39  
40 Overall, as a stock, with these as well, we do see that, in  
41 2022, they did exceed their stock ACL, even though a closure  
42 occurred on the 15<sup>th</sup>, and so they will have a projection this  
43 year, to see when the stock is projected to meet its ACL for a  
44 closure.

45  
46 Mutton snapper is another species that the most recent three  
47 years landings have been lower than they were the prior three  
48 years to that, although 2023 seems to be a little bit higher, as



1 we started the fishing year, their landings, than 2022 and 2021  
2 have been, and, again, overall, we can see the landings total  
3 has remained well below the stock ACL.  
4  
5 Vermilion is another same one where the most recent three years  
6 has been less than the three years before that, although 2023  
7 seems to be on track for what the 2017 to 2019 landings were,  
8 and, again, as a stock overall, we can see that they have  
9 remained below their ACL for the past six years.  
10  
11 Yellowtail commercial, we can see, in the most recent fishing  
12 year, landings have been higher than what they were in the past  
13 couple of fishing years, although still slightly below the 2017,  
14 2018, 2019, and 2020 average, but, overall, as a stock, they  
15 have remained well below their ACL, and, with the most recent  
16 three years, it's well below what the prior three-year average  
17 was.  
18  
19 Cubera is pretty similar in its prior six years of landings,  
20 and, as we can see on the next slide, they did not exceed their  
21 ACL last year, which means there would be no projection for a  
22 closure this year.  
23  
24 The jacks complex is a little bit less landings, so far on the  
25 commercial side, than what there was the past couple of years,  
26 and we can also see that they did not exceed their ACL either  
27 last year, which means there also will not be a projection for a  
28 closure this year.  
29  
30 Mid-water snapper, we did have that little jump-up in 2021, and  
31 even a little bit in 2022, and 2023 landings, so far, are  
32 looking a little bit less than what they were from those couple  
33 of years, and we can also see, with this stock, that they did  
34 not exceed their ACL in 2022, which means there also will not be  
35 a projection for a closure this year.  
36  
37 We wanted to provide an update of the breakdown for this  
38 species, because we had heard, and saw, that, within 2020 and  
39 2021, that wenchman was caught as a bycatch in the butterfly  
40 fishery, and it doesn't look like that occurred in 2022. We  
41 haven't been able to have time to look into that in any more  
42 detail, except to see that the landings just weren't what they  
43 were in 2020 and 2021, and, when compared to the recreational  
44 sector, we can see that wenchman is rarely caught in this  
45 sector, and so it is mostly a commercially-harvested species,  
46 and that's the end, and I will just be here for if there's any  
47 questions, Mr. Chair.  
48

1 **CHAIRMAN FRAZER:** Thank you, Ms. O'Donnell. Any questions  
2 regarding the landings data? I am not seeing any. Do you also  
3 have an IFQ presentation, Kelli?

4  
5 **MS. O'DONNELL:** I do.

6  
7 **CHAIRMAN FRAZER:** All right. Then we'll jump right into that.  
8 Okay, Kelli. It looks like we have the presentation loaded up  
9 on the screen.

10  
11 **MS. O'DONNELL:** As with the last presentation, for 2022 and  
12 2023, landings are considered preliminary, with commercial  
13 landings being available through February 28. These slides are  
14 going to be pretty straightforward. With being IFQ, we know  
15 that they are going to stay below their overall quota, and you  
16 can just see how some changes have occurred in there with the  
17 increase in the overall quota that occurred on January 1.  
18 Landings are a little bit higher, at the beginning of the  
19 fishing year, than what they were in 2022.

20  
21 A lot happened with red grouper, and the IFQ has changed a  
22 couple -- Or the quota has changed a couple of times, and so,  
23 while it seemed like they exceeded their quota with that purple  
24 line, that was only a quota for a couple of months, before they  
25 got another increase, with their current level being at the lime  
26 green in the middle dotted line.

27  
28 Gag grouper, we wanted to put these two lines on there, because  
29 they currently have a withholding that is in effect, due to the  
30 anticipation of the gag interim rule being implemented, and,  
31 once that occurs, the quota will be down at that light-green  
32 line. That's the end, and so I'll be here for questions again.

33  
34 **CHAIRMAN FRAZER:** Thank you, Ms. O'Donnell. Are there any  
35 questions with regard to the IFQ landings? Okay. I am not  
36 seeing any questions, Kelli, and thank you again for the  
37 presentations, and we'll go ahead and move on. The next item on  
38 the agenda is the public hearing draft for Draft Amendment 56,  
39 which is modifications to the gag grouper catch limits, sector  
40 allocations, and fishing seasons, and, Mr. Rindone, do you want  
41 to walk us through the action guide on that?

42  
43 **PUBLIC HEARING DRAFT: DRAFT AMENDMENT 56: MODIFICATIONS TO THE**  
44 **GAG GROUPER CATCH LIMITS, SECTOR ALLOCATIONS, AND FISHING**  
45 **SEASONS**

46  
47 **MR. RINDONE:** Sure. So, we're going to start off with a brief  
48 update from SERO staff about the timeline for implementation of

1 the interim measures for gag, which is intended to reduce  
2 fishing mortality ahead of the development of Amendment 56,  
3 which is the rebuilding plan for gag grouper. You guys have  
4 been working on this in response to the SEDAR 72 assessment,  
5 using the State of Florida's State Reef Fish Survey landings  
6 data for private recreational vessels, which determined that gag  
7 is overfished and undergoing overfishing.

8  
9 We're going to present some revised options for you guys, which  
10 will include status determination criteria, modifications to  
11 catch limits based on sector allocation and rebuilding timeline,  
12 changes to the definition of the annual catch targets and the  
13 commercial quota, and for modifying the recreational fishing  
14 season. You guys should ask questions and select preferred  
15 alternatives, as appropriate. We're trying to go out to public  
16 hearings with this next month, and so, if you guys think the  
17 document is ready for that, we certainly recommend that the  
18 document go forward to public hearings, and you guys have  
19 already selected locations for that. Right now, our plan is to  
20 bring it back for final action in June.

21  
22 **CHAIRMAN FRAZER:** All right. Thank you, Mr. Rindone, and so we  
23 will go ahead, and it looks like we have an update on the  
24 interim rule by SERO staff, and is that you, Andy, or Peter?

25  
26 **MR. PETER HOOD:** We had the proposed rule published, and we've  
27 got -- You know, we've had a few comments on that, and we've  
28 addressed those comments in a draft final rule, and that is --  
29 You know, right now, we're finishing that up, and we'll be  
30 sending it up to Headquarters, and we anticipate that it will  
31 publish before May 1. Thank you.

32  
33 **CHAIRMAN FRAZER:** Okay. Thank you, Peter. Any questions with  
34 regard to the interim rule status? Okay. I am not seeing any,  
35 and we will go ahead and move into the presentation, which is  
36 Tab B, Number 5(a) in your briefing materials. Mr. Rindone.

37  
38 **MR. RINDONE:** Thank you, sir. Just some background again, and  
39 thank you, Ava, for putting these couple of management slides  
40 together, and so this is the commercial landings and management  
41 measures since 1990, and the bars correspond to the landings in  
42 pounds gutted weight, and then the dotted line across the top  
43 corresponds to the season duration, in days, and you can see,  
44 spread across the timeline, different management actions for the  
45 commercial sector, and so we'll go to the next slide, which is  
46 the same thing, but for the recreational sector since 1990, and  
47 so there's a lot of information contained within here, and so  
48 I'm not going to -- We went through this some last time, but I

1 wanted to leave it in here, just in case anybody wanted a  
2 review.

3  
4 We have a little bit of a restructure for this document now, and  
5 we have four actions now, instead of two, and that was to clean  
6 up some things that we thought -- We just thought that it would  
7 be easier to map it out this way, and so, starting off with  
8 Action 1, it's modification of status determination criteria,  
9 and so this is a little bit of a glossary for you guys, as we  
10 walk through this particular action, and so we'll go to the next  
11 slide.

12  
13 Right now, the status determination for gag is defined in  
14 Amendment 30B, with the maximum sustainable yield equaling the  
15 fishing mortality rate, assuming the maximum yield per recruit,  
16 or  $F_{max}$ , and the maximum fishing mortality rate is set equal to  
17 that, and the minimum stock size threshold is equal to 50  
18 percent of the biomass at  $F_{max}$ , and the optimum yield is set at  
19 75 percent of the yield at  $F_{max}$ .

20  
21 Now, because the SSC found  $F_{max}$  to be unsustainable for gag,  
22 that's not considered to be consistent with the best scientific  
23 information available, and so you guys cannot pick Alternative  
24 1, and so Alternative 2 would revise the status determination  
25 criteria for gag based on the SEDAR 72 stock assessment that the  
26 SSC reviewed in July of 2022.

27  
28 MSY is defined as the yield when fishing at 40 percent spawning  
29 potential ratio, and the maximum fishing mortality threshold is  
30 set equal to the  $F$  at MSY, or its proxy, and, in this case, it  
31 would be 40 percent SPR. The minimum stock size threshold is  
32 still 50 percent of the biomass at MSY, or its proxy, and we've  
33 made a change here about OY, and we've defined it as conditional  
34 on rebuilding status, such that, if the stock is in a rebuilding  
35 plan, then optimum yield is equal to the stock ACL, a  
36 combination of the recreational and commercial ACLs, and, if the  
37 stock is no longer in a rebuilding plan, then optimum yield is  
38 equal to 90 percent of MSY, or its proxy. We've got a couple of  
39 hands, Mr. Chair.

40  
41 **CHAIRMAN FRAZER:** Mr. Gill and then Mr. Dyskow.

42  
43 **MR. GILL:** Thank you, Mr. Chairman. **Since we're looking to go**  
44 **out to public hearings with this document, I would like to make**  
45 **a no-brainer motion that, in Action 1, the preferred alternative**  
46 **be Alternative 2.**

47  
48 **MR. PHIL DYSKOW:** I will second it.

1  
2 **CHAIRMAN FRAZER:** Okay. We'll go ahead and get that motion up  
3 on the board, and so, Ryan, it looks like we'll kind of tackle  
4 these action items as you give the presentation. Okay, and so  
5 the motion on the board is, in Action 1, to make Alternative 2  
6 the preferred. That motion came from Mr. Gill, and it was  
7 seconded by Mr. Dyskow. Is there any further discussion on the  
8 motion? Okay. I am not seeing any. **Is there any opposition to**  
9 **the motion? Not seeing any opposition, and so the motion**  
10 **carries.** Mr. Rindone.  
11

12 **MR. RINDONE:** All right. Moving forward, Action 1 is  
13 modification of catch limits, sector allocation, and rebuilding  
14 timeline, and so we've got a couple of primer slides here for  
15 you, one about the data units, and then the next one is about  
16 reference points, and so the data used in Alternatives 2 and 3  
17 in Action 2 uses Florida's State Reef Fish Survey for private  
18 vessel catch and effort. Shore mode and charter mode data come  
19 from MRIP-FES, and headboat still uses the Southeast Region  
20 Headboat Survey.  
21

22 SRFS historic effort estimates are greater than those from MRIP-  
23 CHTS, but still much lower than those from FES, and, because of  
24 these differences in data units, we cannot directly compare  
25 what's in Alternative 1, which uses CHTS, to Alternatives 2 and  
26 3, which use a combination of these different data units with  
27 different sector allocations.  
28

29 As far as reference points are concerned, you know, we talked a  
30 little bit about Fmax being used in past assessments, and it's  
31 kind of like fishing a wide-open throttle, and it clearly it  
32 does not bode well for gag, and it's not recommended by the SSC.  
33 The SSC recommended 30 percent SPR for the MRIP-FES run of SEDAR  
34 72, but this was due to -- This increase from Fmax to 30 percent  
35 SPR was based on using those data and considerate of things like  
36 red tide vulnerability and different presumptions about the  
37 reproductive ability of gag.  
38

39 The SSC recommended F 40 percent SPR, after reviewing the SRFS  
40 run, again due to gag's demonstrated susceptibility to episodic  
41 mortality from red tide, and also after further considering  
42 gag's hermaphroditism, or its change of sex at younger ages from  
43 female to male, and based on some contemporary research.  
44

45 40 percent SPR would build the stock to a more resilient biomass  
46 level that the SSC thought would help sustain the stock against  
47 future red tide events, and also in the wake of directed fishing  
48 effort. It's not that if there will be future red tide events,

1 but it's when, how often, how bad. Andy, I don't know when you  
2 want to start having the conversation about the --

3  
4 **MR. STRELCHECK:** We can go through and the --

5  
6 **MR. RINDONE:** Okay, and so Alternative 1 here shows the current  
7 catch limits and sector allocation for gag, which were set using  
8 MRIP-CHTS data units, using Fmax, which, again, the SSC doesn't  
9 support. The sector allocation is 61 percent recreational and  
10 39 percent commercial, and that's from Amendment 30B, and the  
11 catch limits, in pounds gutted weight, are shown in the table  
12 there, and, again, Alternative 1 here is not consistent with the  
13 best scientific information available, and so this one is not  
14 viable.

15  
16 The interim rule that Peter was discussing earlier for 2023  
17 revises the current catch limits based on MRIP-FES for the  
18 recreational sector landings, using an MSY proxy of 30 percent  
19 SPR, and you guys elected not to modify the sector allocation  
20 during these interim measures, and so they were retained as the  
21 same, and those catch limits are shown there in the tables, in  
22 pounds, because that's how it was put in the regulations, and  
23 just a note that, you know, again, this is only in effect for  
24 2023.

25  
26 Alternative 2 would revise the catch limits for gag. The OFL,  
27 ABC, and ACLs would use 40 percent SPR, and the stock ACL would  
28 equal the ABC. The sector allocation would remain the same, at  
29 61 percent recreational and 39 percent commercial, and catch  
30 limits would be set using, and monitored in, SRFS units for the  
31 private angling landings -- For the private vessel landings in  
32 FES, and the Southeast Region Headboat Survey for the other  
33 recreational landings, and it would establish a rebuilding  
34 timeline for gag using one of three options, either Tmin, which  
35 is the minimum time to rebuild, and it's assuming zero fishing  
36 mortality, which is eleven years, at 75 percent of 40 percent at  
37 SPR, or the F at MSY proxy, and that's eighteen years, or the  
38 minimum time to rebuild times two, which is twenty-two years,  
39 and these options come from the Magnuson Act.

40  
41 **CHAIRMAN FRAZER:** We'll hold there for a minute, Ryan. Mr.  
42 Gill.

43  
44 **MR. GILL:** Thank you, Mr. Chairman. I apologize for not  
45 catching up, but could we go back to the last slide, please? I  
46 think we need to have a discussion about the interim rule before  
47 we quietly go past it, because I have concerns about the  
48 implications of what's going to happen and what we decided, back

1 a year ago or so, and that's a seventy-one-day season, if I  
2 remember correctly, and the average landed recreational gag is a  
3 little over -- It's about eight-and-a-quarter pounds, and, if  
4 you look at that, in terms of the total ACL, it's about 48,000  
5 fish, and, in a seventy-one-day season, that says that you're  
6 going to have something less than 700 fish a day.

7  
8 That says, to me, that what's going to happen is we're going to  
9 grossly overrun the ACL, and, given that there's a payback in  
10 the recreational sector, it's going to be sufficiently large as  
11 to eliminate the 2024 season, and so I think we screwed up. We  
12 didn't think it through enough, and I'm one of them, on the  
13 implications of what we decided.

14  
15 Now, part of that consideration, I suspect, was that the RA has  
16 the authority to close the season when he considers the ACL to  
17 be met, but, as part of that discussion, I don't see where he's  
18 got the mechanism, or the data, to do that, and so I would like  
19 to ask for Andy's comments in that regard, because it seems to  
20 me that we're already in the soup, in terms of trying to stop  
21 that large overage, which would be really deleterious to the  
22 recreational season, which we don't want to do, or at least I  
23 don't want to do, and so, Andy, could you comment on how that  
24 will all play out, in your mind, so that we could have a  
25 discussion and make everybody aware about the implications of  
26 what we've decided in the interim rule and what's going to  
27 happen in the future, as a result?

28  
29 **CHAIRMAN FRAZER:** Mr. Strelcheck.

30  
31 **MR. STRELCHECK:** Thanks, Bob. First, I guess, just to get  
32 everyone oriented, Peter talked about kind of where we're at  
33 with the interim rulemaking process, and we have to publish the  
34 final rule on or before May 1, so that it's effective by June 1.  
35 The main driver of that is that we withheld commercial quota,  
36 based on the interim rulemaking, and, if we do not have a rule  
37 in place by June 1, then we have to essentially revert back to  
38 the previous commercial quota that was in place, and that's part  
39 of the regulations, and that's been in effect for quite some  
40 time at the council, and so I don't see a course correction  
41 here, in terms of modifying the interim rule and our ability to  
42 make changes to it.

43  
44 As Bob has noted, right, there is a season that you've  
45 recommended, under the interim rulemaking, which is September 1  
46 through November 10, I believe it was, and so approximately  
47 seventy-one days.

48

1 At the time that we made the recommendation on the interim rule,  
2 we did not have data for the 2022 season, right, and now we have  
3 at least that information that can inform, and benefit, any  
4 decisions about whether that seventy-one-day season needs to be  
5 adjusted, or shortened, right, and so we will look to that, at  
6 least as information to inform that decision about how to set  
7 the season, as well as any other kind of prior data, in terms of  
8 trends in landings, but it will be limited, and especially  
9 knowing that we typically open on June 1, right, and we have  
10 three to four months of landings before we're actually going to  
11 get to this opening in the fall of next year, and it's very hard  
12 to predict fishing effort into the fall season.

13  
14 All of these factors have to go into projections, and we  
15 document the projections and, ultimately, make a decision, in  
16 terms of whether it's going to be a seventy-one-day season or  
17 some adjustment to that season, based on the data and  
18 information we have.

19  
20 **CHAIRMAN FRAZER:** Mr. Gill.

21  
22 **MR. GILL:** Thank you, Mr. Chairman, and so what you're saying,  
23 in effect, is you're going to, in advance of the season,  
24 determine the season length, utilizing the current projection  
25 methodology that you have used previously.

26  
27 **CHAIRMAN FRAZER:** Andy.

28  
29 **MR. STRELCHECK:** I am just looking at our accountability  
30 measures, just so I can kind of clearly state them. It says,  
31 without regard to the overfished status, if gag landings, as  
32 estimated by the Science and Research Director, reach, or are  
33 projected to reach, the applicable ACL, the FA will file a  
34 notification with the Office of the Federal Register to close  
35 the recreational sector for the remainder of the fishing year,  
36 right, and so that's my authority, essentially, to project,  
37 based on data available.

38  
39 **CHAIRMAN FRAZER:** Mr. Gill.

40  
41 **MR. GILL:** Thank you, Mr. Chairman, but the question was when  
42 you were going to do that.

43  
44 **MR. STRELCHECK:** It would be sometime probably this summer.

45  
46 **CHAIRMAN FRAZER:** Bob.

47  
48 **MR. GILL:** Thank you, Mr. Chairman, and so the issue I have is



1 that the methodology utilizes the daily catch -- The average  
2 daily catch rate for previous seasons, which are considerably  
3 longer than the interim rule, and which are in fact even longer  
4 than those projected in Action 4, and so utilizing the straight  
5 average daily catch rate of a typical fishing season does not  
6 account, in any fashion, for effort shift, and yet we have a  
7 very reasonable expectation that there will be considerable  
8 effort shift.

9

10 Now, granted, we have no particular data to allow us to project  
11 that. On the other hand, to ignore it suggests that utilization  
12 of the previous daily catch rate is going to lead to an overage,  
13 and, given the payback, and the low amount of fish available,  
14 that's disaster for the follow-on season, and so we've talked  
15 about -- I talked about this at the last meeting, and the issue  
16 of determining season length is not a scientific one.

17

18 It's a management issue, and I would argue that, when you make  
19 decisions from a management perspective, you don't have all the  
20 data you need, and you utilize what I would call best management  
21 judgment, just similar to the science community's best  
22 scientific judgment, and that's basically a guess wrapped in  
23 nice words, right, but that's how you do it. You make your  
24 decision based on the best information you have, to utilize your  
25 experience and expertise to fill in the gaps, and you make a  
26 decision and go with it, and we're not doing that.

27

28 What we're doing is straight mathematical calculation, which  
29 does not account for the likely events that are going to occur,  
30 and so what we're passively accepting is a rather substantial  
31 overage, and we don't know how much, and we can't project that,  
32 but a substantial overage in the fishery, which is going to  
33 result in a vastly-reduced season, at a minimum, or a shutdown  
34 of the fishery next year.

35

36 That makes no sense to me, that we're not utilizing common sense  
37 to try to maximize the fishery that we can, given the rather  
38 constrained circumstances that we're under, and I guess I do not  
39 understand, nor am I comfortable with, moving forward on not  
40 including our best estimate of what that reduction in season  
41 ought to be to accommodate the unknown.

42

43 I think we're setting ourselves up for a path to disaster.  
44 There is no fish available, and, if you take any out of next  
45 season, there's even less fish available, and we don't have --  
46 The interim assessment is probably not going to pay back enough  
47 fish to change that, and I would be surprised if we even get to  
48 the results of the assessment in 2025, and so I'm really

1 concerned about this fishery, effectively mismanaging it, and so  
2 I'm not comfortable, unless the agency is willing to step up and  
3 change the technique, going forward with what's on the table.

4  
5 **CHAIRMAN FRAZER:** Mr. Strelcheck.

6  
7 **MR. STRELCHECK:** Well, I will disagree with your  
8 characterization of our projection and projection methodology,  
9 because it's not something that stays static. We evolve it and  
10 change it and improve it, based on lessons learned and  
11 information that has informed, obviously, prior projections.

12  
13 You know, we just went through greater amberjack, this past  
14 season, and shortened that fishing season, and it's a little bit  
15 different than gag, but certainly a short season, and we hit the  
16 mark, right, and we didn't exceed the catch limit, yet we have  
17 shortened the season, right, and so did we get lucky? Was it  
18 because we did a good job projecting it?

19  
20 Was it -- You know, a whole variety of reasons and circumstances  
21 could explain that, right, and, with red grouper, we improved,  
22 modified, our projections to use more recent and updated data,  
23 and we still went over last year, and we're going to continue to  
24 adjust the red grouper projections based on what we've learned  
25 the last two seasons for overages, right, and so I think it's  
26 unfair to say that the agency is just simply using data and  
27 average catch rates in order to base the decisions.

28  
29 I certainly would welcome some direction and guidance, if you  
30 would like me to consider effort shifting as part of those  
31 projections, and I certainly have to document a record, and I  
32 have to build that record, and I have to get it reviewed by the  
33 attorneys, and, ultimately, at the end of the day, we have to  
34 justify whatever decision we make, in terms of setting that  
35 fishing season based on projections, and so, if the council  
36 wants to give some direction, in terms of how that is done, I am  
37 certainly willing to receive it and open to, obviously,  
38 factoring that into the work that we'll be doing on projections.

39  
40 **CHAIRMAN FRAZER:** Okay. Thank you, Mr. Strelcheck. Mr. Gill, I  
41 think that, as we work through these alternatives and discuss  
42 Actions 3 and 4, I think there will be some relevance there, and  
43 we might circle back, at the end of this presentation, and talk  
44 about whether or not we want to provide to the agency some  
45 advice from the council, with regard to the interim rule and the  
46 projections. Okay. Mr. Rindone.

47  
48 **MR. RINDONE:** Okay. We talked about this one a little bit, and

1 we can go to the next slide. Options 2a, 2b, and 2c in these  
2 tables are going to show you what the catch limits would be for  
3 the different rebuilding timelines. The important thing to  
4 remember here is that discards are scaled to the reductions in  
5 catch, and we say this in the document too, especially for the  
6 2a and 3a options, that we can assume that zero fishing  
7 mortality is going to occur, but we know that, from a discard  
8 standpoint, that it's obviously not true, and there is still  
9 going to be other recreational fishing activity, and so the  
10 discards would never be assumed to be zero for gag in this  
11 situation.

12  
13 Option 2b shows the 75 percent of F 40 percent SPR, or the  
14 eighteen-year rebuilding timeline, and, again, this is for 61  
15 percent recreational and 39 percent commercial, and these  
16 increase with time, assuming that -- Each year, of course, is  
17 predicated on the previous year's catch limit being caught  
18 precisely, but not exceeding it, and so no more and no less.

19  
20 Option 2c here shows the minimum time to rebuild times two, or  
21 twenty-two years, and these catch limits are all in pounds  
22 gutted weight, and I rounded down to the nearest thousand  
23 pounds, and do that to make sure that the sum of the sector ACLs  
24 doesn't exceed the ABC, and so there's about a thousand pounds,  
25 or less, of variability.

26  
27 Alternative 3 would revise the gag catch limits for gag also,  
28 but it would change the sector allocation to 65 percent  
29 recreational and 35 percent commercial, using the SRFS-  
30 calibrated average landings from 1986 to 2005, which is where  
31 the original -- Or where the current sector allocation comes  
32 from, and you guys might remember, last August, in Corpus, we  
33 went over about six different time periods that were used for  
34 the ACL/AM Amendment and used in Amendment 53 for red grouper,  
35 and, overall, the differences in the sector allocation scenarios  
36 were -- They were all about, you know, give or take a 4 percent  
37 shift, and so what you guys are looking at now is within the  
38 range of what we explored last August, and you guys had decided  
39 that the options that we were presenting at the time were  
40 sufficient, and so that's why we haven't added in a whole bunch  
41 of different things, and we went through this exercise.

42  
43 The catch limits would be set in Alternative 3 and using and  
44 monitored in SRFS units for the private angling landings, for  
45 private vessels, in FES for the other recreational landings, and  
46 then the Southeast Region Headboat Survey for the headboats.

47  
48 We would establish the rebuilding timeline for gag similar to

1 how -- Similar to what we talked about in Alternative 2, with  
2 the same rebuilding years there, and the same options, but just  
3 with 40 percent SPR applied to the revised allocation scenario.  
4 The same tables, but, again, assuming 65 percent recreational  
5 and 35 percent commercial, instead of 61/39. Again, these  
6 continue to increase with time, as the stock is projected to  
7 rebuild. We've got some hands.

8

9 **CHAIRMAN FRAZER:** Mr. Dyskow and then Ms. Boggs.

10

11 **MR. DYSKOW:** Thank you, Mr. Chairman. **I would move that, in**  
12 **Action 2, Alternative 3, Option 3b be the preferred.**

13

14 **CHAIRMAN FRAZER:** Okay. We'll put that motion up on the board.  
15 Mr. Dyskow, can you repeat the motion?

16

17 **MR. DYSKOW:** Sure. **I move that, in Action 2, Alternative 3,**  
18 **Option 3b be the preferred.**

19

20 **CHAIRMAN FRAZER:** Thank you, and so the motion is, in Action 2,  
21 to make Alternative 2, Option 3b the preferred, and is there a  
22 second to that motion? It's seconded by Mr. Dugas. Mr. Dyskow,  
23 do you want to elaborate a little bit on the basis for the  
24 motion?

25

26 **MR. DYSKOW:** Well, the last couple of days have been topsy-  
27 turvy, for several reasons, but, the last time we got into some  
28 in-depth discussion about this, we had to pick an option, and,  
29 collectively, the group determined that that was the most  
30 appropriate form available.

31

32 **CHAIRMAN FRAZER:** Okay. Thank you, Phil. Is there any further  
33 discussion on this motion? Mr. Strelcheck and then Mr.  
34 McDermott.

35

36 **MR. STRELCHECK:** Setting aside the discussion of the allocation  
37 for this alternative, certainly I was going to encourage, and  
38 recommend, that Option 2b or 3b be selected as preferred. One  
39 of the things that we talked to the council staff about this  
40 week, and wanted to inform the council of, is, in our rebuilding  
41 projections, one of the assumptions that is not being met is  
42 that we're going to reduce discards by a commensurate amount  
43 with landed catch.

44

45 I think this is something that is an improvement that needs to  
46 happen with how we project going forward with rebuilding  
47 projections, but the reality of this is that, if we don't  
48 achieve that reduction in discards, then we are unlikely to

1 successfully rebuild the stock with a 50 percent probability.

2  
3 With the alternative that Mr. Dyskow has just offered, it does  
4 provide a much bigger buffer between the overfishing limit and  
5 the actual catch limit being set, and so that's kind of Criteria  
6 1, is we need to end overfishing, right, and so, the bigger the  
7 buffer, the more you can account for uncertainty in discard  
8 reduction and, ultimately, have a higher likelihood of achieving  
9 the ending of overfishing.

10  
11 In terms of the actual discard reductions themselves, we aren't  
12 really considering a lot of options that reduce discards, and,  
13 in fact, most of them potentially could increase discards, and  
14 so we're really relying on angler behavior then to achieve some  
15 of those discard reductions, and so I just wanted to mention  
16 this, and this is something that I think we need to better  
17 inform the council, as well as the SSC, about when we're  
18 providing future guidance on ABC and ACL advice.

19  
20 Then, when we get into the kind of annual catch limit target  
21 discussion, or, excuse me, annual catch target discussion, we  
22 should probably discuss the buffer and whether we need to  
23 increase the buffer, given that we're unlikely to achieve the  
24 reduction in discards. Thank you.

25  
26 **CHAIRMAN FRAZER:** Thank you, Andy. Mr. McDermott.

27  
28 **MR. MICHAEL MCDERMOTT:** Ryan, would you pull up the highlighted  
29 text? I want to speak in favor of Mr. Dyskow's motion. I was  
30 looking at Alternative 2 and Alternative 3, and, you know, like  
31 I have talked about before, this discussion about the  
32 allocations and things, and, looking at the two alternatives,  
33 they both are using State Reef Fish Survey data to determine the  
34 vessel landings, and they're both using MRIP-FES to determine  
35 the shore landings, and they're both using the 40 percent  
36 spawning potential ratio.

37  
38 The difference between the two is in that highlighted section  
39 there, where Alternative 2 is going to use the MRIP-CHTS data to  
40 determine how the fish are going to be divided, and it seems  
41 unusual, to me, that we would use SRFS and MRIP-FES to determine  
42 what the landings are going to be, but yet we're going to use  
43 the MRIP-CHTS to determine how the fish will be divided amongst  
44 the user groups, and, right there in that middle passage that's  
45 highlighted, it says that the SSC finds that the MRIP-CHTS data  
46 is not consistent with the best scientific information  
47 available, and so it would seem, to me, that, you know, the  
48 alternatives -- I'm sorry.

1  
2 The Alternative 3 in Action 2 is where we want to land, because  
3 it's using the SRFs data not only to determine the landings, but  
4 also to determine how they're going to be divided, and, I don't  
5 know, and, like I said, that doesn't make a whole lot of sense  
6 to use the data that we've determined is not consistent with the  
7 best scientific information available to determine how we're  
8 going to divide the fish and then use another dataset to  
9 determine the landings, and so that was my comment.

10  
11 **CHAIRMAN FRAZER:** Okay. Thank you, Mr. McDermott. I just was  
12 talking with Carrie, and I want to go back to the motion, to  
13 make sure that we've got it properly documented, and so, Phil,  
14 in Action 2, to make Alternative -- Is it 3?

15  
16 **MR. DYSKOW:** In Action 2, Alternative 3, Option 3c as the  
17 preferred. I got ahead of myself, and my computer is down, and  
18 I'm trying to do this through my cellphone.

19  
20 **CHAIRMAN FRAZER:** So, I believe that it's your intention to make  
21 Alternative 3 --

22  
23 **MR. DYSKOW:** 3c.

24  
25 **CHAIRMAN FRAZER:** 3c or 3b?

26  
27 **MR. DYSKOW:** Alternative 3, Option 3b. Action 2, Alternative 3,  
28 Option 3b.

29  
30 **CHAIRMAN FRAZER:** All right. That's what I wanted to make sure  
31 was correct. J.D., you're good with that? All right. Thanks,  
32 Mr. McDermott, for your comments. Ms. Boggs.

33  
34 **MS. BOGGS:** Well, I wasn't going to speak, but Andy kind of  
35 brought up my concern, and that's discards, and, to me, it's not  
36 just with gag grouper, but it's amberjack, red snapper, every  
37 species we manage, and we don't have a good handle on the  
38 discards, and I am not going to support this motion, but, again,  
39 I just get to the point about the discards, and, to me, the  
40 longer your fishing season is, the more probability you're going  
41 to have for the discards, and your discard numbers go up, and  
42 you get the shorter seasons, and we're staring down the barrel  
43 of what the South Atlantic is looking at, and that concerns me  
44 greatly, and I would rather have shorter seasons, with less  
45 discards, than to try to stretch this out and give optimum  
46 yield, as some people seem to refer to it, to the fishermen,  
47 because what the fishermen have to understand, and it's  
48 recreational, charter/for-hire, and commercial -- All the

1 sectors have to understand that, if we don't get a handle on  
2 these discards, we're going to be looking at two or three days  
3 or zero season, and that concerns me, especially for those of us  
4 in commercial fishing and the charter/for-hire fishing, that  
5 this is the way that we make our living, and this is our only  
6 income, and it's not something that we go out for enjoyment.

7  
8 I think everybody needs to be very concerned about these  
9 discards and the path that we're going down. I was looking at  
10 the SEDAR report, and I am no scientist, and it's a little  
11 confusing to me, but we, as a council, have to get a handle on  
12 discards, and I don't know how we do that, but we need to really  
13 look at that, and I will speak in opposition to this motion.

14  
15 **CHAIRMAN FRAZER:** Thank you, Ms. Boggs. Mr. Rindone.

16  
17 **MR. RINDONE:** Thank you, Mr. Chair. I just wanted to add that  
18 the situation with gag is a little bit more dynamic, perhaps,  
19 than for some other species, as it relates to the relationship  
20 between season duration and discards, and having a shorter  
21 season duration, you know, like we saw with red snapper -- When  
22 you compress the season like that, you get effort compression,  
23 and you get a bulge of directed fishing effort, and you also get  
24 an increase in discards.

25  
26 Mr. Anson has actually got a paper on this, and so you have this  
27 concentrated amount of effort, and you have a concentrated and  
28 marked increase in discards, but then you have everything that  
29 happens outside of when retention is actually allowed, and so  
30 you have a longer period of regulatory discards, where  
31 everything must be returned, or at least assumed that it is  
32 returned, and so, when you have a longer fishing season,  
33 sometimes what you can observe is you have a decrease in overall  
34 discards, because retention is allowed, and over a longer period  
35 of time, and so you decrease the probability of there being a  
36 derby, and it's going to be fluid and dependent on the species  
37 and where it occurs, and there's some qualitative factors that  
38 make it difficult to be super precise about it.

39  
40 The longer the fishing season, the way the common thinking goes  
41 is the lower your discards would be for the same species, with  
42 the same effort-generating environment, and Mr. Anson might be  
43 able to speak a little bit better to that, since he and Sean  
44 wrote it, but --

45  
46 **CHAIRMAN FRAZER:** Thank you, Mr. Rindone. Ms. Boggs.

47  
48 **MS. BOGGS:** I do understand what you're saying, Ryan, and so,

1 for example, with gag grouper, you have a fishery, in June and  
2 July, for red snapper, where, with the fishermen I'm talking to,  
3 from Tampa south, they encounter the gag grouper. Those fish  
4 are going to have more of a risk of dying when you release them,  
5 because of the depths and the size of these fish that are being  
6 caught.

7  
8 I understand we're pushing for this EEZ fishing season in the  
9 fall, when the waters are cooler and the mortality rate is less  
10 when you release the fish, and so, somehow, we have to come up  
11 with a balance of either having some type of retention during  
12 the June and July fishery, because, to me, you're -- I am not  
13 opposing the fall season, but we have to have -- A suggestion  
14 would be of some type of retention in those other months, when  
15 you're going to encounter these bigger fish in the warmer  
16 waters, deeper waters, that are not going to survive, and that's  
17 the fishery I'm worried about.

18  
19 I'm not saying we have to open it, but, if we have some kind of  
20 retention available there, to lessen your discards, because I  
21 fear what's going to happen, and I don't think we've gotten to  
22 it in the document, and it may not be in the document, but  
23 what's going to happen, and we saw it kind of with Kelli's, is  
24 you start seeing that increase in the catch, and so now what  
25 happens to all those fish in June and July? Now they're  
26 discards, and they're probably going to be dead discards, and  
27 that's my concern.

28  
29 We've got to find a balance here. You know, yes, you can have a  
30 fall season as long as you want, and you can have a greater  
31 mortality, or lessen the mortality rate, but what do we do with  
32 these fish in the June and July months?

33  
34 **CHAIRMAN FRAZER:** Thank you, Ms. Boggs. Mr. Gill.

35  
36 **MR. GILL:** Thank you, Mr. Chairman. I have stated, many times,  
37 that I do not believe that we provide adequate discussion about  
38 how we do allocation, and we have an allocation document that  
39 lays that out, and yet here's an example, in Alternative 3, that  
40 we haven't had that discussion, you know, and there is inclusion  
41 in the document to address it, but we've not had it here at the  
42 table.

43  
44 I don't believe this is the place, nor time, to make allocation  
45 changes, and I think that ought to be a separate discussion and  
46 we go into depth about the good and the bad of whatever the  
47 allocation changes ought to be, but not willy-nilly attack it in  
48 the dire situation that we have with gag, and so, in accordance



1 with that, I also agree with the discard argument, by the way,  
2 but I would like to make a substitute motion.

3  
4 **CHAIRMAN FRAZER:** Go ahead, Mr. Gill.

5  
6 **MR. GILL:** Thank you, sir. **In Action 2, the preferred is**  
7 **Alternative 2, Option 2b.**

8  
9 **MS. BOGGS:** Second.

10  
11 **CHAIRMAN FRAZER:** It's seconded by Ms. Boggs. Okay. Mr. Diaz.

12  
13 **MR. DALE DIAZ:** I am trying to think through what Mr. Gill just  
14 said, and I really don't know the answer to this, and so he said  
15 that I don't believe we should change allocations when we're in  
16 the middle of these type of discussions, but, if you look at it,  
17 what does that really mean? We are using SRFS data here to  
18 determine the allocations, and is that correct, Ryan?

19  
20 **MR. RINDONE:** Yes, sir.

21  
22 **MR. DIAZ:** So, if everything -- I am trying to bring everything  
23 back, in my mind, of what it would be had we not had to apply  
24 these SRFS data to it. When you apply the SRFS data, and you  
25 bring it to the allocations in Alternative 3, then it brings you  
26 back to where you would have been -- Do you see what I'm saying?  
27 I don't know if I'm explaining it right, but it brings you back  
28 to where you would have been had you not had to convert to that  
29 data, and so that's where I'm at, Mr. Gill. I'm trying to  
30 figure out, really, if Alternative 3 is bringing us back to  
31 where we would have been, and so thank you.

32  
33 **CHAIRMAN FRAZER:** Mr. Gill.

34  
35 **MR. GILL:** Thank you, Mr. Chairman, and I understand that  
36 concern, but my argument is not what data we're using, but we  
37 have an allocation policy document, which is fairly new, and we  
38 never follow the darned thing, and so, here, we're -- Mara may  
39 not agree with me, but, at any rate, we're not following that  
40 thing here at the table, and so we make the allocation  
41 decisions, ignoring what we said we were going to do, which was  
42 to have an in-depth discussion on what the allocation is all  
43 about, and the whole list of considerations to do that, and we  
44 haven't done that.

45  
46 Maybe in the document, and that's well and good, and we haven't  
47 talked about it at the table, and I don't know if anybody has  
48 ever read it, and so the point is that we need to be talking

1 about these important decisions here, and it's not just the  
2 data, and I think that's another discussion to be had, and I  
3 understand that, but we need to do it by itself, and, if  
4 somebody wants to make a motion to start that allocation  
5 discussion, fine, have at it, and I don't think this is the  
6 place to do it, because we haven't had that discussion, and the  
7 issue is not so much allocation as it is what do we do with gag,  
8 right, and so I'm coming from a different place than you are,  
9 apparently, Dale.

10  
11 **CHAIRMAN FRAZER:** Mr. Diaz, to that point, and then we'll have  
12 Ms. Levy jump in.

13  
14 **MR. DIAZ:** So, I keep going back to what Dr. Stunz had brought  
15 up a couple of meetings ago, about whether these things are data  
16 adjustments or calibration discussions, and I was leaning to the  
17 way Dr. Stunz was laying it out earlier on, as data adjustments  
18 more than calibration discussions, when we implement these big  
19 changes like this from one data system to the next. I think we  
20 are in different places, Mr. Gill, but I understand your point,  
21 and I think it's a valid point. Thank you.

22  
23 **CHAIRMAN FRAZER:** Ms. Levy.

24  
25 **MS. MARA LEVY:** Right, and, just to the procedural point, I  
26 mean, I think you kind of jumped ahead, because I think there  
27 was a presentation, scheduled for after this, that was going  
28 through the elements of the allocation review policy and where  
29 they are and the things you're supposed to be looking at, and I  
30 think you went through that exercise with the greater amberjack  
31 amendment as well, 54, and so you may have like kind of jumped  
32 ahead of that discussion, but I agree that you have not had that  
33 discussion, and I would like to see a discussion happen, either  
34 right now, before you decide this, or maybe we can table this  
35 particular discussion and listen to that presentation, but I  
36 feel like there is valuable information at least pointing you to  
37 the places in the document as to where these things are, a guide  
38 that you should be sort of looking at the objectives of the FMP  
39 and deciding how the allocation fits into that.

40  
41 **CHAIRMAN FRAZER:** Thank you, Ms. Levy. Ms. Boggs.

42  
43 **MS. BOGGS:** Well, so, based on what Ms. Levy said, can we table  
44 this conversation and -- **I would like to make a motion to table**  
45 **this conversation, to have allocation review conversation, and**  
46 **then come back to this.** Then I can ask my question pertaining  
47 to this, if somebody will second that motion.

48

1 **CHAIRMAN FRAZER:** We would have to go through this --  
2  
3 **MS. BOGGS:** Come back to me, please.  
4  
5 **CHAIRMAN FRAZER:** Yes.  
6  
7 **MR. DIAZ:** Tom, I don't think that's correct, and a motion to  
8 table I think can be brought up, and then discussion is not  
9 brought up, and you vote on the issue to table, is the way that  
10 I understand it.  
11  
12 **CHAIRMAN FRAZER:** Ms. Levy.  
13  
14 **MS. LEVY:** I mean, I believe the motion to table is specifically  
15 to set aside a discussion, because something else has come up  
16 that takes precedence, and so you don't debate it, and you just  
17 vote it, and, if you agree to table, then you do your  
18 discussion, and then you do a motion to untable.  
19  
20 **CHAIRMAN FRAZER:** Okay, and so we have a motion to table this.  
21 Is there a second for that? It's seconded by C.J. **Any**  
22 **opposition to that?** Okay. **Not seeing any opposition to that**  
23 **motion, and so we'll go ahead and table the discussion, with the**  
24 **intention of hearing the subsequent presentation.** I think Dr.  
25 Lasseter is going to lead us through that, but we will then come  
26 back to these action items and alternatives, in an effort to try  
27 to pick some preferreds and advance the public hearing document,  
28 and so Dr. Lasseter.  
29  
30 **DR. AVA LASSETER:** Thank you, Mr. Chairman, and this  
31 presentation is located at Tab B, Number 5(c), and we will give  
32 admin a moment to call that up. Perfect. Thank you, and so  
33 this will actually be fairly brief, because this is very similar  
34 to the presentation that I gave for Amendment 54, greater  
35 amberjack, and I intend this to be seen as like a reference  
36 document for you.  
37  
38 While they're getting that together, I will just make a couple  
39 more comments, just to kind of bring us all to the same place,  
40 and so you did finalize your allocation review guidelines, and  
41 we did have a discussion that an allocation review can or cannot  
42 be done in tandem with an amendment, and so, if you have an  
43 amendment, an amendment includes all the components that we have  
44 available that would be included in an allocation review, and so  
45 it's part of it.  
46  
47 As I just said, an amendment includes the full analysis and  
48 evaluation of allocation options that serves to inform and

1 support an allocation decision, and that's taken from the NMFS'  
2 fishery allocation review policy, originally published in 2016,  
3 and so the amendment you have before you, Amendment 56, would  
4 modify the gag grouper sector allocation, and the amendment does  
5 include the analytical components appropriate and related to the  
6 action in front of you.

7  
8 This passage is taken directly from your allocation review  
9 guidelines, which states that the reviews will typically be  
10 conducted based on information and data that are routinely  
11 available, and so we're not going outside and doing additional  
12 studies, research, to support an allocation decision. Reviews  
13 are expected to utilize existing ecological, biological, and  
14 socioeconomic studies relevant to the subject species, and it's  
15 expected that a subset of the list that is provided in your  
16 allocation review guidelines would be used for a particular  
17 allocation review, as in they're not all relevant, perhaps, and  
18 it also is limited by data availability.

19  
20 The rest of the document, the rest of this PowerPoint, excuse  
21 me, has two sides. On the left side is the text taken straight  
22 from your allocation review guidelines, and on the right  
23 identifies where it is in the document. Now, this is the only  
24 slide that the location in the document is not actually the  
25 subject amendment that we're talking about, and so FMP  
26 objectives.

27  
28 You're not required to revisit these in every amendment, but you  
29 should be consistent. Your decision should be consistent with  
30 them, and you may wish to revisit them each time. You most  
31 recently revisited your FMP objectives while you worked on  
32 Amendment 53 for red grouper in 2021, and the FMP objectives  
33 section was in the background, 1.1.

34  
35 All the rest of these are going to be, again, the left-hand side  
36 is what's specified in the guidelines, and then, on the right,  
37 the location is the document at-hand, and so we have our  
38 regulatory structure located in our background section and  
39 history of management, and so that's really in Chapter 1.

40  
41 Status of the stocks is extensively addressed in the background,  
42 again, 1.1, and your catch limits and accountability measures  
43 are Chapter 1 and Chapter 2, with the addition of text  
44 explaining the SRFS, and so that's specific to this amendment as  
45 well.

46  
47 Landings history, ACL quota utilization rates, where they're  
48 located, Chapters 1 and 3. Then participation and effort

1 measures are located in different respective sections of  
2 Chapter 3. Bio-physical information, again, is in the  
3 biological environment, and the BPA will be completed and  
4 submitted as part of the appendix.

5  
6 The economic factors, we have two slides here for this, because  
7 there's quite a long list laid out in the allocation review  
8 guidelines, and then the next slide lays out where they are  
9 located in 3 and 4. The next slide is the last one, I believe,  
10 and we have social factors. On the right side, these are all  
11 located in the social environment. The one thing that is  
12 additional in this document, that we did not have in 55, is the  
13 LQ has been provided, and, if you look in that section, it  
14 addresses a little bit more of the difference between gag and  
15 greater amberjack, in terms of the landings, and that is it.

16  
17 Again, I would keep this as a reference. These elements are  
18 always included in these respective sections of these documents,  
19 and so, if you were looking for where to find them, this should  
20 help you, and that's all I have. Thank you.

21  
22 **CHAIRMAN FRAZER:** All right. Thank you, Dr. Lasseter, for  
23 providing that presentation on the fly. Are there any questions  
24 regarding that presentation and allocation? Okay. I am not  
25 seeing any, and so we will turn it back to Mr. Rindone. Ms.  
26 Boggs.

27  
28 **MS. BOGGS:** I would like to make a motion to untable our  
29 previous discussion. I don't know how to form that with the  
30 motion, and, I mean, how do you want me to -- Just to untable  
31 the conversation?

32  
33 **CHAIRMAN FRAZER:** As simple as that. It's a motion to untable  
34 the previous motion and continue discussion, and it was seconded  
35 by Mr. Gill. **Is there any opposition? I am not seeing, and so**  
36 **we will go back to the discussion with regard to, in the**  
37 **amendment, Action 2 and discussion of the alternatives.** Mr.  
38 Rindone.

39  
40 **MR. RINDONE:** I think you had a couple of other -- You had the  
41 substitute motion that was up, and then you had a couple of  
42 hands that were up, around the time that Ms. Boggs asked to  
43 table, and so I don't know if you want to try to revisit those,  
44 once the substitute motion is up. There you go.

45  
46 **CHAIRMAN FRAZER:** Okay. You're exactly right, and so we have a  
47 substitute motion that is being discussed right now, and that  
48 substitute motion is, in Action 2, to make Alternative 2, Option

1 2b the preferred. We had Mr. Gill offer that motion, as I  
2 recall, and it was seconded by Ms. Boggs. Is there any further  
3 discussion on it? Mr. Strelcheck.

4  
5 **MR. STRELCHECK:** I wanted to, I guess, come back to the  
6 allocation decision here, right, and so Option 2b is 61/39, and  
7 Option 3b would be 65/35. The only discussion I've heard, at  
8 least at this meeting, is what Mr. McDermott was expressing,  
9 with regard to using SRFs data and the fact that we're going to  
10 now be monitoring with SRFs data, and certainly I think that is  
11 a component to a rationale, but it shouldn't be the only  
12 rationale, obviously, the council is considering, and so, if you  
13 go back to my presentation in January, and what Ava just kind of  
14 walked through, we talked about the biological, social, and  
15 economic consequences of allocation decisions, and simply  
16 updating the landings data in the new units can't just be your  
17 only rationale here, right, and you have lots of other decisions  
18 before you.

19  
20 Is the time series that was previously used relevant? If not,  
21 will we choose something else, and we've kind of gone through  
22 some of those discussions already and eliminated alternatives,  
23 and so the record isn't just standing alone based on this  
24 meeting, but I will point to Tables 4.1.3.3 and 4.1.3.4.

25  
26 In that economics section, you can see the tradeoff, and I don't  
27 want to make it trivial, because it's not necessarily minor, and  
28 we're talking hundreds of thousands of dollars, but, depending  
29 on the allocation shift, you're going to either reduce the  
30 impacts, the economic impacts, or benefits, from one sector to  
31 another, based on the allocation decision, right, and there's  
32 not necessarily sweeping differences between the two, depending  
33 on how much you're shifting the allocation, and so I did want to  
34 point to that, from an economic standpoint, but I think it would  
35 be worthwhile to talk a little bit more, from a biological and  
36 socioeconomic standpoint, about the consequences of these  
37 allocation decisions, for the record.

38  
39 **CHAIRMAN FRAZER:** Thank you, Mr. Strelcheck. Ms. Boggs.

40  
41 **MS. BOGGS:** Andy kind of touched on something, and don't panic,  
42 Ryan, and I'm not going to ask to do this now, but that was one  
43 of my concerns, when we went down this path of using the SRFs  
44 data, and I understand that, currently, gag grouper is a  
45 Florida-centric fishery, and it could change one day.

46  
47 My concern is, just like we're looking at here, okay, we're  
48 looking at SRFs, and we've got CHTS, and we've got FES, and

1 we've got four more state collection systems, and so where does  
2 it stop, when we pick and we choose, and I understand, and  
3 appreciate, Mr. McDermott's comments, because it's something  
4 that I didn't know how to wrap my head around, but my concern is  
5 that, moving forward, well, this is the best for this, but, over  
6 here, we're -- You know, today it's CHTS, and FES, and we have  
7 this best scientific information available, but what -- Where  
8 does it stop, I guess is my question.

9

10 That's my concern, moving forward with these fisheries, and,  
11 okay, we catch a bunch of red snapper off of Alabama, and so are  
12 we going to start using, you know, Snapper Check, because they  
13 have -- That's a big fishery for Alabama, and so that fits best  
14 now, but, oh, next week, Florida has got more fish, and so now  
15 we're going to shift back to SRFS, and that's a real concern for  
16 me, and, again, the reason that I seconded this motion is,  
17 number one, I have an issue -- Yes, I think we do have to deal  
18 with reallocation, if you will, but, when we're looking at  
19 reallocation for a species that is under an IFQ fishery -- These  
20 fishermen have been good stewards of this fish, and to penalize  
21 them, by shifting effort, because we have an issue, in the  
22 recreational sector, with discards and the overfishing and the  
23 abundance of fishermen, and I think that's an unfair reason for  
24 allocation.

25

26 I mean, it does affect them financially, but they are  
27 constrained, and they have always shown constraint under their  
28 IFQ, and I just think it's erroneous for us to make that shift,  
29 until we can get a better handle on the recreational sector of  
30 the fishing, moving forward, and deal with this discard issue.  
31 Thank you.

32

33 **CHAIRMAN FRAZER:** Thank you, Ms. Boggs. Mr. McDermott.

34

35 **MR. MCDERMOTT:** You know, I heard Ms. Boggs say we're going to  
36 penalize the commercial fishermen, and I just want to clarify my  
37 comments earlier, because the way that I understand the  
38 difference between 2 and 3 is, according to the dataset that we  
39 have chosen with the SRFS data, if we select Options 3b or 3c,  
40 we're going to maintain the historical landings between the  
41 sectors, and, if we choose an option in 2b or 2c, we're going to  
42 reduce the output of the recreational fishery by 4 percent, and  
43 we're going to increase the output of the commercial fishery by  
44 4 percent, and so Mr. Strelcheck talked about the biological  
45 factors, the socioeconomic factors, and, if we choose the  
46 options in 3, it would be my understanding that those factors  
47 would remain unchanged.

48

1 If we choose the options in 2, there's going to be a 4 percent  
2 swing, you know, between commercial and recreational in all  
3 those factors, and so, you know, again, that's why I spoke in  
4 favor of Mr. Dyskow's motion for 3b, because we're maintaining  
5 the outputs of the fisheries according to that historical  
6 dataset.

7  
8 **CHAIRMAN FRAZER:** Okay. Thank you, Mr. McDermott, and so,  
9 again, I don't think these discussions are unique. We've been  
10 having them for quite a while, and we've had them with Amendment  
11 53, and we've had them as well with AJs, and so I don't  
12 necessarily think the arguments are going to change. I think  
13 there's some philosophical differences around the table about  
14 this, and so I think I'll go ahead, at this point, and take a  
15 vote on this substitute motion, and I will do it by raise of  
16 hands. **All those in favor of the substitute motion, in Action**  
17 **2, to make Alternative 2, Option 2b the preferred, raise your**  
18 **hand, three in favor; all those opposed.** Okay. **The motion**  
19 **fails.**

20  
21 We'll go back to the original motion, and so that motion is, in  
22 Action 2, to make Alternative 3, Option 3b, the preferred. Ms.  
23 Boggs.

24  
25 **MS. BOGGS:** Can you do roll call votes in committee?

26  
27 **CHAIRMAN FRAZER:** You can.

28  
29 **MS. BOGGS:** I want a roll call vote, please.

30  
31 **CHAIRMAN FRAZER:** We've already voted.

32  
33 **EXECUTIVE DIRECTOR CARRIE SIMMONS:** I just want to confirm that  
34 Dr. Shipp is not on the webinar, and is that correct? Okay.  
35 Thank you.

36  
37 **MS. BOGGS:** I'm not asking to do it on the previous motion. I  
38 just thought about it, but these issues are pretty contentious,  
39 and I want it on record, so the people in cyberworld can hear  
40 what's going -- Or understand what's happening at this table.

41  
42 **CHAIRMAN FRAZER:** Okay, and so, moving forward, Ms. Boggs has  
43 requested a roll call vote for the original motion, and do you  
44 want to go back and redo --

45  
46 **MS. BOGGS:** I am not asking to redo, but I'm just saying that I  
47 just thought -- If we can do roll call votes, with something as  
48 contentious as this is, I think we need to do it in committee,



1 as well as the Full Council, and, if I need to call for it on  
2 every vote, I will be happy to.  
3  
4 **CHAIRMAN FRAZER:** I understand what you're asking, and, moving  
5 forward, we'll go ahead and do that. With regard to the motion  
6 on the board now, Mr. Gill.  
7  
8 **MR. GILL:** A roll call vote, please.  
9  
10 **CHAIRMAN FRAZER:** I assumed that we were already going to do  
11 that. All right. **The motion on the board is, in Action 2, to**  
12 **make Alternative 3, Option 3b the preferred.** We will have a  
13 roll call vote. Dr. Simmons.  
14  
15 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair. Mr. Dyskow.  
16  
17 **MR. DYSKOW:** Yes.  
18  
19 **EXECUTIVE DIRECTOR SIMMONS:** Mr. McDermott.  
20  
21 **MR. MCDERMOTT:** Yes.  
22  
23 **EXECUTIVE DIRECTOR SIMMONS:** General Spraggins.  
24  
25 **GENERAL JOE SPRAGGINS:** Yes.  
26  
27 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Gill.  
28  
29 **MR. GILL:** No.  
30  
31 **EXECUTIVE DIRECTOR SIMMONS:** Ms. Boggs.  
32  
33 **MS. BOGGS:** No.  
34  
35 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Williamson.  
36  
37 **MR. TROY WILLIAMSON:** Yes.  
38  
39 **EXECUTIVE DIRECTOR SIMMONS:** Dr. Sweetman.  
40  
41 **DR. SWEETMAN:** No.  
42  
43 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Anson.  
44  
45 **MR. KEVIN ANSON:** Yes.  
46  
47 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Schieble.  
48

1 **MR. CHRIS SCHIEBLE:** Yes.  
2  
3 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Geeslin.  
4  
5 **MR. DAKUS GEESLIN:** Yes.  
6  
7 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Diaz.  
8  
9 **MR. DIAZ:** Yes.  
10  
11 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Dugas.  
12  
13 **MR. J.D. DUGAS:** Yes.  
14  
15 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Broussard.  
16  
17 **MR. BILLY BROUSSARD:** Yes.  
18  
19 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Strelcheck.  
20  
21 **MR. STRELCHECK:** Abstain.  
22  
23 **EXECUTIVE DIRECTOR SIMMONS:** Dr. Shipp is absent. **It's ten to**  
24 **three with two abstentions and one absent, three abstentions and**  
25 **one absent.**  
26  
27 **CHAIRMAN FRAZER:** Okay, and so the motion carries. All right.  
28 We will now -- We're back to the presentation that Mr. Rindone  
29 is leading. Ryan, if you want to move into Action 3.  
30  
31 **MR. RINDONE:** Sure thing. We toyed with how best to present  
32 this action, and we may toy with it a little further, just for  
33 the sake of clarity, but the content is there, at least to get  
34 these discussions going, and so Action 3, generally speaking, is  
35 looking at the annual catch targets for the commercial and the  
36 recreational sector and the treatment of the commercial quota  
37 for the IFQ program.  
38  
39 In Sub-Action 3.1, we'll focus on the recreational sector's  
40 annual catch target. Alternative 1 would retain the current  
41 buffer between the recreational sector's ACL and ACT, and the  
42 recreational sector's ACL is currently 61 percent of the ABC,  
43 and the ACT is set at the yield at 75 percent of Fmax, and so  
44 the catch limits under Alternative 1 of Action 2 are shown there  
45 in the table, and so you can see how the ACT is reduced from the  
46 ACL.  
47  
48 Under the interim measures, you can see essentially the table,

1 but revised, based on the revised stock ACL and the recreational  
2 sector's portion of that from the interim measures, just so you  
3 see what we're looking for the 2023 fishing year. Mr. Gill.

4  
5 **MR. GILL:** Thank you, and so I would like to point out that the  
6 difference between the ACT and the ACL, in this case, is roughly  
7 5,000 fish, and so, yes, there is some buffer, and it's not  
8 much.

9  
10 **CHAIRMAN FRAZER:** Ms. Boggs.

11  
12 **MS. BOGGS:** Okay. Why -- Aren't gag in FES now, and so why are  
13 we looking at this in CHTS, or am I confused again?

14  
15 **MR. RINDONE:** So, when we were going through the process of  
16 reviewing SEDAR 72, the council had sent the letter to the  
17 Science Center asking for an alternative run using Florida's  
18 State Reef Fish Survey for the private vessels, and that letter  
19 was sent after we had received the original SEDAR 32 assessment,  
20 which used MRIP-FES, and these catch limits for 2023 come from  
21 that MRIP-FES run of SEDAR 72. Ultimately, the SSC's review of  
22 the SRFS run of SEDAR 72, which happened last July, superseded  
23 the FES run. However, you guys had already requested that NMFS  
24 work on these interim measures, and it was decided that the  
25 purpose of the interim measures was to reduce overfishing, and  
26 it wasn't to precisely end overfishing, but to take some measure  
27 to reduce the amount of overfishing occurring, which the interim  
28 measures will do.

29  
30 That's why these interim measures, which, again, these are  
31 temporary, and they're only in effect for 2023, are shown in  
32 MRIP-FES. What comes next, in the next slide, is Alternative 2,  
33 which uses the council's ACL/ACT Control Rule, but this ACT  
34 would still be monitored in a combination of SRFS and FES and  
35 Southeast Region Headboat Survey, and it's detailed in  
36 Alternatives 2 and 3 of Action 2.

37  
38 What Alternative 2 does is, instead of using some relationship  
39 to the FMSY proxy, or determining what the ACT should be from  
40 the ACL, it uses the council's ACL/ACT Control Rule, like we do  
41 for the rest of the species, and the reason why it wasn't done  
42 that way originally is because the difference between the ACL  
43 and the ACT for gag was determined before the Generic ACL/AM  
44 Amendment went into effect, and so this is bringing gag in line  
45 with how we typically look at the ACT for our other species,  
46 and, of course, you guys aren't obligated to stick exactly to  
47 the ACL/ACT Control Rule, and you can choose to do something  
48 else, but you need only justify what you're trying to do, but,

1 in this particular instance, applying the ACL/ACT Control Rule,  
2 using the landings data from 2018 to 2021, gets you a 10 percent  
3 buffer between the recreational ACL and ACT.

4  
5 We had to use CHTS units to do this, because those are the units  
6 that were used for our quota monitoring, at the time, and for  
7 setting the quota, and so in order to keep everything apples-to-  
8 apples, and that's what you get for applying the control rule.

9  
10 **CHAIRMAN FRAZER:** Thank you, Ryan, Ms. Levy.

11  
12 **MS. LEVY:** Just for comparison, and so it's not in the slide,  
13 but it's the document, and so the current buffer is like 10.25  
14 percent, and so it's essentially the same, and so I just wanted  
15 to make that clear, given Bob's comments and the desire to maybe  
16 have a larger buffer.

17  
18 **CHAIRMAN FRAZER:** Thank you, Ms. Levy, for pointing that out.  
19 Mr. Strelcheck.

20  
21 **MR. STRELCHECK:** I wanted to go back to my earlier comments  
22 about the projections and the likelihood, or the unlikelihood,  
23 of actually reducing discards, as well as Mr. Gill's comments  
24 with regard to the potential for a payback in the recreational  
25 overage, right, and so a catch target essentially helps us  
26 account for some management uncertainty, and we have at least  
27 two major forms of management uncertainty, in my view, and one  
28 is the discards, and discard reduction we would be achieving,  
29 and the second would be how we project that season and whether  
30 or not we can hit the mark or not with regard to the season  
31 projection.

32  
33 I don't have a specific recommendation, but I think we would  
34 benefit ourselves to include a new alternative here that would  
35 increase the ACT buffer from 10 percent to a larger amount and  
36 have that analyzed and considered, and I would be willing to  
37 just proffer a doubling of the ACT buffer, at this point, to 20  
38 percent, for consideration.

39  
40 **CHAIRMAN FRAZER:** Okay.

41  
42 **MR. RINDONE:** That sounds like motion-y.

43  
44 **CHAIRMAN FRAZER:** Yes, it sounds very motion-y.

45  
46 **MR. STRELCHECK:** So, I will make the motion.

47  
48 **CHAIRMAN FRAZER:** Thank you.

1  
2 **MR. STRELCHECK:** In Action 3, add a new alternative that  
3 specifies a 20 percent buffer between the recreational ACL and  
4 recreational ACT.  
5  
6 **CHAIRMAN FRAZER:** Okay. I am just looking at the way that the  
7 presentation is laid out, and the document is laid out, and so,  
8 in Action 3, there's a Sub-Action 3.1 that relates to the  
9 recreational ACT, and so there's an Alternative 2, if you want  
10 to have -- Would that be an alternative?  
11  
12 **MR. STRELCHECK:** It would be, in Action 3, Sub-Action 3.1.  
13  
14 **CHAIRMAN FRAZER:** Yes. In Action 3, Sub-Action 3.1. Okay.  
15  
16 **MR. GILL:** Second, Mr. Chair.  
17  
18 **CHAIRMAN FRAZER:** It's seconded by Mr. Gill. Is there any  
19 further discussion on that motion? Go ahead, Mr. Strelcheck.  
20  
21 **MR. STRELCHECK:** In addition to my comments, I know that, a lot  
22 of times, these are viewed as, you know, potential to change  
23 allocation or, you know, not allow for full utilization of the  
24 catch limit, and I don't think that's really a fair  
25 characterization, and I think this is just accounting for that  
26 management uncertainty, and the potential is still there to, you  
27 know, harvest more than the catch target, but what we're trying  
28 to avoid is exceeding that catch limit.  
29  
30 **CHAIRMAN FRAZER:** All right. Thank you, Andy, for elaborating  
31 on that. Is there any further discussion? Mr. Gill.  
32  
33 **MR. GILL:** Thank you, Mr. Chairman. I was going to bring this  
34 subject up under Action 4, but, since we're doing this, one of  
35 the drivers, prior to this meeting, was the concern that we have  
36 the January 26 implementation requirement, and, to accomplish  
37 that, we were talking about it had to go final in June, in order  
38 to make that, and, as we add alternatives and changes to the  
39 document, clearly we're not going to make June, and so -- Well,  
40 I shouldn't say "clearly", and we're raising the possibility of  
41 not making June, and, the more we add, of course, the less  
42 likely. Andy, could you talk a little bit about the  
43 implications of modifying the document, putting June in  
44 jeopardy, and what may result?  
45  
46 **CHAIRMAN FRAZER:** Andy, real quick, before you get there, I just  
47 want to make sure -- I mean, this is a relatively minor  
48 modification to the document, and I would ask Carrie if you, or

1 Ryan, whether or not an addition, or a modification, at this  
2 time, of this nature, will extend the development of the  
3 document.

4  
5 **MR. RINDONE:** Well, I actually want to ask Assane and Ava,  
6 because, as it relates from a biological standpoint -- As far as  
7 the physical environment is concerned, you know, we still expect  
8 fishing to occur, and so, you know, there might be minor  
9 reductions in the amount of fishing effort tied to any changes  
10 in catch limits, but, generally speaking, whether it's  
11 recreational or commercial or for-hire, it's a multispecies,  
12 multidisciplinary fishery, and so some amount of fishing  
13 activity is expected to continue. As long as the catch limits  
14 aren't exceeded, the general expectation is that the stock will  
15 not be in any sort of biological risk.

16  
17 The social and economic environments are going to be a little  
18 bit more directly affected by reductions in the catch limits, in  
19 terms of, you know, the things that pertain to those particular  
20 sciences, and so I would be more inclined to let them speak to  
21 that side of it, and so getting it turned around in time by  
22 adding this.

23  
24 **CHAIRMAN FRAZER:** Assane.

25  
26 **DR. ASSANE DIAGNE:** Thank you. We'll have to adjust the  
27 economic and, at the same time, the social effects, as  
28 mentioned, but we'll be able to complete that within the time  
29 that we have.

30  
31 **CHAIRMAN FRAZER:** All right. Thank you. Mr. Strelcheck.

32  
33 **MR. STRELCHECK:** Going back to Mr. Gill's question, we have had  
34 some new challenges arise, just simply because we're using data  
35 from the State Reef Fish Survey, right, and so that's a new data  
36 stream, and it doesn't necessarily produce the same data, or  
37 statistics, or we're having to request additional information  
38 from Florida, in order to conduct some of the analyses, and so  
39 that has slowed some of our progress on Amendment 56.

40  
41 We have talked about the potential of, if the schedule slides,  
42 what does that mean, and I think, if we didn't take action in  
43 June, and did take action in August, at that point, we would  
44 have an action submitted to the agency, and we would be  
45 beginning rulemaking. Similar to what we did for the interim  
46 rule this year, we could withhold commercial quota at the start  
47 of next year, with the goal of trying to get this Amendment 56  
48 rulemaking in place as soon as possible into 2024, and, because

1 the recreational season wouldn't open, or it would default back  
2 to the June 1 season, without an interim rulemaking, we would  
3 have plenty of time to implement Amendment 56.

4  
5 Would we meet the two-year statutory deadline for having  
6 something in place and implemented by January of 2024? That  
7 would be at risk, depending on how quickly we could do the  
8 rulemaking and how quickly the amendment is submitted to the  
9 agency after the August meeting.

10  
11 **CHAIRMAN FRAZER:** Mr. Dyskow.

12  
13 **MR. DYSKOW:** Thank you, Mr. Chair. I'm trying to decide whether  
14 I support this or not. Bob, could you talk a little bit more  
15 about where that 20 percent came from?

16  
17 **CHAIRMAN FRAZER:** It was Andy.

18  
19 **MR. GILL:** Direct that one to Andy. I have no idea.

20  
21 **CHAIRMAN FRAZER:** Andy.

22  
23 **MR. STRELCHECK:** Phil, at this point, it was simply doubling the  
24 ACT Control Rule estimate for the buffer, which was 10 percent,  
25 and it was based in light of the conversations that we were  
26 having about management uncertainty and the inability to full  
27 reduce discards in the recreational sector, and I think it's  
28 appropriate for increasing the buffer for management  
29 uncertainty.

30  
31 **CHAIRMAN FRAZER:** J.D.

32  
33 **MR. DUGAS:** Thank you, Mr. Chair. I have two questions, and one  
34 was for Andy, but Phil asked it, and I was wondering where the  
35 20 percent came from. My second question is for the State of  
36 Florida, and how does the State of Florida feel about the 20  
37 percent?

38  
39 **CHAIRMAN FRAZER:** C.J., do you care to respond?

40  
41 **DR. SWEETMAN:** Thanks for the question, J.D. I am comfortable  
42 with, obviously, providing some buffer here, given the  
43 uncertainty that we have and how effort might shift, depending  
44 on what season we ultimately decide on. I don't think we have a  
45 firm grasp as to the specific level that that buffer should be.

46  
47 As Mr. Gill pointed out, a 10 percent buffer really doesn't  
48 equate to all that much, when you have a six-hundred-some-odd-

1 thousand-pound quota, and so I think allowing a little bit -- A  
2 different option in there too provides some flexibility. I  
3 think I would be supportive of this motion, along those lines,  
4 just because of the uncertainty that we're operating under,  
5 specifically within these first couple of years here.

6  
7 **CHAIRMAN FRAZER:** Thanks, J.D. All right. Is there any further  
8 discussion on this motion? Mr. Gill.

9  
10 **MR. GILL:** Just to carry my difference on the ACL/ACT, the 5,000  
11 fish translates to seventy fish a day over a seventy -- Roughly  
12 over a seventy-one-day season, and so, you know, we're talking  
13 absolutely nothing, and so that, to me, says the 10 percent is  
14 clearly too low, because we can't even calculate that, and we  
15 can't measure it, and so I support Andy's motion.

16  
17 **CHAIRMAN FRAZER:** Okay, and so I certainly appreciate the  
18 discussion about management uncertainty and those two elements  
19 of it. I think one of the things that probably hasn't been  
20 discussed, with regard to the potential for increased discards,  
21 is the fact that, in the summer, there is -- Because gag is  
22 largely focused in Florida, and we can anticipate an extended  
23 red snapper season in the state as well, which will certainly  
24 put a little bit more pressure on those fish that we haven't  
25 accounted for, using kind of our traditional approach, and so  
26 that's something to think about in the discard arena, as we move  
27 forward, and so, anyway, back to the motion. I think we've had  
28 a fair amount of discussion on it. **Is there any opposition to  
29 this motion? I am not seeing any, and so the motion carries  
30 unanimously, or without opposition.** Excuse me. Okay, Ryan.

31  
32 **MR. RINDONE:** Moving forward then to Sub-Action 3.2, Sub-Action  
33 3.2 looks at the commercial ACT. Alternative 1 would retain the  
34 current buffer between the ACL and the ACT. The commercial ACL  
35 is presently 39 percent of the ABC, and the ACT is the yield at  
36 75 percent of Fmax, and the commercial quota is set at 86  
37 percent of the commercial ACT, and that's from Amendment 32.

38  
39 So, essentially, what this looks like is you have -- Between the  
40 commercial ACL and ACT is about an 8.85 percent reduction, and  
41 then there's an additional 14 percent drop from that to the  
42 commercial quota, and those values are shown there in that  
43 table.

44  
45 The interim measures didn't specify the ACT, and they just  
46 specified the commercial quota, which was 22.85 percent below  
47 the commercial ACL, and so the same reduction from the ACL to  
48 the quota, and just the ACT wasn't specified, and so Alternative



1 2 would set the commercial quota for -- One second. Let me look  
2 at something, so I can frame the discussion a little bit.

3  
4 Alternative 2 sets the commercial quota for gag equal to the  
5 commercial ACT, and the ACT would be fixed at 86 percent of the  
6 commercial ACL, which is a nod-back to Amendment 32, and we'll  
7 get into the reasoning behind that in a minute, and then  
8 Alternative 3 would set the commercial quota for gag equal to  
9 the commercial ACT, but the ACT would be fixed at 95 percent of  
10 the commercial ACL.

11  
12 So where does it all come from? When the IFQ program came into  
13 effect, there was a lot of uncertainty about what the commercial  
14 discards would look like, and so, in Amendment 32, what the  
15 council did was it decided to further decrement the commercial  
16 quota from the ACT to account for the unknowns related to these  
17 discards, and so that's where that additional 14 percent came  
18 from.

19  
20 At the time, how discards are factored into stock assessment  
21 models was much more low-fi than it is now, and the precision of  
22 the commercial landings was also a lot less than it's presumed  
23 to be now, under the IFQ program, and so, further, we have  
24 multiuse IFQ allocation between red grouper and gag, and this  
25 allows the retention of the other species, from one program to  
26 another, to reduce discards, and the amount of multiuse  
27 allocation varies annually, based on the quotas for each of  
28 those species.

29  
30 If in a rebuilding plan, the multiuse allocation for that  
31 species was zero, and so, right now, the council, with red  
32 grouper, will continue to have zero red grouper multiuse  
33 allocation for the duration of the gag rebuilding plan, and so  
34 we talked about that 14 percent buffer in discards, and  
35 contemporary stock assessments use updated methods though for  
36 accounting for discards, and especially commercial discards, in  
37 the projections, and this comes from things like having the reef  
38 fish observer program in place for the observation of fishing  
39 practices on the commercial vessels in real time, and the  
40 precision of commercial discards is now greatly improved,  
41 compared to ten-plus years ago, and the discards are much lower  
42 now than they were when the grouper-tilefish IFQ program began,  
43 and you can actually look at these in the 2022 grouper-tilefish  
44 IFQ report. You can see the time series of discard fractions by  
45 species, and that's on the SERO webpage for catch share  
46 monitoring.

47  
48 The thinking, essentially, was that, with the increased

1 precision for how we understand the commercial landings, that  
2 this large 22.85 percent buffer that's in place now, going from  
3 the commercial ACL all the way down to the quota, was probably  
4 overkill, and no longer applicable, and, in Amendment 32, it's  
5 actually in the discussion that this is something that the  
6 council could revisit as its understanding of commercial  
7 discards in the IFQ program change with time, and so our  
8 understanding of those discards has changed with time, and we  
9 know them with much greater precision now, and we do a better  
10 job of accounting for them in the assessments, and so, as a nod  
11 to what was done before, Alternative 2 has that 14 percent  
12 reduction, and then Alternative 3 has a 5 percent reduction,  
13 which is more on par with the coefficients of variance that we  
14 presume around our commercial landings in the IFQ program, that  
15 those CVs are at 1 percent, which indicates that we have an  
16 awful lot of confidence in what those commercial landings are,  
17 and the discards.

18  
19 The table here shows you what the different commercial  
20 ACT/quotas would be under the different alternatives, and also  
21 what the recreational ACT would be decremented from the  
22 recreational ACL, and so, if you guys -- If you want to do your  
23 own napkin math and consider the motion that you guys passed  
24 earlier for the 20 percent, you know, you can do the math there  
25 for the recreational ACL, also. Any questions on what we did,  
26 at least for the commercial side, since that was the most recent  
27 thing that I discussed?

28  
29 **CHAIRMAN FRAZER:** Okay. Mr. Strelcheck.

30  
31 **MR. STRELCHECK:** Apologies, and I'm not connecting the dots  
32 here, and so we have a 22 percent difference between the catch  
33 limit and the quota, and how are we getting to the 22 percent?  
34 14 percent is coming from the buffer for the ACT, but where's  
35 the other 8 percent coming from?

36  
37 **MR. RINDONE:** So, originally, the difference between the  
38 commercial ACL and ACT was set using a moving average technique,  
39 based on the yield at F at MSY, and, in this case, it was Fmax  
40 at equilibrium, and there hadn't been a change in the catch  
41 limits in some time, and then -- Mara, it escaping which  
42 amendment it was that did away with the moving averages, but  
43 there was an amendment between then and now that did away with  
44 the moving averages, and so it was just fixed at -- The  
45 commercial ACT anyway was fixed at that value that it was at,  
46 and so the difference between the commercial ACL and the ACT is  
47 8.85 percent, and then the additional 14 percent comes from  
48 Amendment 32, which is the reduction from the commercial ACT to

1 the commercial quota to account for discards, based on the  
2 council's presumption of what discards might be when the IFQ  
3 program came into effect, and so that's where that sum of 22.85  
4 percent reduction comes from.

5

6 **CHAIRMAN FRAZER:** Ms. Levy.

7

8 **MS. LEVY:** So it wasn't a moving average, and it was that the  
9 ACL and ACT came from an assessment that had increasing yields,  
10 right, or different yields over time, and the ACT was set at 75  
11 percent Fmax, and so it changed over time, and so the most  
12 recent catch limit on the books that came from that, the  
13 difference between the ACL and the ACT, is 8.85 percent, and  
14 then the council set an additional buffer between the ACT and  
15 the quota, to account for the understanding related to discards,  
16 and so the quota was set below the ACT, and so that total means  
17 that the quota is 77 percent less than the ACL at this point.

18

19 **CHAIRMAN FRAZER:** Thank you, Ms. Levy. Mr. Diaz.

20

21 **MR. DIAZ:** I would be willing to make a motion that, in Action  
22 3, Sub-Action 3.2, to make Alternative 3 the preferred.

23

24 **MR. GILL:** Seconded.

25

26 **CHAIRMAN FRAZER:** All right, and so we'll put that motion up on  
27 the board by Mr. Diaz, and it was seconded by Mr. Gill. We'll  
28 give Bernie a second to put it up on the screen. **The motion is,**  
29 **in Action 3, Sub-Action 3.2 to make Alternative 3 the preferred.**  
30 It was seconded, again, by Mr. Gill. Ms. Boggs.

31

32 **MS. BOGGS:** I thought we were talking about recreational, and  
33 did we skip over to commercial, because I thought 3.2 dealt with  
34 commercial.

35

36 **CHAIRMAN FRAZER:** It does, and we'll go back, I think, but -- We  
37 have an action item that involves both the recreational and the  
38 commercial, and I think Mr. Diaz was just making a motion to the  
39 commercial, but we'll certainly go back to the recreational.  
40 All right, and so we have a motion on the board, and a second,  
41 and is there any further discussion of this motion? Ms. Boggs.

42

43 **MS. BOGGS:** Well, I am going to speak in opposition, only  
44 because I haven't heard anything from the commercial sector of  
45 what they would like to see, and I would think this would be  
46 something reasonable, but, again, the fact that they have never  
47 -- I was looking back at Kelli O'Donnell's chart, and they have  
48 never overfished, and they have never even come close, but it's

1 because we have an issue with the fishery, and I'm not so sure  
2 that -- Alternative 1 is not viable, but I would like to hear  
3 from them, and so I'm going to oppose it, just because I really  
4 don't know where I stand, and I don't want to abstain, because I  
5 do have an opinion.

6  
7 **CHAIRMAN FRAZER:** Mr. Gill.

8  
9 **MR. GILL:** Thank you, Mr. Chairman, and so, as I understand this  
10 document, the one that has the least buffer, and based on the  
11 commercial history, that's exactly what has transpired, but the  
12 one that has the least buffer is Alternative 3, and all the  
13 others have the greater buffer, which is not consistent with  
14 what we've seen in the history since the formation of the  
15 program.

16  
17 **CHAIRMAN FRAZER:** Thank you, Mr. Gill. Mr. Strelcheck.

18  
19 **MR. STRELCHECK:** I am going to speak in opposition to the motion  
20 as well. I think, unlike the recreational sector, we've dealt  
21 with one of the two sources of management uncertainty here,  
22 right, and we can manage the commercial program very well  
23 through the IFQ system, and so we don't have the potential for a  
24 major overage of the landings themselves, but, despite efforts  
25 of trying to redirect effort and avoid gag, which I know the  
26 commercial sector is very good at, we still are looking at  
27 substantial reductions in discards that have to be achieved in  
28 order to rebuild the stock, and I think lowering the buffer  
29 considerably then increases our management uncertainty, in order  
30 to achieve, obviously, that discard reduction that's needed,  
31 that we're likely not going to achieve, and so I would recommend  
32 Alternative 2 instead of Alternative 3, but I'm not making a  
33 substitute.

34  
35 **CHAIRMAN FRAZER:** Thank you. All right. C.J.

36  
37 **DR. SWEETMAN:** Thank you, Mr. Chair. I am going to vote in  
38 support of this motion here. As Ms. Boggs pointed out, the  
39 commercial sector does not exceed their quota, basically, and,  
40 on top of that, at least I don't think a large buffer is really  
41 necessary here. Reporting is basically in near real-time there,  
42 and, if that quota is reached, then the fishery shuts down, and  
43 that's it. Thank you.

44  
45 **CHAIRMAN FRAZER:** All right. Is there any further discussion on  
46 the motion? I am not seeing any, and so, Ms. Boggs, would you  
47 like a roll call vote on all of these action items in this  
48 amendment? I just want to make sure that I honor your request.

1  
2 **MS. BOGGS:** I think we'll be okay on this one.  
3

4 **CHAIRMAN FRAZER:** Okay. With regard to this motion, all those  
5 in favor, raise your hand, eleven in favor; all those opposed,  
6 two opposed. The motion carries.  
7

8 All right. Before we move into Action 3, would anybody like  
9 revisit Sub-Action 3.1, to establish a preferred with regard to  
10 the recreational ACT? Mr. Gill.  
11

12 **MR. GILL:** Thank you, Mr. Chairman, and so, given that we  
13 supported Andy's motion to change the buffer, we really haven't  
14 thought about the numbers and all that, and so it seems  
15 premature, to me, to choose a preferred, and it would be better  
16 to do that at the June meeting.  
17

18 **CHAIRMAN FRAZER:** I am deciding whether or not I would think  
19 that we can't get those numbers prior to that. All right.  
20 Well, we can certainly defer picking a preferred at this time,  
21 and we can discuss it again at Full Council, as necessary. Mr.  
22 Gill.  
23

24 **MR. GILL:** I guess, relative to your comment, is that, even if  
25 we get the numbers at Full Council, our ability to think it  
26 through properly, rather than on the Q.T., is a question, in my  
27 mind, and, for example, we didn't get the gag document until  
28 Friday, and so we haven't had much time to absorb a very complex  
29 and important document, and I would think the same argument  
30 would hold true for late-arriving numbers on a very new  
31 alternative.  
32

33 **CHAIRMAN FRAZER:** Bob, certainly I understand that, and all I'm  
34 trying to do is -- I realize, you know, that we have a public  
35 hearing document, and we have public hearing meetings scheduled,  
36 and I do like to give the public an idea of at least where the  
37 council is headed, and it doesn't -- We're not obligated to  
38 retain those preferreds, but it's just -- So we will revisit  
39 this issue certainly at Full Council. All right. Ryan, if you  
40 want to go on to the next action item.  
41

42 **MR. RINDONE:** All right. Action 4 looks at modifications to the  
43 Gulf gag recreational fishing season start date and  
44 accountability measures, and so, right now, we open recreational  
45 fishing on June 1 for gag, and NMFS closes harvest when the ACL  
46 is projected to be met, which would be true of all the  
47 alternatives.  
48

1 Alternative 2 would open recreational fishing on June 1, but  
2 NMFS would close harvest when the ACT is projected to be met.  
3 Alternative 3 would open the recreational fishing on September  
4 1, closing when the ACT is projected to be met, and then  
5 Alternative 4 would open rec fishing on October 1, with NMFS  
6 closing harvest, again, when the ACT is met.

7  
8 As far as the accountability measures are concerned, under  
9 Alternative 1, if the recreational landings exceed the  
10 recreational ACL, then NMFS will maintain the recreational ACT  
11 for the following fishing year at the level of the prior year's  
12 ACT, unless the best scientific information available determines  
13 that maintaining the prior year's ACT is not necessary. If gag  
14 is overfished, then a pound-for-pound payback is applied to the  
15 ACL and the ACT.

16  
17 Under Alternatives 2 through 4, the AMs would be -- The  
18 accountability measures would be modified to direct that NMFS  
19 prohibit harvest from the recreational ACT, if it's projected to  
20 be met, and, in addition, it would remove the provision that  
21 requires NMFS to maintain the prior year's ACT if the ACL is  
22 exceeded in the previous year. It does retain the payback  
23 provision, however.

24  
25 Here you can see the landings by month for 2019, which is in the  
26 black, and 2020 is in the gray, and 2021 is the mustard, or  
27 however it shows up on your screen, and then the blue-dashed  
28 line is the projected mean landings for 2019 through 2021.  
29 These landings are unable to be broken down by county and  
30 region, like you guys had talked about you wanted to see, just  
31 because of the resolution of the data, and the closed season  
32 landings that you see there come from FWC's four-county spring  
33 season in the Big Bend, and so not a lot of landings, but we're  
34 not really talking about a lot of catch limit either, and so --  
35 That red box there corresponds to the seasonal closure from  
36 January 1 through May 31 that we've historically had.

37  
38 These season projections use estimated monthly landings for 2019  
39 to 2021, and they use the data in the exact same way that the  
40 data are being proposed to be used in Action 2, Alternatives 2  
41 and 3, and the monthly landings are divided by the number of  
42 days per month, to provide a daily catch rate to project  
43 expected closure dates, and, in this iteration, weekdays and  
44 weekends are treated equally, and so they're all just averaged  
45 across one another.

46  
47 **CHAIRMAN FRAZER:** Hold on, Ryan. Mr. Gill.

48

1 **MR. GILL:** Thank you, Mr. Chairman, and so this is the point  
2 that Andy raised earlier, that, if this is the methodology the  
3 agency uses for their predictions, it says nothing in there  
4 about considerations of impacts that are not included in the  
5 daily catch rates, and so help me out here, Andy, because this  
6 seems, to me, to be the straightforward average daily catch rate  
7 from history, moving forward into the proffered season, but  
8 that's not what I heard from you, and so would you clarify that  
9 for me?

10  
11 **CHAIRMAN FRAZER:** Go ahead, Andy.

12  
13 **MR. STRELCHECK:** Well, we're talking about analyses that are  
14 going into an amendment, which isn't necessarily a one-to-one  
15 alignment with analyses that are used for our projection  
16 methodology, and we typically use, for projections, multiple  
17 years of data, to account for variability in the landings  
18 estimates, with high catch rates, low catch rates, and average  
19 catch rates, so we can look at the sensitivity of our decisions,  
20 and ultimately project the season based on that.

21  
22 **CHAIRMAN FRAZER:** Thanks, Andy, for clarifying. Okay. Go  
23 ahead, Ryan.

24  
25 **MR. RINDONE:** You guys can see, in the table here, which I only  
26 showed for 2024, and we can move to the whole document to see  
27 2024 and beyond, and just it's kind of a big table, but you can  
28 see the projected season closure dates for the different action  
29 alternatives in Action 4.

30  
31 Alternative 1 in Action 4 is based on the recreational ACL, and  
32 so it's shown just to the right of the recreational ACL, and  
33 then Alternatives 2 through 4 are based on the recreational ACT,  
34 which is reduced 10 percent from the ACL, based on the option  
35 that we currently have written in, and so we would have revised  
36 season duration projections for another option for the ACT to be  
37 20 percent below the recreational ACL, and you can kind of see  
38 that the projected season closure dates, under a 20 percent  
39 reduced ACT from the recreational ACL, would yield closure dates  
40 that would occur earlier in the year, compared to what is shown  
41 here. Mr. Chair, if you want, we can look at the large table in  
42 the document, or we can just use this as a discussion point.

43  
44 **CHAIRMAN FRAZER:** I will defer to my colleagues around the  
45 table. Do you guys want to see the full table? I think, Ryan,  
46 we can use this as a guide.

47  
48 **MR. RINDONE:** Okay. If we go to the next slide, the first table

1 was the 39 commercial and 61 recreational version, and the  
2 second table, that you're seeing now, is the 35 commercial and  
3 65 recreational version, and so, intuitively, as you allocate a  
4 little bit more to the recreational sector, we get about a day  
5 or two increase in the projected season closure dates, depending  
6 on the alternatives selected in Action 4.

7  
8 **CHAIRMAN FRAZER:** Okay. Just to clarify, and so the banner  
9 there, which is Action 2, that should be Alternative 3?

10  
11 **MR. RINDONE:** Yes, it should. Sorry.

12  
13 **CHAIRMAN FRAZER:** All right. Okay. Action 2, Alternative 3 is  
14 where we landed on a preferred, and so I'm looking to the floor  
15 for a discussion with regard to this action item. Mr. Anson.

16  
17 **MR. ANSON:** I am wondering, Ryan, if we can go back to Slide 26.  
18 It just has a summary of the alternatives and what they do in  
19 this particular action. Anyway, on Slide 26, it talks about the  
20 Alternative 1 and Alternatives 2 through 4 and the changes in  
21 those alternatives, and it describes, for Alternatives 2 through  
22 4, that there will be a removal of the provision that requires  
23 NMFS to maintain the prior year's ACT and ACL, whereas,  
24 currently, it requires NMFS to use the prior year ACL and ACT,  
25 and so just what's the purpose of that, to remove that  
26 provision?

27  
28 **MR. RINDONE:** Right, and it's just to remove that provision, and  
29 so the payback would be based on the amount of the overage,  
30 pound-for-pound, in the previous year, applied to the next  
31 year's ACL and ACT and not applied to the prior year's ACL and  
32 ACT, and so, you know, if was 100,000 pounds in the prior year,  
33 and you went over by 20,000 pounds, and then, the following  
34 year, it's supposed to be 150,000, instead of it being 80,000 in  
35 the next year, because you went over, it's 130,000.

36  
37 **MR. ANSON:** So, we're just keeping the schedule for the  
38 rebuilding plan. Thank you.

39  
40 **MR. RINDONE:** Yes, and you guys might remember that we have had  
41 some discussion about the differences in what we could expect  
42 from fisher behavior, based on when you actually start -- Or  
43 when you open the fishing season, and so Ms. Boggs had started  
44 talking about some of this, and I think Mr. Gill and Mr.  
45 Strelcheck had also started talking about this, and this is not  
46 so much on the accountability measures side directly, but it's  
47 more associated with the recreational fishing season opening  
48 date and that what means for discards and where those discards



1 occur.

2  
3 Gag is more -- I don't know about more, but it is kind of more  
4 interesting, because it's more dynamic, and it's going to see a  
5 lot of fishing in very shallow waters, like nearshore, around  
6 bridges and pilings and things like that, at that June 1  
7 opening, and also in waters that are about thirty meters deep  
8 and deeper, and there will be fishing pressure in between, but  
9 gag typically bite better when the water is cooler, and we've  
10 heard this frequently from the fishermen, and so we would  
11 expect, in the summer months, there to be a lot of associated  
12 fishing pressure with species like red snapper that are open  
13 concurrently, and, when those seasons close, then there might be  
14 a little bit of a lull in fishing effort.

15  
16 Then, in the fall, once we start seeing cold fronts move in  
17 especially, then, you know, we typically see nearer to shore, in  
18 waters twenty meters and shallower -- We see more directed gag  
19 effort in nearshore and just offshore waters of the West Florida  
20 Shelf.

21  
22 When the fishing activity occurs, and where it occurs, has a  
23 correlation to what kind of discard mortality that we might  
24 expect, and so, you know, if it's occurring in deeper waters,  
25 you know, we certainly hope that folks are doing things like  
26 using circle hooks and descending devices and things like that,  
27 like they're supposed to be.

28  
29 When that fishing effort is occurring in shallower waters, the  
30 supposition would be that, you know, certain negative effects,  
31 like barotrauma, might be less pronounced, because those fish  
32 are being harvested from waters from which we don't see quite  
33 the negative effect of barotrauma on discard mortality, and so  
34 just some things for you guys to think about when you're looking  
35 at when you would expect regulatory discards to occur and when  
36 the fishing season is actually open.

37  
38 **CHAIRMAN FRAZER:** Okay. Thanks, Ryan. We've got a number of  
39 hands, and I will go through them in order. We had Susan Boggs  
40 and C.J. and then Mara.

41  
42 **MS. BOGGS:** Thank you, Mr. Chair. I have several questions, and  
43 I apologize, and so -- This one may be directed back to Andy,  
44 and so, again, my first part is I'm looking at this table on  
45 Slide 27, and I understand the peak of June 1, and you're  
46 opening the season, et cetera, et cetera, and then you have a  
47 slow decline all the way to August, and then it tapers off.

48

1 This was for 2019, but, in 2021, you still have that same peak,  
2 and so, Andy, does the 20 percent buffer -- Is that going to  
3 help the discard number, because, I mean, you're going to have a  
4 lot of discards here, and it's very obvious, and I keep hearing  
5 this, and somebody please help me understand that in the fall,  
6 the gag are easier to catch, but it sounds like they may be  
7 easier to avoid, also, because it's a very targeted species in  
8 the fall, in the shallower waters, and so I'm trying to find a  
9 balance here to deal with this discard issue, because I just  
10 feel like this June and July -- That we're going to hit our ACT,  
11 because we have all these discards, and so the next part of this  
12 question, Ryan, is you said you couldn't do the numbers showing  
13 the different areas, but I would be curious, and can we see a  
14 graph, and it may be in here, and I've been looking, and I can't  
15 find it, that these are your landings in June, July, August,  
16 September, October, and see numbers, to see what the numbers  
17 look like, because I don't know if this June and July -- If it's  
18 10,000 fish, and, I mean, I don't know what that correlates to,  
19 and I'm just trying to get an idea of what we're getting ready  
20 to do here.

21  
22 I mean, I already see the writing on the wall, and it's going to  
23 be a fall fishery, but I'm still concerned of what we're going  
24 to do with this June and July fishery, when we're going to have  
25 all these discards.

26  
27 **MR. RINDONE:** So, I can tell you what the average discard  
28 weights are by fleet, but, if you're looking at it in terms of  
29 like what the average discard weights are, against what the  
30 discards here that are shown on the presentation, and so -- I'm  
31 sorry. These are the landings, but, if you're looking at the  
32 landings, and you assume a commensurate amount of discards to  
33 landings, which is what the projections do, then that gives you  
34 at least a starting point, and so, for the sake of say July, and  
35 we're really high-balling here, and so, you know, nobody run to  
36 the betters with this, but, you know, call it 140,000 pounds of  
37 landings in July for 2020, just because that's one that's got a  
38 little bit of an elbow in it that I can point at.

39  
40 If you have -- If you're looking at your discards, and you have  
41 an average discard rate of say about three pounds for the  
42 recreational sector, then you can count out the number of fish  
43 you have, and so we would presume that the discards, you know,  
44 could be a little bit higher than that, to some degree, and it  
45 just depends on how fisher behavior changes with some of the  
46 other management changes that are being proposed.

47  
48 **CHAIRMAN FRAZER:** To that point, Ms. Boggs, and then we'll get

1 back to C.J. after that.

2  
3 **MS. BOGGS:** Okay, and so let's approach this a different way.  
4 If I am reading this right, in SEDAR 72, on Table 7, which is  
5 the Gulf of Mexico gag grouper recreational discards, in  
6 numbers, which is what I'm trying to get to, and look at it by  
7 month, which I haven't found that information, in 2019, because  
8 that's the last information available, the charter fleet had  
9 99,177 discarded fish, the headboats had 18,297 discarded fish,  
10 and the private plus shore sector had 2,333,626 discarded fish,  
11 and so what I am trying to figure out is did that --

12  
13 Whatever the total number is there, three-million pounds of  
14 fish, did that come in June and July, and was that because we  
15 had an easy fishery in the fall, and we discarded most of the  
16 fish in the fall, and the discards, in my opinion, and, if I'm  
17 wrong, somebody call me out on it, but this is a major issue,  
18 with any fishery that we've been dealing with, and that's what I  
19 am trying to get my head wrapped around is what the least impact  
20 on the discards? Is it the bigger buffer, and then it helps  
21 eliminate part of this? I just need some help.

22  
23 **CHAIRMAN FRAZER:** Mr. Rindone.

24  
25 **MR. RINDONE:** So, the SRFs run of SEDAR 72 -- Table 15 is  
26 actually where the characterization of the discards takes place  
27 by fleet, and it starts with the commercial vertical line.  
28 Since we're talking mostly about the recreational fleets, if we  
29 scroll down to that, and so that starts on Table 17, with the  
30 headboat fleet, and so, if you're looking at -- Bernie, it's  
31 probably better if I send this to you, since we're discussing  
32 this directly, and so coming in hot. It's Table 17. Bernie,  
33 I'm going to send it to you. These tables are even larger and  
34 more wieldy than -- I am sending you a document. While that's  
35 coming up, Mr. Chair, we have some questions.

36  
37 **CHAIRMAN FRAZER:** All right, and so, while that's coming up,  
38 we've got questions. I mean, I don't want to try to get too far  
39 ahead, C.J., if your question is going to be different than  
40 this. We're going to have to sit tight until we can pull this  
41 up. Mr. Strelcheck.

42  
43 **MR. STRELCHECK:** While we're waiting, would it be a good time  
44 for a break?

45  
46 **CHAIRMAN FRAZER:** A short break, because then we're going to  
47 take a longer break in advance of the IFQ discussion. All  
48 right. We'll take an extended break, and we'll come back at

1 10:40.

2

3 (Whereupon, a brief recess was taken.)

4

5 **CHAIRMAN FRAZER:** Okay, and so we had a number of -- We are  
6 dealing -- If I could get some people to keep down back there,  
7 please. We're on Action 4, and we are having some discussion  
8 right now, and I wanted to kind of follow-up a little bit on Ms.  
9 Boggs' last question, with regard to temporal variability in  
10 discards, and particularly as they relate to released fish and  
11 dead discards, because I think it's relevant for the discussion  
12 that we had, moving forward, about what we might anticipate with  
13 a potential change in season and effort shifting and things of  
14 that nature.

15

16 I think it's a valid question, what she's trying to get at. I  
17 do not think that we have the data, the temporal resolution of  
18 the data, that she's interested in, and we had this discussion,  
19 and it's not that we don't appreciate that there's a need for  
20 it, and I think those ideas, and those thoughts, are going to  
21 factor into the agency's decisions, moving forward, and that's  
22 kind of the comments that Andy made. You know, those  
23 projections will evolve with time, and so I think we'll move on  
24 from that discussion, and then next on my list was C.J.

25

26 **DR. SWEETMAN:** Thank you, Mr. Chair. I've got several points  
27 that I would like to make here. Specific to Action 4, I do  
28 think just focus on the accountability measures for now, and I  
29 do think that they're appropriate, obviously, given where we're  
30 at with this fishery. However, I do think that, in the future,  
31 as we do rebuild this fishery, we need to be able to consider  
32 that, because being able to remove that accountability measure  
33 there, specifically as it relates to managing to the ACT, when  
34 we're not in an overfished mode there, and so I just wanted to  
35 bring that up, initially, and I do think it's appropriate, for  
36 the time being.

37

38 Then, okay, and so the next couple of points that I would like  
39 to make here, also specific to Action 4, and so talking about  
40 the fishing season, and I'm just going to -- FWC's preferred  
41 there is for the September 1 start date, and I think, now that  
42 we've decided on some other at least preferreds in there, we're  
43 kind of looking at a sixty-three-day season, or something along  
44 those lines, and so that would be FWC's preferred alternative,  
45 along those lines, but I also wanted to bring up something that  
46 is within the document itself, as it relates to effort  
47 estimation there.

48

1 There is some lines in -- Let's see. It's Table -- It's right  
2 below Table 3.3.2.1, under the angler effort component there,  
3 and I will just read directly from it. It says, "although the  
4 State Reef Fish Survey is the data source for private  
5 recreational vessel landings of gag in this amendment, SRFS data  
6 cannot be used to estimate private recreational vessel effort,  
7 because SRFS does not directly estimate the number of trips  
8 targeting or number of trips catching specific species."

9

10 This is -- I think there was a little bit of a miscommunication  
11 here, and so this is actually inaccurate, and SRFS definitely  
12 can be used to estimate directed trips for gag, more or less in  
13 the same way that MRIP does this, and so I think that language  
14 in there needs to be redone here, and certainly I know FWRI is  
15 working with SERO to provide sample weights that will allow them  
16 to calculate directed trips for gag in the way that they choose,  
17 and certainly I would offer Bev Sauls and Luiz Barbieri, two key  
18 points of contact that I would highly recommend that we continue  
19 having these discussions, and I know they're actively going on  
20 right now, but I kind of wanted to bring that to everyone's  
21 attention, and then also to kind of focus this on Action 4 here,  
22 just stating what the State of Florida's preferred alternatives  
23 are there.

24

25 **CHAIRMAN FRAZER:** Thanks, C.J., and this is a question for  
26 staff, and I think those changes can be readily accommodated,  
27 right?

28

29 **MR. RINDONE:** Yes. We're aware. We're on it.

30

31 **CHAIRMAN FRAZER:** Okay. Thanks. All right. The next person on  
32 my list is Mara, and it was a while back.

33

34 **MS. LEVY:** That's okay. Thank you. It does pertain to Action  
35 4, and, I mean, Ryan had asked you about looking at the full  
36 table of the season projections, as opposed to just within the  
37 presentation, and, if you don't want to pull it up now, I  
38 suggest that you do look at it, because what the presentation  
39 does not show is how the season projections change over time as  
40 the rebuilding plan progresses, right, and so, right now, if you  
41 start on June 1, you have a very short season, compared to  
42 starting September 1, but, as you move down the rebuilding plan,  
43 those seasons actually become closer together, and, at least in  
44 the projections, by 2028, the June 1 start date would have a  
45 longer season than the September start date.

46

47 I don't want the decision to be made in a vacuum of what 2024  
48 looks like, because 2024 is not representative of the whole

1 rebuilding timeframe, and I feel like what would be helpful, in  
2 considering the season start date, is a discussion of season  
3 length, but then also a discussion, and rationale, about the  
4 certainty of the projections and how that plays into it, right,  
5 because the June 1 date is going to have the least uncertainty,  
6 presumably, in terms of the projections, because that's when  
7 we've historically been starting, and so I would just like, at  
8 least as you're considering preferreds here moving on, some  
9 discussion about those different aspects of what happens with  
10 the season start date. Thanks.

11  
12 **CHAIRMAN FRAZER:** Thanks, Mara. I think it's a good point to  
13 carry that out a bit, right, but also recognize that there will  
14 be a new assessment for gag, probably, before those two  
15 estimates converge, and so we'll have some additional  
16 information, or I anticipate some additional information, moving  
17 forward. Ms. Boggs.

18  
19 **MS. BOGGS:** I am sorry, and which table were you referring to,  
20 Mara?

21  
22 **MS. LEVY:** It's 2.4.1, and it's a really long table, but it does  
23 at least go through the years of the rebuilding plan and the  
24 projection in season lengths.

25  
26 **CHAIRMAN FRAZER:** We'll go ahead and pull it up, if we can,  
27 right now, so people can get an idea of what it looks like.  
28 Ryan, do you want to go ahead and walk people through the nature  
29 of the table?

30  
31 **MR. RINDONE:** I can do that, and so, again, noting here that you  
32 guys made a motion to add an alternative for a recreational ACT  
33 that's 20 percent below the recreational ACL, and that would  
34 have to be added to this, and so we will probably change the  
35 page orientation for this table at that point.

36  
37 What you guys can see here is, as you move from the Action 2  
38 alternatives, which are noted in the left-most column, and then  
39 you can see how those are broken out by the Action 4  
40 alternatives that go across the rows at the top there, and so,  
41 generally speaking, as you move from 2024 through 2028 in the  
42 projections, the estimated catch limits increase with time, and,  
43 again, this is presuming that there aren't any overages, which  
44 we can't predict in the future, and then what you'll see in bold  
45 is the estimated closure date for each of the scenarios  
46 corresponding to whatever is chosen in Action 2, versus whatever  
47 is chosen in Action 4, and contingent upon the recreational ACT  
48 compared to the ACL.

1  
2 Underneath those bold values, for 2024 anyway, we have listed  
3 the range, basically, that you're looking at for the variability  
4 for that estimate, and then in the parentheses is the fishing  
5 season duration, in days, and, like Ms. Levy pointed out, if  
6 you're looking at Alternative 1 in Action 4, that's going to set  
7 the fishing season against the recreational ACL, which would be  
8 the highest available amount of fish to set it against, which is  
9 going to give you the most days, as you progress further into  
10 time, and, as you move to using the recreational ACT and the  
11 June 1 opening, as you get towards 2028, you start to see that  
12 shift in fishing season duration being longest with the June 1  
13 opening, and the reason for this because we're going out of a  
14 high-use part of the year to a lower-use part of the year, if  
15 you will, and so just the estimated daily effort in June and  
16 July is a lot higher than it is in like August and September on  
17 gag, historically, using the June 1 opening.

18  
19 Some of the highest -- The next highest wave is going to be Wave  
20 6, which is November and December, and so, when you're starting  
21 in October, you see some shorter seasons, but, you know, with  
22 time, those eventually get longer as well, as the recreational  
23 catch limits increase. If we scroll down a little bit,  
24 Alternative 3 in Action 2 and its commensurate season duration  
25 projections.

26  
27 No closure doesn't mean an unlimited season. No closure just  
28 means that, if we're looking at those two right-most columns  
29 there, for 2028, under Alternative 3c, as an example, it just  
30 means that, if you started on September 1, that the fishing  
31 season wouldn't close, and, if you started on October 1, it also  
32 wouldn't -- It's not predicted to close anyway, come 2028, and  
33 so it doesn't mean it's the longest season option possible for  
34 that year, but changing things like fishing seasons is something  
35 that is in the framework procedures that you guys can also do  
36 through a framework action, and so, if you decide, at some  
37 future point, that you don't like this fishing season opening  
38 date anymore, and you want it to be something else, you can do  
39 that.

40  
41 **CHAIRMAN FRAZER:** Okay. Thanks, Ryan. Mr. Strelcheck.

42  
43 **MR. STRELCHECK:** As most of you, I think, have figured out, I'm  
44 pretty much an optimist, and I try to think of things as glass  
45 half-full, and I do want to be a little realistic and  
46 pessimistic here, in that I think the projections, and what  
47 we're being shown in terms of future seasons, are contingent on  
48 kind of catch rates remaining, you know, kind of at current

1 levels and the catch limit itself increasing, right, and I don't  
2 think that's realistic, especially if we see a rebound in the  
3 stock, in abundance, and so I just want to further emphasize  
4 that, you know, rebuilding fisheries is really challenging, and  
5 we have two major challenges with the recreational sector.

6  
7 One is the discards, right, and the other is just effort, pure  
8 effort out there, with the amount of fishermen going after the  
9 amount of fish that we have available, and so I think we'll just  
10 need to keep that in mind and recognize that this might come to  
11 fruition, but it potentially won't, and that we need to continue  
12 to look at management measures to help with rebuilding this  
13 stock.

14  
15 **CHAIRMAN FRAZER:** Thank you, Andy. Mr. Dyskow.

16  
17 **MR. DYSKOW:** Thank you, Mr. Chairman. Andy, I agree with  
18 everything you said, and, at many points in this conversation  
19 today, and at previous meetings, we bring up recreational  
20 discards as a huge issue, which it is, and I agree with that,  
21 and I think that every measure should be taken to manage  
22 recreational discards, and I think the part that frustrates me  
23 is -- I am going to use my analogy here, and it's not  
24 appropriate, perhaps, but recreational discards, the way we  
25 collect them today, is an estimate based on a guess. We don't  
26 have good, hard data, and I know I'm oversimplifying, and I  
27 apologize for that in advance, but we're at a point where we all  
28 agree this is a very serious issue, and we all want to do  
29 something about it, and what are the alternatives measures to  
30 get better data on recreational discards?

31  
32 Now, I have a motion that I want to bring up at Full Council in  
33 regard to the next step with managing red snapper data, and,  
34 again, I would like to see the states take the leadership role  
35 in this, because, if we go down the licensing and permit path,  
36 they're better resourced to do something about it, but I would  
37 like the agency to give us more insight, and at subsequent  
38 meetings, on how we should be managing and how we should be  
39 better collecting recreational discards, because nobody in this  
40 room would say that they're not critically important, and  
41 they're not perhaps one of the most important issues we face.

42  
43 I would like to suggest that we have more dialogue on how to fix  
44 this and less to merely say it exists, and we all know it  
45 exists, and I'm sorry for the tirade here, but, anyway, thank  
46 you.

47  
48 **CHAIRMAN FRAZER:** Thanks, Phil. To that point, Andy, and then



1 Mr. Gill.

2

3 **MR. STRELCHECK:** I appreciate Mr. Dyskow's comments, and part of  
4 the reason why I proffered the recreational fisheries initiative  
5 at the last meeting was to, you know, get down the path of  
6 looking at some solutions to help address this.

7

8 On the scientific side, yes, it's a challenge, and we've  
9 certainly talked about, you know, is there applications, apps,  
10 on your phone that we could use to better get discard  
11 information, and is there recreational study fleets, and is  
12 there more observer coverage, and there's a number of ways that  
13 we potentially could get better data on discards. We're  
14 embarking on a major effort, through tagging and other data in  
15 the South Atlantic right now with red snapper, to improve our  
16 discard estimates, and we're working with FWC and others  
17 closely, and so certainly there is opportunities there.

18

19 You know, the other thing I will point to is it's not just how  
20 we estimate the discards, but it's how do we manage to reduce  
21 discards as well, and that, to me, is another important  
22 component that definitely is within the purview of this council,  
23 as to how do we set management measures that are helping to  
24 avoid, or reduce, discards.

25

26 **CHAIRMAN FRAZER:** Thank you, Andy. Mr. Gill.

27

28 **MR. GILL:** Thank you, Mr. Chairman. It's clear that, relative  
29 to Action 4, that the variability in the recreational landings  
30 is high. For example, from that chart, the month of October,  
31 and it happens to be two back-to-back years, there's a six-to-  
32 one difference in the landings, and so our ability to handle  
33 that variation is not good, and, with that in mind, it suggests,  
34 to me, that the idea that we leave it up to the agency to  
35 determine the ACLs is problematic, and it's not the agency's  
36 problem, and there's no good way of knowing in advance for  
37 anybody, and none of us could make that prediction better, but,  
38 in the case of gag, as opposed to others, it's really critical,  
39 because, if we go over, we've got to pay back, and there's not  
40 many fish, and likely they will have a closed season.

41

42 I think the better way to handle Alternatives 2 through 4 are to  
43 put a date certain on there, to minimize that potential hoping  
44 for a homerun and winding up with a wipeout.

45

46 The offset to that is, and we talked about this, is that, at the  
47 very least, you will have the interim rule effect, which will  
48 give some input to that decision-making, but, it seems, to me,

1 that we need to have a little more certainty on when that season  
2 is going to close and hope that we don't exceed that ACL to  
3 drive us into a reduced season, or no season, the next year, but  
4 I have another thought here.

5  
6 One of the factors in this discussion is that, in my mind, that  
7 payback, and that potential for no season the next year, ought  
8 to be driving our discussion and our thinking, and I don't think  
9 that Alternatives 2 through 4 do that. There's a couple of  
10 things we haven't mentioned thus far, and one of those is that  
11 apparently there was a good recruitment year, three or four  
12 years ago, and there's a lot of fish up in the northern Gulf,  
13 and the catchability is way up, and, in contrast to where we've  
14 been, back when the assessment was done, there's a lot more fish  
15 in the water that are there being landed, which says that the  
16 likelihood of trying to maintain a very low level of ACL is  
17 going to be problematic, and so we know that we have the  
18 uncertainty, and we probably have high catchability, and the  
19 other factor that we haven't talked about, and C.J. may get into  
20 this, is that we don't know whether the Florida commission is  
21 going to agree with what we do and whatever impact that might  
22 have.

23  
24 Bernie, if you would pull up my gag motion, this motion is  
25 driven by -- To me, there priority one is to avoid going over  
26 the ACL, however we do that, and, well, we don't have a whole  
27 lot of room. In my opinion, Actions 2 through 4 don't get to  
28 the heart of that sensitivity that we have in the gag, that we  
29 don't have in most of the other species, and so what I'm  
30 proposing, and I would certainly love some discussion on it, is  
31 a split season, and the concept being to avoid, as best we can,  
32 going over the ACL, and we have a short front season that would  
33 close, and that September 22 is an arbitrary number, and I'm  
34 open to discussion on that as well, but the idea is that front  
35 season guesses, as best we can, that we won't go over the ACL,  
36 and then there's a second season that would be available if we  
37 happen to have enough room left after that front season.

38  
39 I've talked about the sixty or seventy-day season, and, in my  
40 opinion, there is no way, despite the desire, that it will be  
41 that long, and there's just not enough fish available.

42  
43 I picked September 1 because, when you get right down to it,  
44 it's the only month that's applicable. Any other month, if you  
45 go earlier, they have higher catch rates, which means the season  
46 needs to be even shorter, and any later and you don't have room  
47 for the second season.

48

1 I wouldn't expect that second season to be very long, but I  
2 think trying to achieve the ACL, without going over, is what our  
3 objective is, and I don't think that Alternatives 2 through 4  
4 get to the heart of that, and, if we don't do that, we may have  
5 consequences that we don't like, subsequently, and so I offer  
6 this motion as an attempt to address that issue, as best we can,  
7 and hope that we hit it even on that short season, which it's  
8 twenty-two days, and it's not very long, but there aren't many  
9 fish. Thank you.

10  
11 **CHAIRMAN FRAZER:** Thanks, Bob. Before we move on, I just want  
12 to ask -- Ryan had a specific point to this motion, before we  
13 look for a second.

14  
15 **MR. RINDONE:** You can solicit a second, and then I will make my  
16 point.

17  
18 **CHAIRMAN FRAZER:** Okay. Is there a second to this motion?

19  
20 **MS. BOGGS:** I will second for conversation.

21  
22 **CHAIRMAN FRAZER:** It's seconded by Ms. Boggs. Mr. Rindone.

23  
24 **MR. RINDONE:** So this motion -- There's not an easy way to say  
25 this, but this motion can't work, because of the data required  
26 to monitor the stock under Action 2, and so we still need the  
27 MRIP-FES estimates for the for-hire component, which means that  
28 we wouldn't have the data for the September 1 to September 22  
29 set fishing season until December 15, at the earliest, and so  
30 the amount of time available to then -- For the agency to then  
31 do the whole QA/QC dance and then reopen the season would be nil  
32 to none, and so --

33  
34 **CHAIRMAN FRAZER:** Okay, and so, real quick, before we go to Mr.  
35 Dyskow, I just want to make sure, based on the discussion with  
36 the Chairman, that the motion is read into the record. **Bob,**  
37 **your motion is,** That was seconded by Ms. Boggs. All right. Is  
38 there any further discussion on this motion? Ms. Levy.

39  
40 **MS. LEVY:** Well, putting aside what Ryan said, so, right now,  
41 all of the other alternatives, right, are changing the season to  
42 be set, or projected, based on the ACT, and so this is going  
43 back to the ACL, and so I'm just pointing that out, that your --  
44 I don't know if that was the intent or not.

45  
46 **CHAIRMAN FRAZER:** Mr. Gill.

47  
48 **MR. GILL:** Thank you, Mr. Chairman, and thank you, Mara. So, as

1 I mentioned earlier, I think the ACT is -- It's so minimal that  
2 it makes no difference, and so we'll overshoot one way or the  
3 other, and so I wanted to focus on the ACL, because that's where  
4 the damage happens, and it doesn't happen at the ACT, and the  
5 difference is 5,000 fish, and that's insignificant.

6  
7 Thank you, Ryan, for that point. I didn't consider that, and so  
8 the only other option to approach this would be something -- I  
9 am not quite sure how we do this, because I'm working off the --  
10 Different months -- You can't do it later, because there's just  
11 not enough time.

12  
13 Earlier, the problem is that the catch rates per month are all  
14 higher, with the exception perhaps of a late spring opening, and  
15 we don't want to run into spawning time as part of this, but I  
16 haven't looked at something like a May, for example, and whether  
17 that would work or not, but, conceptually, my concern is driven  
18 by doing what we can to not exceed the ACL, which I don't see  
19 happening in Alternatives 2 through 4, and so I throw this  
20 concept out for consideration, and smarter folks than I may have  
21 a way to wrangle this fish to the boat, but I'm not comfortable  
22 we've done all we can, and that's the intent of this motion.

23  
24 **CHAIRMAN FRAZER:** Thanks, Bob. Mr. Dyskow.

25  
26 **MR. DYSKOW:** Thank you, Mr. Chairman. I'm not sure that I can  
27 speak in favor of this or not. Bob and I had lengthy discussion  
28 about this prior to the meeting, and the way I left it with him  
29 then, and the way I still feel, is his idea has a lot of merit,  
30 but I would really like to know how others feel about this,  
31 particularly others in Florida, but, from my perspective, it has  
32 merit.

33  
34 **CHAIRMAN FRAZER:** Thank you, Mr. Dyskow. Andy.

35  
36 **MR. STRELCHECK:** The intent is great, Bob, and I really  
37 appreciate you thinking about this and providing a thoughtful  
38 alternative. Like Ryan noted, there is challenges, in terms of  
39 how we execute on this, and it's not just the for-hire data.  
40 For those that aren't aware, SRFS relies on a portion of their  
41 intercept data from MRIP, and so there's also time lags, in  
42 terms of when they receive that data.

43  
44 I think, you know, maybe there is consideration of this, in  
45 talking with FWC, where you do a split season, but you have to  
46 move it to the summer to start, with the risk that you may not  
47 reopen in the fall, and, as you acknowledged, there is higher  
48 catch rates, and so you're potentially shortening the season

1 further if you move it into the summer months, but, in the event  
2 that we undershoot the quota and have available fish left over,  
3 then you could have that fall opening, and it would give  
4 sufficient time for FWC to analyze that data and work with the  
5 Fisheries Service to reopen it.

6

7 **CHAIRMAN FRAZER:** C.J.

8

9 **DR. SWEETMAN:** Just responding to you, Phil, and me and Bob have  
10 talked at length, several times, about various options, and,  
11 quite frankly, I appreciate the consideration here for thinking  
12 outside the box. However, from the FWC side of things, this is  
13 probably not something that we could support.

14

15 In addition to what Ryan mentioned, it also is a significant  
16 challenge to have that open-ended secondary component to this  
17 here, in terms of FWC setting the state season, and I think  
18 that's really important, that the commission plays a big role in  
19 this here, and I think 40 percent of the landings come from  
20 state waters here, and so we're really, really hoping that we  
21 can go consistent with how we've been talking about this in the  
22 past here, but, from the split season perspective, and I think  
23 the IPT even said -- They did not recommend doing a split  
24 season, and so I will just leave it at that.

25

26 **CHAIRMAN FRAZER:** All right. I am going to kind of step back  
27 from the role of the chair and just give a Florida perspective,  
28 and I understand, Bob, where you're going, right, and there's a  
29 high degree of uncertainty, and you're making every effort to  
30 ensure, in fact, that we are able to sustain a fishery into  
31 2024, right, and I also recognize that the majority of the gag  
32 landings come from Florida and we want to align well and have a  
33 strong partnership with the FWC and their desire to have a  
34 September opening.

35

36 I agree with Ryan that, you know, a split season, and being able  
37 to implement that, is not feasible, given the way that we  
38 actually acquire the data and the timeframe.

39

40 My question, probably for the state here, is that this is a  
41 fairly conservative approach to deal with some of the  
42 uncertainty, and how does the state feel about a reduced season,  
43 a time certain end date, right, and knowing that the likelihood  
44 that you're going to have a season next year is greatly  
45 improved?

46

47 **DR. SWEETMAN:** To that point, and thanks, Mr. Chair, and having  
48 a defined end date is certainly something that FWC would

1 appreciate. It avoids us having to go back every year and redo  
2 our rule with what's on the books right now, and so, currently,  
3 what FWC has is -- It's the interim rule, and so having an end  
4 date is preferable, yes. As it speaks to a shortened season,  
5 it's hard for me to answer that, because the devil really is in  
6 the detail there.

7  
8 Certainly the last thing I want to do is have overages in this  
9 and get into this -- Which is I think what Bob was trying to do  
10 here with this motion, is to avoid these paybacks, constant  
11 paybacks, and then eventually having the fishery shut down, and  
12 we lost data streams, and that is the worst-case scenario and  
13 not something that FWC wants, and we certainly will do  
14 everything we can to keep this fishery open. To that point, the  
15 devil will be in the details, but it's certainly something that  
16 we could consider.

17  
18 **CHAIRMAN FRAZER:** Thanks. Mr. Dyskow.

19  
20 **MR. DYSKOW:** Thank you, Mr. Chair. The reason I was supportive  
21 of more dialogue on Bob's motion is I don't want to be forced  
22 into a situation where I have to approve something that  
23 guarantees overfishing. This is an important species to  
24 Florida, and I respect FWC's decision, but I can guess that that  
25 decision is based on what their commission has said, and their  
26 commission is going to want the longest season possible, and I  
27 get that. I'm not -- I understand, but, at the same time, we're  
28 accountable to make every attempt to prevent overfishing.

29  
30 I don't claim to be an expert on the complexities of this, but  
31 the merit of Bob's motion is that the short season that you  
32 propose has a better chance of preventing overfishing. If there  
33 are more fish available, we can open up a second season. I  
34 frankly don't think we'll even get to that point, because, if  
35 you have a short season, you're just going to increase the  
36 effort during that timeframe, but it's a short timeframe, with  
37 lots of other things going on, and so we may have an opportunity  
38 to prevent overfishing, with that short season, that we wouldn't  
39 have with any of these other proposals, and that's my position  
40 on this, and I don't know that we'll ever get agreement, but  
41 there is merit to have further discussion on Bob's idea.

42  
43 **CHAIRMAN FRAZER:** Thank you, Phil. C.J.

44  
45 **DR. SWEETMAN:** Just one really quick point, and so we're talking  
46 a lot of certainties here that we are going to overfish this  
47 current quota, and I don't think that is a guaranteed certainty.  
48 This option would be on the table if it was guaranteed to

1 overfish the stock, and so I just wanted to be careful with the  
2 language that we use in there.

3  
4 **CHAIRMAN FRAZER:** I have a question, Andy, for the agency and  
5 how this might adversely impact your flexibility, moving  
6 forward, with regard to when you actually might project a  
7 closure.

8  
9 **MR. STRELCHECK:** So, based on what Ryan said earlier, my  
10 comments -- We wouldn't have any in-season data to determine the  
11 second closure, or the second opening of the season here, right,  
12 and so that's the problem that I see with this option, versus  
13 setting the opening season, the starting season, earlier in the  
14 year and allowing for sufficient time to pass, so that we can  
15 actually get in-season data to then project whether or not we  
16 can reopen or not.

17  
18 **CHAIRMAN FRAZER:** Let me clarify, I guess, what I was asking,  
19 and it's only for the first part of the motion. If you set a  
20 time certain and close after three weeks, does the agency have  
21 any latitude to act one way or another? Can they extend that  
22 season, if there was still quota available, or do they shut it  
23 off, hypothetically, and I understand there's a -- You could cut  
24 it off, maybe, before, but I'm not sure if you have the latitude  
25 to extend it.

26  
27 **MR. STRELCHECK:** We would have to check the regulations. As  
28 they currently stand, I don't think I have the authority,  
29 because the season was going until the end of the year, but  
30 we'll double-check. If not, you could certainly provide that  
31 authority to the agency.

32  
33 **CHAIRMAN FRAZER:** Mr. Gill.

34  
35 **MR. GILL:** Thank you, Mr. Chairman, and so I appreciate this  
36 discussion, which I think is helpful in thinking through this  
37 concept, and I would note that I think -- I see a disconnect  
38 between this longest season possible and the reality of the  
39 number of fish that we're talking about, and I mentioned the  
40 daily numbers on, for example, the interim rule, and what was  
41 that, 700 fish a day, and the longest season is up to when the  
42 ACL is met, you know, whatever that duration is, and we can  
43 point to these numbers, but the reality is, when the ACL is met,  
44 that's as long as the season we've got.

45  
46 I think it's important, and, in the normal timeframe, we're  
47 talking thirty, sixty, ninety days, whatever, and, in this  
48 particular case, we're talking a short time that we can

1 estimate, but we know it's not going to be very long, and I  
2 think we know it's not going to be very long, but I appreciate  
3 the discussion.

4  
5 **I'm going to give this some more thought and see if I can't find**  
6 **a better start date, maybe May or something, and bring it back**  
7 **to Full Council, but, given that this one won't work, I will**  
8 **withdraw the motion, Mr. Chair.**

9  
10 **CHAIRMAN FRAZER:** Okay, and so Mr. Gill has withdrawn the  
11 motion. Mr. Dugas.

12  
13 **MR. DUGAS:** Thank you, Mr. Chair. In listening to the  
14 conversation, the first thing that comes to my mind is state  
15 management in Louisiana, and so my question is can the agency,  
16 or would Florida entertain, a three-day-a-week season, Friday,  
17 Saturday, and Sunday, and stretch it out, and, instead of  
18 twenty-two days, you might, you know, get almost three months  
19 out of it, if you only fish on the weekends.

20  
21 **CHAIRMAN FRAZER:** I don't want to speak for the agency, what  
22 they may or may not be willing to do, but I would say that there  
23 is certainly a process, and I don't think that they would  
24 implement that certainly for 2023, and it's too far along. You  
25 know, whether or not they would do that for 2024, I would let  
26 C.J. weigh-in.

27  
28 **DR. SWEETMAN:** I think that creates some significant challenges  
29 with setting the rule within state waters, and so, again, it's  
30 hard for me to answer that question without seeing projections  
31 and how that season, that option, would ultimately play out, but  
32 I do think that creates some challenges, from the rulemaking  
33 side, on the state.

34  
35 **CHAIRMAN FRAZER:** Mr. Strelcheck.

36  
37 **MR. STRELCHECK:** Certainly though, if the council wanted to  
38 consider other configurations of season, you could propose that  
39 at this point, but keep in mind we have not delegated authority  
40 to the states to conduct state management, and there is no  
41 sector separation here for gag grouper, but any season structure  
42 -- We would be essentially working with FWC, collaborating with  
43 FWC, and they're the experts on SRFS, but we would have to work  
44 side-by-side with them on season projections.

45  
46 **CHAIRMAN FRAZER:** All right. Thank you, Andy. I'm just trying  
47 to keep us squared away with regard to progress, and so we have  
48 an Action 4, with several alternatives, and we've had some



1 discussion about whether or not we might modify or add  
2 alternatives, to have a time certain end date, and I think Bob  
3 is going to think about that a little bit more, prior to Full  
4 Council, but one of the primary elements of the alternatives in  
5 this action item is the season start date, and I am wondering,  
6 at this point, if anybody might be prepared to offer up a motion  
7 with a preferred. C.J.

8  
9 **DR. SWEETMAN:** Okay. I will offer up a motion in Action 4 to  
10 select Alternative 3 as the preferred.

11  
12 **CHAIRMAN FRAZER:** Thanks, C.J. Let's get that up on the board.  
13 All right, and so the motion is, in Action 4, to make  
14 Alternative 3 the preferred. Is there a second to that motion?  
15 It's seconded by Mr. Anson. Is there any discussion, further  
16 discussion? C.J., did you want to -- Go ahead, Bob.

17  
18 **MR. GILL:** I would rather ask C.J. to discuss it.

19  
20 **CHAIRMAN FRAZER:** C.J., go ahead.

21  
22 **DR. SWEETMAN:** Sure. I appreciate it. I mean, this has been  
23 consistent with basically what FWC has advocated for all along,  
24 and it's trying to -- You know, we've been talking a lot about  
25 the uncertainty here, and certainly we are -- With what we've  
26 been working through with previous actions, we are adding some  
27 additional management uncertainty, potentially, here, and so I  
28 think -- I think we are capable of keeping this within the catch  
29 limit, but, also, putting back on the same point that I had  
30 before about the importance of state and federal consistency in  
31 the regulations here, and so that is the preference for FWC and  
32 why I offer this up as the preferred.

33  
34 **CHAIRMAN FRAZER:** All right. Thank you. Did you want to add to  
35 that, Bob?

36  
37 **MR. GILL:** Thank you, Mr. Chairman, and so I am not opposed to  
38 this, but one of the concerns that I have, relative to it, is  
39 it's just like the interim rule. Its start date is the same,  
40 and there's that expectation of a sixty or seventy-day season,  
41 and I think that's an expectation that will not be met.

42  
43 There's just simply not enough fish there, and so it's going to  
44 be shorter, by some amount, in my opinion, and the amount we  
45 don't know, and, as we saw on the motion that I just offered, I  
46 think, and Mr. Dyskow seemed to agree, that a three-week season  
47 is iffy, and thirty days is probably going to exceed, and so I'm  
48 more of the -- I hope the expectations, if we accept this

1 motion, are not for a long season, that it's going to be  
2 considerably shorter, and the commission sees it that way as  
3 well, so that we're on the same page and don't expect to get  
4 several months out of this. Thank you.

5  
6 **CHAIRMAN FRAZER:** Mr. Dyskow.

7  
8 **MR. DYSKOW:** Thank you, Mr. Chair. I am going to address this  
9 to C.J., but, Andy, chime-in too, if you have some insight. Do  
10 we have the methodology, and the capability, to shut this season  
11 down within such a short timeframe in-season? Let's say we do  
12 hit the ACT in three or four weeks, and can we shut it down that  
13 fast?

14  
15 **CHAIRMAN FRAZER:** Mr. Strelcheck.

16  
17 **MR. STRELCHECK:** I thought he directed it to C.J. So, one, no,  
18 we're not going to have the data in-season to monitor, and it's  
19 not like some of these programs that the states are running  
20 right now, like Snapper Check or Tails 'n Scales, where you're  
21 getting the data within a week or two of the data collection.

22  
23 If we close the fishery, and I don't know, Peter, and it's  
24 probably a week, or ten days, by the time we put together a  
25 notice and publish it in the Federal Register and send out a  
26 Fishery Bulletin and give people adequate time to know that the  
27 fishery is closing.

28  
29 **CHAIRMAN FRAZER:** Okay. Any additional discussion on the  
30 motion?

31  
32 **MS. BOGGS:** A roll call vote.

33  
34 **CHAIRMAN FRAZER:** Okay, and so we'll have a roll call vote on  
35 this motion. Dr. Simmons.

36  
37 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Gill.

38  
39 **MR. GILL:** Yes.

40  
41 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Geeslin.

42  
43 **MR. GEESLIN:** Yes.

44  
45 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Anson.

46  
47 **MR. ANSON:** Yes.

1 **EXECUTIVE DIRECTOR SIMMONS:** Dr. Shipp is absent. Mr.  
2 Strelcheck.  
3  
4 **MR. STRELCHECK:** Yes.  
5  
6 **EXECUTIVE DIRECTOR SIMMONS:** Ms. Boggs.  
7  
8 **MS. BOGGS:** No.  
9  
10 **EXECUTIVE DIRECTOR SIMMONS:** General Spraggins.  
11  
12 **GENERAL SPRAGGINS:** Yes.  
13  
14 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Dugas.  
15  
16 **MR. DUGAS:** Yes.  
17  
18 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Broussard.  
19  
20 **MR. BROUSSARD:** Yes.  
21  
22 **EXECUTIVE DIRECTOR SIMMONS:** Mr. McDermott.  
23  
24 **MR. MCDERMOTT:** Yes.  
25  
26 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Dyskow.  
27  
28 **MR. DYSKOW:** Yes.  
29  
30 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Schieble.  
31  
32 **MR. SCHIEBLE:** Yes.  
33  
34 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Diaz.  
35  
36 **MR. DIAZ:** Yes.  
37  
38 **EXECUTIVE DIRECTOR SIMMONS:** Dr. Sweetman.  
39  
40 **DR. SWEETMAN:** Yes.  
41  
42 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Williamson.  
43  
44 **MR. WILLIAMSON:** Yes.  
45  
46 **EXECUTIVE DIRECTOR SIMMONS:** It's thirteen to one with one  
47 absent and two abstentions, unless you wanted to vote, Mr.  
48 Chair.

1  
2 **CHAIRMAN FRAZER:** Thank you, Dr. Simmons, and so the motion  
3 **carried thirteen to one with two abstentions.** All right. I do  
4 not think that we have any further gag-related business, and so  
5 we will now -- We're going to move into a discussion on the IFQ,  
6 and let's take a five-minute break, real quick.

7  
8 (Whereupon, a brief recess was taken.)  
9

10 **CHAIRMAN FRAZER:** Again, I want to thank everybody for the  
11 discussion as it relates to gag, and I just want to remind folks  
12 that the goal here was to try to be in a position to have a  
13 public hearing draft at the end of this council, and I recognize  
14 that there is likely to be some modifications, or changes, to  
15 some of the alternatives, and possibly the preferreds, at Full  
16 Council, but I do think we're in a good position, and I just  
17 want to let people know, again, that we've got public hearings  
18 scheduled for May, and so we should every effort to make as much  
19 progress on the document as we can.

20  
21 We're going to go ahead and move into the IFQ objectives, and  
22 Dr. Lasseter will lead that discussion. I think what we have  
23 time for right now, prior to our lunchbreak, is the presentation  
24 itself, and so I would like, again, Dr. Lasseter to go through  
25 the presentation, but we may defer the questions and answer  
26 until after lunch, and so, Dr. Lasseter, the floor is yours.

27  
28 **IFQ OBJECTIVES**  
29

30 **DR. LASSETER:** Thank you very much. Okay. We have our action  
31 guide up here, and, actually, there is no recommendations here,  
32 and that should not be on here, and I am just going to talk  
33 about some things, pose a lot of questions to you, for you to  
34 think about, encourage discussion, and this is all a precursor  
35 for the June meeting, when you are going to really delve into  
36 your goals and objectives.

37  
38 I am going to summarize the presentation a little bit more  
39 actually when we get to the cover there, and so let's go to Tab  
40 B, Number 7, and so the intent here, today, is really keep the  
41 subject fresh, and we didn't want to skip a meeting and then  
42 have you try to jump back into the IFQ material in June, and so  
43 the intent here is to stimulate discussion and to give you  
44 something to think about, many things to think about.

45  
46 Here is your motion from the last meeting, which stated that, no  
47 later than June 2023, we are expecting to put this on the agenda  
48 for the next meeting. You should conduct a review of the IFQ

1 program goals and objectives and recommend changes. Based on  
2 these newly-updated goals and objectives, you would then  
3 initiate an amendment to address the programs changes,  
4 consistent with the outcome of the discussion, and we're  
5 expecting to correspond with the themes that Dr. Stephen  
6 presented at the last meeting as well.

7  
8 Keeping this motion in mind, the presentation is going to first  
9 to through some common terms, and we're going to back up even to  
10 catch shares and LAPPs, to see how IFQ programs fit within  
11 those, and then look at goals and objectives, both here with the  
12 programs in our region and elsewhere in the U.S., and then we're  
13 going to touch on some program provisions, which is what we  
14 usually hear people from the public talking about, what a lot of  
15 the discussions around this table have centered around, and then  
16 I'm going to end with a lot of questions for you all to think  
17 about, and so let's go to the next slide.

18  
19 Okay, and so catch shares, and so catch shares is a general term  
20 associated with different approaches in fisheries, but the idea  
21 is that you dedicate a secure share of the fish either to  
22 individuals, cooperatives, or fishing communities, and so it's  
23 either to an individual or groups, but it's designated for their  
24 exclusive use.

25  
26 Part of the catch, or share, and this term is commonly used in  
27 all the programs, is allocated to, again, individual fishermen  
28 or groups, and each holder of a catch share must stop fishing  
29 when they reach their limit, and, in most cases, as we have  
30 here, fishermen can buy, sell, or lease shares in a given year,  
31 and this comes from NOAA's catch share webpage.

32  
33 Also from NOAA's webpage, here are the current catch share  
34 programs around the country, and I believe there's sixteen. The  
35 Gulf ones are right in the middle, in terms of establishment.  
36 We were not the first, and we haven't been the most recent. The  
37 most programs are in the North Pacific.

38  
39 Catch shares, catch shares are a type of LAPP, and we've heard  
40 this expression a lot, and LAPP means limited access privilege  
41 programs, and these are actually defined in Magnuson, Section  
42 303A, and I have some of the relevant text here to talk about,  
43 and so the idea of -- I really want to emphasize "limited  
44 access", and the idea is exclusive. You are excluding some  
45 people, by nature, by definition of this, and so a limited  
46 access privilege program shall be considered a grant of  
47 permission to the holder of the limited access privilege, or  
48 quota share, to engage in activities permitted by such limited

1 access privilege, or quota share.

2  
3 Underneath the requirements for LAPPs, in general, any LAPP to  
4 harvest fish shall, if established in a fishery that is  
5 overfished or subject to a rebuilding plan, assist in its  
6 rebuilding, and then (b) and (c), and this is where we're  
7 getting into some of these goals and objectives and what they  
8 intend to achieve.

9  
10 If established in a fishery that is determined to have  
11 overcapacity, contribute to reduce capacity and to promote  
12 fishing safety, fishery conservation and management, and you  
13 could have some biological and ecological goals in there too, as  
14 well as social and economic benefits.

15  
16 Here, in our Gulf programs, how do our program goals fit in with  
17 the requirements of LAPPs, and so the red snapper IFQ program,  
18 which was implemented through Amendment 26 -- I cut a short part  
19 of the longer purpose and need Gulf statement, which you can  
20 find in the appendix of Amendment 36B, but this is the crucial  
21 part that we want to focus on.

22  
23 The purpose of the IFQ program is to reduce overcapacity in the  
24 commercial fishery and to eliminate, to the extent possible, the  
25 problems associated with derby fishing, and then we're getting  
26 at the issues primarily with safety, but there's also the  
27 related issues of market gluts and timing for the fishery, and  
28 part of this gets to some of these related outcomes, expected  
29 outcomes. The slower-paced fishery anticipated under such a  
30 program would support fewer fishermen operating over a longer  
31 season, and so now, when we look at the grouper-tilefish  
32 statement, it's similar.

33  
34 The purpose of this amendment is to rationalize effort and  
35 reduce overcapacity in the fisheries, and rationalizing effort  
36 should mitigate some of the problems resulting from derby  
37 fishing conditions, and, again, it's similar to the red snapper  
38 program, or at least prevent the condition from becoming more  
39 severe, and we did not have the short derby seasons in the  
40 grouper-tilefish fisheries as we did with red snapper, and it  
41 was a different context.

42  
43 Then I won't read through the rest of it, but the end part of  
44 the grouper-tilefish statement -- You can see some of these  
45 attending benefits, expected effects, that go alongside with  
46 them.

47  
48 Now taking -- We have just reminded ourselves of our Gulf IFQ

1 program goals and objectives, and I took a look at all of those  
2 other programs around the country that were on that slide with  
3 the map, the sixteen other programs, and I pulled out three of  
4 them, the problem statements and the purpose and need  
5 statements, to kind of go into more depth and to look at.

6  
7 The three I picked out, the first one is the Pacific Fishery  
8 Management Council's Pacific sablefish permit stacking program,  
9 which was implemented prior to our red snapper program, and,  
10 when I was reading about this, it was quite similar, the  
11 background, to red snapper, compared to some of the other  
12 programs, in that it had very short derby seasons, the sablefish  
13 popularity was very similar to red snapper, and so I thought  
14 this would be an interesting one to bring out.

15  
16 The North Pacific Fishery Management Council program on halibut  
17 and sablefish IFQ program, from 1995, has been working, in  
18 recent years, to increase the active participation measures, and  
19 there's actually a lot of literature that has come out on these  
20 programs, on that particular program, that I think could inform  
21 the discussions in the future, and then the third one will be  
22 the New England FMC, the Atlantic sea scallops IFQ, and they  
23 call it general category, and, this one, they have currently --  
24 This council has currently been exploring whether to open up  
25 leasing, days-at-sea actually, in a program that's managed  
26 alongside an IFQ program, that does allow leasing, and so that's  
27 just some current considerations, and they're grappling with the  
28 same issues, and so I thought that would be a very interesting  
29 example to bring to you.

30  
31 Okay, and so let's start with the PCFM and the Pacific sablefish  
32 permit stacking, and so this is actually taken from the document  
33 that implemented the program, Amendment 14, and their purpose  
34 and need for action. The underlined are program provisions, and  
35 I'm kind of going to highlight that, and the bolded words is  
36 where we're getting more to the goals and objectives.

37  
38 Here, what their goal is, it's to address concerns in the  
39 current fishery related to safety, efficiency, and equity. All  
40 three of those, you remember, being in that definition of a  
41 requirement for a LAPP.

42  
43 Provisions were then put in place in support of those broader  
44 objectives, including one which is to require permit owners to  
45 be individuals and to be onboard during sablefish fishing  
46 operations, and I think this idea of owner onboard has made it  
47 into kind of the national media and popular culture, and I think  
48 we're all kind of familiar with that, the idea being that

1 sometimes active participation measures have unintended  
2 consequences, and this is the example that we've heard of  
3 vessels -- In order to comply with the owner onboard require,  
4 they have put elaborate accommodations down below, for the owner  
5 to be comfortable, while they're not above deck actually  
6 fishing. Things to keep in mind is that there can be unintended  
7 consequences.

8  
9 The North Pacific FMC's halibut and sablefish IFQ, their problem  
10 statement, their purpose and need statement, was put in tandem  
11 with the specific key provisions of the program, and so I bolded  
12 in the top part, and you can see that they were attempting to  
13 address issues associated with a race for fish, and then we've  
14 got our derby fishing, and, down below, increased harvesting  
15 capacity, and that has been another challenge that they were  
16 trying to address with this program.

17  
18 Several key provisions in the program include, as laid out, and  
19 one of them, the second one, is assignment of shares to vessel  
20 categories, and, specifically, catch, or vessel, quota share --  
21 The program, the managers, have been transitioning, attempting  
22 to transition, to a wholly owner-operated fleet for this, and  
23 they're encountering some of the same objectives, the same  
24 problems, as well. Again, this is the program that there have  
25 been anthropologists and others, and I think there's some people  
26 actually at NOAA, that have been addressing the success and  
27 failure of these active participation measures and how effective  
28 they've been.

29  
30 The last one, of the three we're going to look at, is the New  
31 England FMC, their Atlantic sea scallops IFQ, and so, for their  
32 problem statement, the first purpose of this amendment is to  
33 consider measures that will address, and there's that capacity  
34 again, and fishing mortality, and so they have highlighted --  
35 They've put forward specifically one of the more conservation  
36 objectives, and I'm going to come back to this program when I  
37 get to provisions, a little bit later in the presentation.

38  
39 Each one of these three -- You see how different each of these  
40 problem statements are, and they're also structured differently  
41 in the documents, in how they lay out their problems. I am  
42 going to talk now about the commonalities, and so each council  
43 lays it out differently, but there are similarities across all  
44 of these programs around the country.

45  
46 The first thing that jumped out to me was that I could not find  
47 an example of quantified goals, and I know that Mr. Gill was  
48 interested in pursuing this, and so the National Academies of



1 Sciences study on LAPPs recommends that you would most likely  
2 need to collect some additional information, in order to  
3 establish a baseline against which you could measure progress of  
4 goals in the future, and so I think that's one way we could  
5 address something like that.

6  
7 Another common problem, another commonality across all the  
8 programs, is the common problem, prior to implementation, is  
9 there's just too many boats chasing too small of a quota, too  
10 few fish to satisfy how many boats -- What they need.

11  
12 A paper came out from a couple of staff from NOAA Fisheries  
13 Office of Science and Technology, a few years ago, that looked -  
14 - It compared the performance of federally-managed catch share  
15 fisheries in the U.S., and it does look at all the programs,  
16 except for the most recently-implemented one, which is the  
17 bluefin tuna IBQ one, and that just came out right when this  
18 paper was coming out, but, in this analysis, they found that  
19 reducing capacity was noted as a management objective, or  
20 expected effect, in all catch share programs, and we would  
21 expect that to be so, because, again, that is one of the  
22 requirements of implementing a LAPP, according to Magnuson, and  
23 so we're very consistent with that.

24  
25 Also in this paper, the authors note that, while biological and  
26 socioeconomic objectives are similar across all of the programs,  
27 the program provisions, which are developed to support the  
28 goals, are tailored to each particular fishery, which would make  
29 sense, right, and so these program provisions, again, are going  
30 to be how you operationalize your goals, and so let's go to the  
31 next slide, and let's talk about that.

32  
33 Currently, shares and allocation are fully transferable in our  
34 Gulf programs. Now, there are some restrictions, and we have a  
35 share cap for each of the share categories, but, beyond that, it  
36 is probably the most transferable program that I can find in the  
37 country. Amendment 26, that implemented the program, provided  
38 rationale for implementing this as fully transferable, because  
39 this was supported as a means to improve economic efficiency,  
40 and so the idea of having full transferability was to promote  
41 economic objectives.

42  
43 Now, looking at some of the transfer provisions and restrictions  
44 in other programs, specifically the three that I just reviewed,  
45 some of these were restrictions on transfer of shares  
46 specifically for social objectives, and, for example, in the  
47 North Pacific FMC, shares cannot be transferred out of some of  
48 the specific communities, under a community development quota

1 program. Shares are tied to a community, and they cannot be  
2 transferred away.

3  
4 Another example would be to require permit owners to be  
5 individuals and be onboard during fishing, as we noted with the  
6 Pacific FMC, the sablefish program, and, again, that was with  
7 the intent to achieve a social objective, and I will just note  
8 that it wasn't specific in their problem statement, but the  
9 North Pacific FMC as well, in working on these active  
10 participation measures, is also working on implementing a full -  
11 - Executing a full owner-operated fleet.

12  
13 Then other approaches are provisions would require allocation to  
14 be landed in certain areas, or for a certain number of days,  
15 and, here, this is the New England FMC, where it's not just an  
16 IFQ program, but it's also a tandem days-at-sea program, and so  
17 you have so much scallops can be harvested from certain areas,  
18 and then also only for a certain number of days per vessel.

19  
20 Also, allocation could be required, in other programs, to be  
21 caught only by certain size classes of vessels, and that's in  
22 the North Pacific currently as well, the last slide that you  
23 saw, but, again, all of these provisions reflect or are in  
24 support with the broader goals of the programs.

25  
26 Back to the New England example that has been exploring whether  
27 to allow leasing in one of their related programs, and I thought  
28 providing this table would be the most simple way to kind of lay  
29 this out, and so, currently, leasing is allowed in their IFQ  
30 program, but, for the whole amount of projected landings, only 5  
31 percent, five-and-a-half percent, is actually managed under this  
32 IFQ program. The majority is actually a different type of  
33 limited access program, a days-at-sea, essentially, program, and  
34 so what they're considering is to allow -- What they were  
35 considering would be to allow leasing in the other program, the  
36 days-at-sea program, and they are currently allowing leasing,  
37 and that's not changing, for the IFQ part.

38  
39 For the days-at-sea part, they are, and I'm going to comment  
40 here also that, when we were talking catch shares, catches were  
41 a type of LAPP, right, and days-at-sea are not catch shares, and  
42 it's a different type of limited access privilege program.

43  
44 Last year, and this was the newest out of this council, the New  
45 England Council explored allowing leasing in that Limited Access  
46 Category A, non-IFQ harvest, and they went through scoping, and  
47 they went through a long process, and they got a lot of  
48 stakeholder comments, and they discussed it at council meetings,

1 and, eventually, based on stakeholder feedback, the council did  
2 decide against pursuing leasing for that part of the fishery.

3  
4 Those are just kind of some little snapshots of other programs,  
5 what's going on, and so now let's come back to the Gulf, and I'm  
6 going to leave you with some things to think about, and  
7 hopefully we'll talk about after lunch as well, and so, first of  
8 all, reef fish commercial vessels, those that are actually on  
9 the water, and it's a multispecies fishery, right, and we have  
10 to keep in mind that also the IFQ programs are multispecies,  
11 although allocation is assigned separately for each of those  
12 share categories, and these are limited access programs.

13  
14 Within this multispecies fishery, you have various vessel sizes,  
15 range of vessels, how far they go to fish, the gear type they  
16 use, vertical and longline, and we've got fishermen engaged in  
17 different strategies, targeting trips for what they have  
18 allocation for, or incidental catch, and, again, we're in a  
19 multispecies fishery, and they're likely to catch other species,  
20 and even in ownership in the fishery, and this goes back before  
21 the IFQ programs were implemented. You have always had single  
22 and fleet ownership that's been present in the fishery, and so  
23 it's a very diverse fishery.

24  
25 Now just a couple of hypotheticals, and then we're going to look  
26 at some recent activity, and so, if we look at the red snapper  
27 allocation, red snapper quota, commercial quota, for 2023, it's  
28 a little more than seven-million pounds, and I am not proposing  
29 this, but just to give you a -- To let you think about how much  
30 fish that is and how many vessels that could support, and,  
31 again, this is just red snapper, and this is not even talking  
32 about grouper-tilefish, but dividing that seven-million-pound  
33 quota up, if you had 100,000 pounds caught, allowed to be  
34 caught, on so many vessels, you would only have seventy-one  
35 vessels, and so seventy-one vessels, catching 100,000 pounds,  
36 would catch the whole quota. 25,000 pounds, and divide that  
37 seven-million up into 25,000 pounds, and you've got 283 vessels  
38 that could catch the entire quota.

39  
40 Then, to kind of put those two extremes in context, in 2021, 397  
41 vessels, unique vessels, landed at least one pound of red  
42 snapper. 393 vessels landed at least one pound of one of the  
43 share categories of grouper-tilefish. There was an overlap of  
44 89 percent, and so 11 percent caught only red snapper, and some  
45 vessels also caught only grouper-tilefish.

46  
47 There is no vessel cap, and so, right now, there is no limit on  
48 how much allocation, how much fish, for any of the share

1 categories, that a vessel can catch, although there is an  
2 allocation cap, and we'll get to that on the next slide, and I  
3 will provide that. Then a little more just context perspective.  
4 In the few years prior to implementation of the red snapper IFQ  
5 program, which is 2007, there was an average of 485 vessels  
6 landings at least one pound of red snapper each year. Again,  
7 these are just some things to kind of give you the context of  
8 the vessels on the water.

9  
10 Now let's look at some IFQ shareholders, and so, for red snapper  
11 -- Each of the share categories has a share cap, but, for red  
12 snapper, you have a 6 percent share cap, just slightly over 6  
13 percent, and so your minimum possible number of entities would  
14 be seventeen, with that share cap. Currently, there is 332 red  
15 snapper shareholding entities. The smallest shareholding goes  
16 out to six decimal points, and that's as far as it goes in the  
17 IFQ program, and so I'm not going to read out all those zeroes,  
18 and then the other extreme is you have three entities that hold  
19 between 4 and four-and-a-half percent. Then all of those other  
20 330 are between that.

21  
22 I want to pose, to the body, what do you want the IFQ programs  
23 to look like, and then these are some questions that really  
24 speak, one, to the program provisions, rather than the  
25 objectives, because I think, as you kind of grapple with these,  
26 it could help us lead you to some goals and objectives, but,  
27 right now, I'm not really sure what the majority -- How the  
28 majority of this body feel about these questions.

29  
30 Should shareholders be required to have a permit to lease  
31 allocation? This is kind of a question, underlying question, in  
32 36B. Should the share caps be revised? Should vessel caps be  
33 considered? We do have allocation caps, and it's set annually  
34 at the account level, and it's across all of the grouper-  
35 tilefish species, and so it was over 400,000 pounds in 2020, and  
36 it's my understanding, from NMFS, and we can let Andy speak, but  
37 my understanding is that allocation caps are not currently  
38 constraining activity, participation.

39  
40 Now more questions. Should quota increases be distributed other  
41 than to existing shareholders? We've explored the idea of quota  
42 banks, and that is one issue that has come up kind of repeatedly  
43 in this council, is, with these increases in the red snapper  
44 quota, there's been interest in doing something differently.

45  
46 Should non-shareholders though receive allocation from those  
47 quota increases, rather than small shareholders? Then I'm going  
48 to revert back to the term "limited access", and so that is

1 really something you have to grapple with, and, if we're leading  
2 on with the small shareholders, how would small shareholders be  
3 identified, and I believe it's in Amendment 36B, and there's a  
4 very long, bulleted list of different ways that you could  
5 grapple with defining a small shareholder.

6  
7 The North Pacific region, I think they use the term "more  
8 active" fisherman, and they're working on this active  
9 participation, and we've used that here too, but how are we  
10 going to define that?

11  
12 These questions get to new entrants, the next generation, and so  
13 how should the next generation of fishermen, that is replacement  
14 fishermen, enter the fishery? Currently, the top two bullets,  
15 we know people enter the fishery this way, as crew, buying small  
16 amounts of shares before buying a permit, and some people buy a  
17 permit and a vessel and lease allocation, and there's other  
18 regions that permits and shares are tied together, associated  
19 together, and you buy them together, and I didn't include the  
20 federal fishery finance program here, and that, of course, is  
21 already out there.

22  
23 This is the last slide, and this gets to discards, and this one  
24 also really gets to the tradeoffs, and so how can discards be  
25 reduced in a multispecies fishery? How do you avoid catching  
26 fish, if you don't have any more allocation? If more red  
27 snapper allocation is provided to the eastern Gulf, is that  
28 going to affect discards in the western Gulf?

29  
30 When you're grappling with tradeoffs, be thinking about what is  
31 it that you want to prioritize, and so that's all I have for  
32 right now, and I am hoping that there will be some robust  
33 discussion, either about these questions, or if you have any  
34 questions for me, and then I also wanted to invite everybody to  
35 reach out to me before June, call me through the office, with  
36 any questions you have or the things you want to talk about, in  
37 terms of the IFQ programs. I hear from some of you, sometimes,  
38 but you kind of have a heavy load ahead of you for June, and so  
39 I'm going to stop there.

40  
41 **CHAIRMAN FRAZER:** All right. Thank you, Dr. Lasseter, and so we  
42 are going to take our lunchbreak, and I will let the chair set  
43 the return time, but, you know, when we return, we'll take some  
44 time to ask Ava any questions that you might have and, again,  
45 try to prepare ourselves from the June meeting, when we have to  
46 revisit the IFQ goals. Go ahead, Mr. Gill.

47  
48 **MR. GILL:** Thank you, Mr. Chairman, and, to that point, how much

1 time to you anticipate allowing, so that we can get our thoughts  
2 in order, given the time that you're going to allow available on  
3 this subject? Clearly there's not going to be enough time, but  
4 how much you allow is going to be significant, in terms of  
5 prioritizing the discussion.

6  
7 **CHAIRMAN FRAZER:** I am leaning towards about thirty minutes of  
8 discussion.

9  
10 **MR. GILL:** That's painful, Mr. Chairman.

11  
12 **CHAIRMAN FRAZER:** Be focused, Mr. Gill.

13  
14 **DR. STUNZ:** Mr. Gill, maybe we can carve out a little bit more  
15 time. I will look through the agenda at lunch and see what we  
16 can do. We were scheduled to meet back at 1:30, and we're  
17 running over a little bit now, and why don't we meet back at  
18 1:45, but be prepared to start right at 1:45, and that will give  
19 us as much time as possible, and so I'll see everyone back after  
20 lunch, real soon.

21  
22 (Whereupon, the meeting recessed for lunch on April 4, 2023.)

23  
24 - - -

25  
26 April 4, 2023

27  
28 TUESDAY AFTERNOON SESSION

29  
30 - - -

31  
32 The Reef Fish Management Committee of the Gulf of Mexico Fishery  
33 Management Council reconvened at the Courtyard Marriott in  
34 Gulfport, Mississippi on Tuesday afternoon, April 4, 2023, and  
35 was called to order by Chairman Tom Frazer.

36  
37 **DR. STUNZ:** All right. If everyone is ready, we're going to  
38 pick Reef Fish back up, on that IFQ discussion, and, Ava, are  
39 you about ready? Okay. Tom, when she's set up, and you're  
40 ready, go ahead.

41  
42 **CHAIRMAN FRAZER:** Ava, are you ready to go, almost?

43  
44 **DR. LASSETER:** I am ready, but I believe that I am just  
45 answering questions and taking notes.

46  
47 **CHAIRMAN FRAZER:** Yes, that's correct, and so, all right, folks.  
48 What we'll do is we'll pick up with the IFQ, follow-up on the

1 presentation that Dr. Lasseter provided, and, if you can maybe,  
2 Ava, just, or Bernie, but take that presentation down to the  
3 very end.

4  
5 There are a number of questions, and a number of slides, related  
6 to what you want the IFQ programs to look like, and this just  
7 happens to be the last one, but we're going to spend a little  
8 bit of time now, thirty minutes, or maybe a little bit longer,  
9 for the council members to ask Dr. Lasseter any questions that  
10 they might have, and so I'll start off with Mr. Gill.

11  
12 **MR. GILL:** Thank you, Mr. Chairman, and so I am going to sound  
13 like a broken record. I don't believe that's the way to attack  
14 this problem. In my view, trying to tackle all the possible  
15 questions is the way we've proceeded ever since 2011, and  
16 continuing down that road, expecting a different result, is  
17 highly unlikely, as I have expressed numerous times, and the way  
18 to start this process, and let's not use elephants, and I will  
19 get accused of eating too much, is to take a little piece of the  
20 problem, and start with it, and resolve that.

21  
22 It's hard for us to define what a program should look like when  
23 we don't even know what we're trying to achieve, and so I am in  
24 favor of, and I've expressed it before, that we need to define  
25 what we consider the goals and objectives for these programs,  
26 and, right now, there is one, and I don't think we even have  
27 that defined very well, and so I would start with that, and  
28 there may be others that we want to add, but to get into the  
29 details of what it would look like, without knowing where we're  
30 going, makes no sense to me, and we'll be in this mire for the  
31 next two decades, and so my suggestion is that, in fact, we  
32 don't start with the last page, and we start with page 3, or  
33 whatever it was, and my view is I would start with defining  
34 "overcapacity".

35  
36 We talk about it all the time, and, as I've said before, I don't  
37 think we know what we're talking about. Your version of  
38 overcapacity is different than mine, and different than --  
39 Everybody else at the table has a different view, and it's easy  
40 to cast the words around, but it doesn't help us get to an  
41 endpoint, and so I think we need to start off with defining  
42 where we want to go with this programs, where we think the  
43 effort ought to be considered, and then take them one at a time  
44 and see if we can come to agreement. I'm not even sure we can  
45 come to agreement, but we need to make that approach.

46  
47 **CHAIRMAN FRAZER:** I appreciate those thoughts, and just, again,  
48 I moved to the last slide because that's where left, right, and

1 I realize that Ava presented a list of potential questions,  
2 right, that we might answer, and I agree with you that returning  
3 to the purpose, right, and maybe defining what overcapacity is,  
4 might be an important path forward, and so I'll keep that in  
5 mind. Ms. Boggs.

6  
7 **MS. BOGGS:** So, I tend to agree with Mr. Gill, and what is that  
8 we're actually looking to accomplish, and I don't know that -- I  
9 mean, I think there's several things that -- What is the  
10 ultimate goal here? That's what I keep asking myself, and I  
11 don't know if -- You know, we have Amendment 36B and C that have  
12 been hanging out forever and a day, and, you know, do we start  
13 there, but I'm of the same opinion.

14  
15 What is the ultimate goal here? What is the endgame? What do  
16 we want the result to be, and then maybe we can back into where  
17 we start and how we get there, but I don't think we have a clear  
18 path, and it's like we jump all over the board, and, if we do  
19 permits, are we going to require pound requirements, instead of  
20 number of fish, and are we going to deal with overcapacity, and  
21 are we -- There is so many pieces here, and I think of this kind  
22 of like Andy's amendment that he made at the last council  
23 meeting, at the last minute, and, you know, we need to take  
24 that, and prioritize that, and kind of look at the decisions,  
25 and we can't do it for everything, and so please don't  
26 misunderstand what I'm about to say, but, you know, if we  
27 require this, then we need to figure out how it's going to  
28 affect the next item on the list, because it might be that, no,  
29 we need to figure this out before we go there.

30  
31 It's going to be like putting a puzzle together, I suppose, but  
32 I just don't understand what the ultimate endgame is here, and  
33 what is our ultimate goal of where we want to get with this  
34 process? Thank you.

35  
36 **CHAIRMAN FRAZER:** Ava, do you want to take that question or not,  
37 or I'm happy to.

38  
39 **DR. LASSETER:** I apologize, Susan, but could you repeat the  
40 question part? I caught the beginning.

41  
42 **CHAIRMAN FRAZER:** Okay.

43  
44 **MS. BOGGS:** Maybe five words. What is the ultimate endgame  
45 here?

46  
47 **DR. LASSETER:** I don't think that question should be directed at  
48 me.



1  
2 **CHAIRMAN FRAZER:** We'll take a break. No, I'm joking. Well, I  
3 mean, so the immediate goal is this, right, and, by June of  
4 2023, that we need to conduct a review of the IFQ program goals  
5 and objectives, and so we have to do that at our next meeting,  
6 and, if the question, as I'm understanding it, Susan, is, you  
7 know, and Bob, you know, have we adequately identified the goals  
8 and objectives, right, or is the purpose clearly articulated,  
9 and that's fine, right, but I guess I would like to hear from  
10 other folks around the table, and I think Ava would as well.  
11 J.D. and then Bob.

12  
13 **MR. DUGAS:** Thank you, Mr. Chair. I don't know if I'm qualified  
14 to answer Susan's question, but I think there are multiple  
15 goals, to multiple different individuals, that we each may have  
16 our own goals. You know, one, for me, is how do we get the fish  
17 back into the fishermen's hands, and that's a question that I  
18 ask to everyone, and not to just one person, and that's  
19 something that I would like to see, and that's just my  
20 perspective.

21  
22 **CHAIRMAN FRAZER:** Okay. I guess I would step back, right, and  
23 say, you know, what are the goals of the program in general, and  
24 I would think, right, that what we're trying to do is optimize  
25 the value of the resource to the nation, and that's the charge  
26 here, right, and so one of the things that we've done, in a  
27 number of fisheries, obviously, is allocate a portion of the  
28 resource to the commercial sector, through an IFQ program, and  
29 so then I would think that the question would be how do we  
30 optimize the functionality, right, of that IFQ program so the  
31 harvest, right, and the beneficiaries of those benefits are  
32 maximized, and so that's it.

33  
34 What I am seeing here is, to Bob Gill's point, if we go to the  
35 purpose, right, of the IFQ programs, as they're laid out, I  
36 think we have to reach some agreement. If Bob doesn't think  
37 that they're clearly articulated, then that's fine too, right,  
38 and I think we have to be prepared, certainly coming into the  
39 June meeting, to revisit the purpose.

40  
41 You know, in both cases, there's an element of what's going on  
42 with regard to overcapacity, and it hasn't been adequately  
43 characterized, or defined, and people have different  
44 perspectives on that, and so, if a starting point is to  
45 determine what that means, I'm okay with that, and we just maybe  
46 have to start asking the question here, right, or at least be  
47 prepared to have a structured conversation about that in June.  
48 Bob.

1  
2 **MR. GILL:** Thank you, Mr. Chairman. Well, let me throw a  
3 monkey-wrench into all this. Well, let me start with the  
4 backend. I will not be here at the June meeting.  
5  
6 **CHAIRMAN FRAZER:** You're disqualified.  
7  
8 **MR. GILL:** Obviously, this is a very important program to me,  
9 and I'm the only council representative from the commercial  
10 sector, and that voice needs to be at the table during this  
11 discussion, and I would like to request that, for the council  
12 discussion of this issue, that it be delayed until the August  
13 meeting, as a result.  
14  
15 **CHAIRMAN FRAZER:** So, I have a quick question then with regard  
16 to process, and so the way that Dr. Lasseter laid this out is  
17 that there's a requirement, right, to revisit these goals and  
18 objectives by June of 2023. Dr. Lasseter.  
19  
20 **DR. LASSETER:** Yes, and you passed a motion, and this was the  
21 council's motion that said that you would do so.  
22  
23 **CHAIRMAN FRAZER:** Bob.  
24  
25 **MR. GILL:** So, if it's the desire of the chair, I will make a  
26 motion to change the previous motion.  
27  
28 **CHAIRMAN FRAZER:** Let me consult with the chair of the council.  
29 Dr. Stunz.  
30  
31 **DR. STUNZ:** Yes, that's what I was about to say, Bob, and, Bob,  
32 can we -- Since we're just hearing this, and, you know, that  
33 agenda planning currently is underway, and was slated for that,  
34 can we maybe revisit this at Full Council, and let us think  
35 about it, and we'll have a little better picture of what's the  
36 best way to proceed.  
37  
38 **MR. GILL:** Absolutely. I was just trying to set the stage for  
39 the conversation, so that the conversation, going forward, is we  
40 knew where we were going on it, because the dictum was by the  
41 June council meeting, and I want to make everybody aware that,  
42 in this discussion, I can't participate.  
43  
44 **DR. STUNZ:** Yes, and that's no problem. If we could just hold  
45 that point until Full Council, then we can get back to you.  
46  
47 **CHAIRMAN FRAZER:** Andy, did you have your hand up?  
48

1 **MR. STRELCHECK:** Yes, and so I wanted to weigh-in kind of on  
2 Susan's question, and, at least the way I've looked at, you  
3 know, her question is we've sat around this table for quite some  
4 time, spinning our wheels and trying to figure out kind of how  
5 to get common ground moving forward on, you know, potential  
6 changes to the IFQ program, and we've had several amendments  
7 that have been lingering for quite some time, and, before we  
8 kind of jump into trying to figure out what the problem is,  
9 either perceived or real, and addressing the problem, you know,  
10 have a common understanding, and kind of agreement, or at least,  
11 you know, majority agreement, in terms of what the goals and  
12 objectives are that we're trying to accomplish, and so I think  
13 Ava has done a good job of laying it out.

14  
15 We have two goals and objectives for the program right now that  
16 I think are starting points, and one is, I think, self-evident,  
17 in terms of we've mitigated the derby conditions, right, and so  
18 maybe it's not even necessary as a goal for the program anymore,  
19 and the other one is overcapacity, and reducing overcapacity,  
20 and I hear Bob, and others, say, well, it may mean different  
21 things to different people, but there are definitions about  
22 capacity and overcapacity, and there's program reviews that have  
23 been conducted, and it's very clear that we're still well over  
24 capacity in this fishery, relative to at least economically what  
25 would be the most efficient utilization of the fishery.

26  
27 With that said, I mean, I think the question, for today, is can  
28 we hone-in on is there anything specifically that we want to  
29 work toward, in terms of developing goals and objectives, beyond  
30 those two, and one of the things that kind of interrelates to  
31 the first one, of overcapacity, is we've heard a lot of issues  
32 with regard to participation, equity, access, right, and so  
33 those, to me, are kind of diametrically opposed to one another,  
34 right, and we want to reduce capacity in the fishery, but then  
35 we want to let more people in, right, and so how do we balance  
36 that, and is our objective truly to reduce overcapacity, versus  
37 something else at this point with this fishery, and so I think,  
38 if we could have some focused discussions around this, and  
39 really figure out truly what we want to accomplish with the  
40 program, that will help us then define kind of the tactical  
41 approach, like what J.D. was suggesting, and do we want it to be  
42 in the hands of fishermen, right, and how do we get there. That  
43 would be the next step in the process, after the goals and  
44 objectives.

45  
46 **CHAIRMAN FRAZER:** Mr. Anson.

47  
48 **MR. ANSON:** I agree with Andy's comments. I mean, my

1 perspective, based on a lot of the comments that I've heard, and  
2 that have been brought to the council, is it addresses more of  
3 the issue of, you know, access, the equity portion of the  
4 program, and how new entrants can, you know, get reasonable  
5 access to that to support their business, and so I agree with  
6 you, Tom, that there should be some analysis, as we go forward,  
7 as we look at these things, as far as identifying, you know, and  
8 measuring that benefit and how -- What constitutes maximum  
9 benefit to the nation, when we look at IFQ programs, and whether  
10 or not the current system that we have that, you know, allows  
11 folks that aren't fishermen to be left shares, that then lease  
12 them out to those that are actually -- Those folks that are, you  
13 know, going out day after day to actually catch the fish, and  
14 then what returns those folks have, and how that impacts their  
15 individual business, in order to make it more sustainable for  
16 themselves.

17  
18 I think those are some of the bigger-picture issues that I'm at  
19 least concerned about as we go forward and look at this program.  
20 I mean, certainly these other issues are, you know, not  
21 important in and of themselves, but as far as, you know, the  
22 program and the overarching goals of the program and what IFQ  
23 programs do generally to support sustainable fishing practices,  
24 I think the majority of that, as the system is currently set up,  
25 do those things, and I'm not interested in those things.

26  
27 I'm interested more in how we make sure that those folks that  
28 are out there who are currently engaged in fishing, and then  
29 those in the next generation, as they look at this, and look at  
30 the fishery and make those decisions as to whether or not they  
31 want to pursue that as a career, and, you know, they need to  
32 make their businesses profitable, and they need to be able to  
33 reap the rewards of the work that they're doing, and I just  
34 don't think that the current system, as it's set up, allows them  
35 the opportunity to go ahead and do that.

36  
37 So, you know, specifically, as far as the questions and some of  
38 the topics that, you know, I would be interested in carrying  
39 forward in the next discussion that we have, it relates, I  
40 think, mostly to Slide 18, where, again, it talks about the next  
41 generation of fishermen and how they enter the fishery, you  
42 know, identifying those individuals as they exist now, and then,  
43 you know, trying to figure out some ways that those folks can  
44 access the fishery in potentially a different way than they're  
45 currently able to now.

46  
47 As Andy mentioned before, we've already kind of brought up some  
48 amendments before, over the last several years, 36B and C, that

1 have some of those ideas in there, and so redistribution comes  
2 to mind as a potential avenue to go ahead and give the shares to  
3 those fishermen in a different way than they're currently  
4 receiving them, again to try to maximize the work and the  
5 efforts that they put in to help their business have a better  
6 bottom line.

7

8 **CHAIRMAN FRAZER:** Mr. Dyskow.

9

10 **MR. DYSKOW:** Thank you, Mr. Chair. Kevin articulated some good  
11 points. In multiple years on the council, all I've learned is  
12 what I don't know, and this is a complicated program, and, any  
13 time I open my mouth, there's unintended consequences, and so  
14 I'm trying to be careful, but the two things that really strike  
15 me as being a barrier to doing what you mentioned, getting the  
16 new generation in and all of this, is we, and I am going to use  
17 the term "give", these shares to individuals into perpetuity.  
18 In other words, it goes to their heirs, and it goes on and on  
19 forever.

20

21 Potentially, a thousand years from now, we might have the same  
22 shareholder entities, and so we don't allow anybody new in,  
23 because the people that have the large percentage of the shares  
24 aren't going anywhere, and, even if -- Well, eventually, we're  
25 all going to pass on, but they have a plan in place so that  
26 those shares will go to an heir, and they will continue and  
27 continue and continue, and so these young guys, that want to get  
28 in, don't have access, and so that's one issue, and the other is  
29 we allowed -- I can say this with confidence, because I wasn't  
30 on the council at the time, but the councils in the past allowed  
31 private ownership of shares to people that aren't fishermen,  
32 aren't permit holders, and are simply looking at this as a for-  
33 profit opportunity, and the profit they're looking for is such  
34 that the young entrant can't make any money, if he buys those  
35 shares, or leases those shares, and I'm not using the right  
36 terminology.

37

38 As long as we continue with a program that has no viable access  
39 for new entrants, we're not going to be able to address the  
40 needs of those people, and so, if that's one of the goals and  
41 objectives, we have some massive barriers in front of us.

42

43 **CHAIRMAN FRAZER:** Susan.

44

45 **MS. BOGGS:** I appreciate Mr. Dyskow's comments. I personally am  
46 trying to choose my words carefully, and I don't feel like the  
47 fishermen, the commercial fishermen, that were the founders of  
48 these IFQ programs, especially the red snapper IFQ program, feel

1 like that they were gifted these fish.

2  
3 These fishermen, at the onset, and I may not be stating it  
4 right, and so maybe Andy and Mara can help me, but I believe  
5 that the Magnuson Act states that you should have access to your  
6 historical catch, and so I would like to think that those  
7 fishermen earned those fish when they developed this program,  
8 and you are correct, and I believe I have stated it many times  
9 at this council table, and I too was not on the council at the  
10 time, when the council allowed for those that don't participate  
11 in the fishery to start buying shares, but those fishermen  
12 adapted, and they're still in the fishery, but to say that they  
13 were gifted those fish I think is a very erroneous statement.

14  
15 **CHAIRMAN FRAZER:** This is what I probably don't want to have  
16 happen, and not that the comments are wrong, right, but what I  
17 don't want to have happen, in the general discussion, because  
18 we're getting into the weeds a bit, right, and I want to be able  
19 to step back and say, all right, if the goal of the program is  
20 ultimately to provide maximum benefit to the nation, then we  
21 need to figure out how to do that, and, if part of that  
22 discussion revolves around who participates in the fishery, and  
23 there's an overcapitalization element, then maybe we need to  
24 have that discussion to start out with.

25  
26 There is plenty of things to talk about, Susan, and so I'm not,  
27 you know, getting upset about the dialogue here, but I just want  
28 to try to keep it somewhat focused on those bigger issues, and  
29 so what I saw, in Ava's presentation, was some extremes, for  
30 example, with regard to maximizing the benefit.

31  
32 You know, in one case, you could have, given that there are --  
33 This is specific to red snapper, but seven-and-a-half million  
34 pounds of fish, and, if you were to give, or allocate, that,  
35 such that you had 100,000 pounds, right, and, you know, there is  
36 seventy-one fishermen, or something, that might contribute to  
37 that, and that's one extreme, right, and there's a minimum  
38 number of participants and a maximum, given that equal  
39 distribution economic benefit, maybe more efficient to -- I  
40 don't know, and that requires an economic analysis, a  
41 socioeconomic analysis, that we would benefit from.

42  
43 That seems to be one extreme, as opposed to how do we provide  
44 access to as many participants in the fishery as we possibly  
45 can, and is that the best way to do it? Maybe it's not very  
46 efficient, and maybe it's not in the best interests of the  
47 nation, but we haven't done that yet, and so all I'm suggesting  
48 is that, if we call can agree that we want to maximize the

1 benefit of the program to the nation, right, and optimize the  
2 benefits to those that are participating in that, then we need  
3 to look at the information that would allow us to have an  
4 informed discussion, right, and I'm suggesting that might be a  
5 starting point, right, and that would keep us focused on an  
6 objective, right, an issue that we know needs to be addressed,  
7 right, and are we overcapitalized or not, you know, and what  
8 does an optimal capacity look like.

9  
10 Maybe we just say we cut it off there, and that's where the  
11 discussion is going to go, so we don't get into the 36A and B  
12 and C, where we've got a long laundry list of things, but, once  
13 we have that, then we can start paying a little more attention  
14 to the weeds, right, that is some of the conversation that I've  
15 heard now. Mr. Gill.

16  
17 **MR. GILL:** Thank you, Mr. Chairman, and I agree with you, and  
18 it's ironic that we're trying to, and have been trying to, deal  
19 with looking at a complex program, that has many different  
20 facets and many different views about those facets, and we're  
21 having trouble trying to figure out how to even get started,  
22 much less have those in-depth discussions, but, to your point,  
23 can we agree, collectively, to use that as the starting point,  
24 and so the first step will be to define goals and objectives,  
25 starting with overcapacity, and that starts the stage for  
26 further discussion on other goals and objectives that we may  
27 wish to include?

28  
29 **CHAIRMAN FRAZER:** I think that gives us a focused, you know,  
30 point of discussion. I am happy to do that, but I would like to  
31 hear from others around the table.

32  
33 **MR. GILL:** Do you want a motion, Mr. Chair.

34  
35 **CHAIRMAN FRAZER:** Let's hear if we get a few more words. Mr.  
36 Williamson.

37  
38 **MR. WILLIAMSON:** I listened to Mr. Anson and Phil, and I think  
39 they hit on a couple of good points, and one is redistribution  
40 and the problem that we have, and I've heard it from -- Every  
41 time we've had public comment, the in-perpetuity of shares, and  
42 I think overcapacity is the wrong way to go, and it reminds me  
43 of the blind guys trying to describe an elephant, and one of  
44 them has got the tail, and the other one has got the trunk, and,  
45 anyway, it's kind of a silly analogy, but I'm sitting here  
46 looking at a letter dated January of 2018.

47  
48 In this letter from Roy Crabtree to Leann, back then, it says

1 the council asked about whether a referendum was necessary to  
2 recover the shares, the quota, if you will, from the  
3 shareholders of red snapper, and there was like 4.65 million in  
4 quota above what they were originally granted, when they got  
5 their shares, and it goes on to say that a referendum is not  
6 required, and the letter goes on to say that the council has the  
7 authority to establish an auction system or other programs to  
8 collect royalties for the initial or any subsequent distribution  
9 of allocations.

10  
11 I come from a background where I dealt, and still do, in oil and  
12 gas quite a bit, and it's a natural resource, and it's leased,  
13 and it's not owned, and royalties are given to the people who  
14 own the property, and we've seen, recently, BOEM come in here  
15 and give us detailed presentations on their leasing, through  
16 auctions of tracts of land to put windmills on, or generating  
17 electricity, and my point is that, and I think I've said this  
18 before, is that, as long as the initial shareholders, and those  
19 that come after them, whether they're public participants or  
20 what, as long as they are holding the shares, we are not going  
21 to be able to develop an effective system.

22  
23 The council has to reclaim these shares, and we need to do an  
24 auction system. We need to have royalties collected, and this  
25 is what will benefit the nation. The people who purchase  
26 shares, through an auction system, will be the fishermen, and we  
27 can establish caps on how much they are allowed to purchase  
28 during the auction, and we can develop the means to address  
29 overcapacity, but, that way, you know, everybody who is a  
30 fisherman, and even public participants, have an opportunity to  
31 buy into this public resource, and, to me, that's where we  
32 forget this whole thing, is this is a public resource.

33  
34 It doesn't belong to the fishermen, and it doesn't belong to --  
35 Whether they be commercial or recreational, and so that's my  
36 viewpoint on it, and I think we can't start in the middle and  
37 work our way to both ends. This program is flawed, and I will  
38 quit there.

39  
40 **CHAIRMAN FRAZER:** Again, I have heard that perspective around  
41 the table before, but what I'm suggesting, in my previous  
42 comments, is we need to ask ourselves what's the goals and the  
43 objectives, right, and I'm not sure, Mr. Williamson, that you  
44 have identified, by that, articulating that perspective, how  
45 that bears on the goals and objectives. It's a philosophy that  
46 doesn't really address the question that we're after here, in my  
47 opinion. General Spraggins.

48



1 **GENERAL SPRAGGINS:** You know, I've sat here and listened to a  
2 lot of this, and, over the time, and I'll be honest with you,  
3 and I'm not about giving anything for free, but that's not what  
4 I am talking about. I think our goal now is to try to figure  
5 out how to go forward and not worry about what we've already  
6 done, but try to go forward and then set that goal, and then we  
7 can work on the next one after that, is what it seems that we  
8 might look at, and, when I say go forward, if we're going to  
9 give additional allocation, we need to look at what we're going  
10 to do.

11  
12 Are we going to be able to let new fishermen come into that  
13 allocation and do it, and I think that's the biggest important  
14 step, and that's one step forward, if we do that. That's one  
15 step forward from where we're at right now.

16  
17 I mean, I don't believe in giving trees away just because I cut  
18 one before, but that's all right, and that's not here or there,  
19 but the point is I think that we need to set a goal, and that's  
20 what we should do, is try to have some type of goal, between now  
21 and June, of how we're going to look at this, and I think that  
22 would be a way of doing that. What are we going to do with  
23 additional allocation, if we have it, before we worry about the  
24 other part, and that's just my thought.

25  
26 **CHAIRMAN FRAZER:** I think that's what I was suggesting, right,  
27 and so, in my view, right, and, again, we'll have more  
28 discussions on this, but, when I'm talking about overcapacity,  
29 I'm actually talking about what's the capacity for the  
30 participation, and how do you optimize that participation and  
31 economic benefits, or socioeconomic benefits, and so part of  
32 that equation then is how many people can play, right, and how  
33 do we continue to ensure that we've got some demographic balance  
34 in the fishery, so it can sustain itself over time, without  
35 unnecessarily disadvantaging people that would want to  
36 participate, or feel that they have a right to access, but the  
37 reality is that our fisheries are not growing in numbers, right,  
38 and there is not an unlimited resource.

39  
40 We have to ask ourselves how we are going to allocate that  
41 resource to a number of participants, right, so that we maximize  
42 that benefit, and that's the discussion at-hand, and I think, if  
43 we can start there, we will build on the program that we have.  
44 I don't think we want to essentially rip down a program, at this  
45 point that people have built their livelihoods around and  
46 adapted to, right, and can we help it run better? That would be  
47 a question. General Spraggins and then Mr. Diaz.

48

1 **GENERAL SPRAGGINS:** I agree, but I do agree with Mr. Williamson  
2 too thought, and we need to set some kind of rules, and I don't  
3 know of anything else, and maybe I'm crazy out here, but I don't  
4 know of anything else that the United States government gives  
5 away for free, unless you want to say air or something like  
6 that, you know, but, I mean, if you cut trees in the forest  
7 that's owned by the federal government, you have to pay a fee  
8 for that. If you do anything else with the federal government  
9 that you use their asset, and this is the United States  
10 government's asset that we're talking about, and a state asset,  
11 and, you know, I think we need to have some type of royalty fees  
12 that goes back to the federal government, or to the state, or to  
13 someone else, to be able to look at it, and trust me, and I hate  
14 to even talk about increases in anything, but I think fair is  
15 fair, and it needs to be that way.

16  
17 **CHAIRMAN FRAZER:** I am not disagreeing that we need to have a  
18 discussion about how additional shares, or new shares, might be  
19 reinserted into the industry, right, or billed out to the  
20 participant, and then by what process, but I just think that's a  
21 detail, at this point, right, and we need to deal with a higher-  
22 level question first. I think what you're saying is important,  
23 moving forward, but there are some fundamental things that we  
24 can address upfront. Mr. Diaz.

25  
26 **MR. DIAZ:** Thank you, Mr. Chair. Tom, I like where you're  
27 trying to take us, and I'm not sure that I'm going to help with  
28 that, but the word "overcapacity" keeps coming up, and I don't  
29 know if that means the same to all of us, and that's one of the  
30 problems with a lot of definitions.

31  
32 Like I see the number of boats that Ava says that's in the fleet  
33 right now, but there's a whole different world than there was  
34 when this thing was first conceived, and there are a lot of  
35 charter boats that are dual-permitted now, and their business  
36 strategy is to charter fish when they can, and, when charter  
37 fishing is slow, then they fish some of the shares that they buy  
38 or lease, and so, I mean, those are small-business guys, and  
39 they might not catch a lot of fish, and they might not really  
40 want to, but their business plan might be that's just to fill a  
41 void, to keep their crew working, or pay their boat notes, or,  
42 you know, I don't know what their thing is, but that's a valid  
43 thing, and, if we count them, because we've got more boats doing  
44 that now, as overcapacity, we've got to be real careful, because  
45 they're trying to diversify, and that's probably a good thing.

46  
47 I'm sure there's a lot more examples like that, and so I just  
48 wanted to bring that up. When people is thinking about

1 overcapacity, it's not a number of boats that is relative to  
2 overcapacity, and so I just wanted to bring that point up.  
3 Thank you.

4  
5 **CHAIRMAN FRAZER:** That's a good point, you know, and I agree  
6 with that, right, and the world has evolved since the IFQ  
7 programs were implemented, right, and it's a different place,  
8 and it will continue to evolve, and, you know, what is a  
9 successful business model for one individual may involve only a  
10 25 percent time of commercial fishing, and that's part of that  
11 individual's business plan, or business model, and we need to  
12 consider that, but that getting there needs a -- We need then to  
13 consider, again, what are the full range of possibilities, with  
14 regard to characterizing how you might capitalize a fishery, you  
15 know, and is it seventy-one entrants, you know, and that's the  
16 least number to maximize, you know, benefit, or is it a  
17 portfolio of these types of programs?

18  
19 We're not going to answer that question here today, but we can  
20 start to answer that question, right, if we focus on the  
21 objective that we want to maximize the benefits, right, to the  
22 nation, and, as part of that, we want to be able to optimize  
23 participation, right, and benefit, and so that's something that  
24 needs to be factored into that, and I think we can have that  
25 discussion, and that can be part of our initial discussion, in  
26 fact. Mr. Strelcheck.

27  
28 **MR. STRELCHECK:** I want to ask a question back to you and Greg,  
29 and so I am trying to figure out a path forward here, to get us  
30 to June or August, whenever we take this back up, but can you  
31 guys -- Do you have a vision for how we get there, or how -- You  
32 know, we're kind of stumbling around right now, trying to figure  
33 out that path, and so do you guys have any thoughts, in terms of  
34 how we can maybe get there, and then I can offer my idea.

35  
36 **DR. STUNZ:** Well, Andy, one thought I have, and, you know, this  
37 came out at the last meeting, and, of course, as the chair, I'm  
38 trying to guide this, and I'm not jumping in so much on the  
39 discussion here, but it was that the amount of time that we have  
40 dedicated here, around this table, and all the other things  
41 going on, and we never have time to really delve into it, and we  
42 had talked about having, you know, some special meetings, to  
43 specifically deal with this issue, and I don't know, and that  
44 was before I was chair, I think, and we didn't get into that.  
45 You know, that's one option, where we really have some focused  
46 time to do that, and everyone is coming prepared with ideas and  
47 that sort of thing.

48

1 Now, I've thought about that. By the time we could probably get  
2 that together, I will certainly be gone from here, but that's a  
3 suggestion that I had, if we wanted to really look at it in a  
4 real in-depth, focused kind of way.

5  
6 **CHAIRMAN FRAZER:** Go ahead, Andy.

7  
8 **MR. STRELCHECK:** I think part of the struggle we often have is  
9 we, I think, do better at reacting to something that's provided  
10 to us than trying to kind of brainstorm and provide input on the  
11 fly during the meeting, or we have a good discussion in  
12 committee, but then kind of have the substantive outcome and  
13 input in Full Council.

14  
15 One of my suggestions would be to have SERO staff working with  
16 council staff to actually lay out some objectives, based on what  
17 we're talking about during this conversation, right, and I've  
18 been just writing down words like access, equity, efficient  
19 utilization, entry replacement fishermen, eligibility, better  
20 defining overcapacity, giving us something then to react to, and  
21 we massage and wordsmith, and we strike or add, based on kind of  
22 an initial starting point for us to have a discussion, and so I  
23 just wanted to throw that out as an idea, and certainly, if we  
24 could build that list of what we would want brought back to us,  
25 if people are in agreement with that, then that might be a  
26 better use of our time, going into June or August.

27  
28 **CHAIRMAN FRAZER:** Dr. Stunz.

29  
30 **DR. STUNZ:** Andy, I think that's a good starting point, and we  
31 have a little bit of time, between now and Full Council, to  
32 discuss kind of maybe what that would look like. Related to  
33 that -- Well, I will comment, and I want to say something about  
34 overcapacity, but I don't want to take all the time here, Tom,  
35 but, Andy, I think that's a good way to move forward, and then  
36 we can just define if that would happen at the June or August  
37 meeting.

38  
39 **CHAIRMAN FRAZER:** Okay, and so I also was going to say something  
40 about overcapacity. We know that we need to address the goals  
41 and objectives of the program, right, and the purpose, or goal,  
42 or objective, of both of the IFQ programs that we have in place  
43 is to reduce overcapacity, and we struggle with that, because  
44 that means a lot of different things, as we've heard, to a lot  
45 of different people, but maybe the approach is to say the goal  
46 is to optimize, you know -- Again, already the goal is to  
47 optimize the benefits to the nation, but we have to characterize  
48 what does that mean, right, and so, if our sole objective,

1 right, of the council in June, is to start to ground ourselves  
2 and address this common purpose in these IFQ programs, maybe we  
3 can focus the discussion in June and/or August, right, on that  
4 issue, very specifically.

5  
6 I think we would be much better off than getting into all the  
7 details kind of how you achieve that, and we at least need to  
8 understand what it looks like and what we want it to be, and I  
9 think that was the point of Ava's questions at the end. Go  
10 ahead, Dr. Stunz.

11  
12 **DR. STUNZ:** Then, Tom, maybe, with that, if you want to jump  
13 into overcapacity here, Andy, because that could be a topic, as  
14 this thing takes form, and just define that right out of the  
15 gate, for what it means to this group.

16  
17 Certainly what it means to me, at least in my traditional  
18 fishery training, is there's more, you know, capacity in the  
19 fishery than the fishery can support, is its basic definition,  
20 whether that's financial, boats, people, whatever.

21  
22 In this situation, overcapacity, of course, is a big deal when  
23 you have an open fishery, because, you know, you just keep  
24 getting more and more, and you're compelled to overfish. In  
25 this case, that's now -- We cap that at whatever the quota  
26 happens to be that particular year, and so, no matter what the  
27 capacity has, technically, you're not going to exceed that  
28 quota, assuming everything is enforced and all that kind of  
29 thing, and so it's a little bit of a hybrid definition of  
30 "overcapacity", and so, in my mind, if we do our job here on  
31 sort of the allocation and distribution side, and leasing, you  
32 know, how all those things would work out, the overcapacity  
33 takes care of itself on the market side of the equation that we  
34 don't control.

35  
36 Overcapacity, in my mind, is a big issue when you don't -- You  
37 know, you have an unregulated fishery, in terms of how many  
38 people can enter, and, here, we fix that, and that's capped, and  
39 we know that, and then -- So, you know, it's sort of this hybrid  
40 definition of that that we need to address, and so starting with  
41 that I think would be kind of the first component of that, and  
42 then build in all these other things that would fall under that,  
43 right, like leasing and all these other issues that we are  
44 concerned about.

45  
46 **CHAIRMAN FRAZER:** Okay, and so I am going to make a suggestion,  
47 and we can have a motion if you want, Bob, and I think you were  
48 prepared to make one, but as long as it's along the lines of

1 focusing our discussion, then I'm happy, and why don't you go  
2 ahead and offer up a motion?

3

4 **MR. GILL:** My ad hoc motion?

5

6 **CHAIRMAN FRAZER:** That's fine, and we'll see where it goes, but  
7 I want to limit the discussion today, because clearly, we could  
8 talk about this until five o'clock, and we've got some other  
9 things to do.

10

11 **MR. GILL:** The motion is to initiate the current discussion on  
12 revising the IFQ program by focusing on the goals and objectives  
13 of the program for the future. The first step would be to  
14 address the current goal of overcapacity.

15

16 **CHAIRMAN FRAZER:** So, essentially, you want to advance this  
17 discussion, right, the discussion we've started here, and to  
18 deal specifically with the goals and objectives of the IFQ  
19 program, but a first step, right, is to address specifically the  
20 current goal of reducing overcapacity, right, and that's the  
21 current goal stated, reducing overcapacity. Okay.

22

23 **MR. GILL:** I will take that as a friendly.

24

25 **CHAIRMAN FRAZER:** Okay. A friendly amendment. Is there a  
26 second to that motion? So, it essentially means that we're  
27 going to have a focused discussion on this topic before we go  
28 anywhere. It's seconded by C.J. Mr. Anson.

29

30 **MR. ANSON:** So, we've had a couple of folks that commented,  
31 prior to the motion, regarding, you know, making sure that  
32 "overcapacity" is defined appropriately, after this next round,  
33 and so I'm just wondering -- We have a current goal of reducing  
34 overcapacity, and so, relative to that discussion that we had  
35 just now, and how it's defined in the current -- As a current  
36 objective, do those align? Are we still going down the same  
37 path?

38

39 That's my concern, relative to this motion, is that we're going  
40 to be encompassing some of the things that you brought up, Tom,  
41 specific to what would be of interest regarding overcapacity,  
42 but not overcapacity simply in the amount of effort, or amount  
43 of vessels, that are available to go prosecute the resource, but  
44 in the context of making sure that it does ultimately provide  
45 maximum benefit to the nation, and that's what I would want to  
46 make sure that this motion would address.

47

48 **CHAIRMAN FRAZER:** Yes, and I think in this effort is that we

1 would -- Part of that discussion would be to converge upon a  
2 definition, an agreeable definition, of what overcapacity is,  
3 and I think that intent will be reflected in the record. Mr.  
4 Strelcheck.

5  
6 **MR. STRELCHECK:** I appreciate the clarification that you just  
7 made, but, once again, I go back to we have published studies,  
8 and we have definitions of how "overcapacity" and "capacity" are  
9 defined for fisheries, and we've done program reviews to  
10 determine what capacity is available in this fishery, and so I  
11 don't think it's defining what "overcapacity" means, and it is  
12 defining what our goals and objectives for the program are, in  
13 light of this issue of overcapacity, right?

14  
15 **CHAIRMAN FRAZER:** I would agree with that, but, I mean, that's  
16 part of the discussion, right, and so we've got traditional  
17 definitions of "overcapacity", you know, and we have to think  
18 about how those definitions align, again, with some of these  
19 other goals, to broaden that out a bit, and so I can see, even  
20 though we intend to focus this discussion, in June and/or  
21 August, to be decided, I guess, it may take a couple of meetings  
22 just to get through this, right, because it's the foundation,  
23 but I think it's a worthwhile endeavor, because we'll keep some  
24 guardrails on.

25  
26 **CHAIRMAN FRAZER:** Go ahead, Greg.

27  
28 **DR. STUNZ:** Bob, I don't not support your motion, and I complete  
29 agree, but, you know, I'm looking at the motion that we made,  
30 and Ava led this in with her presentation today, and I just had  
31 to reread it, as all this is coming to light, and we essentially  
32 made this motion in January, what you've got up here, and maybe  
33 without the word "overcapacity", but I think that you could  
34 argue that it would be implied, and so I don't know.

35  
36 You know, it's sort of what Andy was saying about, you know,  
37 we're kind of spinning our wheels, and I think we've already got  
38 this on the books, and maybe that was the motion that you were  
39 going to make earlier, to just change that date from June to  
40 August, and you would have got this motion with the date change,  
41 and maybe -- Just let me tell everyone, and, Bernie, on Ava's  
42 presentation, and do you still have that up, or available  
43 quickly? It's Slide 2.

44  
45 Bob, I'm just looking for a solution here, and so this was what  
46 we were talking about when we were talking about, you know, you  
47 wouldn't be at this June meeting, and the motion that I thought  
48 you were going to come in and -- We were just going to talk

1 about changing the date here to August, or whenever our next  
2 meeting is, but, to me, this does the exact same thing that we  
3 already have on the books, and, in fact, we had a presentation,  
4 I think in January, that had a lot of this -- In other words,  
5 we've already done this, to a large extent. Now, do we need to  
6 discuss it more? Absolutely, and have that focused time to  
7 discuss it, but I think we're already there, and so that's my  
8 point.

9

10 **CHAIRMAN FRAZER:** Bob.

11

12 **MR. GILL:** Thank you, Mr. Chairman, and so, in response to that,  
13 Greg, we just went through an hour, almost, and we didn't get  
14 much of anywhere, and we had a lot of individual suggestions on  
15 specific items within, and so the umbrella is still not well  
16 defined, but we had all this conversation on things to come,  
17 right, and so the intent of this motion, in my mind, in  
18 comparison to the other, is we're starting on overcapacity,  
19 recognizing that's the existing goal, and we're defining how we  
20 want to utilize that in the future, helping define the fishery  
21 that we're talking about, if we can get there.

22

23 I think that's going to be a tough discussion, but I don't see  
24 it the same as the other one at all. We're having trouble  
25 finding focus, just getting to a starting point to have that  
26 discussion, and my intent, with that motion, is, hey, let's pick  
27 something and go with it, to get that focus.

28

29 **DR. STUNZ:** Well, that's fine then, Bob, with that, and that  
30 other one, you know, was much broader. If you want to focus on  
31 overcapacity, because of all of these things that we've been  
32 discussing, and I think just what will help is what Andy was  
33 talking about earlier, is, ahead of this discussion that we're  
34 talking about here, have this group meet, where we can begin to  
35 refine this a little bit more, so that we can have some  
36 substance of really what to talk about.

37

38 **CHAIRMAN FRAZER:** Mr. Anson.

39

40 **MR. ANSON:** I don't know if I am necessarily going to support  
41 your motion, Bob, and I think what Andy said earlier, about  
42 maybe getting staff together to go ahead and kind of draft up,  
43 or craft, maybe, some ideas that could come to a semblance of  
44 some sort of goal, or new objectives, for the program might be -  
45 - Maybe I misinterpreted that, Andy, but I think that might be a  
46 better path forward, to help us.

47

48 Then I think, you know, looking at the information that's



1 available, relative to overcapacity, among other things, as we  
2 go forward with identifying goals and objectives, or new goals  
3 and objectives, and I think that will all come to be, and, I  
4 mean, we'll be looking at that information, and so I don't  
5 necessarily think that this would be maybe the most efficient --  
6 I think we'll still be kind of spinning our wheels, even after  
7 we talk about overcapacity.

8

9 **CHAIRMAN FRAZER:** J.D. and then Ms. Boggs.

10

11 **MR. DUGAS:** Thank you, Mr. Chair. On Slide 2 that Bernie just  
12 had up, the way I read it is exactly what Andy mentioned, and he  
13 mentioned a couple of phrases, and jotted down some notes, and  
14 Troy had some strong points that he made, and I had a point, and  
15 I made a question of how do we get the fish back in the  
16 fishermen's hands, and all those things that are mentioned I  
17 think is what Ava is looking for, not specifically just  
18 overcapacity.

19

20 I think we're dialed-in on this motion, but we're all mentioning  
21 different things that I think Ava is looking for, and now I'm  
22 asking Ava, and is that where you want to go? Do you want our  
23 opinion on each little piece to bring back in June or August?

24

25 **CHAIRMAN FRAZER:** I don't think it's -- Again, I'm just going to  
26 speak on Ava's behalf, right, and I think -- Ava is not driving  
27 the bus, right, and we're driving the bus, and so we have,  
28 through Amendments 36A, B, and C, all these component parts,  
29 right, and we've not been able to do anything with them, right,  
30 because we bundle them in different ways, and we break them  
31 apart, you know, et cetera, et cetera.

32

33 At some point, we have to have a basic discussion about the  
34 purpose, right, and how to optimize the capacity, right, and, in  
35 so doing, that involves things like how do we maximize economic  
36 benefit from participants, how do we find a way to increase  
37 access to new entrants, right, and all of those things are in  
38 there, but, unless we can kind of agree on what an optimal kind  
39 of participation, or capitalization, of the industry looks like,  
40 we have to -- That has to be the foundation, and I think that's  
41 what Bob is getting at, right, and I just want to have a very  
42 focused discussion the next time.

43

44 In the background, I suspect that -- I mean, we can have the  
45 IPT, or council staff, and others, you know, maybe give us a  
46 little bit of a framework, right, to help with that discussion,  
47 but I don't think that's going to change the motion, and that  
48 should be the topic of the discussion. All right? That's my

1 suggestion, and so -- All right. We've allocated probably  
2 enough time on this for today, and so we're going to take a vote  
3 on this motion, and I suspect that we're going to have to have a  
4 show of hands. **All those in favor of the motion, raise your**  
5 **hands; all those opposed. The motion fails.**  
6

7 The second course of action is to delegate, in my mind, to the  
8 SERO staff and council staff the task of essentially outlining a  
9 discussion for our next meeting. Andy, is that what you have in  
10 mind?  
11

12 **MR. STRELCHECK:** Yes, and I guess two thoughts. One, I think it  
13 would be beneficial for the council to think about, between now  
14 and Full Council, any specific topics that you would want to ask  
15 staff to kind of address, in terms of drafting goals and  
16 objectives, but my thought was that we would get kind of draft  
17 goals and objectives provided for reaction and input, and we  
18 could then modify, edit, eliminate, add to those goals and  
19 objectives for the program, and then, given the conversation  
20 about overcapacity, I feel like we need to add on to that a  
21 discussion of overcapacity and how it's been kind of determined  
22 and some of the participation information that we have available  
23 in the program, just to get the council centered around kind of  
24 what's available already and know, to help guide that discussion  
25 further. Thoughts?  
26

27 **CHAIRMAN FRAZER:** Dr. Stunz.  
28

29 **DR. STUNZ:** Thanks for doing that, Andy, and, just to be clear,  
30 for the record, you know, you're getting this as the starting  
31 point that's going to open up the discussion and that kind of  
32 thing, and so it's a council-driven deal as well, but I just  
33 wanted to direct you, and your staff, or your IPT team or  
34 whoever ends up doing this, and so, in January, we had a meeting  
35 that was basically something to the effect of the IFQ program  
36 and potential changes, or sorry, Carrie, and you've got the --  
37 Discussions of potential IFQ changes, and I will get you the tab  
38 number and all that in a minute.  
39

40 Anyway, and so it pretty much gives a very good start of where  
41 we were, and I think we were all pretty much in agreement around  
42 that presentation, and so that will at least be a good start for  
43 what you're trying to do.  
44

45 **CHAIRMAN FRAZER:** All right. We will have some discussions,  
46 prior to Full Council, and we'll come back and formalize what  
47 this path is going to look like at that time. We're going to  
48 move on.

1  
2 All right, and so we've got a couple of other agenda items, and  
3 I think I'm going to make sure that we work on the actionable  
4 ones first, and so we originally had the SSC summary  
5 presentation next, but I think what we will do, is everybody is  
6 amenable to this, is to go to the draft options paper with  
7 regard to recalibration of red snapper recreational limits and  
8 modification of gray snapper catch limits, and Dr. Hollensead  
9 will lead that discussion.

10  
11 As we opened up the meeting, Andy, you indicated that you wanted  
12 to provide some additional information on this topic, and do you  
13 want to do it before or after Dr. Hollensead leads us through  
14 the document?

15  
16 **MR. STRELCHECK:** I think after will be fine.

17  
18 **CHAIRMAN FRAZER:** Okay. Dr. Hollensead, it's all yours.

19  
20 **DRAFT OPTIONS: MODIFICATION OF RED SNAPPER RECREATIONAL CATCH**  
21 **LIMITS AND MODIFICATION OF GRAY SNAPPER CATCH LIMITS**

22  
23 **DR. LISA HOLLENSEAD:** Thank you, Mr. Chair. If you will recall,  
24 at the last meeting, there was a motion made to take up a couple  
25 of actions involving red snapper, as well as gray snapper, the  
26 thought process being that it would be advantageous to go ahead  
27 and combine them into one document, and so that's what's been  
28 done here.

29  
30 The decision points are fairly straightforward, but some of the  
31 documentation and things to lead up to this, and then the fact  
32 that it's two separate species, makes it a little nuanced, and  
33 so I don't have a formalized presentation, and, like I said, the  
34 decision points are fairly straightforward, but we can sort of  
35 go through the document and see how it's structured, get the  
36 committee oriented as to how the alternatives are laid out, and  
37 then it would allow for any discussion thereafter. Bernie, if  
38 you wouldn't mind pulling up the document, and it's going to be  
39 Tab B, Number 9.

40  
41 If you wouldn't mind scrolling to the intro, and so this is  
42 going to be a draft options of Chapters 1 and 2 so far, and,  
43 going into the introduction, there's some language there that,  
44 you know, indicates to the reader that this document is going to  
45 look at two different species, and so it just makes that  
46 introduction, and then it tries to break up the background and  
47 the history of management by those two species, to try to make  
48 it a little bit more readable, but I'm going to start first with

1 red snapper.

2  
3 As you all know, we've got, you know, for the private  
4 recreational, state management for red snapper, and this  
5 requires a calibration ratio between those states to the federal  
6 management, or, excuse me, the federal FES system, or, in this  
7 case, CHTS, the federal system, to be able to directly compare  
8 those, and so we have that for Florida, Alabama, Mississippi,  
9 and Louisiana.

10  
11 There was a desire to update the private recreational  
12 calibration ratios for the States of Mississippi, Florida, and  
13 Alabama, and the catch limits and state calibrations for private  
14 recreational, if you recall, had been implemented in January of  
15 this year, and so that updated those catch limits as well as the  
16 state calibration. However, this document is just going to deal  
17 with the calibrations for those three states of Mississippi,  
18 Alabama, and Florida.

19  
20 This introduction language is largely borrowed from that  
21 document, that earlier document, and so, if it looks a little  
22 familiar, it's because it is. However, in this background, we  
23 also gave some information on the SSC review that those states  
24 had provided for updating their calibrations with more  
25 contemporary datasets, and so that's also captured in here and  
26 documented in the introduction.

27  
28 One other thing to note, as we go through this, is you will also  
29 recall that, in October of 2022, the council had voted to modify  
30 the red snapper catch limits, and those are anticipated to be  
31 implemented in June of 2023, and you can't really talk about  
32 calibrations without talking about catch limits, and vice versa,  
33 and they're sort of inherently linked, and so I'm prepping you  
34 with all of this so that, when we get down to the action, and  
35 you see those tables in there, that's the rationale for  
36 presenting the alternative that way and so it's outlined in the  
37 introduction, sort of to give a documentation of why it's moving  
38 forward that way. Basically, we have a set of catch limits that  
39 are on the books and then one that's in the hopper, and so  
40 that's why it looks that way.

41  
42 Continuing down to the introduction, if we scroll to the part  
43 about gray snapper, and so the gray snapper action in this  
44 document is going to look, you know, quite similar to other  
45 documents that the council sees regarding modifying and updating  
46 catch limits, and so a recent stock assessment has resulted in,  
47 you know, modified catch advice, as well as accounting for MRIP-  
48 FES, and so that stock assessment incorporated MRIP-FES into

1 that assessment, and so the stock is determined to be in good  
2 status, and not overfished or undergoing overfishing, as of  
3 2020, and so all of that information is in there, and the SSC  
4 review is in there as well, and then the management history is  
5 in there, and so that's just a broad rundown of the introduction  
6 and what's in that initial Chapter 1. If there's no major  
7 questions about that, Mr. Chair, I would move on to the purpose  
8 and need.

9  
10 **CHAIRMAN FRAZER:** Okay. Are there any questions on the  
11 introduction part of the document? Okay. Go ahead, Lisa, and  
12 we'll just keep moving through it.

13  
14 **DR. HOLLENSHAD:** Okay. Again, like I said, the decision points  
15 are fairly straightforward, and the committee is sort of  
16 familiar in dealing with some of these terms right now, but,  
17 again, it's two species, and so just keep in mind that, on the  
18 purpose and need, we've got it posted up there, and I don't want  
19 to have to try to read through it, but certainly, if anybody had  
20 any initial comments, or suggestions of language, I would be  
21 happy to take that now, but certainly the purpose is to update  
22 the specific private angling component calibration ratios and  
23 ACLs, to provide more accurate estimates of state landings for  
24 red snapper management, and so that takes care of the red  
25 snapper component, and then the second would be to update gray  
26 snapper catch limits, including the OFL, ABC, ACL, and ACT,  
27 based on SEDAR 75 and approved as best scientific information  
28 available by the SSC, along with that need statement, and so, if  
29 anybody had -- If you reviewed that and had any comments, or  
30 suggestions, I would be happy to take that now, or had any  
31 questions, certainly, about the purpose and need.

32  
33 **CHAIRMAN FRAZER:** I think we're good, and we'll just keep  
34 working.

35  
36 **DR. HOLLENSHAD:** Okay. Yes, sir. Bernie, if you wouldn't mind  
37 going down into the actions, please, starting with Action 1. As  
38 I had mentioned previously, and I'll start with the first  
39 alternative. If you will recall, I had mentioned that the  
40 current catch limits -- The first alternative for red snapper  
41 would retain the current state private recreational data  
42 calibration ratios for Mississippi, Alabama, and Florida, and so  
43 that's the only states we're discussing in this document.

44  
45 Then, in Alternative 1, you will see that table there, and this  
46 table has got -- The first column is the states that are under  
47 consideration. "Regulation" means, like we said, just what is  
48 currently on the books and then what is proposed, and so those

1 catch limits that are currently in the hopper, that are expected  
2 to be effective by June 1, 2023.

3  
4 We've also got the ACL in those MRIP-CHTS units for this stock,  
5 and, again, the corresponding colors of those rows, and then  
6 that fourth column is the ratios that are currently on the books  
7 for those three states, along with those associated ACLs, and  
8 remember I mentioned that those calibrations and catch levels  
9 are inherently linked, and so, as nice as it would have been to  
10 put it in, you know, the alternatives, as here's the ratio  
11 numbers for these three, and do you want to do this one, or do  
12 you want to do that one, in order to codify everything in the --  
13 To keep this codified, you have to have those ACL units in  
14 there, and so that's why they're presented as well, and so  
15 that's the orientation of the table.

16  
17 If we scroll down to Alternative 2, this alternative would  
18 update those ratios, and so those last two columns are what is  
19 changing here, and so those ratios that you see for Alabama,  
20 Florida, and Mississippi would be those updated ratios, based on  
21 what the states had presented to the SSC, and they have reviewed  
22 and recommended as an alternative, and so that's how to read  
23 those tables and compare and contrast.

24  
25 Again, this gives you the opportunity to see how these changes  
26 would affect what's on the books now, and it tried to be a  
27 little proactive in saying here's what was proposed in the  
28 hopper, and so this is what those numbers would look like, to  
29 provide context for the decision, for the alternative. If  
30 there's any questions about how that's organized or laid out, or  
31 any questions about the alternatives, I would be happy to take  
32 that now.

33  
34 **CHAIRMAN FRAZER:** Are there any questions for Dr. Hollensead? I  
35 am not seeing any. Go ahead.

36  
37 **DR. HOLLENSEAD:** Okay. Then we can move on to the next action,  
38 which is the gray snapper action, and so, again, this action  
39 sort of follows, you know, what you've seen before, in terms of  
40 modifying catch limits after a stock assessment, and so the  
41 first alternative is that no action, and so it would retain the  
42 catch limits that are currently on the books for gray snapper.  
43 Keep in mind these use that older system, and they're in the  
44 Coastal Household Telephone Survey units for the private  
45 recreational data, and, also, you know, these are older catch  
46 estimates, and we have a new stock assessment in place, and so  
47 this alternative really isn't particularly viable.

1 Alternative 2 is using those catch limits that resulted from  
2 SEDAR 75 and those projections and were recommended by the SSC,  
3 and the recreational catch data will be modified to the MRIP-FES  
4 units. The OFL is going to be set at a yield of fishing at --  
5 Yield at F 26 percent SPR, and the ABC is going to be set to 75  
6 percent of that, for a period of from 2024 to 2028, and then the  
7 ACL, which was set using the ACL/ACT Control Rule, which will  
8 put a buffer of 8 percent between the ABC and the ACL.

9  
10 This is a declining yield stream, and this is what came exactly  
11 out of the stock assessment, and those are the values that you  
12 would see there for those years that the alternative is  
13 considering.

14  
15 The SSC also decided to recommend a constant catch stream, which  
16 is an average, and so those numbers that you see there in that  
17 singular row are an average of those previous years from that  
18 previous table, and so that's going to be your average OFL, for  
19 those numbers that are added up in Alternative 2, and the same  
20 with the ABC and the ACL.

21  
22 The buffer of 8 percent between the ABC and the ACL would also  
23 remain for that alternative, and so both of these alternatives  
24 are scientifically defensible. You know, they would achieve the  
25 management goals and, like I said, incorporate the new results  
26 from the stock assessment.

27  
28 The SSC recommended both of these. You know, from a management  
29 standpoint, the decision point is, you know, would you like to  
30 take something that's directly out of the stock assessment, and,  
31 you know, these projections would be represented by Alternative  
32 2, and, from a management standpoint, it might be desirable to  
33 have a constant catch, and that's a little bit easier for people  
34 on the water, and law enforcement, to be able to remember, and  
35 so there's a constant catch throughout that time period. As I  
36 said, both of these though are scientifically defensible, in  
37 that they would achieve the same goals, and so that's just  
38 something to keep in mind.

39  
40 **CHAIRMAN FRAZER:** Okay. Ms. Boggs.

41  
42 **MS. BOGGS:** Here we go again with CHTS and FES, and you have a  
43 300 percent increase in fish, and I know we talked about this,  
44 and I do appreciate the SSC giving us a constant catch, because  
45 it just makes me so nervous to make these great increases, and I  
46 understand there's a buffer there, but your SPR is set at 26  
47 percent, and that's always been bothersome to me, and you look  
48 at your gray snapper stock landings, and it's currently in CHTS,

1 and I'm aware of that, and we're not even getting close to that,  
2 and so, in theory, you would think these fish are protected,  
3 they're in good shape, we have no risk of overfishing, but my  
4 concern is, and we did this with vermilion snapper, is we set it  
5 at 75 percent of what I believe was the ABC recommended by the  
6 SSC, to kind of give us that buffer, so that, if we see that  
7 we're starting to get close, we've got room to grow, instead of  
8 taking a knee-jerk reaction, when, all of a sudden, gray snapper  
9 maybe takes off, and the landings start growing, and they're  
10 we're like, oh, crud, we've got to stop, and back up, and, no,  
11 we don't want to do that, and so we're kind of building in our  
12 own buffer.

13  
14 I don't know if that's a viable option here to look at, but, any  
15 time we convert from CHTS to FES, it makes me nervous, because  
16 these numbers grow so greatly, and so I don't know if I need to  
17 make a motion to that effect or -- I mean, we can talk about it,  
18 and maybe it's not even a viable option to do something like  
19 that.

20  
21 **CHAIRMAN FRAZER:** Okay. I'm going to take a peek over at Dr.  
22 Simmons, and so, in the action schedule that's in the document,  
23 it's final in June, right, and so we've got -- It's pretty  
24 limited, right, and we've got issues related to red snapper  
25 calibration and one related to gray snapper, and there are only  
26 two alternatives, right, in each one of them.

27  
28 It would be helpful to pick some preferreds now, but I  
29 understand, right, but the reason we put these two items in the  
30 same document was to facilitate things, to try to -- Because we  
31 didn't think they were going to be that complicated, but I am  
32 happy to, again, entertain an alternative suggestion, but I'm  
33 just not sure what that would be, and maybe, before we get there  
34 -- Because your question is specific to gray snapper, right, or  
35 concern, and let's come back to this document in a minute. I  
36 would like to hear what Andy has to say on this topic, as it may  
37 influence our discussion, and I don't know that yet. Andy, is  
38 now a good time to talk about -- Or do you think we should wrap  
39 this up first? Okay. Dr. Simmons.

40  
41 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair, and so I know  
42 you don't have Chapters 3 and 4, but we are trying to expedite  
43 this document, and I do think so we can develop a video and put  
44 that out for public comment, with the intention of coming back,  
45 if the council is comfortable, with taking final action in June,  
46 and that would be ideal. If you want to wait until Full  
47 Council, I understand. To Ms. Boggs, I think, if you want to  
48 look at a bigger buffer between the ABC and the ACL, we may be



1 able to handle that for June, but I do think a motion would be  
2 good.

3

4 **MS. BOGGS:** I am calculating.

5

6 **CHAIRMAN FRAZER:** Okay, and you don't have to do it necessarily  
7 now, right, I mean, but, if that's the intent, people know it  
8 might be coming at Full Council, and that's fine as well. C.J.  
9 and then Mr. Gill.

10

11 **DR. SWEETMAN:** I will try and move this forward here, and so I  
12 will make a motion in Action 1, to select Alternative 2 as the  
13 preferred.

14

15 **CHAIRMAN FRAZER:** Okay, and so we'll put that on the board.  
16 This is related to updating the red snapper calibrations for  
17 Mississippi, Alabama, and Florida, and the motion is, in Action  
18 1, to make Alternative 2 the preferred. Is there a second for  
19 that motion? It's seconded by Mr. Gill. Is there any further  
20 discussion on that motion? Go ahead, C.J.

21

22 **DR. SWEETMAN:** I will just give some rationale, for the record  
23 here, and so, obviously, at this meeting with the SSC, each of  
24 the states presented updated information based on an updated  
25 timeframe, what the data was showing, and so it's the most up-  
26 to-date information, and I think that's more than enough  
27 justification to move forward with this.

28

29 **CHAIRMAN FRAZER:** Thank you, C.J. All right. Any further  
30 discussion? All right. I am not seeing any. **Is there any**  
31 **opposition to the motion? No opposition, and the motion**  
32 **carries.**

33

34 Unless there's a motion on gray snapper, we may have to revisit  
35 that in Full Council. That will give you some time to think  
36 about that, Ms. Boggs. Okay? All right, and so we will revisit  
37 the second action item at Full Council. Andy, now I'll give you  
38 the opportunity to say what's on your mind.

39

40 **MR. STRELCHECK:** Well, if that's the case -- So, related to  
41 this, and I'm not recommending, obviously, inclusion in this  
42 framework, but we have an allocation review policy, and that  
43 allocation review asks that we begin working on the for-hire and  
44 private allocation now, and I think it was April of this year,  
45 but then, a year from now, we're scheduled to begin work on the  
46 state-by-state allocation review.

47

48 In light of the calibrations, that we're likely not going to be

1 changing them any time in the near future, in light of the fact  
2 that we have a stock assessment that now is probably still  
3 several years out from informing management, I just wanted to  
4 bring up the idea, discussion, of should we be looking at the  
5 state-by-state calibrations, or, excuse me, allocations, in  
6 light of the new calibrations, sooner rather than later, and, if  
7 there is an interest in doing that, obviously, moving forward a  
8 new action to go about that review earlier than expected.

9  
10 The reason I bring this up is, obviously, kind of hindsight is  
11 20/20, and we didn't, obviously, know what the calibrations  
12 would tell us until, you know, we took action a couple of years  
13 ago, and we now have some new information, but we have states,  
14 like Louisiana and Florida, that are actually getting more than  
15 what MRIP estimated, and we have, you know, Alabama and  
16 Mississippi getting considerably less, and so, to me, there's at  
17 least an opportunity there to take a look at that.

18  
19 It's not, obviously, an easy discussion, but I wanted to get a  
20 sense, from the council, if there was a willingness, and  
21 interest, in doing that, versus waiting until after the next  
22 stock assessment.

23  
24 **CHAIRMAN FRAZER:** All right, and so feel free to weigh-in. Mr.  
25 Anson and then Mr. Gill.

26  
27 **MR. ANSON:** Yes.

28  
29 **CHAIRMAN FRAZER:** Thank you. Mr. Gill.

30  
31 **MR. GILL:** I can't beat that for brevity, and so the question,  
32 in my mind, is how significant the difference is, and is it  
33 worth going through that effort for, relatively speaking, a  
34 small -- Now, I understand, from the Alabama and Mississippi  
35 position, sure, and anything they can get counts, but, on the  
36 other hand, if we're really not talking a significant amount of  
37 product here, then it's kind of academic, and so I would vote  
38 no, and I recognize that Mississippi is going the other way, and  
39 I guess I'm in the no camp.

40  
41 **CHAIRMAN FRAZER:** We have a yes and a no. Mr. Diaz.

42  
43 **MR. DIAZ:** I would ask Mr. Gill to keep his mind open. I would  
44 be in favor of revisiting them, for several reasons. I am going  
45 to try not to rehash stuff I've said in the past, and you all  
46 know some of the injustices that I view that MRIP has inflicted  
47 on Mississippi, and maybe I shouldn't say that, and I don't  
48 dislike MRIP. I don't, but MRIP has not been -- In a small

1 state, sometimes just a couple of intercepts can extrapolate  
2 some really big numbers, and those big numbers we've had to eat,  
3 and I think, around this table, we've demonstrated that a lot of  
4 things have been put out there that are not possible, and not  
5 plausible, but those all went into our calibration factors.

6  
7 When I originally voted on these calibrations, I thought a pound  
8 was a pound, and so I didn't know a pound was 0.38 of a pound,  
9 and I don't think anybody at the table thought a pound was 0.38  
10 for Mississippi, and I don't think they thought it was a half-  
11 pound for Alabama, and so I do think, when we originally did  
12 this, everybody thought a pound was a pound, and that's why I  
13 would be in favor of redoing them and looking at it again, and I  
14 would just ask folks to keep that in mind, whenever they vote,  
15 or whenever they -- I am not making a motion, but I am in favor  
16 of it, and so I would ask folks to keep that in mind. Thank  
17 you.

18  
19 **CHAIRMAN FRAZER:** General Spraggins.

20  
21 **GENERAL SPRAGGINS:** I am definitely in favor of this, because,  
22 if anything, it's to move forward, and, if it's not that much,  
23 Florida, just give me what you've got, okay, and then we'll see  
24 if it's that much or not. When you're talking not much, you  
25 know, 40,000 pounds is a tremendous amount to Mississippi, and  
26 it doesn't even mean a day's fishing in Florida, and so it is  
27 important.

28  
29 It is important to us, and we have to find a way to be able to  
30 move forward and not wait three to four years to do it, because,  
31 if you do that, it's going to force states to do things they  
32 don't want to have to do, and they will go there, and I am one  
33 of them, and I will go there, but I don't want to. That's not  
34 what I want to do, and I would love to work the system and do it  
35 the right way, and I would rather do that than have to do what  
36 I'm going to have the alternative as, and so I think that  
37 anything -- Mr. Gill, I hope that your heart changes a little  
38 bit on this, but anything that do better, to be able to  
39 understand this, would be something, moving forward, and I think  
40 that we need to do it as quick as possible.

41  
42 **CHAIRMAN FRAZER:** Mr. Anson.

43  
44 **MR. ANSON:** Just to expound upon my yes earlier, I mean, Dale  
45 brought up some good points, you know, and I agree, and, I mean,  
46 MRIP hasn't been kind to Alabama, if you want to just look at  
47 the red snapper ratio, and maybe a little bit kinder than to  
48 Mississippi, but at least, you know, there is some discrepancies

1 there, and, you know, when you look at the Great Red Snapper  
2 Count, and the information that was gathered there, and I  
3 brought this up at the council previously, I mean, Alabama has a  
4 relatively large number of red snapper off of its coast,  
5 relative -- You know, per mile, than the rest of the Gulf, and  
6 so, you know, I think any little bit of extra pounds that we can  
7 get I think would be helpful for us.

8

9 **CHAIRMAN FRAZER:** Any others? General Spraggins.

10

11 **GENERAL SPRAGGINS:** Just one other thing too, and, you know,  
12 talking about the possibility of raising that, and, you know,  
13 this year, I don't think all the states caught their allocation,  
14 and I don't think they caught what they had, as far as the  
15 allocation to be able to be caught, and so we did not exceed the  
16 allocation in the Gulf of Mexico, by any means, and, you know, I  
17 think that's something else that could be looked at too, because  
18 it was not, and I don't think that it will be exceeded next  
19 year, under the way that it's being put out, because I think  
20 some of the states have enough opportunity to be able to fish it  
21 that I don't think they will exceed their part either, by any  
22 means, because, if gas stays the same thing, as far as diesel  
23 and everything else, the efforts of people doing it, and then  
24 the weather makes a lot of difference, but I think that that  
25 ought to be --

26

27 You know, we always look at if we're over, and, if we go over,  
28 we worry about it, but what about when we went under? Did we  
29 get any kind of thing for that? Is there anything for that?

30

31 **CHAIRMAN FRAZER:** Okay, and so, essentially, we have a  
32 suggestion on the table from Mr. Strelcheck, and it recognizes  
33 that there is an interest, and a commitment, to allocating red  
34 snapper amongst the states, and it sounds to me like there's an  
35 interest in moving forward to do that, and I am as well, right,  
36 because I feel like there needs to be an equitable distribution  
37 of the resource, right, and we have some new information.

38

39 We know how many fish, by nature, or virtue, of the Great Red  
40 Snapper Count, and we've got a much better spatial understanding  
41 of the population, and we also have a good idea of how many  
42 anglers are in those states, and we have an ability to equitably  
43 allocate fish across the states, and so I'm all for going  
44 through that exercise again, sooner than later, and I would  
45 certainly entertain a motion, if someone wants to move one  
46 forward. Mr. Anson.

47

48 **MR. ANSON:** I would like to make a motion then to direct staff

1 to begin work on a framework action, I guess, to look at  
2 updating the states' private recreational red snapper  
3 allocation.

4  
5 **CHAIRMAN FRAZER:** Dr. Simmons.

6  
7 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair. Just a  
8 question, maybe for Andy, and maybe Assane, and so, if we do  
9 this, it would be a framework action, or is it to move up, in  
10 our time-based allocation review triggers, that review process  
11 that we had scheduled, the allocations between the Gulf states,  
12 which was supposed to start in April of 2024, and this is just  
13 to bypass that and start an amendment, or a framework action,  
14 and I'm not sure that we can do it by framework action either.

15  
16 **MR. STRELCHECK:** So, a plan amendment, and it can't be a  
17 framework action, and then I think, you know, my comment was  
18 just in relation to the looking at the allocation policy review,  
19 and seeing it noted as a year from now, and so I would say that  
20 we would be doing this and kind of moving it up in the order of  
21 that allocation policy review, for consideration.

22  
23 **CHAIRMAN FRAZER:** All right. Well, we have a motion on the  
24 board. Is there a second to that motion? It's seconded by  
25 General Spraggins. All right. I am not seeing any other hands,  
26 and so is there any additional discussion on the motion? I am  
27 not seeing any, and so I will take a show of hands. **How many  
28 are in favor of the motion, twelve in favor; all those opposed,  
29 one opposed. The motion carries.**

30  
31 Okay, and so we will revisit the framework action, that  
32 specially deals with the gray snapper part, in Full Council, and  
33 so I think we'll move on from this document. Mr. Chair, it  
34 might be a good time for a couple-minute break, before we get  
35 into the SSC report.

36  
37 **DR. STUNZ:** Yes, and we'll go ahead and break for fifteen  
38 minutes, and so like 3:35, if everyone could be back in their  
39 seats, and we can finish this out.

40  
41 (Whereupon, a brief recess was taken.)

42  
43 **CHAIRMAN FRAZER:** We are going to pick back up with the SSC  
44 summary report from the March 2023 meeting, and, Dr. Nance,  
45 we'll load up your presentation and give you the microphone,  
46 sir.

47  
48 **SSC SUMMARY REPORT FROM THE MARCH 2023 MEETING**

1  
2 **DR. JIM NANCE:** Thank you. Okay. We have these four agenda  
3 items that we're going to cover this afternoon, and we're going  
4 to do scamp and yellowmouth grouper update projections, which  
5 we'll spend a little time on, because we have some actions on  
6 that one.

7  
8 The greater amberjack discard mortality, I think that's for  
9 information, on a study that's going on, and, also, the Great  
10 Amberjack Count update is only, and they came and they came and  
11 presented that to us, and then the last one, Number 4,  
12 evaluating wenchman in the mid-water snapper landings, I think  
13 is one that, from a discussion standpoint, we'll spend a little  
14 time on.

15  
16 The Southeast Fisheries Science Center, Skyler came and  
17 presented this to us, and she presented updated projections for  
18 the council's shallow-water grouper complex, which includes  
19 scamp, yellowmouth grouper, black grouper, and yellowfin  
20 grouper.

21  
22 Scamp and yellowmouth grouper were recently assessed during  
23 SEDAR 68, and, in that SEDAR, we examined both species as a  
24 complex and found these species to be healthy. At the MSY proxy  
25 of 40 percent SPR, the SSB is above the MSST, but below MSY.  
26 The Center reviewed the updated projection settings for scamp  
27 and yellowmouth grouper with a version beginning in 2024 and  
28 assuming that landings in 2023 will be the same as they were in  
29 2022, which were based on the average from 2019 through 2021,  
30 and so running the same values out.

31  
32 After the presentation, the SSC discussed options of how to set  
33 an OFL and ABC while retaining all four shallow-water grouper  
34 species within the complex, and so we had discussions about the  
35 dynamic nature of the IFQ program, making modifications  
36 difficult, and we talked about maybe breaking scamp and  
37 yellowmouth grouper out of the shallow-water grouper complex,  
38 and we came to agreement -- The SSC thought that it was most  
39 appropriate to address the results of SEDAR 68 and provide an  
40 OFL and ABC to the council for scamp and yellowmouth grouper.  
41 The SSC could then discuss how to address black grouper and  
42 yellowfin grouper at a subsequent meeting, and so we talked  
43 about doing that.

44  
45 There were some members of the SSC that thought that we ought to  
46 wait in addressing scamp and yellowmouth grouper and providing  
47 any context and wait until we were able to talk about black  
48 grouper and yellowfin grouper, also, and so, anyway, but the

1 motion is next.

2  
3 We decided that a motion was given. The SSC moves to accept the  
4 updated projections for the SEDAR 68 Gulf of Mexico scamp and  
5 yellowmouth grouper operational assessment. Accordingly, the  
6 SSC recommends that catch level recommendations for OFL and ABC  
7 for the period of 2024 through 2026 be set as the yield, in  
8 millions of pounds gutted weight, at F 40 percent SPR and the  
9 ABC as the yield at 75 percent of F 40 percent SPR, and those  
10 values are in that table for each of those three years, both the  
11 OFL and the ABC. That motion carried nineteen to two with three  
12 absent.

13  
14 The SSC will discuss how to address black grouper and yellowfin  
15 grouper at a subsequent meeting. I think, if I'm not mistaken,  
16 we have that set for the May meeting, and so we'll be able to  
17 then present those, our deliberation about those two species, at  
18 the June council meeting.

19  
20 The SSC determined that it would need recreational and  
21 commercial catch for black grouper and yellowfin grouper, dating  
22 back to 1986, with recreational catch in MRIP-FES data units.  
23 These data would be considered under Tier 3a for establishing an  
24 OFL and ABC. For discussion, the reference points are  
25 reflective of those considered in the Generic ACL/AM Amendment  
26 and for the last ten years, 2012 through 2021, could be  
27 provided. That's the end of the presentation for scamp and  
28 yellowmouth grouper updated projections, and so I will end  
29 there, with that, Mr. Chair.

30  
31 **CHAIRMAN FRAZER:** Thank you, Dr. Nance, and so, again, I thought  
32 the SSC did a really nice job working through the scamp  
33 information and providing some catch advice, but they  
34 recognized, pretty clearly, that they're part of the shallow-  
35 water grouper complex, and we lack assessments for both black  
36 grouper and yellowfin, and so they have identified a strategy,  
37 moving forward, that will allow us to get some catch advice for  
38 this fish, and so this is largely, and Ryan can correct me if  
39 I'm wrong, but this is largely informational for the council,  
40 but letting folks know that, pretty soon, we're going to have to  
41 decide how we want to deal with the shallow-water grouper  
42 complex and take advantage of the catch advice that's coming  
43 from the SSC. Correct, Ryan? Perfect. Are there any questions  
44 for Dr. Nance with regard to these things? Mr. Gill.

45  
46 **MR. GILL:** Thank you, Mr. Chairman, and so I'm a little  
47 confused, and so if you could clarify for me, Dr. Nance, and so  
48 the -- Both species are below MSY, but above MSST, but we have a

1 declining yield stream in OFL, which suggests that the  
2 equilibrium yield is somewhere south of where it is now,  
3 correct?

4  
5 **DR. NANCE:** That's correct, yes.

6  
7 **MR. GILL:** Okay, and the other thought is that, when we do black  
8 grouper and yellowfin, they would be at the same reference  
9 points, the same MSY proxy for example. No?

10  
11 **DR. NANCE:** No, and we're going to use a Tier 3a for those two  
12 species, and so then we'll have to discuss OFL and ABC  
13 recommendations for those two, using a Tier 3a process.

14  
15 **CHAIRMAN FRAZER:** Mr. Rindone.

16  
17 **MR. RINDONE:** Thank you, and so the SSC set the OFL based on the  
18 revised MSY proxy recommendation of 40 percent SPR, and this is  
19 in keeping with research that the SSC has been reviewing  
20 recently as it relates to appropriate settings for MSY proxies,  
21 especially for hermaphroditic species like scamp and  
22 yellowmouth.

23  
24 For the ABC, the SSC was also considerate of recent lower  
25 recruitment, and the time series for scamp and yellowmouth, and  
26 so that's why you see a declining yield stream here for the OFL,  
27 but it looks like the ABC is constant, and it's not actually  
28 constant, and that ABC, over time, will start to tick back up a  
29 little bit, as will the OFL, as it approaches equilibrium and  
30 the spawning stock biomass builds towards the spawning stock  
31 biomass at maximums sustainable yield, and so it all has to do  
32 with the longer-term projections.

33  
34 The SSC was also trying to be cognizant of the SEDAR schedule,  
35 and knowing that the council is likely to request an update of  
36 scamp and yellowmouth at some point in the hopefully not very  
37 distant future, and so the problem with adding black grouper and  
38 yellowfin grouper to this is we don't have stock assessments for  
39 them, and so it's not necessarily appropriate to assume that  
40 whatever the stock condition is for scamp and yellowmouth --  
41 That it's also the same for black grouper and yellowfin, and you  
42 can't really prove that one way or another, and so the SSC  
43 thought it more appropriate to address those pairings of species  
44 independent of one another.

45  
46 **DR. NANCE:** Bob, that was some of the discussion, is the feeling  
47 that, if we brought this here without the other two species,  
48 that would be a little bit of -- We felt like we were going to



1 have to do -- Since we did an assessment on scamp and yellowfin  
2 grouper, we wanted to present that, and then, at a subsequent  
3 meeting, we'll bring the other two species in, and that was our  
4 thought process.

5

6 **MR. GILL:** Thank you, sir.

7

8 **CHAIRMAN FRAZER:** All right. Thank you, Dr. Nance, and thanks,  
9 Ryan, for kind of clarifying what went on in the SSC meeting on  
10 that point. Any more questions about scamp or yellowmouth or  
11 black grouper or yellowfin? Okay. I am not seeing any, Dr.  
12 Nance, and so we can move ahead to the next item.

13

14 **DR. NANCE:** Perfect. Dr. Kelly Boyle, at the University of New  
15 Orleans, presented the results of a post-release mortality study  
16 for Gulf greater amberjack. They were collected on release  
17 condition, how quickly the fish were able to descend on its own,  
18 the depth, the swimming patterns, and the tagging methodology.  
19 Depredation was not incorporated, as predation events were not  
20 visibly captured. Overall survivorship was calculated at 85  
21 percent.

22

23 No signs of barotrauma were observed during the study, and the  
24 use of descending devices did not suggest an increase in post-  
25 release mortality. The overall post-release mortality estimates  
26 are similar to those scenarios used in a stock assessment. The  
27 higher mortality rates observed for legal-sized fish may be an  
28 area for exploration in the future, and that ends that mortality  
29 information that was given to us.

30

31 **CHAIRMAN FRAZER:** All right. We have a couple of questions, Dr.  
32 Nance. Ms. Boggs.

33

34 **MS. BOGGS:** Is that report part of the SSC meeting documents, if  
35 I go back to look for it, or how do I get a copy of it?

36

37 **CHAIRMAN FRAZER:** Ryan.

38

39 **MR. RINDONE:** The manuscript is provided in the background  
40 information, and it should be in the archived materials from the  
41 meeting on the council's website.

42

43 **CHAIRMAN FRAZER:** Thank you, Ryan. Are there any other  
44 questions? Mr. Anson.

45

46 **MR. ANSON:** Just a clarification, and did we skip over a section  
47 of the -- I had, in my version, evaluating bottom fishing  
48 seasonal closures in the recreational fishery before, and that's

1 coming up after? Okay. Sorry.

2  
3 **CHAIRMAN FRAZER:** It was largely an information item, and it's  
4 probably premature for this meeting. Dr. Nance, we'll go ahead  
5 and move to the next item.

6  
7 **DR. NANCE:** Okay. Thank you. We had, also presented to us, the  
8 Great Amberjack Count update, and Dr. Sean Powers, and he's a  
9 member of our SSC, and Dr. Mark Albins, from Dauphin Island Sea  
10 Lab, provided an update on the Great Amberjack Count, which is a  
11 project that is funded by U.S. Congress.

12  
13 It's different, in some ways, from the Great Red Snapper Count  
14 that we've seen at the council meetings, and that project, and  
15 this effort does account for and collaborate with some of the  
16 National Marine Fisheries' data. Sampling efforts include  
17 habitat characterization, video and acoustic data collection,  
18 environmental DNA technology, and calibration to understand  
19 potential biases with each of the data collection methods.

20  
21 The project is currently at the calibration and sampling design  
22 stage. The goal is to have an even distribution of the  
23 conventional tags across all sites. Preliminary video and  
24 acoustic results indicate the presence of many mixed schools of  
25 *Seriola* species at all locations. Habitat synthesis includes a  
26 list of artificial reefs and scalable maps, and these will be  
27 used to extrapolate habitat-specific greater amberjack abundance  
28 estimates.

29  
30 The project is expected to be completed by April/May of 2025,  
31 and it will undergo a peer review similar to what was done for  
32 the Great Red Snapper Count study, and that is the presentation  
33 that was given to us, a summary of the presentation that was  
34 given to us, by Dr. Powers and Dr. Albins.

35  
36 **CHAIRMAN FRAZER:** Okay. Any questions for Dr. Nance with regard  
37 to the Great Amberjack Count update? Okay. I am not seeing  
38 any, Dr. Nance, and we'll keep moving.

39  
40 **DR. NANCE:** Okay. Thank you. Wenchman, and so we had  
41 evaluation of wenchman and the mid-water snapper landings, and  
42 you had a presentation this morning on the landings, showing  
43 where wenchman are within that complex, and John Mareska and  
44 Donna Ballais presented historical wenchman state trawl landings  
45 at our meeting.

46  
47 Previously, the SSC recommended removing wenchman from the mid-  
48 water snapper complex, but could not set an OFL without first

1 determining the magnitude of historical trawl landings. Mr.  
2 Mareska provided abundance and weight composition data from  
3 fishery-independent surveys, age composition, and reviewed  
4 commercial harvest to refine reference years for an OFL.

5  
6 Wenchman appears to be caught more so as a bycatch in the  
7 butterfish fishery, and very infrequently otherwise, which can  
8 cause the landings to reach, or exceed, the ACL for the entire  
9 mid-water snapper complex. SSC members agreed that data  
10 available are unreliable for establishing catch limits for  
11 wenchman. Based on data deficiencies, life history unknowns,  
12 and outstanding questions as to the large increase in wenchman  
13 landed in 2020 and 2021, some of the SSC members contemplated if  
14 wenchman should be considered as an ecosystem component species  
15 or if it should just be removed from the FMP.

16  
17 The council would need to consider how or if to manage wenchman,  
18 if there are not reliable data to set an OFL and ABC. Once the  
19 council decision is made, the SSC could reconvene to look at  
20 landings for the remaining species in the complex. The SSC  
21 reiterated their previous motion and added language regarding  
22 the lack of data.

23  
24 The SSC reiterates their previous recommendation to the council  
25 that Gulf of Mexico wenchman be removed from the mid-water  
26 snapper complex. However, due to the commercial data  
27 confidentiality limits, and the near absence of recreational  
28 landings available to the SSC, the SSC currently cannot  
29 recommend catch advice for Gulf of Mexico wenchman, and that  
30 motion carried without opposition.

31  
32 **CHAIRMAN FRAZER:** All right. Thank you, Dr. Nance. We've got a  
33 couple of questions. C.J. and then Mr. Anson.

34  
35 **DR. SWEETMAN:** Thank you, Mr. Chair. I appreciate the  
36 presentation, Dr. Nance, and so I don't even know if you'll be  
37 able to answer this question, but I guess one of -- In light of  
38 the reiterated motion that you have on there, and it's not  
39 necessarily about the catch advice for wenchman, but I'm curious  
40 if we have any idea as to if, ultimately, the council did decide  
41 to remove wenchman from that FMP, what would the catch limits  
42 look like for the rest of that mid-water snapper complex,  
43 relative to maybe average landings, and I don't know. I don't  
44 know if --

45  
46 **DR. NANCE:** I think Ryan probably has a better idea than I.

47  
48 **CHAIRMAN FRAZER:** Mr. Rindone.

1  
2 **MR. RINDONE:** I actually worked these up, just before we got  
3 going, and, if we're looking at say 2012 through 2021 for  
4 combined commercial and recreational landings for all three  
5 species, the average for all three remaining species in the mid-  
6 water snapper complex, the average is about 63,000 pounds, with  
7 a standard deviation of about 22,400 pounds, and so, under Tier  
8 3a, if you were using an overfishing limit of two standard  
9 deviations, that would get you about just under 108,000 pounds,  
10 and this is in MRIP-FES.

11  
12 An ABC at one-and-a-half standard deviations would get you about  
13 97,000 pounds, and an ABC of one standard deviation would be  
14 about 85,500 pounds, and so, at an ABC of about 85,000 pounds,  
15 and a mean landings of about 63,000 pounds, your ACL would --  
16 Your recent landings would be under your ABC, generally  
17 speaking.

18  
19 It's important to remember that these are species that are often  
20 incidentally caught, and so there can be some variability,  
21 especially when these things are being monitored in FES, where,  
22 you know, there might be some probability of a spike. You know,  
23 in looking through the data, there was one year where the  
24 recreational landings of silk snapper crossed over 500,000  
25 pounds, and got nowhere close to that on either side of it, and  
26 so that was interesting, and, if there's anyone from S&T  
27 listening, 2009 looks weird, and so just something to keep in  
28 mind, but, generally speaking, it looks like it should be okay.

29  
30 **DR. NANCE:** I think we would be able to do things with -- Those  
31 species, we could look at yearly. Wenchman is -- You had to  
32 group them in five-year increments, because of the  
33 confidentiality issue, and so we were very pressed for how to  
34 even deal with that species, and it's a bycatch in the  
35 butterflyfish, and sometimes it bumps up against the whole complex,  
36 with those catches.

37  
38 **CHAIRMAN FRAZER:** All right. Mr. Anson.

39  
40 **MR. ANSON:** I am wondering if staff, or maybe someone from the  
41 agency, could respond to this question then, and that is to the  
42 comment that the SSC made relative to considering wenchman as an  
43 ecosystem component species, and I don't know what the pros and  
44 cons of that would be, relative to -- Again, we still have the  
45 same data issues, as far as confidentiality. It's tied in as a  
46 bycatch with another species, and, I mean, is that -- That might  
47 be market driven, more than anything else, and environmental,  
48 and so I'm just wondering what benefits we would have if we

1 identified wenchman as an ecosystem component species.

2  
3 **CHAIRMAN FRAZER:** I think there was a bit of discussion in the  
4 SSC about that, right, and my recollection of that discussion  
5 was there wasn't consensus around doing that, and so what's the  
6 definition of an ecosystem species, and I think there was more  
7 discussion about just simply removing wenchman from the FMP, and  
8 the concern there was, well, if you do that, who is going to --  
9 You know, how are we going to manage them, and, well, we're not  
10 anymore, right, but data would still be collected for wenchman,  
11 and recorded, and available for review, you know, just to make  
12 sure, if somebody made a request, to check the status for  
13 example, and so I think, really, the decision for the council,  
14 at this point, is to make a decision whether or not wenchman are  
15 in need of federal management, and need to be in the FMP, or  
16 should they be removed. Mr. Diaz.

17  
18 **MR. DIAZ:** Tom, you probably just answered this, but you might  
19 have to make it in more simple terms for me, but is taking it  
20 out of the FMP and removing it from the snapper complex the same  
21 thing, or is that two separate things?

22  
23 **CHAIRMAN FRAZER:** I think they're two separate things, right,  
24 and so you want to first remove them from the complex, and then  
25 you have to make a decision whether or not you want to consider  
26 them in need of management or not.

27  
28 **MR. DIAZ:** So, I talked with one of the folks that was on the  
29 SSC about this, and he made a good point. I mean, we are here  
30 to manage the fisheries for the greatest good of the nation, but  
31 we don't have enough data to manage this fishery, and we can't  
32 set an OFL, and so, at a certain point, these fish come up in  
33 trawls, and they're on the deck, and we are making people throw  
34 them back, 100 percent of those fish dead, and so I can't see  
35 how that's the greatest good for the nation, and so, if there  
36 was a way that we could pull them out of the complex, and out of  
37 the FMP, and not have to waste those fish, I mean, I would -- I  
38 think that's something we should at least consider, and I think  
39 that would go a long -- At least in my mind, it's of greater  
40 good for the nation to bring those fish in and let folks harvest  
41 them.

42  
43 Now, having said that, we don't have enough information to  
44 manage them, and I don't know that we can ever determine if  
45 there's a certain point at which people is taking too many of  
46 them, but we don't manage the butterflyfish that they're taking out  
47 there, and so what do we have to do to get those answers to move  
48 forward?

1  
2 **CHAIRMAN FRAZER:** So I think there are a couple of things here,  
3 right, and I think what the SSC is recommending, and I think the  
4 council can act on that advice, is, one, do we want to remove  
5 wenchman from the complex, right, and, further, do we want to  
6 remove wenchman from the FMP, because we don't feel like there's  
7 enough information, right, to manage them, and I will -- I want  
8 to be careful with those words a little bit, for Ms. Levy,  
9 right, but, in my own view, what I would say is that you're  
10 exactly right.

11  
12 We have very little information, right, and it's essentially a  
13 bycatch for the butterfish fishery, and, if they're captured,  
14 and they're part of the complex, and they're under some  
15 management plan, right, many of those fish will have to be  
16 discarded, and they will die, and that's clearly not in the best  
17 interest of anybody, to have that happen.

18  
19 Because they're infrequently caught, and in combination with the  
20 butterfish fishery, they will -- Their catches will still be  
21 recorded, right, and there will be a record of that, and, if we  
22 have concerns, we can at least -- The data are there to check,  
23 you know, if anybody brings attention to some abnormalities in  
24 the catches, right, and we may direct effort accordingly, right,  
25 and we may have to revise what we do, but, in the short-term,  
26 you're exactly right, Dale, that we don't have enough  
27 information to really manage them properly, to set an OFL or an  
28 ABC, and so an appropriate motion, coming out of the council,  
29 would be to remove them from the complex, and actually remove  
30 them from the FMP.

31  
32 **MR. DIAZ:** So, at this point, I think I'm -- If this is an  
33 appropriate time, I would be willing to make -- I would be  
34 willing to make that motion.

35  
36 **CHAIRMAN FRAZER:** Okay.

37  
38 **MR. DIAZ:** All right, and so I would make a motion that we --  
39 **Based on the SSC's advice, that we remove wenchman from the mid-**  
40 **water snapper complex.** I will leave it at that right now,  
41 because they didn't say to take it out of the FMP, and so I will  
42 leave it at that for right now, and I may follow it up with  
43 another motion to take them out of the FMP.

44  
45 **CHAIRMAN FRAZER:** Before we get a second for that motion, I just  
46 want to make sure we're not going down the wrong path, and so I  
47 want to hear from Ms. Levy and then Mr. Rindone.

48

1 **MS. LEVY:** Well, so I guess you can't just remove them from the  
2 mid-water snapper complex without then either removing them from  
3 the FMP, and going through that whole process about whether they  
4 need conservation and management, as outlined in the guidelines,  
5 or you need to set catch levels for them, and so, right now,  
6 they're covered. They have ACLs, because they're part of the  
7 complex, and they have AMs, because they're part of the complex,  
8 and so doing this just -- It alone is not going to be, you know,  
9 the final word, I guess, and you're going to have to -- We're  
10 probably going to have to develop a plan amendment or something  
11 to do this type of stuff.

12  
13 We can't just remove them. We have to amend the plan to remove  
14 them, and it's not just like a motion and then it's done. You  
15 have to -- We need to look at why they're in there, why they  
16 weren't removed when you did the Generic ACL Amendment, because  
17 I think you considered removing this species, and why it's  
18 appropriate to remove it now from the complex and/or the FMP,  
19 and so that's going to amend the fishery management plan.

20  
21 **CHAIRMAN FRAZER:** Yes. Fair deal. Mr. Rindone.

22  
23 **MR. RINDONE:** Thank you, Mr. Chair. I was just going to add a  
24 clarifying remark about the SSC's recommendation. When the SSC  
25 was deliberating this, both myself and Dr. Frazer talked to the  
26 SSC about basically what its recommendations ought to entail,  
27 and where the prerogatives lies, and definitely the prerogative  
28 to evaluate whether or not something still requires federal  
29 conservation and management lies with the council, and that's  
30 why the SSC doesn't have a recommendation to you guys about  
31 removing it from the FMP.

32  
33 The SSC's recommendation about removing it from the complex is  
34 related to its understanding of the species life history and  
35 where the landings are actually coming from, and so based on the  
36 available data, and it's not anything to do with how the species  
37 is or ought to be managed.

38  
39 **MR. DIAZ:** Ryan, based on that, if we went forward with this  
40 motion -- Is that motion still appropriate then?

41  
42 **MR. RINDONE:** So, I think, like Ms. Levy was saying, this is  
43 kind of a two-step process.

44  
45 **MR. DIAZ:** That's my question, and so should that motion include  
46 remove it from the snapper complex and pass that to staff, with  
47 bringing back to us an examination of whether the species is in  
48 need of conservation and management?

1  
2 **MR. RINDONE:** I am eyeballing Ms. Levy.  
3  
4 **MS. LEVY:** I mean, I think you need to look at both of the  
5 things, right, and like you can't make this decision to remove  
6 it from the complex, in my opinion, in a vacuum, right, because  
7 what does removing it from the complex mean? It means you  
8 either need to manage it as a species on -- A stock on its own,  
9 and not part of a complex, and it seems like you may have  
10 trouble doing that, or you need to not manage it at all, and  
11 then you need to go through the actual discussion about whether  
12 that's appropriate. I agree that it could be a two-step  
13 process, but they're sort of like intertwined.  
14  
15 **MR. DIAZ:** All right, and so help me out here, Ms. Levy. **Based**  
16 **on your advice, I'm going to amend my motion to say make a**  
17 **motion to ask the staff to bring back an evaluation to the Gulf**  
18 **Council about whether or not wenchman are in need of**  
19 **conservation and management.** I would welcome any verbiage that  
20 you think makes that a better motion, Ms. Levy.  
21  
22 **CHAIRMAN FRAZER:** Mara.  
23  
24 **MS. LEVY:** I mean, that seems appropriate. I think probably the  
25 first step is whether it's in need of conservation and  
26 management, right, and then, if so, how are you going to proceed  
27 with that management, and, if not, it comes out of the complex  
28 and the FMP right at the same time.  
29  
30 **CHAIRMAN FRAZER:** Thank you. J.D. and then Mr. Gill.  
31  
32 **MR. DUGAS:** Thank you, Mr. Chair. Since wenchman is a bycatch  
33 of the butterfly fishery, does that need to be managed as well?  
34  
35 **CHAIRMAN FRAZER:** So, before we get too far down the road here,  
36 again, we have a motion on the board, and let's get a second for  
37 that motion. Is there a second for this motion? Mr. Burris  
38 seconds. All right. J.D.  
39  
40 **MR. DUGAS:** Thank you. I guess I asked at that time because I  
41 didn't know if we wanted to add it to the same motion, if other  
42 council members thought that we needed to.  
43  
44 **CHAIRMAN FRAZER:** The short answer to that, J.D., is we don't  
45 currently manage butterflyfish, and they're not in the FMP, and so  
46 it's irrelevant. Mr. Gill.  
47  
48 **MR. GILL:** Thank you, Mr. Chairman. This sounds to me like déjà



1 vu, and there's a few of us around the table that had the same  
2 discussion back in 2011, I think it was, and the same issues,  
3 the same questions, et cetera. My recollection, when we did it  
4 then, and we had the same problems, but we had to put an ACL on  
5 the species, but what we have now is a different history on this  
6 species than we had back then, but we cobbled up whatever the  
7 heck it was, an ACL, for that complex, of which this species was  
8 one, for which we now have a different history of landings.

9  
10 Part of this discussion, if this motion passes, ought to be  
11 whether the discussion really ought to be to reset the ACL for  
12 the species, based on the new landings information that we have,  
13 and that may resolve all these issues, whether or not ecosystem  
14 species is right, or keeping it in the system, outside the  
15 complex, whatever, but I think that needs to be part of that  
16 conversation, because that's pretty simplistic, right, and we  
17 don't get into those bigger and those thornier issues, and so my  
18 suggestion is that -- I think this is right. I think we have to  
19 have that discussion about wenchman, before we go forth on any  
20 of those decisions, but included in that consideration is  
21 whether the ACL perhaps ought to be changed and --

22  
23 **CHAIRMAN FRAZER:** Okay, and so we're going to tackle this  
24 motion, and I agree that it's the first step. I am thinking  
25 that what Dr. Nance just presented, one of the statements coming  
26 from the SSC, was, even for the most recent information that  
27 they have with regard to wenchman, they weren't able to offer  
28 catch advice, an OFL or an ABC, and so I don't think their view  
29 has changed since 2011. Go ahead.

30  
31 **MR. GILL:** Thanks, Mr. Chairman, and I wasn't going there, and  
32 so we still have to provide an ACL, right, and we had the same  
33 problem in 2011, on how we provide an ACL that we've got very  
34 little information, other than sporadic landings, but that  
35 doesn't demand that we're going to get catch advice from the  
36 SSC.

37  
38 We didn't have it then, and we've still got to provide that ACL,  
39 which we did, and you can argue whether we did it properly or  
40 not, and we have a similar situation now, although we have a  
41 different landings history that is dramatically different than  
42 it was, whatever it was, twelve years ago, and so that needs to  
43 be part of the discussion, because it does not necessarily  
44 require an OFL and ABC out of the SSC.

45  
46 **CHAIRMAN FRAZER:** Yes, and I understand that now. All right,  
47 and so, again, that depends on the outcome of the first motion,  
48 right? Okay. We will go back to the motion that Mr. Diaz made

1 and ask if there are any -- Is there any further discussion of  
2 this motion? Okay. I am not seeing any. **Is there any**  
3 **opposition to the motion? The motion carries.** All right. I  
4 think we are done with this topic, Dr. Nance. Thank you very  
5 much for your time.

6  
7 **DR. NANCE:** Thank you. It's always good to be here.

8  
9 **CHAIRMAN FRAZER:** All right, and so that brings us to Other  
10 Business, and that would be an other business item on red  
11 grouper that you brought up at the beginning of the committee  
12 meeting.

13  
14 **OTHER BUSINESS**  
15 **DISCUSSION OF RED GROUPER**

16  
17 **MR. GILL:** Thank you, Mr. Chairman. Bernie, if you could bring  
18 up my motion, and so you all recall, at the last meeting, I was  
19 asleep at the wheel in the Reef Fish Committee, and I had to  
20 bring up the question about red grouper at the tail-end of Other  
21 Business at Full Council on the last day, and I apologize for  
22 not thinking that through ahead of time, but this motion is the  
23 same motion as that one.

24  
25 The basis for this is that we know we have had, the last two  
26 years, significant overages in the recreational sector with red  
27 grouper, to the extent of 70 percent, albeit in different  
28 currencies, a year, significant numbers, and you're talking  
29 millions of pounds. The impact on the stock, who knows, and the  
30 system we have for this year is the same.

31  
32 Now, we do have the advantage of learning from the past couple  
33 of years, but, as Andy has pointed out, sometimes the  
34 predictions work and sometimes they don't, and so we've got a  
35 fair amount of uncertainty about whether it's going to work this  
36 year, because the inputs are so variable that we don't know how  
37 to track. It's entirely possible, and it's not guaranteed, but  
38 it's entirely possible that we'll have another overage this year  
39 of some magnitude.

40  
41 Mara pointed out, at the last meeting, that the guidelines to  
42 National Standard 1 say that two out of four years of overages  
43 of the ACL, that you need to take a look at what you're doing,  
44 and, well, we've already had those two, and we might have three,  
45 and so it seems prudent that we start a document that says we're  
46 going to start to look and try and figure out what the best  
47 thing to do is, given the situation with the overages in the red  
48 grouper sector.

1  
2 From my perspective, and it's not a punitive thing, and it's not  
3 a commercial versus recreational thing, and it's there's likely  
4 a problem there, and we need to address it, and, if we don't  
5 start, we never will, and so, to me this is a no-brainer, and I  
6 would recommend that we have a good discussion about what it  
7 means and where to go, but I would put it forward for  
8 discussion, and hopefully passage.

9  
10 **MR. STRELCHECK:** I will second it.

11  
12 **CHAIRMAN FRAZER:** It's seconded by Andy, and so we've got a  
13 motion on the board, and a second, and is there further  
14 discussion of the motion? C.J.

15  
16 **DR. SWEETMAN:** Thank you, Mr. Chair, and so I think I'm going to  
17 speak in opposition to this motion, simply from the perspective  
18 that we have a stock assessment on red grouper that will be  
19 completed later this year, and I just think this is a little  
20 premature. We can utilize that information that we get from  
21 that stock assessment to ultimately inform what we later on do  
22 with this fishery.

23  
24 **CHAIRMAN FRAZER:** Thank you, C.J. Mr. Gill.

25  
26 **MR. GILL:** Thank you, Mr. Chairman, and so my response to your  
27 comment, C.J., is that this is a management question, and it's  
28 not a science question, and whatever comes out of the stock  
29 assessment may change the magnitude of what we do, and this may  
30 run concurrently, but, fundamentally, the question is not one of  
31 science, and it's one of management, and that's us and not them,  
32 and so I don't see the major impact, and, yes, there may be  
33 some, but, fundamentally, the issue here is at this table.

34  
35 **CHAIRMAN FRAZER:** Mr. Strelcheck.

36  
37 **MR. STRELCHECK:** Separately, I was prepared to make a similar  
38 motion, and it was a little more general, in terms of  
39 evaluating, you know, new management measures for red grouper,  
40 and I'm really concerned, and, obviously, we're going from a  
41 year-round fishery, just a few years back, to nine months, to  
42 eight months, and I fully expect this year will be close to six,  
43 or maybe seven, months.

44  
45 I mean, I think we're going to be closing this summer, based on  
46 the trends in landings, and, although we could get a really good  
47 stock assessment, and alleviate some of the pressure on this  
48 fishery and some of the short season closures, I think there's a

1 need to come in and re-look at management measures and determine  
2 whether or not we want to start the season January 1, whether we  
3 want to have the high bag limits, or figure out a longer fishing  
4 season, and so, to me, this is something we should address.

5  
6 Then, as Bob and Mara previously pointed out, the National  
7 Standard Guidelines do indicate that, if a stock has exceeded  
8 the ACL more than once in the last four years, the council  
9 should be looking at the system of ACLs and AMs and reevaluating  
10 them, and so I think that's consistent with that.

11  
12 **CHAIRMAN FRAZER:** Ms. Boggs.

13  
14 **MS. BOGGS:** A roll call vote, please.

15  
16 **CHAIRMAN FRAZER:** As soon as we get there, you eager beaver.

17  
18 **MS. BOGGS:** You often forget to call on me.

19  
20 **CHAIRMAN FRAZER:** Not on purpose. All right. Is there any  
21 further discussion on this motion? Mr. Diaz.

22  
23 **MR. DIAZ:** I just want to say I'm going to support the motion.  
24 I think Mara made some good points, and I do think we need to  
25 try to take a good, hard look at this and see if we can't get  
26 these overruns under control. We need to do that, and so I'm  
27 going to support it.

28  
29 **CHAIRMAN FRAZER:** Thank you, Mr. Diaz. Any further comments?  
30 All right. We will go ahead with a roll call vote. Dr.  
31 Simmons.

32  
33 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair. Mr. Dugas.

34  
35 **MR. DUGAS:** Yes.

36  
37 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Burris.

38  
39 **MR. RICK BURRIS:** Yes.

40  
41 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Anson.

42  
43 **MR. ANSON:** Yes.

44  
45 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Williamson.

46  
47 **MR. WILLIAMSON:** Yes.

48

1 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Dyskow.  
2  
3 **MR. DYSKOW:** Yes.  
4  
5 **EXECUTIVE DIRECTOR SIMMONS:** Dr. Shipp is absent. Mr. Diaz.  
6  
7 **MR. DIAZ:** Yes.  
8  
9 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Broussard.  
10  
11 **MR. BROUSSARD:** Yes.  
12  
13 **EXECUTIVE DIRECTOR SIMMONS:** Dr. Sweetman.  
14  
15 **DR. SWEETMAN:** No.  
16  
17 **EXECUTIVE DIRECTOR SIMMONS:** Mr. McDermott.  
18  
19 **MR. MCDERMOTT:** Yes.  
20  
21 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Strelcheck.  
22  
23 **MR. STRELCHECK:** Yes.  
24  
25 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Gill.  
26  
27 **MR. GILL:** Yes.  
28  
29 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Schieble.  
30  
31 **MR. SCHIEBLE:** Yes.  
32  
33 **EXECUTIVE DIRECTOR SIMMONS:** Ms. Boggs.  
34  
35 **MS. BOGGS:** Yes.  
36  
37 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Geeslin.  
38  
39 **MR. GEESLIN:** No.  
40  
41 **EXECUTIVE DIRECTOR SIMMONS:** The motion carried twelve to two  
42 with three abstentions and one absent.  
43  
44 **CHAIRMAN FRAZER:** All right. Thank you, Dr. Simmons. Is there  
45 any other business to come before this committee? Ms. Boggs.  
46  
47 **MS. BOGGS:** Wouldn't it be two abstentions and one absent,  
48 because there is only seventeen voting members.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11

**EXECUTIVE DIRECTOR SIMMONS:** Yes, ma'am. Thank you.

**CHAIRMAN FRAZER:** For the record, the motion carried twelve to two with two abstentions and one absent. All right. Is there any additional business to come before this committee? I am not seeing any, and, Mr. Chairman, I'm going to turn it back to you.

(Whereupon, the meeting adjourned on April 4, 2023.)

- - -