

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29  
30  
31  
32  
33  
34  
35  
36  
37  
38  
39  
40  
41  
42  
43  
44  
45  
46  
47  
48

GULF OF MEXICO FISHERY MANAGEMENT COUNCIL

MEETING OF THE STANDING & SPECIAL REEF FISH, SOCIOECONOMIC &  
ECOSYSTEM SCIENTIFIC AND STATISTICAL COMMITTEES

WEBINAR

AUGUST 9-11, 2021

**STANDING SSC VOTING MEMBERS**

- Lee Anderson .....
- Luiz Barbieri .....
- Harry Blanchet .....
- David Chagaris .....
- Roy Crabtree .....
- Benny Gallaway .....
- Douglas Gregory .....
- David Griffith .....
- Paul Mickle .....
- Trevor Moncrief .....
- James Nance .....
- Will Patterson .....
- Sean Powers .....
- Steven Scyphers .....
- Jim Tolan .....
- Richard Woodward .....

**SPECIAL REEF FISH SSC VOTING MEMBERS**

- Jason Adriance .....
- Michael Allen .....
- John Mareska .....

**SPECIAL SOCIOECONOMIC SSC VOTING MEMBERS**

- Luke Fairbanks .....
- Jack Isaacs .....

**SPECIAL ECOSYSTEM SSC VOTING MEMBERS**

- Mandy Karnauskas .....
- Joshua Kilborn .....
- Steven Saul .....

**STAFF**

- Assane Diagne .....Economist
- Matt Freeman .....Economist
- John Froeschke .....Deputy Director
- Lisa Hollensead .....Fishery Biologist
- Jessica Matos .....Document Editor & Administrative Assistant
- Ryan Rindone .....Lead Fishery Biologist/SEDAR Liaison

1 Carrie Simmons..... Executive Director  
2 Carly Somerset..... Fisheries Outreach Specialist  
3  
4 **OTHER PARTICIPANTS**  
5 Shannon Calay..... SEFSC  
6 Jason Cope..... NMFS  
7 Michael Drexler..... Ocean Conservancy  
8 Tom Frazer..... GMFMC  
9 Marian McPherson..... NMFS  
10 Jay Mullins..... FL  
11 Julie Neer..... SEDAR  
12 Skyler Sagarese..... SEFSC  
13 Katie Siegfried..... SEFSC  
14 Matt Smith..... SEFSC  
15 Andy Strelcheck..... NMFS  
16 Brendan Turley..... FL  
17 Nathan Vaughan.....  
18  
19 - - -  
20

TABLE OF CONTENTS

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29  
30  
31  
32  
33  
34  
35  
36  
37  
38  
39  
40  
41  
42  
43  
44  
45  
46  
47  
48

Table of Contents ..... 3

Table of Motions ..... 5

Introductions and Adoption of Agenda ..... 7

Approval of Verbatim Minutes and Meeting Summary: May 3-4, 2021  
Webinar Meeting ..... 7

Election of the Chair and Vice Chair ..... 11

Scope of Work ..... 12

Selection of the SSC Representative for the Council’s August  
23-26, 2021 Meeting in San Antonio, Texas ..... 12

Discussion Document: SSC’s Best Practices and Voting Procedures  
..... 13

Discussion of Research Track and Operational Assessment Process  
Guidance Document ..... 31

Review of Updated Red Grouper Interim Analysis ..... 73

Scope of Work for Red Grouper Operational Assessment ..... 121

Determination of Topical Working Groups for SEDAR 75: Gulf of  
Mexico Gray Snapper Operational Assessment ..... 139

Scope of Work for Vermilion Snapper Operational Assessment 140

Determination of Approach to Assess Gulf of Mexico Tilefish  
Complex ..... 144

Interim Analysis Schedule ..... 166

Revised SEDAR Stock Assessment Schedule ..... 175

Discussion: NS1 Technical Guidance Subgroup 3 Tech Memo:  
*Managing with ACLs for Data-Limited Stocks in Federal Fishery  
Management Plans* ..... 189

Review of King Mackerel Historical Harvest and Catch Limits  
..... 210

Review of King Mackerel Historical Commercial Harvest

1 Differences.....231  
2  
3 Review of Greater Amberjack Historical Harvest and Catch  
4 Limits.....237  
5  
6 Review of Updated Greater Amberjack Projections.....249  
7  
8 Review of Draft Options: Generic Essential Fish Habitat  
9 Amendment.....285  
10  
11 Discussion of Topic Leaders for Agenda Items.....318  
12  
13 Public Comment.....333  
14  
15 Other Business.....339  
16  
17 Adjournment.....358  
18  
19

TABLE OF MOTIONS

1  
2  
3 [PAGE 29](#): Motion to accept the edits as written: When the SSC  
4 is acting as the peer review body for a stock assessment or  
5 other study, an SSC member(s) should abstain from any motions  
6 and voting on the issue of BSIA if they have served as the  
7 analytical lead, or principal or co-principal investigator or  
8 had any direct participation as a member of the analytical team.  
9 or been otherwise directly involved in the development of the  
10 stock assessment beyond the role of a workshop panelist. During  
11 the BSIA deliberations the SSC member(s) is free to participate  
12 in the discussion, answer questions, and provide pertinent  
13 expertise and feedback to the SSC. After a decision has been  
14 reached on BSIA, the SSC member(s) is at liberty to motion and  
15 vote on remaining management advice (e.g., catch limits,  
16 appropriateness of allocation calculations, decision tools  
17 developed to inform management action). [The motion carried on](#)  
18 [page 29.](#)

19  
20 [PAGE 89](#): Motion that the SSC accepts the new mean weight  
21 estimation methodology to estimate the weight of recreationally  
22 caught red grouper. [The motion carried on page 93.](#)

23  
24 [PAGE 113](#): Motion that the SSC accepts the updated methodology  
25 and interim analysis results for red grouper and sets the OFL  
26 at 5.99 million pounds gutted weight and the ABC at 4.96 million  
27 pounds gutted weight using the three-year moving average for  
28 setting the ABC relative to the OFL. These values are in MRIP-  
29 FES units. [The motion carried on page 121.](#)

30  
31 [PAGE 133](#): Motion to approve the edits to the Red Grouper  
32 Operational Assessment Scope of Work. [The motion carried on](#)  
33 [page 133.](#)

34  
35 [PAGE 143](#): Motion to accept the Vermilion Snapper Operational  
36 Assessment Scope of Work. [The motion carried on page 143.](#)

37  
38 [PAGE 161](#): Motion that the SSC recommends a data triage report  
39 be generated by the SEFSC for the tilefishes complex as a guide  
40 to the selection of the model environment for the next stock  
41 assessment. [The motion carried on page 166.](#)

42  
43 [PAGE 259](#): Motion that the SSC concurs with the SEFSC  
44 determination that the new methodology for estimating projected  
45 catches is an improvement and acceptable as BSIA. [The motion](#)  
46 [was withdrawn on page 275.](#)

47  
48 PAGE : Motion that the SSC recommends that the current SEDAR

1 research track assessment for Gulf of Mexico red snapper  
2 investigate alternative scenarios for stock structure. The  
3 motion carried on page .

4  
5  
6

- - -

1 The Meeting of the Gulf of Mexico Fishery Management Council  
2 Standing and Special Reef Fish, Special Socioeconomic & Special  
3 Ecosystem Scientific and Statistical Committees convened on  
4 Monday morning, August 9, 2021, and was called to order by Mr.  
5 Ryan Rindone.

6  
7 **INTRODUCTIONS**

8 **ADOPTION OF AGENDA**

9 **APPROVAL OF VERBATIM MINUTES AND MEETING SUMMARY: MAY 3-4,**  
10 **2021 MEETING**  
11

12 **MR. RYAN RINDONE:** Good morning. My name is Ryan Rindone, and  
13 I am the council staff lead for the Scientific and Statistical  
14 Committee of the Gulf of Mexico Fishery Management Council. We  
15 appreciate your attendance on this webinar and input into this  
16 meeting, and we would like to welcome the reappointed and new  
17 SSC members and thank you guys all for your participation.  
18 Representing the council is Dr. Tom Frazer, and council staff  
19 in attendance include Carrie Simmons, John Froeschke, and  
20 Jessica Matos.

21  
22 Notice of this meeting was provided to the Federal Register,  
23 sent via email to subscribers of the council's press release  
24 email list, and was posted on the council's website.  
25

26 We have quite a few agenda items. Some of the non-clerical  
27 things will include election of a Chair and Vice Chair,  
28 discussing the SSC's best practices and voting procedures, a  
29 review of the updated red grouper interim analysis, a discussion  
30 of the research track and operational assessment process  
31 guidance, determining topical working groups for the gray  
32 snapper operational assessment, scope of work for red grouper  
33 and vermilion snapper operational assessments, determining the  
34 approach to assess the Gulf of Mexico tilefish complex, updates  
35 for the interim analysis and SEDAR stock assessment schedules.  
36

37 Then we'll discuss National Standard 1 technical guidance on  
38 data-limited species, and we'll review king mackerel historical  
39 harvest differences, greater amberjack historical harvest and  
40 catch limits, greater amberjack projections, and we'll have a  
41 presentation on using field experiments to assess alternative  
42 mechanisms for distributing fish to the recreational sector.  
43

44 Then we'll look at draft options for Generic Essential Fish  
45 Habitat Amendment Number 5, and then we will discuss topic  
46 leaders for agenda items, we'll have public comment, and then  
47 Other Business.  
48

1 The webinar is open to the public and is being streamed live  
2 and recorded. A summary of the meeting and verbatim minutes  
3 will be produced and made available on the council's website.  
4

5 For the purposes of voice identification, and to ensure you are  
6 able to mute and unmute your line, please identify yourself by  
7 stating your full name when your name is called for attendance.  
8 Once you have identified yourself, please re-mute your line. If  
9 you're in the room, you can just press the microphone in front  
10 of you, and it's tied into the webinar as well.  
11

12 To signal you wish to speak during the meeting, if you're in  
13 the room, just raise your hand, and I will be able to see you.  
14 If you are on the webinar, use the raise-your-hand function,  
15 and staff will display your name on the notepad on the screen.  
16 Please remember to identify yourself before speaking and to also  
17 to re-mute your line or, if you're in the room, your microphone,  
18 each time you finish speaking. Jess, do you want to run through  
19 it?  
20

21 **MS. JESSICA MATOS:** Lee Anderson.  
22

23 **DR. LEE ANDERSON:** Lee Anderson.  
24

25 **MS. MATOS:** Luiz Barbieri.  
26

27 **DR. LUIZ BARBIERI:** Luiz Barbieri.  
28

29 **MS. MATOS:** Harry Blanchet.  
30

31 **MR. HARRY BLANCHET:** Harry Blanchet.  
32

33 **MS. MATOS:** Dave Chagaris.  
34

35 **DR. DAVID CHAGARIS:** David Chagaris.  
36

37 **MS. MATOS:** Roy Crabtree.  
38

39 **DR. CRABTREE:** Roy Crabtree.  
40

41 **MS. MATOS:** Benny Gallaway.  
42

43 **DR. BENNY GALLAWAY:** Benny Gallaway, here.  
44

45 **MS. MATOS:** Thank you. Doug Gregory.  
46

47 **MR. DOUGLAS GREGORY:** Doug Gregory, here. I will note that I  
48 didn't know that we could participate from a train.

1  
2 **MS. MATOS:** David Griffith.  
3  
4 **DR. DAVID GRIFFITH:** David Griffith, here.  
5  
6 **MS. MATOS:** Paul Mickle.  
7  
8 **DR. PAUL MICKLE:** Paul Mickle.  
9  
10 **MS. MATOS:** Trevor Moncrief.  
11  
12 **DR. TREVOR MONCRIEF:** Trevor Moncrief.  
13  
14 **MS. MATOS:** Jim Nance.  
15  
16 **DR. JIM NANCE:** Jim Nance, here.  
17  
18 **MS. MATOS:** Will Patterson.  
19  
20 **DR. WILL PATTERSON:** Will Patterson, here.  
21  
22 **MS. MATOS:** Sean Powers.  
23  
24 **DR. SEAN POWERS:** Sean Powers, here.  
25  
26 **MS. MATOS:** Steven Scyphers.  
27  
28 **DR. STEVEN SCYPHERS:** Steven Scyphers is here.  
29  
30 **MS. MATOS:** Jim Tolan.  
31  
32 **DR. JIM TOLAN:** Jim Tolan.  
33  
34 **MS. MATOS:** Rich Woodward.  
35  
36 **DR. RICH WOODWARD:** Rich Woodward is here.  
37  
38 **MS. MATOS:** Jason Adriance.  
39  
40 **MR. JASON ADRIANCE:** Jason Adriance.  
41  
42 **MS. MATOS:** Michael Allen.  
43  
44 **DR. MICHAEL ALLEN:** Mike Allen.  
45  
46 **MS. MATOS:** John Mareska.  
47  
48 **MR. JOHN MARESKA:** John Mareska.

1  
2 **MS. MATOS:** Luke Fairbanks.  
3  
4 **DR. LUKE FAIRBANKS:** Luke Fairbanks is here.  
5  
6 **MS. MATOS:** Jack Isaacs.  
7  
8 **DR. JACK ISAACS:** Jack Isaacs is here.  
9  
10 **MS. MATOS:** Mandy Karnauskas. Josh Kilborn.  
11  
12 **DR. JOSH KILBORN:** Josh Kilborn, here.  
13  
14 **MS. MATOS:** Steven Saul. Tom Frazer.  
15  
16 **DR. TOM FRAZER:** Tom Frazer.  
17  
18 **MS. MATOS:** Carrie Simmons.  
19  
20 **EXECUTIVE DIRECTOR CARRIE SIMMONS:** Thank you. I just wanted  
21 to welcome everyone, and it's great to see some folks in the  
22 room and hear some voices on the webinar. Carrie Simmons,  
23 Executive Director, and I'm glad to have this group together  
24 again. We have a couple of new members, and so I appreciate  
25 your time and your attention to a lot of the different materials  
26 that were put on your agenda, and I look forward to a productive  
27 meeting. Thank you.  
28  
29 **DR. JOHN FROESCHKE:** John Froeschke, Deputy Director.  
30  
31 **DR. LISA HOLLENSHAD:** Lisa Hollensead, Fishery Biologist.  
32  
33 **MS. CARLY SOMERSET:** Carly Somerset, Fisheries Outreach  
34 Specialist.  
35  
36 **DR. MATT FREEMAN:** Matt Freeman, Economist.  
37  
38 **MR. RINDONE:** All right. Thank you, everyone. We're going to  
39 start with the agenda. There's a couple of items on the agenda  
40 that have been struck through, and these are because these items  
41 either weren't received in time to be posted or they were pulled  
42 for other reasons, like they weren't going to be available at  
43 all, but, outside of that, does anyone have any edits to the  
44 agenda? All right. Does anyone have any opposition to the  
45 agenda being approved? Seeing no hands, by acclamation.  
46  
47 The next thing is approval of the minutes for the May 3 and 4,  
48 2021 webinar meeting, and these minutes have been posted to the

1 meeting materials page for the SSC meeting, and so you guys  
2 should have had an opportunity to peruse that great reading.  
3 Does anyone have any edits to the minutes? No hands in the  
4 room. All right. Does anyone have any opposition to the minutes  
5 being approved as written? Hearing no mutiny, the minutes are  
6 approved by acclamation.

7  
8 The next thing is Election of a Chair and Vice Chair.  
9 Classically, the way that these positions have worked is that  
10 they are one-year appointments, with the option to be  
11 reappointed for a second consecutive year, but the Chair or Vice  
12 Chair typically doesn't sit in that position for more than two  
13 consecutive years. The last Chair was in that position for  
14 almost three years, but, COVID being COVID, that was part of  
15 the reason for that.

16  
17 For doing this, if there is more than one person nominated, or  
18 that puts their name forward for either position, we will have  
19 a silent vote, where you guys will just put in the subject line  
20 of your email "Chair", or, if it's for the Vice Chair, "Vice  
21 Chair", and send me an email with the name of the person that  
22 you are voting for. I will open the floor for nominations for  
23 the Chair position for the SSC. The perk to this position is  
24 you get to work with me.

25  
26 **ELECTION OF THE CHAIR AND VICE CHAIR**

27  
28 **DR. POWERS:** Ryan, a question. Does it have to be a Standing  
29 member, or can it be Reef Fish or somebody else?

30  
31 **MR. RINDONE:** It has to be a standing member of the SSC. That's  
32 a good thing to point out, Sean. Thank you. Yes, it has to be  
33 a standing member of the SSC, because the Standing SSC members  
34 are the ones that are present for all SSC meetings, regardless  
35 of subject material, and so this potato is hot, and I'm looking  
36 to toss it. Luiz.

37  
38 **DR. BARBIERI:** Thank you, Ryan. I would like to nominate Jim  
39 Nance for Chair.

40  
41 **MR. RINDONE:** Jim, do you accept?

42  
43 **DR. NANCE:** I would be willing to do it.

44  
45 **MR. RINDONE:** All right. Are there any other nominations for  
46 Chair? All right. Seeing none, we'll go ahead and close  
47 nominations, and, Jim, since you're the only name up there, you  
48 win. All right. The Vice Chair position. Harry.

1  
2 **MR. BLANCHET:** I hate to do this without having spoken to the  
3 person first, but I would like to ask Paul Mickle if he is  
4 interested in the Vice Chair position.

5  
6 **MR. RINDONE:** Paul.

7  
8 **DR. MICKLE:** Thank you, Harry. I appreciate it, but, just to  
9 let you know, I'm eight months into a directorship at a new  
10 position, and I am just truly overwhelmed. I would be honored  
11 to catch it next time, the Vice Chair, but thank you for the  
12 nomination.

13  
14 **MR. RINDONE:** All right. Any other nominations for the Vice  
15 Chair position? Will Patterson.

16  
17 **DR. PATTERSON:** I nominate Luiz Barbieri.

18  
19 **MR. RINDONE:** Luiz, do you accept the nomination?

20  
21 **DR. BARBIERI:** Thanks, Ryan. I do. Thank you, Will, for the  
22 nomination.

23  
24 **MR. RINDONE:** All right. Any other nominations for the Vice  
25 Chair position? No hands waving in the room. All right. Seeing  
26 no other nominations, we will close nominations for the Vice  
27 Chair position, and so, Jim and Luiz, you're at the helm.

28  
29 **CHAIRMAN NANCE:** Okay. Well, thank you, Ryan.

30  
31 **SCOPE OF WORK**  
32 **SELECTION OF THE SSC REPRESENTATIVE FOR THE COUNCIL'S AUGUST**  
33 **23-26, 2021 MEETING**

34  
35 **MR. RINDONE:** Next up, Dr. Nance, will be the Scope of Work,  
36 which I will go through item-by-item, as opposed to reading that  
37 War and Peace all at once, and we'll just hit each thing before  
38 each agenda item, and so, passing on that, next will be the  
39 Selection of the SSC Representative for the San Antonio Meeting.  
40 This meeting will be held in a hybrid fashion, and so the SSC  
41 representative that attends would have the option of attending  
42 either in-person or via webinar. The meeting is from August 23  
43 to 26, and so if you want to find us a representative.

44  
45 **CHAIRMAN NANCE:** Okay. Are there any that want to go to the  
46 meeting? I would be happy to go, but, if there is someone else,  
47 we can certainly consider that.

1 **DR. CRABTREE:** I think, given it's in your vicinity, that makes  
2 sense for you to attend the meeting.

3  
4 **CHAIRMAN NANCE:** Okay. I will be happy to attend that meeting  
5 and represent the SSC there, and I really appreciate being able  
6 to do that, because this committee has always functioned very  
7 well together, and I think we can continue to do that, and just  
8 remember that the Chairman is just representing the entire  
9 committee and not myself there, but I would be happy to do that.

10  
11 **DISCUSSION DOCUMENT: SSC'S BEST PRACTICES AND VOTING**  
12 **PROCEDURES**  
13

14 **MR. RINDONE:** All right, and so, Mr. Chair, the next item will  
15 be the discussion document on the SSC's best practices and  
16 voting procedures. I will be taking that one on, with some help  
17 from Dr. Simmons, and so this is Item Number VI.

18  
19 It's just a little two-pager, but I figured, to carve out some  
20 time for you guys to talk about this, because this will  
21 ultimately be -- How this is finally crafted will ultimately be  
22 what we use moving forward, when we're talking about voting on  
23 peer review items.

24  
25 As you guys -- As many of you, probably most of you, likely  
26 remember from the review of the Great Red Snapper Count report,  
27 we tried to set up the voting for that to best follow the  
28 National Standard 2 Guidance on peer review, in keeping with  
29 the best scientific information available.

30  
31 The two-page document that you have in front of you was developed  
32 in consultation with the Southeast Regional Office and NOAA  
33 General Counsel, to try to make sure that everything in there,  
34 to the absolute best avenue possible, was in keeping with  
35 National Standard 2 and the BSIA requirements in Magnuson.

36  
37 These National Standards, obviously, are things that the council  
38 has to follow in any amendment development and, with respect to  
39 National Standard 2, that's the one that mostly falls upon the  
40 SSC to make sure the SSC follows.

41  
42 When we're talking about voting, and how that's going to affect  
43 the decisions that are made by the SSC and the recommendations  
44 that go forward to the council, there are certain participatory  
45 things that SSC members need to have done in advance. Like you  
46 have to have filled out your SOFI when you're asked to, your  
47 statement of financial interest, and those are kept with the  
48 NMFS Regional Administrator, and they are also available to the

1 public. They are posted on the council's website. That last  
2 bit is a new requirement, and so you can see all of those on  
3 the SSC page on the council's website.

4  
5 If your financial interests substantially change, you have to  
6 provide an updated SOFI within thirty days, and then that will  
7 also be provided to the Regional Administrator and posted  
8 online. When considering information for making informed  
9 recommendations to the council, SSC members participating in  
10 the decision-making process should possess relevant expertise,  
11 demonstrate independence, and be free of conflicts of interest,  
12 and that is just about plagiarized directly from the Act.

13  
14 Per the NS 2 Guidelines, and this is directly from the Act, peer  
15 reviewers, in this case you guys, the SSC members, must not have  
16 any conflicts of interests with the scientific information,  
17 subject matter, or work product under review or any aspect of  
18 the statement of work for the peer review. For the purposes of  
19 this section, a conflict of interest is any financial or other  
20 interest which conflicts with the service of the individual on  
21 a review panel, because it could significantly impair the  
22 reviewer's objectivity or create an unfair competitive advantage  
23 for a person or organization.

24  
25 Further, peer reviewers, the SSC members, must not have  
26 contributed or participated in the development of the work  
27 product or the scientific information under review. For peer  
28 review products of high novelty or controversy, a greater degree  
29 of independence is necessary, to ensure credibility of the  
30 process.

31  
32 Peer reviewer responsibilities should rotate across a pool of  
33 qualified reviewers or among the members of a standing peer  
34 review panel, which is something that we already do through  
35 SEDAR, and it's rare that you have the same person on all SEDARs,  
36 or in all workshops, to prevent a peer reviewer from repeatedly  
37 reviewing the same scientific information, recognizing that, in  
38 some cases, repeated service by the same reviewer may be needed,  
39 because of limited availability of specialized experts.

40  
41 Where the rubber meets the road is this last paragraph here,  
42 and I realize that I am reading all of this, and everyone here  
43 is literate, but this is just to read it into the record.

44  
45 When the SSC is acting as the peer review body for a stock  
46 assessment or other study, an SSC member should abstain from  
47 any motions and voting on the issue of best scientific  
48 information available if they have served as the analytical

1 lead, as a lead investigator, or been otherwise directly  
2 involved in the development of the stock assessment beyond the  
3 role of a workshop panelist, and this is in keeping with how  
4 SEDAR has operated since 2005. If you were a workshop panelist  
5 at some point, you could still review the assessment in your  
6 capacity as an SSC member when the assessment is complete and  
7 comes to the council for review.

8  
9 During the best scientific information available deliberations,  
10 the SSC member is free to participate in the discussion, answer  
11 questions, and provide pertinent expertise and feedback to the  
12 SSC. After a decision has been reached on the best scientific  
13 information available, which is the ultimate decision that says,  
14 okay, this is good stuff, and we're going to look at using this  
15 for management, and so that decision is now out of the way, the  
16 SSC member, or members, are at liberty to motion and vote on  
17 remaining management advice, such as catch limits,  
18 appropriateness of allocation calculations, decision tools  
19 developed to inform management action, et cetera.

20  
21 The hurdle to get past, if you were the lead investigator of a  
22 study that's being considered say for management advice, would  
23 be the SSC, less the person that was the lead investigator,  
24 declares that we think this is the best scientific information  
25 available, and we think that this should be used for management  
26 advice, and it will be on myself, the Chair, and the Vice Chair  
27 to make sure that, when the motion making is occurring, that  
28 that motion happens by itself, and so it's not we think this is  
29 BSIA and the OFL should be this and the ABC should be this, but  
30 it will just -- That motion will just be is this BSIA or not,  
31 and then we'll go to the next thing.

32  
33 When we go to the next thing, if you were the lead investigator  
34 or whatever, that decision to use that information, that's done.  
35 It's already been determined, and so the advice that comes next,  
36 going to the council to inform management action, you can  
37 participate in that full bore. That is what we're proposing  
38 here, and we're trying to keep that in line with, again, National  
39 Standard 2, with the peer review guidelines set forth for  
40 Magnuson, and are there questions?

41  
42 **CHAIRMAN NANCE:** Is this a change, or is this the way it's  
43 always been?

44  
45 **MR. RINDONE:** It's kind of the way that it's always been, but  
46 we just haven't been so deliberate about outlining it. Some of  
47 the other councils, for their SSCs, have these voting procedures  
48 codified in their standard operating procedures and policies

1 for their SSCs, or for their council as a whole, and we haven't  
2 had such language put into the council's SOPPs for the SSC, but  
3 we have still more or less been bound to follow it, because the  
4 council has to operate under Magnuson, which includes abiding  
5 by the National Standards.

6  
7 In this case, we're trying our best to clarify it explicitly,  
8 so that it creates fewer gray areas for people, and they can  
9 better understand when their participation, if they have a  
10 conflict -- When they should abstain and when they can step back  
11 in, and so, in the room, we have Trevor and David.

12  
13 **DR. MONCRIEF:** Just real quick, I know it's probably difficult  
14 to foresee all the motions that are going to come out of a given  
15 meeting, but will the individual that fall under this be  
16 notified prior to the meetings, should they have to be excluded  
17 from a given vote?

18  
19 **MR. RINDONE:** If it seems rather obvious that somebody should  
20 be aware of this, I will reach out to them in advance, and,  
21 obviously, if you are presenting a study to the SSC that is  
22 being considered for management advice, this would absolutely  
23 apply.

24  
25 One that's coming up that comes to mind, that you guys will see  
26 in September, would be the study by LGL and Associates for the  
27 Louisiana Department of Wildlife and Fisheries, and so Dr.  
28 Gallaway is a principal for LGL, and, Dr. Gallaway, I know I'm  
29 picking on you right now, and so, in determining whether that  
30 study constitutes BSIA, for the purposes of what it examined,  
31 Dr. Gallaway should not vote on that particular motion, but,  
32 once that motion happens, whatever happens after that -- Like,  
33 once that vote happens, whatever happens after that, then he  
34 can participate again. That would be a contemporary example.  
35 Dr. Griffith.

36  
37 **DR. GRIFFITH:** Just a point of clarification, and so, if you  
38 are the PI on a study, you can participate in all the discussion  
39 and stuff, and the only thing you can't do is vote, and that's  
40 it?

41  
42 **MR. RINDONE:** Yes, and your participation in the discussions is  
43 probably pretty critical, because, if there are questions,  
44 obviously, you want to hear it from the horse's mouth, and so  
45 the only thing that you're really being recused from is on  
46 whether it constitutes the best scientific information  
47 available. You can't review your own manuscript for publishing,  
48 that sort of perspective, and whether it's being used for

1 management advice.

2  
3 Once the SSC has determined that we do want to use this for  
4 management advice, then you have the opportunity to step back  
5 in and vote on how it's going to be used for management advice  
6 and what the catch limits might be, what the recommendation for  
7 a closed area might be, if that was something that was being  
8 examined, or whatever the circumstance might be. Online, we  
9 have Harry and Jim, and so we'll start with Harry.

10  
11 **MR. BLANCHET:** I have two kind of unrelated questions, and this  
12 really has to do with what role we may serve as SSC members that  
13 is beyond the role of a workshop panelist, which is defined  
14 language right now, and I see two things that we can do regularly  
15 in our everyday jobs, and one is as a data provider.

16  
17 Our various agencies provide information sources that go into  
18 stock assessments, and we may or may not be personally involved  
19 with the collection, analysis, summarization, or whatever of  
20 that data, but that is basically coming from our shop, and so I  
21 would see that as something as being beyond the role of a  
22 workshop panelist.

23  
24 If we leave that as it is, that would exclude a fair number of  
25 SSC members from those votes, especially something as complex  
26 as red snapper, for instance, where we've got everything but  
27 the baby in the bathwater in there, and sometimes we've got the  
28 baby in there.

29  
30 The other aspect is kind of related to the type of an issue that  
31 you just mentioned with Dr. Gallaway, in that some of us may  
32 have reviewed all or parts of a document, going into that  
33 assessment, prior to it going into that assessment, and so,  
34 again, that's beyond the role of a workshop panelist. I think  
35 I would like some clarification about some of those other types  
36 of roles that might either require or not require exclusion, so  
37 that we can be clear, going forward. Thank you.

38  
39 **MR. RINDONE:** Dr. Simmons.

40  
41 **EXECUTIVE DIRECTOR SIMMONS:** Okay. I will try to start  
42 answering, I think, some of that, Harry, some of your questions.  
43 Just a couple of things to note. Other councils' SSCs do not  
44 vote, and they operate by consensus, and so that's the first  
45 thing that I wanted to tell you all.

46  
47 We historically, in the Gulf, have voted, and so that's why  
48 staff has drafted the suggestion this way, and it doesn't mean

1 you can't go back, Mr. Chair, to trying to have a consensus in  
2 how you want to run the meeting, but we know sometimes that is  
3 not easy to do, and so that's a different approach we could  
4 take.

5  
6 When we were drafting these, Harry, we weren't suggesting that  
7 we would exclude the examples you gave in your scenarios from  
8 voting on BSIA. From what I understand, an independent reviewer  
9 that was reviewing a proposal that was put before your agency  
10 to complete said work, you were not directly involved in the  
11 work, correct, and are you a co-author, a co-lead, a co-PI, and,  
12 to me, then you would exclude yourself from that first part of  
13 that vote.

14  
15 If you are an independent reviewer, you're kind of seeing --  
16 You're kind of like a -- What do they call us when we're doing  
17 the NOAA RESTORE? We're like the manager, and don't call us  
18 co-PIs, and we're not co-investigators, but we're helping  
19 facilitate, and so I don't see you as having to exclude yourself  
20 from voting in that case. Technical monitor. There you go.

21  
22 You're making sure that you're getting what you need, and so we  
23 weren't intending that you would exclude yourself from that  
24 vote, but, you yourself, if you feel like you yourself should  
25 exclude yourself from voting on this, that's totally up to you.  
26 I would consult with the Chair about that, make a decision and  
27 consult with us about that and make a decision, but that was  
28 not our intent when we drafted this.

29  
30 **MR. BLANCHET:** Okay, and I was mainly concerned about that  
31 statement that any -- It seems to be pretty definite about what  
32 roles we can play, and those were two cases where I thought we  
33 were going beyond the role of a workshop panelist, and so that  
34 was my concern.

35  
36 **DR. MICKLE:** Real quick, Dr. Simmons, you made a statement there  
37 about consensus and how the other SSCs and councils require  
38 consensus, I guess in other places, and, in the Gulf of Mexico,  
39 we've always voted. If I am reading this correct, and you said  
40 that it would be the Chairman's choice for consensus or not,  
41 but, if I'm reading this correctly, in this document that Ryan  
42 has presented here, it says, however, it is up to the regional  
43 fisheries management council to determine the process for  
44 administrative motioning and voting best practices, and it's  
45 actually the council's decision of how -- If we do a consensus  
46 or not, and not the Chair of the SSC. Am I reading that  
47 correctly?

48

1 **EXECUTIVE DIRECTOR SIMMONS:** Well, I mean, the council has to  
2 sign-off on this, and they saw a draft of it before we put it  
3 before you, but I'm just telling you that other regional  
4 councils do not necessarily operate their SSCs by voting. They  
5 have a consensus process that they go through. If there are  
6 panel members that can't agree with that consensus, they write  
7 reports, I guess minority reports of sorts, saying why they did  
8 not agree with that, but they don't vote like we do.

9  
10 **MR. RINDONE:** Roy.

11  
12 **DR. CRABTREE:** I believe, Carrie, and that was my understanding,  
13 that this is the only SSC that doesn't really operate as a  
14 consensus body. I mean, I think, if we had a consensus that we  
15 wanted to operate as a consensus body, I suppose the council  
16 could come in and say we don't agree with that, but I don't ever  
17 recall the council engaging at that level in our business.

18  
19 One of the benefits of consensus body is, when you receive  
20 science advice, is this the best available science, and it comes  
21 to you as an eight-to-seven vote, that's really not very  
22 compelling, and, a lot of times, I think it's much more valuable  
23 if you spend the extra time to see what can we all agree on,  
24 from a science perspective, and then sometimes, if we can't  
25 agree, what that tells me is the answer is really not in the  
26 science, and we probably ought to lay out the pros and cons and  
27 let the policy makers decide.

28  
29 I have watched the South Atlantic and the Caribbean operate as  
30 consensus bodies, and it seems like it works pretty well, and  
31 it does avoid some of these issues, in terms of voting and split  
32 decisions and those types of things, and so I think it is  
33 something worth considering.

34  
35 **CHAIRMAN NANCE:** I know that, even when we have voting though,  
36 we do have a rigorous discussion, and, during that discussion,  
37 we're doing the pros and cons and so forth, and all of that is  
38 on the record. While the vote may be fifteen-to-one, and that's  
39 pretty good, but, if it's eight-to-seven, that shows that it  
40 was something that we were having issues with trying to come to  
41 agreement on, for sure. I don't know if that's -- We still, in  
42 the voting, have that discussion.

43  
44 **MR. RINDONE:** Carrie.

45  
46 **EXECUTIVE DIRECTOR SIMMONS:** Exactly. That's what I am  
47 suggesting, and so I think, on a lot of issues, if the Chair  
48 had a good feeling that we didn't have to go to voting, and

1 there was a solid consensus of the panel, of the committee, that  
2 we wouldn't have to necessarily vote on every single issue. On  
3 some things, it may require votes, and this is what we're  
4 suggesting, but, if the committee would want to consider  
5 something like, on some issues, we suggest that the committee  
6 is primarily going to operate on a consensus.

7  
8 In the cases where the committee can't reach a consensus, with  
9 a few minority opinions, then we would follow this process, but  
10 we want you to tell us if that's how you want to operate, is  
11 what we're looking for.

12  
13 **MR. RINDONE:** Online, we have Jim Tolan.

14  
15 **DR. TOLAN:** I withdraw my comment. Thank you.

16  
17 **MR. RINDONE:** All right. Doug Gregory.

18  
19 **MR. GREGORY:** Good morning. I have been serving on the Caribbean  
20 SSC since 2018, and they currently do vote, and they also  
21 recently have been given advice from NOAA General Counsel that  
22 anyone involved in the research cannot vote on any aspect that  
23 involves that research, and so they have a more strict criteria  
24 than what is outlined in this document. Personally, I think  
25 people should be able to vote on all aspects of it, and we wear  
26 different hats for different reasons, but there are differences  
27 between the councils.

28  
29 **MR. RINDONE:** Doug, you and I talked about this a little bit,  
30 and it may be a more nuanced discussion for NOAA GC to have on  
31 that issue. I did get a couple of them involved with the  
32 crafting of what you guys have in front of you right here, and  
33 so, anywhere where you guys want to add more explicit language,  
34 that is something that we can certainly consider and put back  
35 before the council. As Dr. Simmons said, the council ultimately  
36 has to sign-off on whatever it is that this two-pager becomes,  
37 and this will be included in the SOPPs. Dr. Anderson.

38  
39 **DR. ANDERSON:** Thank you. I sit on the Mid-Atlantic SSC also,  
40 and they use voting there, too. Sometimes they will come up  
41 with a consensus, but voting is always possible. I just wanted  
42 to make that clear.

43  
44 **MR. RINDONE:** Lee, do they -- Just out of curiosity, do they  
45 start at consensus and then determine a need to vote, or do they  
46 start with a vote and then, if no one objects, then it's just  
47 listed as a consensus statement? Like what's the order of  
48 operations?

1  
2 **DR. ANDERSON:** It's the second way. They will start with a  
3 vote. No, I guess he will say, is there any objection, or  
4 something like that, and then, if there is, then they would go  
5 to a vote. Quite frankly, I like that way, and, if you've got  
6 an eight-to-seven situation, it's going to be very difficult to  
7 get to a consensus.

8  
9 **MR. RINDONE:** That's essentially what we do now. We ask if  
10 there is any objection, and then, if there's not, then the  
11 motion will carry without opposition. If there is objection,  
12 then, ultimately, it goes to a vote, the difference, I guess,  
13 being that, if we were trying to operate via consensus, then  
14 additional discussion would have to happen.

15  
16 Kind of alluding to something that Dr. Crabtree said, sometimes  
17 the solution might be in breaking down the decision being  
18 considered into smaller components. Instead of having a very  
19 large, sweeping motion that encompasses quite a bit, and, I  
20 mean, you guys have really put forward some novels every now  
21 and then, some pretty long motions with a lot of information in  
22 them, maybe the solution would be to take things into smaller  
23 pieces, and then that would help better identify where people  
24 are having differences. Benny.

25  
26 **DR. GALLAWAY:** When you get to the point where you know that  
27 you've got at least two groups, two opinions, represented, I  
28 think the consensus approach is really good, in that both a  
29 majority report and a minority report, from my experience, is  
30 required, and that enabled a clear presentation of what the  
31 basis for the two opinions are that a decision-maker can look  
32 at and form their own opinion, and so I'm really in favor of  
33 the consensus approach, even if we use voting to determine what  
34 level constitutes a consensus, et cetera. When we have more  
35 than one opinion represented, a detailed report from each view  
36 I think is critical and important. Thanks.

37  
38 **MR. RINDONE:** We have Harry up next.

39  
40 **MR. BLANCHET:** My primary concern was not with voting or not  
41 voting, and I really did not think we were going down that  
42 particular road with this item, and I was more concerned about  
43 the role of the SSC as a peer review body, and I really would  
44 like to see that line about what the roles are, or are not, more  
45 precisely defined, so that it's something beyond this discussion  
46 here about, well, if you were a principal investigator, you  
47 should not --

1 On a document, you shouldn't vote, and so the document gets  
2 provided to the Southeast Fisheries Science Center, and it  
3 becomes a keystone of the next assessment, whether it's a growth  
4 curve or whether it's a mortality rate or whatever, and then is  
5 that something that is disqualified? I hope not, but I would  
6 like to see those kinds of things better defined, and I agree  
7 that this is really a discussion that General Counsel can  
8 probably do a lot better than we can, but I just don't want to  
9 leave that line as it is right now, because, five years from  
10 now, it's going to look like we've basically got one role that  
11 is allowable.

12

13 **MR. RINDONE:** Harry, I will take a swing at this. This language  
14 here is obviously open to modification, and so, if there's  
15 something in particular that you think that we need to alter,  
16 by all means, let's work on that.

17

18 We tried to leave it as barebones and minimal as we possibly  
19 could, to exclude as few circumstances as possible, to leave  
20 more opportunity for voting, basically to the greatest degree  
21 that we could, under National Standard 2.

22

23 If you think though that we need to add more language in here,  
24 to be more explicit about when someone's involvement doesn't  
25 preclude them from voting, then let's absolutely add that in  
26 here. What you're describing, and like let's say -- I will pick  
27 on John Mareska.

28

29 If John shows up to SEDAR 74 for red snapper with life history  
30 information from Alabama, well, that shouldn't -- Based on how  
31 SEDAR has operated under National Standard 2 for the better part  
32 of sixteen years now, that doesn't preclude him from weighing-  
33 in on the decisions at-large that are brought before SEDAR 74,  
34 and it doesn't preclude him from being a reviewer of the  
35 assessment when it ultimately comes before the SSC. Well, in  
36 the case of a research track, it operates a little differently,  
37 but you guys understand what I am saying.

38

39 As a member of the SSC, John would still be able to make  
40 decisions with the rest of you on the assessment at-large,  
41 despite couriering that life history information from the state,  
42 that was likely collected by people other than himself, but  
43 being able to speak from a position of expertise and authority  
44 on it, because it comes from his state, and it's developed by  
45 his people, and it falls within his line of expertise.

46

47 The only time, under those circumstances, that John would have  
48 to just kind of fold his hands and let the discussion -- Well,

1 SEDAR operates by consensus, but just kind of like let the  
2 discussion evolve is when the life history panel, in this  
3 particular example, is trying to determine whether they are  
4 going use that information for some component of an aspect of  
5 the life history of the species within the assessment.

6  
7 He should advocate for the data, to the extent that the data  
8 are defensible for themselves, but, as far as whether or not  
9 those data are going to be included at that stage in the data  
10 workshop, he just kind of sits that out, and that typically  
11 works pretty well in the SEDAR process, but, once that SEDAR is  
12 completed, and it gets to the SSC, the cuffs are off, and there  
13 are no restrictions on the advice that he can provide and when  
14 he can vote. Does that make sense?

15  
16 **MR. BLANCHET:** It does, and I absolutely understand the reasons  
17 to not have a whole list of thou-shalt and thou-shalt-nots,  
18 because there is always new roles and new issues that are not  
19 included in that list, but it's just concerning to me, in terms  
20 of how this is going to be seen five years from now, without  
21 more guidance, and that's all.

22  
23 **MR. RINDONE:** I think what part of this is coming from might be  
24 this part of the sentence here that says, "beyond the role of a  
25 workshop panelist", and so workshop panelist, in this case, is  
26 a definable noun.

27  
28 It means something as part of the SEDAR process, and a workshop  
29 panelist is someone who is appointed by the SEDAR cooperator,  
30 in this case, for you guys, the Gulf Council, to attend a SEDAR  
31 workshop, and they can fill the role of data provider, provide  
32 expertise on the data, provide analytical expertise for  
33 examining the data, a number of different things, but workshop  
34 panelists are data providers, and so, by function of the way  
35 that this is written, and this is how I am personally reading  
36 this, and perhaps you will read this a little bit differently,  
37 now that I have said what I have said, but, if you're a data  
38 provider -- Like using the example of John bringing life history  
39 data from Alabama, you're filling the role of a workshop  
40 panelist, to the definition. Does that give a little bit  
41 different perspective, or do we need to further clarify it  
42 somehow with some additional language?

43  
44 **CHAIRMAN NANCE:** Well, let me throw this in. What if we just -  
45 - When we go down the road of having a whole bunch of lists of  
46 who can do things, what if we just cut it off at if they served  
47 as the analytical lead or lead investigator, period?

1 That is really what we're talking about, is the individual  
2 that's involved directly with the assessment or the  
3 investigation of that project, and everything else is external,  
4 I think, whether you're an initial reviewer or things like that,  
5 and, I mean, we could go down and have a hundred different  
6 things, but, if we cut it off at those two things, I think that  
7 would serve us better.

8  
9 **MR. RINDONE:** Carrie, do you recall anything specific about that  
10 last part of that sentence that we were thinking about that  
11 could be grounds for someone to recuse themselves from a vote,  
12 the "or been otherwise directly involved in the development of  
13 a stock assessment beyond the role of a workshop panelist"? I  
14 am trying to like rapidly burn through my brain, trying to think  
15 of different scenarios that would apply.

16  
17 **EXECUTIVE DIRECTOR SIMMONS:** I can't recall right now. I think,  
18 in the past, we might have had a state or a federal lead, but I  
19 think it's covered there by analytical stock assessment lead,  
20 or lead investigator, and so perhaps that would make it cleaner.

21  
22 I mean, we can continue to look at this, and say, in two years,  
23 if we feel like this doesn't meet our needs, we can bring it  
24 back to the council and bring it back to the committee. I don't  
25 know that we will put it in the SOPPs. We certainly will put  
26 it on the website as our best practices and policies, and we've  
27 got to talk to the council about whether it will go in the SOPPs  
28 or not, because, every time we modify our SOPPs, it has to go  
29 back up to Headquarters for review, and that seems to take a  
30 long, long time, and so I'm not sure yet if it will actually go  
31 in the SOPPs, but it will certainly go on the website, and we'll  
32 be following this, after you guys concur.

33  
34 **CHAIRMAN NANCE:** Doug.

35  
36 **MR. GREGORY:** Thank you. With regard to the consensus  
37 discussion, which is really not on the agenda, I would suggest  
38 that we put that on a future SSC agenda, because there has been  
39 a lot of interest in that in recent years, and I think it's  
40 worthy of a discussion, and it's something that could be  
41 helpful, if done right, and could be harmful if not done right,  
42 and so I suggest we just kind of bump that to a future meeting  
43 and really have an in-depth discussion of it. Thank you.

44  
45 **MR. RINDONE:** We can do that, Mr. Chair. I will make a note.

46  
47 **CHAIRMAN NANCE:** Yes, that would be good. Rich.

48

1 **DR. WOODWARD:** I mean, I think the point here is to eliminate  
2 any potential conflict of interest, and, personally, I can  
3 easily see that I would have a conflict of interest on a project  
4 in which I was heavily involved, but was not the lead, and so I  
5 am not -- Far be it for me to opine on matters about which I  
6 know nothing, but I can easily see a potential conflict, even  
7 if I'm not the lead.

8  
9 **CHAIRMAN NANCE:** What would be an example of that, Rich?

10  
11 **DR. WOODWARD:** If I was involved in a research project in which  
12 I was intimately involved in the development of the analysis,  
13 but I wasn't the leader of the research, I would feel emotionally  
14 connected to the results, even if I wasn't the one at the top  
15 of the bill, and so, I mean, that's why I don't review my own  
16 papers, even if I'm not the first author. That's sort of my  
17 perspective, but, as I said, I don't -- I have very limited  
18 understanding of the specific issues about which we're talking  
19 about here today, and so take this all with a very serious grain  
20 of salt.

21  
22 **CHAIRMAN NANCE:** I appreciate those comments, for sure, and I  
23 think it's always been -- Anybody can abstain on any different  
24 issue, for sure, and I think we've done that over the past, and  
25 so I think what we want to do is, on this one, just clean this  
26 up, because I felt like, when we did the red snapper review, it  
27 was very -- It was hard to know what people could do and what  
28 they couldn't do, and I think this really adds a tremendous  
29 insight into what we're able to do, that you can vote on this,  
30 and then you can talk about it and things like that, and so I  
31 do appreciate this, and I would like to see this happen. Josh.

32  
33 **DR. KILBORN:** I wanted to follow-up on Rich's comments, because  
34 I am actually going to fall into that category, when it comes  
35 into the Greater Amberjack Count. You know, there's a large  
36 group of scientists that have been put together to work on that  
37 project, and I am not one of the leads on that project, but I  
38 will be intimately involved in that work, and so that's just  
39 another example of the kind of thing that Rich was referring  
40 to. Thank you.

41  
42 **CHAIRMAN NANCE:** Will.

43  
44 **DR. PATTERSON:** Thanks, Jim. I think one way that we could  
45 suggest an edit to the text here that could get away from this  
46 idea is just, instead of saying it's a lead investigator, just  
47 say as the principal or a co-principal investigator, and I think  
48 "lead" is meant here as somebody who has a significant input in

1 the construction of the project and analysis, but not  
2 necessarily as the principal investigator, but, if we were more  
3 explicit, then I think that would help clarify what folks are  
4 talking about here.

5  
6 **CHAIRMAN NANCE:** So what would you suggest as the wording for  
7 there, Will?

8  
9 **DR. PATTERSON:** I would say, "as the principal or a co-principal  
10 investigator".

11  
12 **MR. RINDONE:** How does that taste?

13  
14 **DR. PATTERSON:** You could put it in parentheses, "i.e.,  
15 principal or co-principal investigator", just so people  
16 understand what you mean by "lead".

17  
18 **MR. RINDONE:** Mr. Chair, I'm just kind of looking to see if  
19 anyone has any general thoughts on that edit. Trevor.

20  
21 **DR. MONCRIEF:** Will we still be removing that last part of the  
22 sentence?

23  
24 **MR. RINDONE:** I think we can do a strike-through for last part  
25 of that sentence there, starting with "or been otherwise", and  
26 just highlight "or been otherwise" all the way to the end of  
27 that sentence. Just do strike-through there, and then, John,  
28 you're helping with that, with Will's?

29  
30 **CHAIRMAN NANCE:** Okay. Any discussion on those edits?

31  
32 **MR. RINDONE:** Dr. Simmons.

33  
34 **EXECUTIVE DIRECTOR SIMMONS:** As long as that includes any stock  
35 assessment lead. I mean, we don't have, I don't think, someone  
36 right now that would be presenting that that's on the SSC, but  
37 that has occurred in the past.

38  
39 **CHAIRMAN NANCE:** I think we need to keep analytical lead, or  
40 maybe how to have it is if they serve as the analytical lead or  
41 principal or co-investigator. Would that take care of that?

42  
43 **MR. RINDONE:** So "as the analytical lead, or principal". There  
44 we go.

45  
46 **DR. KILBORN:** I am not sure how those are materially different  
47 from one another, analytical lead or principal investigator.  
48 Aren't those essentially synonyms?

1  
2 **MR. RINDONE:** They are, but it's just a difference in how those  
3 positions are described between when say academic research is  
4 done for like a project that one of you guys might be on versus,  
5 in the SEDAR process, the lead analyst is called the lead  
6 analyst, or the analytical lead, and so they are synonyms, but  
7 different places use different terminology, and so, by being  
8 explicit about it in here, we can hopefully mop up some of the  
9 gray area.

10  
11 **DR. KILBORN:** I guess, once again, this would allow someone like  
12 myself to vote on something that I was involved in, specifically  
13 looking at this amberjack project coming up. I am involved in  
14 that work, but I am not listed as a principal, a PI or a co-PI,  
15 but I will be heavily involved in that work and the analysis,  
16 and so I'm not quite sure that striking through the last part  
17 of that sentence is the best idea, if we want to be explicit  
18 about defining roles. I mean, I would still take it upon myself  
19 to recuse, because I feel it's the right thing to do, but not  
20 everyone may feel that way.

21  
22 **CHAIRMAN NANCE:** Ryan.

23  
24 **MR. RINDONE:** Thank you, and, like Mr. Chair said, like Dr.  
25 Nance said, you can recuse yourself at any time, for any reason,  
26 and you can abstain from a vote at any time, for any reason that  
27 you feel is most appropriate. It's not to -- Nothing about this  
28 is set up to prevent someone from recusing themselves or forcing  
29 someone to have to vote on something, and it's always your  
30 prerogative to abstain from a vote.

31  
32 Mr. Chair, when we're looking at how we're going to develop this  
33 language, I think, at this point though, we've still heard  
34 arguments for getting rid of and for perhaps keeping that last  
35 sentence, and so I don't know how you want to approach the  
36 editing process on this. We certainly still have plenty of time  
37 left to discuss.

38  
39 **CHAIRMAN NANCE:** Let's hear Luiz and then Harry.

40  
41 **DR. BARBIERI:** Thank you, Mr. Chairman. My thought, or  
42 recommendation, here is exactly to that point, and to the point  
43 that Josh just made, and so perhaps, instead of having that  
44 sentence there, have something like "or had any direct  
45 participation as a member of the analytical team".

46  
47 What I am thinking about is, for example, in my case, where I  
48 do not just work for FWC/FWRI, but I actually direct the Marine

1 Fisheries Research Program, and so a lot of the folks conducting  
2 -- Not a lot, but all the folks conducting stock assessments  
3 from our team actually are under my group, are members of my  
4 group, but, if it haven't really been a member of the analytical  
5 team, or participated in any of the analysis, that would not,  
6 in my opinion, signify a conflict of interest.

7  
8 I mean, that's to Josh's points directly. Even if he's not a  
9 co-PI or a co-lead in that project, but he's going to be  
10 participating in production of analytical products, that is  
11 almost like being a co-author in a paper later on that he will  
12 be therefore reviewing if he is a participant in that voting  
13 process. How about that?

14  
15 **CHAIRMAN NANCE:** So what would you add, so Jessica can add that?

16  
17 **DR. BARBIERI:** After "co-principal investigator", perhaps "or  
18 had any direct participation as a member of the analytical  
19 team", at least as draft language that we can improve upon, but  
20 you get the idea, and you could be the analytical lead or not,  
21 be a principal or co-principal investigator or not, but, if  
22 you're involved in any of the analytical products that are  
23 coming out of that work, that would signify a potential conflict  
24 of interest.

25  
26 **CHAIRMAN NANCE:** Okay. Harry.

27  
28 **MR. BLANCHET:** Luiz had a very similar comment to where I was  
29 going, and so I'm good with that.

30  
31 **CHAIRMAN NANCE:** Okay. Thank you. Jason.

32  
33 **MR. ADRIANCE:** Thank you, Mr. Chair. My question, I guess, is  
34 more at the ten-thousand-foot level, and any of these changes  
35 we make, and to Josh's point of anyone is able to abstain, but,  
36 if someone may choose, or choose not to, if they were involved  
37 in something, based on how this is reworked, will NOAA General  
38 Counsel give us some guidance on this, because what I would  
39 hate, in the end, is for us to deliberate about something and  
40 come up with our advice to the council and then someone turn  
41 around and discredit that, because someone abstained, and  
42 someone didn't, that may or may not have been involved. Thanks.

43  
44 **CHAIRMAN NANCE:** Thank you for those thoughts. Any other  
45 comments on this language? I would like -- Bob Gill is not here  
46 anymore, and so we don't have motion makers, and so we're going  
47 to have to take it upon ourselves to get a motion out, but I  
48 would like to have a motion on accepting this, with those edits.

1  
2 **DR. GRIFFITH:** I will move to accept the edits as written up  
3 there.

4  
5 **DR. ISAACS:** I will second.

6  
7 **MR. RINDONE:** We have a motion by Dr. Griffith and a second by  
8 Jack Isaacs.

9  
10 **CHAIRMAN NANCE:** Paul.

11  
12 **DR. MICKLE:** Just a point of clarification. What's the next  
13 step, if this passes? Does it go in front of the council and  
14 make its way into the SOPPs, or is it our little rule-following  
15 document? Is it internal, or can we have some guidance, please?

16  
17 **CHAIRMAN NANCE:** Carrie, do you want to address that question,  
18 or Ryan?

19  
20 **MR. RINDONE:** I've got it. The next thing that will happen is  
21 we'll edit the document that you guys have in front of you, if  
22 this motion passes, with the revised language, and it will go  
23 back before the council, and we will put it on the council  
24 website, under the SSC tab, as the standard operating procedure  
25 for SSC voting. It won't go in the council's formal SOPPs, as  
26 Dr. Simmons said, until there's a -- Probably unless or until  
27 there is a larger change to the SOPPs, because that has to go  
28 up to Headquarters, and that moves at a snail's pace uphill,  
29 but we'll put this up on the council's website so that everybody  
30 know that, under these circumstances, this is how this body is  
31 going to respond to this situation.

32  
33 **CHAIRMAN NANCE:** Any other discussion? Any issues with -- I am  
34 trying to think of the term here. **Any opposition to this motion?**  
35 **I don't see any opposition, and so it's been accepted.** Thank  
36 you, and thanks for making the motion.

37  
38 **MR. RINDONE:** All right. That brings us a little bit early to  
39 the point that we were going to have a break, and, because of  
40 how we have the schedule set up, Mr. Chair, we weren't trying  
41 to move a whole bunch of things around. If you wanted to try  
42 to tackle some things ahead of time, some of the things at the  
43 end of today --

44  
45 **CHAIRMAN NANCE:** For red grouper, we scheduled that for right  
46 after lunch?

47  
48 **MR. RINDONE:** That's correct, and so Dr. Sagarese will give that

1 presentation from the Science Center after lunch, and so I don't  
2 think we should move that one.

3

4 **CHAIRMAN NANCE:** No, we don't want to move that one. Let's look  
5 and see if there is --

6

7 **MR. RINDONE:** There's a couple of bits of low-hanging fruit  
8 there on the backend of today, like Items X, XI, and XII, that  
9 are all mine, if you wanted to tackle one or two of those before  
10 our scheduled break, and I think we could definitely tackle X  
11 and XII, if you wanted to.

12

13 **CHAIRMAN NANCE:** Let's go ahead and do those, Ryan.

14

15 **MR. RINDONE:** All right. Carrie.

16

17 **EXECUTIVE DIRECTOR SIMMONS:** Did you want Julie to go through  
18 that process first, so everybody -- That it's fresh in their  
19 minds about the topical working groups and the various  
20 operational assessments and what's in those scopes of work?

21

22 **MR. RINDONE:** Well, if she's on, okay, but I think Dr. Katie  
23 Siegfried had a few slides that she was going to be presenting  
24 after Julie's, and so we kind of need both of them together.  
25 If they're prepared to do that now, then we could do that now.  
26 Julie.

27

28 **DR. JULIE NEER:** I need about fifteen minutes, because I'm  
29 wrapping up something else, and then I would be ready.

30

31 **CHAIRMAN NANCE:** Is Katie on too?

32

33 **DR. KATIE SIEGFRIED:** I'm here.

34

35 **MR. RINDONE:** Yes, there she is.

36

37 **CHAIRMAN NANCE:** Okay.

38

39 **DR. NEER:** If you give me like ten minutes, I will be ready.

40

41 **MR. RINDONE:** Do you want to take a quick break for fifteen  
42 minutes?

43

44 **CHAIRMAN NANCE:** Okay. We'll take a fifteen-minute break, and  
45 then Julie and Katie can be on. Thank you.

46

47 (Whereupon, a brief recess was taken.)

48

1 **CHAIRMAN NANCE:** I think we're ready to start again. We're  
2 going to go ahead, and I will turn it over to Julie for the  
3 presentation.  
4

5 **DISCUSSION OF RESEARCH TRACK AND OPERATIONAL ASSESSMENT**  
6 **PROCESS**  
7

8 **DR. NEER:** All right. Thanks, Jim. My name is Julie Neer, and  
9 I am the SEDAR Program Manager for SEDAR here in the Southeast,  
10 and I am also the SEDAR Coordinator for the Gulf SSC, for the  
11 Gulf Council's assessments, along with -- I also work in the  
12 Caribbean, and I work with the Florida assessments as well.  
13

14 I was asked to give a pretty quick big-picture overview for  
15 SEDAR. If any of the new members have even further questions,  
16 which you might, you can always reach out to myself, or to Ryan,  
17 who was the SEDAR coordinator before he became council staff,  
18 and so we live and breathe this every day, and there is a lot  
19 of details that you really don't need to know, but we want you  
20 to have at least the big picture.  
21

22 SEDAR operates under what we all know of as the limited resource  
23 challenges, and you want to be -- That's not the next slide.  
24 There should be a slide before that, and I think we skipped two  
25 slides. There we go.  
26

27 The SEDAR goals. Perfect. SEDAR was developed in 2002, as a  
28 council process, and it was developed after an assessment --  
29 There was an assessment that went through for red porgy, and it  
30 went all the way through the end, and it got reviewed, and then  
31 people discovered that some of the input data were incorrect,  
32 because the people who collected the data were never looped into  
33 the assessment process, and so this process was developed back  
34 then to avoid those problems and to bring a more inclusive  
35 approach to producing these assessments, with everybody brought  
36 in at the appropriate stages where they are best suited to serve  
37 and provide input.  
38

39 The goal is to provide robust and transparent assessments, and  
40 stakeholders are involved in the assessment process, which, as  
41 I said before, was not part of the process previous to the SEDAR  
42 program being developed. The attempt is to provide reliable  
43 and scientifically-rigorous assessments.  
44

45 At the research track stage, which we'll talk about in a minute,  
46 we have an independent peer review of that assessment product,  
47 that vehicle that comes out of that first-time assessment, or a  
48 major, perhaps, re-look at an assessment. The goal is to provide

1 timely assessment products, thorough documentation of all the  
2 methods used and the data that was incorporated, and to provide  
3 appropriate consistency in the documentation, assessment  
4 approaches, and treatments of uncertainty.

5  
6 Anyone who works knows it's very difficult to be fully  
7 transparent, be very thorough, and also be timely, because, the  
8 most transparency you want to bring in, and the more  
9 thoroughness, looking at every single question, obviously, that  
10 takes longer.

11  
12 We have been put in the situation where we have to sort of pick  
13 two of those three, and that allows us to move forward in a  
14 relatively functional fashion, without getting totally lost in  
15 the weeds on every single thing, because, as we all know,  
16 management goes on whether we have the science, a new  
17 assessment, or not. The managers are required to manage these  
18 fisheries every day, and they can't sit around and do nothing  
19 while we're waiting eight years for the next assessment.

20  
21 In response, SEDAR has two main assessment approaches. We have  
22 a research track approach, which is very, very thorough and  
23 completely transparent, and there's a lot of involvement at all  
24 stages of development, and then we have thorough, but more  
25 timely, approach, which is the operational assessments, which  
26 are built on previous research or benchmark assessments, and  
27 we'll talk about a little bit more details in a minute.

28  
29 We're going to start off with the research track, and this used  
30 to be called benchmarks, before we revised the process a few  
31 years back, and they are still called benchmarks in regard to  
32 the assessments that the State of Florida does, due to a little  
33 detail that I am not going to get into here, but, if you want  
34 to know, you can ask me.

35  
36 Research tracks, this is the time where we develop this tool,  
37 and we look at the models, and we come up with the methods, and  
38 we really try and examine how this particular stock should be  
39 assessed moving forward, and it's a stage where there could be  
40 hypothesis testing, where we can look at options for what stock  
41 ID should be, changing it from what was used last time, perhaps,  
42 if need be, if new information is available.

43  
44 It's a place to implement new methods and new data streams  
45 across stocks, and so, if we have a new method in determining,  
46 I don't know, whatever, natural mortality, that just came hot  
47 off the presses, and we want to take a look at it, we absolutely  
48 can review it under these circumstances.

1  
2 Also, if there's a variety of new data sources, this would be a  
3 good place. This is -- What's the big one right now in the Gulf  
4 of Mexico, and it's the red snapper that we're getting underway  
5 here for you guys, and we have a variety of new datasets,  
6 particularly the Great Red Snapper Count, which is a lot of new  
7 information that's going to be reviewed to see if it can be  
8 considered, and how, in the upcoming research track assessment  
9 for red snapper.

10  
11 One of the keys about research tracks is that there's no status  
12 or fishing level recommendations provided, and the point about  
13 that is to say that, unless -- In the benchmark format we  
14 produced, we produced management at the end of the timeframe,  
15 and we had to have it done, because the councils were waiting,  
16 and we had a very -- A much more strict timeline that we had to  
17 meet, and, also, we were really bound by wanting to have the  
18 most recent data rolled in, and sometimes trying to get the most  
19 recent data, because different data streams came in at different  
20 times, and it would bog down the assessment or cause issues,  
21 where we thought we had the most recent data, but then an update  
22 came in from perhaps a state, and we needed to redo landings or  
23 something, and so there was a lot of pressure.

24  
25 It removed this reliance on having to have the most recent data.  
26 For example for the scamp assessment that's wrapping up right  
27 now, the research track, the data went through 2017, to build  
28 the model and the tool, and then, when we do the operational,  
29 it will be up-to-date and provide the management advice.

30  
31 While we say that we can look at a lot of things, and we review  
32 lots of data, and we have a flexibility in schedule, it is not  
33 totally open ended, and it can't become someone's PhD  
34 dissertation and take seven years to get done, and we do still  
35 need to get things wrapped up in a relatively timely fashion,  
36 roughly two years or so, is what we're looking at, eighteen  
37 months to two years, for the assessment proper portion of that.

38  
39 If you have a stock ID portion, which I will talk about, that's  
40 a couple more months in the frontend of that process, but we  
41 are flexible to a point, but we still need to, as I said, provide  
42 management advice, and so we need to get the research track  
43 wrapped up, so we can do the operational and provide the  
44 management to the councils who are waiting on that to take  
45 management actions.

46  
47 The schedule does allow us some flexibility, and it is much more  
48 flexible than what a benchmark was, where we already knew where

1 the review workshop was going to be before we even started the  
2 process, and we have some sort of drop-dead dates throughout  
3 the research track schedules, if you ever look at one where  
4 people weigh-in and say, yes, we're ready to move on to the next  
5 stage, and, yes, we're ready to plan for this to go to a review  
6 in three months, and there are checking points along the way,  
7 and, if we're not ready, we can postpone the remaining portion  
8 of that process, if need be, but we do have -- We have rough  
9 timelines, but we have a little bit more flexibility than we  
10 had under the previous benchmark approach.

11  
12 Finally, the SSC is involved in all stages of the process, and  
13 we have SSC members -- Well, they can be. I mean, usually, the  
14 councils, the cooperators, do appoint some SSC members in all  
15 stages, and we have SSC members who serve as data providers, in  
16 the data stage, and we often have SSC members who serve on part  
17 of the assessment panels, weighing-in on that stage, and, at  
18 the review workshop, we have SSC members who serve as the chair  
19 of the review workshop as well as serve as reviewers alongside  
20 a panel of independent experts that we bring in, and so the SSC  
21 is pretty heavily involved in the research track and the  
22 development of this tool along the way.

23  
24 One point we want to make in how SEDAR works is it's a sequential  
25 recommendation-making process. There are decisions, or  
26 recommendations, that have to be made at each stage so that we  
27 can proceed to the next stage.

28  
29 Most research tracks consist of four stages: a stock  
30 identification process, a data review and preparation process,  
31 the assessment modeling process, and the actual review of the  
32 assessment product at the end. The reason I say most consist  
33 of four stages is there are some stocks where stock ID has been  
34 settled, and we're not revisiting it, and everyone is happy with  
35 what was decided, and there's no new information to suggest  
36 changing it, and so we may not always do that stock assessment  
37 portion, but we do these other three stages as part of a research  
38 track, to make sure that we can encompass and bring a variety  
39 of people in.

40  
41 One key point that I want to talk about next is that an  
42 assessment development team, or ADT, is convened for each  
43 research track, and the ADT is often made up of SSC members,  
44 and so I want to talk about that, briefly, so you guys understand  
45 what that is.

46  
47 The assessment development team is a small group of people that  
48 are appointed by the cooperator, and they attend both the data

1 and assessment portions of the process, and so, even if they  
2 are a data provider without necessarily a great deal of  
3 assessment experience, or they are assessment people, they still  
4 listen in to all the deliberations at this data stage, but the  
5 reason that this ADT plan was implemented, when we made these  
6 changes to the SEDAR process a few years back, was to try and  
7 help have a consistency of certain individuals that do go  
8 through multiple steps of the process, to help aid in the  
9 decision-making process and making sure that things are making  
10 sense from one stage to another.

11  
12 The ADT participates in the consensus decision-making steps  
13 within the process, and so they are the ones who are really sort  
14 of responsible for saying these are the recommendations, and we  
15 agree, and let's move forward to the next process with them.  
16 It is a long, drawn-out process with the ADT participating, but  
17 it's incredibly valuable to have people see the entire process.

18  
19 The ADT members contribute to analysis, as needed, and so, if  
20 they have special expertise, they may be appointed to the ACT  
21 because they have expertise in, I don't know, larval transport  
22 modeling, and we might rely on them to help craft the  
23 recommendations and craft the documentation that is needed, and  
24 maybe produce analysis, working with the Science Center  
25 analysts, to make sure that we're doing the best we can with  
26 the products.

27  
28 They can contribute to the report preparation, as need be, and  
29 they certainly get to see drafts of it, and, again, if they have  
30 certain expertise, they may be tasked to help flesh out the  
31 initial draft to begin with, to make sure that the discussions  
32 and the thoughts are being represented correctly, and they may  
33 present at the review workshop, as needed.

34  
35 Scamp, SEDAR 68, is our first research track, and it is our  
36 pilot. We had planned to have that research track completely  
37 finished before we started any more, but we had a variety of  
38 delays going into scamp, and then COVID hit, which then made  
39 further delays, and so the scamp review workshop currently has  
40 not even happened, and it's happening at the end of this month,  
41 and so we currently don't know if any ADT members will be  
42 required. We don't believe so, but, since it's conveniently  
43 being done via webinar, due to COVID, anyone who wishes to  
44 participate may weigh-in.

45  
46 Once I get that webinar link set up for that review workshop, I  
47 will be sure to pass it on to Ryan to share with the SSC, and  
48 so, if anyone would like to listen in, they are more than welcome

1 to, and it is August 30 through September 3, one week.

2  
3 The first step in the research track, if it's needed, as I  
4 mentioned, is the stock ID process, and so it's its own little  
5 component of the research track as a whole, and we've set it up  
6 to sort of have its own set of terms of reference and stuff,  
7 because, as I said, not all research tracks may require a stock  
8 ID process.

9  
10 It is the first stage, and it has a terms of reference that it  
11 follows to meet the needs of the process, to get the information  
12 that we need out to move forward to the next stages of the  
13 process. The stock ID panel consists of council and NMFS-  
14 appointed personnel. For example, for both scamp and red  
15 snapper, we had SSC members, and we had state and university  
16 representatives, and we had Science Center representatives. We  
17 had a pretty diverse panel brought together, with a variety of  
18 different expertise in data, to discuss what stock ID should  
19 be.

20  
21 When we're saying stock ID, we're meaning what should be the  
22 boundaries for developing the assessment, which data should be  
23 included for -- An example for scamp, the question was should  
24 they be -- The stock ID question was should it be one big stock  
25 throughout the entire Gulf of Mexico and up into the Atlantic,  
26 or should they be split, and, if so, where? The question with  
27 scamp was it was decided to split it along the council  
28 boundaries, and we came up with two assessments.

29  
30 With regard to the red snapper assessment, the question was not  
31 whether we should move into the South Atlantic, but more where  
32 should the current status quo for stock ID in the Gulf of Mexico  
33 -- It is split at the Mississippi River mouth, Shrimp Grids 12  
34 and 13, and the stock ID panel was tasked with reviewing whether  
35 it should stay there, if it should move, should it still be two  
36 stocks, should it be three stocks, and that was what that group  
37 focused on, and so looking sort of sub-structure, sub-stocks,  
38 within the council region.

39  
40 We usually handle stock ID via some sub-working groups, and the  
41 standard ones we've been using, the last couple of times, have  
42 been a group that looks at landings, and we had a group that  
43 looks at CPUE, and we have a life history group that can be  
44 sometimes broken into movement, versus age and growth and  
45 reproduction information, and we have those groups that work -  
46 - Depending on people's interests and expertise, they can be in  
47 any or all of those groups, and then we would bring the entire  
48 panel back together and discuss those on a publicly-noticed

1 public webinar, and then we make recommendations overall, and  
2 so each working group presented their recommendations, and then  
3 we came up with overall stock ID recommendations for the group.

4  
5 The process usually has a data scoping webinar, a variety of  
6 plenary webinars, to review the working group recommendations,  
7 and then, ultimately, come up with a final recommendation, and  
8 the panel is tasked to provide a stock ID recommendation for  
9 the upcoming research track. Basically, it's how the data is  
10 going to be divided, moving forward, and how the modeling will  
11 proceed.

12  
13 The data research process is the nitty-gritty, down-and-dirty,  
14 let's look at all the data that we are aware of and see what  
15 might be useful for assessment. Just because something gets  
16 presented at the data workshop, it doesn't always mean that it  
17 gets included, and sometimes we have datasets that overlap, that  
18 represent sort of the same population, or the same information,  
19 and the data panel might pick one or two of those.

20  
21 We also operate in a working group format for data workshops,  
22 and they are usually conducted in person over the course of one  
23 week, and so you can imagine that we don't have time for every  
24 single person to review every single discussion about every  
25 single dataset, and so we often work in a working group format,  
26 similar to what we do in stock ID, but we usually do it in-  
27 person.

28  
29 Life history, landings, statistics, indices of abundance, and  
30 we also usually have some ad hoc groups. We usually have a  
31 group that looks at discard mortality, and we do that as part  
32 of an ad hoc group, because there is people in all the other  
33 groups that also have information to contribute to that discard  
34 group, and we want to get all the information together and give  
35 everybody a chance to see it, and then we also come back and  
36 meet in plenary, full plenary, and sort of each working group  
37 presents its results as well, and the overall group discusses  
38 it and asks questions and the like.

39  
40 The individual data workshop groups often provide  
41 recommendations, and they prepare report sections, and they  
42 prepare working group working papers, and all the documentation  
43 that comes through the SEDAR process, with regard to working  
44 papers and reports and stuff, is always posted on our SEDAR  
45 website, which is a ton of information for all the SEDARs, and  
46 so, if you ever want to go back and look for things, there's a  
47 ton of stuff up there, and, if you ever have any questions,  
48 again, you can contact me, and I will help point you in the

1 right direction.

2

3 As I said, the working groups work and come together, and the  
4 assessment development team members, as I mentioned that ADT  
5 group, are the ones that ultimately are responsible for  
6 developing these consensus recommendations, as needed.

7

8 A working group might come to the full panel and say this is  
9 our recommendation of how to look at natural mortality, and the  
10 ADT members might ask some questions, and other panels might  
11 ask some questions, but it's ultimately the ADT that says, yes,  
12 we concur with this recommendation, and this is what we think  
13 we should move, and we should tell the analysts this is how we  
14 would suggest that you do it.

15

16 The data workshop group of people is usually fairly large, and  
17 it's one of the largest stages, and stock ID is getting to be  
18 almost as big, and it consists, again, of state agency people,  
19 Science Center folks, Florida agency people, if they're the lead  
20 analysts, if they're the lead analytic agency, which they  
21 sometimes are for some of the stocks that come to you guys in  
22 the Gulf, academics, anyone who might have information.

23

24 We try and bring them into this process and take a look at that  
25 data, because we strive to get a look at all the data in the  
26 process and see if it's useful, as opposed to somebody coming  
27 out two years at the end and saying, oh, I have a student who  
28 did this research, and it would be really helpful.

29

30 When we come to you, as an SSC member, talking about what data  
31 should be included, and do you know of anybody working on  
32 anything, and, if you have any students that are working on  
33 something, let us know early on. We would love to take a look  
34 at it, even if it's not finished yet, so that we can try and  
35 incorporate as much information early on in the process, so we  
36 can see if we can roll it in.

37

38 The assessment stage of the process, the data group makes  
39 recommendations of how all the data should be handled, because  
40 they prepare all that data, and they say this is what we believe  
41 is the best data available for this assessment, under these  
42 constraints. They pass that information on to the assessment  
43 team, whose key task is to develop the assessment model itself.

44

45 The analytical team works with the ADT to determine a base  
46 configuration of that model, what we think is, given all the  
47 information we know, what is the best way forward to describe  
48 the dynamics of that population going on at this time.

1  
2 They may also examine other hypotheses, using the data that were  
3 prepared during the data process, and so sometimes we can look  
4 at things like, well, we think these four indices are great,  
5 and then, maybe at the assessment stage, they might say, well,  
6 let's see if we take this one indices out, how would that impact  
7 the model, and it doesn't seem to be contributing much, and  
8 let's see what happens, and so those are the kind of hypotheses  
9 we can examine at the assessment stage, using the information  
10 that was recommended and passed forward from the first data  
11 stage.

12  
13 They also look at characterizing and evaluating uncertainty. As  
14 we know, all of our data is not perfect, and all of our knowledge  
15 is not perfect, and, if we knew everything, we wouldn't need to  
16 model, and we would have the answer, but, since we know we don't  
17 know everything, we have to look at this uncertainty and  
18 characterize it and evaluate it, and the analysts do spend a  
19 fair amount of time trying to do just that and provide that  
20 information as we move through the rest of the process, so that,  
21 when the assessment comes out at the end, the managers have a  
22 good understanding of where some of these uncertainties might  
23 lie.

24  
25 They document the methods, the configurations, and what I say  
26 is initial results, and remember that research tracks do not  
27 produce management advice at this stage, but that doesn't mean  
28 that we can't take a look at how things are trending and verify  
29 that that trend seems to be realistic, given the data and the  
30 modeling methods that are used.

31  
32 The report is usually produced heavily by the analytical team,  
33 but the ADT can certainly weigh-in, if they have expertise or  
34 have questions and clarification.

35  
36 Then we have a review process for research tracks that is  
37 comprised of -- We use a group called the Center for Independent  
38 Experts, and it's -- So, basically, when we produce an  
39 assessment, we know we're producing one, we submit a request to  
40 the Center for Independent Experts, saying we're having this  
41 assessment done, and we are going to need it reviewed, and we're  
42 going to need three reviewers for a panel review in January of  
43 2023, and they put us on a list, and it's a NMFS-wide -- It's  
44 an agency-wide call for a need, and then that group takes over,  
45 and they provide the names of several, usually three, CIE  
46 reviewers who are entirely independent from this process, and  
47 they have not been involved in any of the stages.

48

1 We have those CIE reviewers, but we also still, as I mentioned,  
2 have SSC reviewers come in and be involved as well, because,  
3 during the course of SEDAR, we have learned that we didn't  
4 really like having only external people who have no feel for  
5 local factors and issues and that sort of thing, and so the  
6 review process has changed over time since 2002, but we're  
7 pretty happy with the current structure, where we have CIE  
8 reviewers, and we have an SSC chair, who chairs the meeting,  
9 and we have SSC reviewers, who also serve on the panel, to help  
10 guide it, and then, occasionally, we might even have another  
11 outside expert that a cooperator might choose to put on the  
12 panel, and so it's a panel approach that reviews the assessment.

13  
14 The goals of the review process are to evaluate the quality and  
15 the applicability of the data, the modeling, the assumptions,  
16 and the parameter values, and do they make sense, and they  
17 recommend the most appropriate modeling scenarios, they provide  
18 research recommendations, and we have been asking the CIE,  
19 lately, or the review panels, to provide recommendations in a  
20 format of short-term versus long-term, what are things that we  
21 think we could realistically evaluate, perhaps get new data on,  
22 stuff that can be done in the next three to five years and be  
23 useful for the next assessment, and then more long-term -- Well,  
24 actually, one to two years, and then more long-term, three to  
25 five years or later, are the long-term goals, such as it would  
26 be really great if we had a fishery-independent index that could  
27 look at X, Y, and Z, and those are more long-term, lofty goals,  
28 which we put in there as well.

29  
30 The key about the review process is, again, they don't discuss  
31 management implications, and they focus solely on the science,  
32 whether the science is being conducted appropriately, using  
33 current best practices, and so their whole goal is to address  
34 and evaluate the assessment that was provided to them, and it  
35 is not to rewrite the assessment. They often make suggestions  
36 of, hey, let's try this, or let's try that, and they may come  
37 up with a different approved base model, and we call it the  
38 review workshop approved base model, as opposed to what came  
39 out of the assessment process.

40  
41 As they do the reviews, we often find additional things that we  
42 didn't think about, but they don't redo the entire assessment.  
43 It's not their role, and they are pretty good at it, and the  
44 CIE has been around for years now, fifteen years, and most of  
45 the reviewers are very, very good about their roles with regard  
46 to what can we do now, what can we make recommendations on, and  
47 what is outside the scope of our process. We are reviewing the  
48 assessment that was given to us.

1  
2 That's the review research track, and that's the full-bore, and  
3 those are taking between two to three years, timeline-wise, when  
4 we're scheduling these. As I said, we're doing scamp right now,  
5 and we're wrapping it up, and scamp is a little bit longer even  
6 than that, but we had a variety of issues getting it off the  
7 ground, and then, also, COVID jumped in in the middle and caused  
8 a three-month delay.

9  
10 We have red snapper that just concluded the stock ID process.  
11 In the Gulf, that will be the first research track that's being  
12 done for the Gulf Council, and we have gray triggerfish is  
13 what's in the planning stages right now for the South Atlantic,  
14 and that will be the South Atlantic's first research track  
15 assessment.

16  
17 The other type of assessment we have are the operational  
18 assessments, and these are closer to, if you've ever paid  
19 attention before, the updates and standards. The goal of the  
20 operational are to be thorough and timely, and they are more  
21 along the lines of not revisiting everything, and we only focus  
22 on very specific topics within that, and we'll talk about which  
23 topics we focus on in a minute.

24  
25 Their goal is to update the accepted research track or benchmark  
26 assessment with the latest information. If we have a new  
27 dataset, we want to look at it. If we have five more years of  
28 landings, we want to include that. This is the step of the  
29 process that does provide management information, and it  
30 provides status and fishing level recommendations that come out  
31 of it.

32  
33 This is the default approach for any assessment that happens  
34 after a research track, and so, when you finish a research  
35 track, the next thing you should do is an operational, to get  
36 that management advice, get that terminal year up to current,  
37 and provide the information for the councils to make their  
38 decisions.

39  
40 SSCs may participate in topical working groups, if needed, and  
41 so they don't have -- Operational don't have a series of  
42 workshops, where we bring a bunch of people in. Operationals  
43 focus on, as I said, basically updating the information. We  
44 can look at a couple of topics that might come up, where we are  
45 aware of new information and that sort of thing, and, to address  
46 how that new information should be incorporated or utilized,  
47 there are these things called topical working groups, which I  
48 will talk about in more detail in a minute, and SSC members

1 often participate in those steps.

2  
3 The review of an operational is conducted by the SSC, and so,  
4 since we're working off of an approved model, we're essentially  
5 -- When it comes to the SSC, your role, as the SSC, is to review  
6 the assessment and make sure it still follows all those best  
7 practices. If a new dataset was put in, do you think the new  
8 data was applied appropriately, and then, obviously, to say how  
9 you feel about the management advice that's being provided.

10  
11 As I said, operational assessments are based on the previous  
12 benchmark or research track, and so they've already undergone  
13 this thorough peer review process, and so, therefore, unless  
14 there is a justified reason for making changes to the model or  
15 data, OAs should normally be limited to updating the existing  
16 assessment framework with the most recent data and only minor  
17 modifications in the framework and supporting information.

18  
19 Operational assessments, how you determine what can be included  
20 or not, that scope is defined by a statement of work, and you  
21 guys are going to be preparing some of those later today, and  
22 so that's why we're chatting about this now.

23  
24 Topical working groups, as I had mentioned, are how we manage  
25 looking at new data or data that needs a little bit of perhaps  
26 a tweak, based on new information on how to handle said data  
27 that might come. Maybe there's a new way for calculating discard  
28 estimates, and we might have a topical working group to look at  
29 something like that.

30  
31 They are groups that are assembled to discuss and make  
32 recommendations on specific topics that are identified in that  
33 statement of work, and they are built on the same sort of panel,  
34 the same sort of group, as the other processes, SSC members,  
35 stakeholders, technical experts. They may meet via webinar or  
36 in person, and we often try and get a handle on how we want to  
37 handle that, get some information on that, in the statement of  
38 work.

39  
40 They can utilize a planning-team-style approach to facilitate  
41 some of their discussions. Similar to how we've done some of  
42 these other processes, they can meet offline, and it can be a  
43 conference call, and do some work, like we did for stock ID,  
44 and then they come back to these noticed webinars and discuss  
45 everything, and the final recommendations are all made during  
46 these public processes on these noticed webinars.

47  
48 The topical working groups will produce a written report,

1 essentially a SEDAR working paper, documenting their discussions  
2 and recommendations. Again, SEDAR strives to have great  
3 documentation with regard to what we did. If we're not careful  
4 -- The reports always say what we ended up doing, but, often,  
5 sometimes, it's lacking on the why we did it, and, when you go  
6 back and try and do something eight years later, you sometimes  
7 can't remember, and so the documentation is key in figuring out  
8 what the discussions were and what the rationale was, basically  
9 building that record for why that recommendation was made at  
10 the time.

11  
12 The topical working groups are organized in the SEDAR process,  
13 because we organize all these other meetings, and it's just as  
14 easy for us to do it and make sure that the notices get filed  
15 when we have these public webinars and all of this.

16  
17 One of the things about topical working groups is the timing of  
18 them. They need to be held in a fashion so that they fit in  
19 the schedule to provide the information when it's needed, and  
20 so the topical working group is meeting on something regarding  
21 --

22  
23 Maybe there's a new age study, and we're reviewing if that new  
24 age study should be used, as opposed to the one that was used  
25 last time, and, obviously, those decisions and recommendations  
26 need to happen early in the process, before the modeling  
27 happens, and so they might happen earlier in the process.

28  
29 If we're looking at something about how selectivity might impact  
30 something, that topical working group perhaps might meet after  
31 the base model is constructed and they're ready to go, and then  
32 we can evaluate it, and so the timing of the topical working  
33 groups is a little bit more fluid, depending on what the topic  
34 is that they're discussing.

35  
36 Finally, not all operational assessments will have topical  
37 working groups. There are some that we are simply updating the  
38 data, and there is really no need to bring people in and have  
39 these initial discussions, and so we just don't have them, and,  
40 in that case, the SSC will just get the report when it's done,  
41 at the end, for the review.

42  
43 I just want to touch, very briefly, on the role the SSC plays  
44 in operational assessments. It's pretty clear with regard to  
45 research tracks, and you guys are involved in all the workshops,  
46 all the data gathering, all that other stuff, but I want to make  
47 sure that you understand your role in the operational,  
48 especially since that's what you're stepping into right now.

1  
2 The SSC has three main roles in the operational. It's to provide  
3 guidance on the issues for consideration in the statement of  
4 work. As I said, that is the scope of what will be looked at  
5 at the assessment and so it's incredibly important that you guys  
6 weigh-in on that at the beginning. Then participate in any  
7 topical working groups we have, and then reviewing the  
8 assessment report at the end.

9  
10 Provide guidance on the issues for the statement of work. We  
11 are required to produce -- The cooperators are required to  
12 produce clear and detailed statements of work that are required  
13 for operational assessments. They define the scope of the  
14 assessment, and they are useful for clarifying expectations with  
15 regard to what the council is expecting and what the Science  
16 Center is expecting they are going to need to do with regard to  
17 producing this assessment, and they are critical for scheduling.

18  
19 It's easy for you guys to say I don't get it, and we're only  
20 doing two assessments, and we're only getting two things this  
21 year, and, well, that's the Gulf, but remember that the Science  
22 Center actually provides assessments for the Gulf, the South  
23 Atlantic, the Caribbean, and HMS, as well as provides support  
24 for the Florida assessments and actually does the assessments  
25 for the commissions, the Gulf and the Atlantic States Fisheries  
26 Commissions, as well, and so they have a pretty heavy lift for  
27 menhaden, and they have supported some of the other assessments  
28 for the commissions as well, and not just menhaden.

29  
30 If you ever want to listen to an interesting discussion, listen  
31 into one of the SEDAR Steering Committee meetings, where we talk  
32 about the schedule, and we have this big grid, and it's like  
33 Tetris. You have to slide all the boxes around and make sure  
34 that we can accommodate all the assessments across the entire  
35 stock assessment enterprise that the Southeast Fisheries Science  
36 Center is responsible for, and so knowing sort of what's going  
37 to be expected is really important to this process, and that  
38 also makes sure that everybody is on the same page.

39  
40 When you're doing the topical working group discussion -- When  
41 you're discussing the statements of work, you have to look at  
42 whether you will need a topical working group, and that's  
43 something you guys can weigh-in on. Is there new information  
44 available? If so, then maybe we need a topical working group,  
45 and you can also make suggestions regarding who might be good,  
46 and like it might not be an SSC member, and it might be someone  
47 like, hey, a colleague of mine at the University of Alabama  
48 recently had a student who did this, and it would be great if

1 he could be involved, because SEDAR certainly does not know who  
2 is working on every single thing everywhere in all these  
3 regions.

4  
5 We do rely on SSC members who especially may be a little bit  
6 more tapped into some of the academic work that's being done to  
7 speak up and say, hey, it would be great if we had this person  
8 on it, and they have some great information, and so, again, we  
9 want to bring the right people in, but sometimes we don't know  
10 who the right people are, and so, if you have ideas with regard  
11 to who should be on a topical working group, it would be great  
12 to at least bring that information to our attention, and we'll  
13 see if they can be accommodated.

14  
15 Also, there might be topics that should be examined within the  
16 frame of the operational, but they don't actually need a topical  
17 working group to discuss them. We have some new methodology  
18 for doing discard estimates, and it's fairly well tested at this  
19 point, and it's been used on a variety of assessments over the  
20 last couple of years, and so, if this assessment that you're  
21 going to review for it didn't use that methodology, they should  
22 probably update to that new methodology, but it's not  
23 necessarily needed that they have a topical working group to  
24 discuss it, but you guys would want to make sure that you put  
25 in the statement work to update the discard mortality estimates  
26 or discard estimates using the latest best practices developed  
27 by the Science Center or something like that, and so not  
28 everything that needs to be potentially included in an  
29 operational requires a topical working group, is my point.

30  
31 This is just a list of some possible things that could be  
32 included, and I have said most of these already, and you guys  
33 have the slide, and so we'll just move on.

34  
35 Finally, as I said, you guys are the review body for operational  
36 assessments. There is no CIE panel, there are no external  
37 reviewers of any sort, and it relies on you guys to make sure  
38 that the analytical team used the methods that were approved  
39 the last time. If they changed those methods, that they fully  
40 documented why, and you buy why they changed those methods, and  
41 to provide the information with regard to those management  
42 decisions.

43  
44 I know I just said a whole bunch of information, and it might  
45 be a little overwhelming, but you do have the slides, and so  
46 you can go back and look at them, and, like I said, myself and  
47 Ryan, and I am volunteering Ryan, but we are both available to  
48 answer any questions that you may have on how the process works,

1 if you have any, and I'm sure you will, but I will take any  
2 questions now.

3  
4 **CHAIRMAN NANCE:** Thank you very much for that presentation. I  
5 have just a real quick one. The topical working group, how do  
6 you make sure that doesn't turn into a research project?

7  
8 **DR. NEER:** Well, that's an excellent question. Part of that  
9 comes back to the scope of work that are put together initially,  
10 and we also have to sort of just use some best judgment.  
11 Sometimes -- Again, we're new at doing these, and so we've only  
12 done -- Well, really, within the SEDAR process right now, the  
13 only one we've really done is in the Caribbean, and they are  
14 structured around a series of very relatively small webinars,  
15 sort of a data scoping, a webinar where we review the data and  
16 we come up with questions that we would like the analytical team  
17 often to look at and prepare data, or it might even be a data  
18 provider, and like we would like to see the ages done this way,  
19 this way, and this way, modeled three different ways, and we  
20 have a second webinar, and we pick one, we make that  
21 recommendation.

22  
23 It can't be we're going to take nine months to do it,  
24 unfortunately. Sometimes it's like this is what we can  
25 accomplish now, and your other points are extremely important  
26 and worthwhile, but cannot be handled within the scope of an  
27 operational assessment. We do have to rein them in, because  
28 the goal of the operational is to get you guys more assessments,  
29 so the managers can do their job with more up-to-date  
30 information on a more timely fashion, and more frequently too,  
31 and so it's kind of nebulous, and we just have to all use our  
32 best judgment and hope that we can keep it reined in a bit. I  
33 hope that helps.

34  
35 **CHAIRMAN NANCE:** Thank you. That answers it. Thank you very  
36 much. Doug.

37  
38 **MR. GREGORY:** Thank you. I noted that the presentation on the  
39 website is an abbreviated form of what you actually presented,  
40 and so we need to get your presentation put on the website.

41  
42 **DR. NEER:** There was an issue, and I think they just updated  
43 it.

44  
45 **MR. GREGORY:** Thank you.

46  
47 **CHAIRMAN NANCE:** Jim.

48

1 **DR. TOLAN:** Thank you, Mr. Chairman. Julie, that's a great  
2 overview of SEDAR, and, unless I missed it, I think you left  
3 out one of the pretty important sub-groups for the stock ID,  
4 and that's the genetics sub-group, and that's for all of the  
5 new folks.

6  
7 **DR. NEER:** Thank you, Jim. I did forget that, and genetics is  
8 always a component of the stock ID process. Sometimes it's  
9 simply a component where we say we don't have any genetics  
10 information, but we always want to make sure we're not missing  
11 something. Thank you for correcting my oversight.

12  
13 **CHAIRMAN NANCE:** Thank you. John.

14  
15 **MR. MARESKA:** Julie, thanks for the presentation. I just wanted  
16 some clarification on the hypothesis testing. Is that something  
17 that's at the discretion of the lead analyst, or is that  
18 something the assessment development team determines, or is that  
19 a collaboration? That's my question.

20  
21 **DR. NEER:** You mean within the assessment process?

22  
23 **MR. MARESKA:** Yes, within the research track.

24  
25 **DR. NEER:** Okay. Well, I think some of the hypothesis testing  
26 -- I believe Katie, from the Science Center, has a presentation  
27 to talk about some of this stuff, but, in general, it's sort of  
28 a collaboration. We look at the ADT, with data that's available,  
29 and we talk to the analysts, and we look at the timeline, and  
30 we see what things can be examined in the timeframe that we have  
31 available and the data that we have available, but it is --

32  
33 There are some things that are always going to be unable to be  
34 assessed in any particular process, but that doesn't mean that  
35 they're not valid, but it just might be that we can't do them,  
36 given the information, but it should be a collaboration among  
37 the people involved in the process and have discussions about  
38 what can and cannot be done. Ryan, do you want to go to Katie's  
39 presentation, or do you want me to finish these questions,  
40 because Katie's presentation might better address John's.

41  
42 **CHAIRMAN NANCE:** We're going to have a question from Sean, and  
43 then we can have Katie's presentation, and then we can kind of  
44 answer -- We'll see if that leads us --

45  
46 **DR. NEER:** Perfect.

47  
48 **CHAIRMAN NANCE:** Okay. Sean.

1  
2 **DR. POWERS:** Julie, I know that Katie will speak in a second  
3 about an issue, but one of your bullet points said, for the  
4 research track, this is not a research project, and that seems  
5 counterintuitive, to me, because, I mean, for example, red  
6 snapper, or any other species, we've been told for a decade that  
7 we can't explore X, Y, or Z, because it's not a research track,  
8 and now -- So can you expand on that point, because I understand  
9 it's not somebody's dissertation, but, arguably, with some  
10 species, it's more important than somebody's dissertation, and  
11 so what do you mean by it's not a research project?

12  
13 **DR. NEER:** Well, what I meant was that it does still have a  
14 goal, and perhaps "research" should have not been -- That  
15 wording should have not been -- Research project should not have  
16 been the best wording, but the point is that we still do have a  
17 goal to provide management information in a timely fashion, even  
18 if we're not providing it at the end of the research track  
19 process.

20  
21 We still are not able to look at everything that everyone might  
22 like to look at, because that would simply just take too much  
23 time, number one, and, number two, some of these things would  
24 be very difficult to make a choice at the end, when we don't  
25 have good criteria to choose between multiple alternatives, and  
26 so it's not -- We're not currently set up for a process where  
27 we can look at five different assessment models, because we  
28 don't have a way to choose, at the end, how that might be --  
29 How you would pick, necessarily, which one, and so, as I said,  
30 the hypothesis testing that we're looking at is within the  
31 recommendations and within the data that was already sort of  
32 approved in the earlier stages and that we have in hand and can  
33 be done and objectively examined, I guess is sort of the  
34 question.

35  
36 We do have to be careful that the ultimate goal of the SEDAR  
37 process is to produce an assessment, a product, that can be  
38 useful for management at the end of this whole two-year or  
39 three-year process, and so that's what we meant by it's not open  
40 ended, and it's never been open ended, if you go way back when.  
41 We never said you could look at every single thing in every  
42 single form that you may wish to, because we still have a job  
43 to do, essentially providing this information at the end that  
44 the managers can use.

45  
46 The research track has really only been in place for -- 2018 is  
47 when we started rolling out to you guys the information on  
48 research tracks, and our first one is scamp in 2020, and so the

1 talks went on a little longer than that, because it took quite  
2 a bit of time, to be honest, to get what a research track meant  
3 through the SEDAR process.

4  
5 It took several years to even get to our pilot, which is what  
6 we're doing now for scamp, and I will be honest that it's perhaps  
7 still evolving, and scamp isn't even done yet, and so there are  
8 things that we may need to do a better job explaining and things  
9 that we may need to make modifications to, to make sure that  
10 everyone is clear on the expectations, because there does seem  
11 to be some confusion among a variety of different participants  
12 in this process, and we strive to fix that, for sure.

13  
14 **DR. POWERS:** Okay. Thanks. That helps a little bit. I  
15 understand the point that all the research questions that we  
16 have to look at ultimately have to have some management  
17 implication in the end, and that's a logical boundary on that.

18  
19 At the end of the research track, you said the review is the  
20 independent review panel, which most of us are familiar with,  
21 but isn't there an additional step? I mean, the SSC has to look  
22 what the review panel said, and then we have to accept or ask  
23 for modifications or anything, or is it your -- For whatever  
24 the review panel's recommendation is, or are you saying that  
25 the SSC doesn't have a role there and that we just have to --  
26 If the review panel says it's acceptable, then we have to accept  
27 it.

28  
29 **DR. NEER:** No, and the SSC will review the overall SEDAR product,  
30 like you do now, that final stock assessment report, and that  
31 contains all the information on stock ID and data and assessment  
32 and the review panel information. That will all come to the  
33 SSC for your review and consideration.

34  
35 Then, at that meeting, or shortly thereafter, the SSC's role is  
36 a little different at this stage, because what will happen is  
37 then you will produce the terms of reference for the operational  
38 assessment that follows, and so you are supposed to sort of look  
39 at the recommendations and things that the review panel might  
40 have recommended that can be fixed, because, again, these short-  
41 term versus long-term goals, and there are recommendations, and  
42 there are some things that perhaps couldn't have been reviewed  
43 or that the review panel might recommend that, hey, it would be  
44 great if you could look at, and, I don't know, combining these  
45 two rec fleets into one.

46  
47 That's not something that could have been done in the three  
48 weeks between when the review panel meets and the report is

1 finalized, but it could potentially be done in the next four  
2 months or something, before the operational assessment is  
3 completed, and so the SSC could say, yes, we think that's a  
4 great idea, and we agree that that's a good thing to do, and we  
5 would like to see that happen in the operational.

6  
7 On the flip side, the CIE might recommend something that the  
8 SSC will say that doesn't make any sense, given our local  
9 fisheries and our understanding, and so we don't think you need  
10 to do that, and so the SSC still has a role in producing those  
11 terms of reference for that operational assessment, but, again,  
12 it's -- Since it's following -- Assuming that the assessment  
13 got approved and the methods were used, that it's making minor  
14 modifications and requesting perhaps additional sensitivities  
15 and such within the operational assessment, as well as,  
16 obviously, updating all the data.

17  
18 There will, obviously, have to be negotiations, if the SSC asks  
19 for something that is going to take eight months, nine months,  
20 ten months, to do, and the Science Center and the cooperator  
21 will have to have those discussions and see what could happen  
22 and how that would be handled.

23  
24 Again, we haven't done one yet, and so I'm not sure, but  
25 certainly the SSC does have a role in producing those terms of  
26 reference that are going to be used for the operational that  
27 follows this, but the expectation is that, if it's been approved  
28 by the review panel, and the entire process was sort of signed-  
29 off on by that review panel, then we would hope that the  
30 modifications that were requested by the SSC would be more minor  
31 in nature.

32  
33 If they were quite a bit -- If they're extremely involved, and  
34 I don't know what extremely involved means, but, if they're  
35 going to take a good deal of time, then those discussions will  
36 have to happen between the Science Center and the council,  
37 regarding how important those things need to be and where we  
38 could fit them in the schedule. I hope that helps, but, yes,  
39 you're definitely -- You guys weigh-in before the operational  
40 starts.

41  
42 **CHAIRMAN NANCE:** Okay. Thank you. Will.

43  
44 **MS. MATOS:** Will, you're unmuted, but we can't hear you.

45  
46 **DR. NEER:** While Will is trying to figure out his audio, I guess  
47 I neglected to say there are essentially two types of  
48 operationals. There are the operationals that happen

1 immediately after the research track that produce -- That update  
2 all of that data and finally provide that management advice that  
3 doesn't come out of the research track.

4  
5 There are also operational assessments that are stand-alone,  
6 which means they're not happening immediately after a research  
7 track, and so what I was describing in this presentation are  
8 more for those stand-alone processes, where you develop a  
9 statement of work, and you're involved in all of these things,  
10 and there might be topical working groups, those sort of things,  
11 and those are the things that you're sort of going to -- That  
12 the SSC is going to weigh-in later today, or tomorrow, on those,  
13 because operational is kind of an overriding term for anything  
14 that's not a research track, but they have sort of a little bit  
15 of a different function in how they are developed and the process  
16 that they follow, and so a little difference between those two.

17  
18 There are some more details on that in that Word document, the  
19 research track operational topical working groups guidance  
20 document, which I believe is in your briefing book, as well.

21  
22 **DR. POWERS:** Okay. Thanks. That makes me feel better that the  
23 operational is automatically scheduled after the research, and,  
24 while we wait for Will, what is the cycle on the research? I  
25 mean, for example, this red snapper one, I mean, are we not  
26 likely to see another research track for a decade or more?

27  
28 **DR. NEER:** That is difficult for me to say, but I will say that  
29 our key species, and every council has a few of them, were  
30 operating on a five to six-year cycle before you would see  
31 another benchmark, when we were doing benchmarks, and research  
32 tracks are probably going to be similar, or perhaps even more  
33 lengthy, because the process itself takes longer.

34  
35 Usually, you were -- The benchmarks/research tracks were  
36 happening for those key species, like red snapper, king  
37 mackerel, some of the others, that those were happening roughly  
38 five to six years apart, with perhaps standards and updates put  
39 in there -- Then you have the option, at least in the Gulf  
40 currently, for those interim assessments, and I would bet that  
41 you will see an interim assessment or operational before you  
42 will see another red snapper research track, but, again, it is  
43 entirely based on what the cooperators come to the Steering  
44 Committee and say this is our high priority.

45  
46 We have a lot more species, and we seem to assess about twelve  
47 on a regular basis, and we try and stick other ones in, and so,  
48 if the council thought it was necessary to do another research

1 track for red snapper in four years, because we're sort of  
2 scheduled out through 2024 already, 2024 or 2025, they could  
3 certainly request that, but it, obviously, means, with the  
4 workload issues, something else doesn't get done for a longer  
5 period of time, and that's always the balance of when they could  
6 happen, but, on average, they were five to six years for -- I  
7 am going to call them the most popular assessments that we do,  
8 and I'm not sure that they're necessarily the highest priority,  
9 but there are certainly species that we seem to do -- We were  
10 doing repeat benchmarks, and there is others that we've only  
11 ever done one benchmark and never repeated it, and so it's  
12 pretty species dependent, too.

13  
14 **CHAIRMAN NANCE:** Thank you, Julie. Will, are you able to come  
15 on now?

16  
17 **DR. PATTERSON:** I don't know what the issue was, and I didn't  
18 change anything, but thanks, Julie, for the presentation and  
19 overview of the process. Admittedly, when this was announced a  
20 few years ago, that the process would change and have  
21 operational versus research track assessments, I didn't fully  
22 understand the shift, and I still don't really understand why  
23 an eighteen month to two-year process for a research track that  
24 doesn't produce management advice, but then you immediately go  
25 into an operational, which might take another five or six months  
26 to produce the management advice, but I also understand that  
27 we're working through this, and it's still a new process, and  
28 we're trying to figure it out.

29  
30 What I kind of thought was the deal is that you would have the  
31 research track, because it could be open-ended, and those of us  
32 who have sat on various SEDAR panels, or have just had stuff  
33 come up for review at the SSC, invariably, there is some process,  
34 or assumption, that is discussed that couldn't have been  
35 examined because of the nature of the assessment, and it wasn't  
36 in the scope of work for that particular assessment, but then  
37 we have the example -- I'm not sure if Sean was referring to  
38 this or not, but, in the red snapper, the current red snapper  
39 research track assessment, one of the issues that's been  
40 discussed is whether we can examine multiple different stock  
41 structure assumptions.

42  
43 We've had discussions about that not being feasible within the  
44 context of that assessment, but, earlier, in SSC deliberations,  
45 that was like one of the number-one things, that we can't do  
46 this until there is a research track assessment, and so I fully  
47 appreciate the fact that this process can't be open-ended, and  
48 you can't examine all the minutia of every single parameter that

1 you might want to explore, but it seems, to me, that there needs  
2 to be some type of process then on the front-end that isn't as  
3 prescriptive, perhaps, as an operational assessment, but the  
4 idea that these things are fair game, and we maybe have a  
5 priority list of things that can be accomplished.

6  
7 If you're going to have a two-year process of a research track  
8 assessment, then, to me, it seems like it does have to be kind  
9 of open-ended, a lot more open-ended than an operational  
10 assessment anyway.

11  
12 **DR. NEER:** Again, this, I think, comes back to clarifying what  
13 we mean by looking at things and examining things, and so we -  
14 - From a SEDAR perspective, I actually believe that we did  
15 examine stock ID, and we came up with -- We reviewed all the -  
16 - There was a large panel that reviewed all the data, and you  
17 guys came up with a couple of different stock ID alternatives,  
18 various options that were all put forward with various pros and  
19 cons to each one, and you then -- What we couldn't do is likely  
20 move forward with all of them to the full modeling structure.

21  
22 To say that we weren't allowed to review alternative stock ID  
23 structures I don't think is a fair characterization. We did  
24 look at alternatives, and, in fact, you guys -- The group didn't  
25 settle on status quo, and you did actually make a change to what  
26 stock ID structure is going to be used, moving forward, based  
27 on the information that was provided.

28  
29 I think I do agree that we need to do a better job on perhaps  
30 the advertising of what it is, because I think we did address  
31 stock ID, and there was a large group of people who weighed-in  
32 on a variety of different options, and then one was selected,  
33 recommended, to be used moving forward, and it, obviously, is  
34 not as satisfying as some people I believe would have hoped we  
35 would have been able to continue moving forward with this, and,  
36 again, I think that's just some of that perhaps  
37 miscommunication, or not being clear on how -- Again, like  
38 you're saying, what can actually be accomplished.

39  
40 We did have a several-month stock ID process, and we looked at  
41 a lot of information, and multiple alternatives were considered,  
42 and one was ultimately put forward as a way to move -- As a  
43 recommendation for the next stages of the process, and so,  
44 again, I agree with you that we need to do a better job with  
45 sort of the advertising and being clear on what we mean by what  
46 can be considered, and Katie's presentation will actually  
47 address some of this as well, I believe.

1 **DR. PATTERSON:** Jim, can I respond to that, real quickly? I  
2 would just like a chance to respond, before we move on.

3  
4 **CHAIRMAN NANCE:** Absolutely.

5  
6 **DR. PATTERSON:** I didn't mean to imply, or indicate, that we  
7 didn't explore, in the current red snapper research assessment,  
8 stock ID. There was a tremendous effort to explore stock ID.

9  
10 What I'm talking about is that looking at sources of information  
11 for stock ID is only one component, and different hypotheses  
12 were put forward, and there was some discussion about the  
13 structure of the model and actually moving forward with  
14 competing stock structure assumptions and examining whether the  
15 data better fit models that had different assumptions about two  
16 populations, three populations, what have you.

17  
18 That's the component that I felt a little bit let down that we  
19 couldn't explore, or won't be able to explore, because simply  
20 looking at the sources of information we have so far and trying  
21 to, from the outside, propose what the stock structure might be  
22 for red snapper is only part of the process.

23  
24 Once you start fitting data to models, then you get a better  
25 sense of what the empirical data and some of the parameter  
26 estimates, what that actually supports, and so I thought that  
27 is exactly what the research track assessment for red snapper -  
28 - I thought it was actually the number-one issue, and something  
29 that could be explored.

30  
31 Again, I think, on the front-end, we just need to have clear  
32 ideas about what's in the realm of possibility, so that we have  
33 a clear sense, and, if really important things, and like some  
34 of us thought that population structure for red snapper can't  
35 be explored within assessment models, and not just in a workshop  
36 on the front-end, then we need to have clearer ideas that when  
37 we discuss these things at the SSC and put stuff on that we're  
38 interested in potentially considering or that the data may  
39 suggest exist.

40  
41 **DR. NEER:** I agree with you, and perhaps -- I mean, I said this  
42 might be something -- Part of it is being clearer in explaining  
43 what can be done, and I agree with you on that, and perhaps  
44 there needs to be even another stage, perhaps something clear  
45 like this, and maybe it's something that needs to be done even  
46 before we get to the assessment being scheduled, and perhaps  
47 it's something that may need to be spearheaded through the SSCs  
48 and the Science Center working on stuff prior to something going

1 on the schedule, if it's something that you would like to see,  
2 and maybe there's a way to do it.

3  
4 Certainly we're going to have to probably have some more  
5 discussions on making sure that, one, we're clear with what we  
6 can do within the assessment processes that we have in place,  
7 and, two, perhaps have discussions on ways to accommodate some  
8 of these things that SSCs may find are vital and important to  
9 be part of the discussion, and how do we make that happen, and  
10 do we change the process, or do we -- Is that done outside out  
11 of the process, via a workshop method that's done by the  
12 cooperators and the Science Center, and I don't know, but I  
13 understand your point, and I understand your let-down of  
14 thinking that this was something that was potentially going to  
15 be able to be done as part of the assessment process, and it  
16 doesn't seem that that's going to be the case.

17  
18 I agree with you that certainly we're going to need to give this  
19 some thought, on how we should approach some of these things  
20 moving forward.

21  
22 **CHAIRMAN NANCE:** Thank you, Julie. That was a good question,  
23 Will, and thank you, Julie, because it's one of those things  
24 where the research track is the only place you can have these  
25 things, and so we need to do a little more thinking on how to  
26 incorporate those things. David Griffith, you're next, and then  
27 we're going to have Josh, David, and Jason, and then we'll have  
28 Katie.

29  
30 **DR. GRIFFITH:** I am a social scientist, and so I'm kind of  
31 interested in the extent to which -- I see that you -- When I  
32 look over these stock assessments, I see that you look at  
33 landings and the difference between commercial fishermen and  
34 recreational fishermen and discards and gear types and things  
35 like that, which I guess could be considered social data, but I  
36 was wondering if you try to incorporate other kinds of social  
37 information, like fishing strategies or the uneven distribution  
38 of effort across the Gulf for different species or how a certain  
39 species fits into a whole pattern of fishing operations.

40  
41 Say a person who switches between charter boating and commercial  
42 fishing himself, during different times of the year, and so  
43 there's all kind of seasonal dimensions that influence pressure  
44 on stock and things like that, and I was wondering the extent  
45 to which you try and incorporate, or even access, that kind of  
46 information.

47  
48 **MR. RINDONE:** I can take this one, Julie, if you want.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29  
30  
31  
32  
33  
34  
35  
36  
37  
38  
39  
40  
41  
42  
43  
44  
45  
46  
47  
48

**DR. NEER:** Yes, please.

**MR. RINDONE:** Okay. David, when we're going through the SEDAR process, we have involvement from fishermen and from council staff, who help inform about changes to the management process and also about some of the aspects of how the fisheries operate and primary and secondary targeted species and how anglers, whether they be recreational or commercial, may prefer some things during certain times of the year.

We always lean to the fishermen first, whenever we can, on those things, to let them speak for themselves, and, in the absence of them, council staff or council members, who are listening in, will also chime in and provide some of that information.

It's definitely considered, front to back, throughout the entire process. Whether it's part of the stock ID process, or when the data are being discussed, which is probably one of the most imperative points in the process for those discussions to occur, but they're also very fruitful in the more analytical parts of the process, like during the actual building of the assessment model.

If the assessment is predicting that a certain thing is happening, but the fishermen know that to not be reality, based on what they see on the water, they can voice those concerns, and then you can take a deeper look into why the model might be behaving in a certain way and make appropriate adjustments to try to better represent what we're being told is the actual say state of nature, if you will, for a particular parameter.

Then, of course, when it gets here, and you guys review it, you guys will sometimes get input from fishermen that will try and help explain why something is the way it is, and then, of course, at the council level as well.

**DR. GRIFFITH:** So, the comments by fishermen, are those incorporated into the reporting that goes to the SSC?

**MR. RINDONE:** They're included in the stock assessment reports. Oftentimes, you will see something discussed about the data, and I'm going to completely make up an example. If you see something discussed about, oh well, we primarily are observing juveniles in these areas at these times of the year, and fishermen will say, well, that's not really where we see most of them, and you might find them easily there, but usually where we find them is in this other area, and then that might retool

1 some thinking about distribution by age class and size class,  
2 and it might help better inform different aspect of life  
3 history, as an example. You will see that outlined in the stock  
4 assessment report, in the particular sections pertaining to  
5 those specific data.

6  
7 **CHAIRMAN NANCE:** Katie.

8  
9 **DR. SIEGFRIED:** I just wanted to add on to what Ryan was saying,  
10 and we have Mandy Karnauskas and Matt McPherson at the Science  
11 Center who have been heading up the participatory workshops that  
12 are asking these very questions, and they are sociological  
13 questions, economic questions, fisher behavior questions.

14  
15 Before COVID, we had a room full of stakeholders that  
16 represented as many modes of fishing as possible for sets of  
17 species, and we would -- I mean, literally, and Mandy is on the  
18 call too, but we would throw up, on the wall, all of the  
19 information that the fishers would provide to us and figure out  
20 a conceptual model that we could then deliver to the analysts  
21 doing the quantitative modeling.

22  
23 I know that she and Matt, and I think they have an intern working  
24 on it, are preparing the conceptual model for red snapper that  
25 will be delivered in time for the data workshop, and so we are  
26 trying to incorporate more information, and it hasn't been up  
27 to par in the past, but I think that we're really getting rolling  
28 on that effort, if Mandy wants to add anything, and I hope she  
29 will.

30  
31 **CHAIRMAN NANCE:** Go ahead, Mandy, if you have anything for that  
32 specific item.

33  
34 **DR. KARNAUSKAS:** Sure, and I can add to that. That was a great  
35 summary, Katie, and thank you. I guess I will add that, from  
36 the process that Ryan is talking about, making sort of  
37 adjustments to the stock assessment process, based on input from  
38 fishermen, is a little bit different than what Matt and I are  
39 doing.

40  
41 That, I think, is more in line with some of the questions that  
42 David Griffith was asking, is what's the role of the species in  
43 the wider system, how do fishers change behavior based on  
44 regulations, and those sorts of questions, and so those are the  
45 kinds of things that we're trying to get at in the participatory  
46 workshops, but Katie did a great job summarizing. Thank you.

47  
48 **CHAIRMAN NANCE:** Thank you. Josh.

1  
2 **DR. KILBORN:** First, thank you for the presentation, and this  
3 is actually pretty helpful, but maybe I missed it, and apologies  
4 if I did, but how do things like ecological and ecosystem  
5 covariates get introduced into this process? Where -- You know,  
6 I see a lot of effort appears to be given, in the research  
7 track, to stock identification and things like that, but what  
8 about these other habitat considerations and ecosystem  
9 considerations? How does that get injected into the process,  
10 and where?

11  
12 **MR. RINDONE:** I can take a swing at that. Typically, those  
13 sorts of discussions about ecosystem covariates and how they  
14 might be incorporated, those are initially talked about in the  
15 data workshop and data preparation phase, trying to identify  
16 what data are out there, how they've been developed, what  
17 condition they're in, and where best to try to plug them in.

18  
19 My mind is drawn to things like the red tide mortality indices  
20 that are used for some of the grouper species, and those data  
21 are usually talked about at the data workshop phase, and then  
22 it's determined the best way to incorporate mortality from red  
23 tide, and, often, it's like the discard fleet, 100 percent  
24 discard fleet, and how to best align that mortality by size or  
25 age, depending on how the data are provided.

26  
27 Things are like that are then folded forward into the assessment  
28 process, where they're incorporated into the model, and they  
29 can also be incorporated as sensitivities, to see how the model  
30 responds to the inclusion of those environmental covariates as  
31 a separate addition to the model.

32  
33 Then, if it looks like that it helps better explain what's going  
34 on, and it helps represent a more plausible state of nature,  
35 then it can be included in the final base case, and so that's a  
36 very quick synopsis of how that process can go.

37  
38 We usually try to identify these sorts of projects that can be  
39 informative as far in advance as possible, because, like with  
40 any new data, especially the more complex those data are going  
41 to be, the more work that often has to go into trying to figure  
42 out how to fold it in.

43  
44 **DR. KILBORN:** Okay, and does that apply to less obvious things,  
45 like maybe oxygen concentrations from dead zones and things like  
46 that? I am just sort of thinking of just the less obvious  
47 things that may influence stock success. As people are working  
48 on that in the academic setting, does it translate easily into

1 this SEDAR process?

2  
3 **MR. RINDONE:** Sometimes it does and sometimes it doesn't. It  
4 just depends on -- It depends on the data and how they can be  
5 included. I mean, we might have ample sampling of say the dead  
6 zone at the mouth of the Mississippi River and changes in  
7 dissolved oxygen levels emanating out from certain areas,  
8 showing the changes in that dissolved oxygen in space and time,  
9 but that, by itself, while interesting, may not, on its own, be  
10 enough to help inform something that's being observed in the  
11 model.

12  
13 It might help with future hypothesis testing for future  
14 research, and so, in those cases, oftentimes, suggestions for  
15 the future research will be put into the research  
16 recommendations of the stock assessment report, and it just  
17 really kind of depends on what's been collected and how it can  
18 best be applied to trying to determine changes in the trends in  
19 total and spawning stock biomass.

20  
21 Dave Chagaris is on, and Dave probably has, at least amongst  
22 the SSC members, some of the most used application of ecosystem  
23 tools that have gone into the assessment, outside of folks that  
24 are in the Science Center, and so he might want to speak a  
25 little more to this.

26  
27 **CHAIRMAN NANCE:** David, why don't we go ahead and address your  
28 questions?

29  
30 **DR. CHAGARIS:** Okay, and I can respond to Ryan, first. You  
31 described the process accurately, but I do think it could be  
32 done better, and, if you think about like the red tide example,  
33 I mean, there was a lot of precedent for that before it started  
34 showing up in the terms of reference, but, if there are other  
35 environmental drivers that maybe haven't been considered yet,  
36 something that's not as pronounced, as Josh was referring to,  
37 then that might not show up.

38  
39 I am actually really glad that we're having this conversation,  
40 because this has been a concern of mine, really since we went  
41 to the research track, that it was really just shaping up to be  
42 another benchmark assessment, and I think what's clear, from  
43 this conversation, is that we definitely need to make space for  
44 this somewhere upfront in the research track assessment.

45  
46 This would be a space to talk about environmental concerns and  
47 a space to talk about socioeconomics, and, also, the management  
48 options. I mean, there's this disconnect between the stock

1 assessment models and the knobs that a manager might want to  
2 turn, and so it's like the assessment stops at status  
3 determination and F projections, but how you actually get to  
4 that F, whether it's season closures or size and bag limits,  
5 could require a different structure of the model or some  
6 different projection models.

7  
8 I think there's a lot of reasons, a lot of good reasons, to add  
9 another stage to this research track assessment, something on  
10 the front-end, and maybe you can fold it into the stock ID  
11 stage, or maybe you want to have something separate, and how  
12 well that could leverage the work that Mandy and her team is  
13 doing -- I mean, keep in mind this is something that would need  
14 to be done on a regular basis, or maybe you could have a single  
15 meeting a year to go through multiple species, and I don't know  
16 what it would look like, but, clearly, I think there is something  
17 missing in this that allows the models to adapt to what is  
18 happening in the environment and what's also maybe happening in  
19 the management arena as well.

20  
21 I'm not sure how we go about doing that, Julie, if that has to  
22 be a motion from the SSC, or if it's something we can test drive  
23 with red snapper, where I think it will be pretty critically  
24 important to have those conversations upfront.

25  
26 **CHAIRMAN NANCE:** David, is that your -- Are you done?

27  
28 **DR. CHAGARIS:** Yes, I'm done. I've said my piece. Thank you.

29  
30 **CHAIRMAN NANCE:** All good points. We're spending a little more  
31 time on this than we have allotted time for, but it's good.  
32 This SEDAR process is really critical to the things that we do  
33 here. I'm going to take Jason next.

34  
35 **MR. ADRIANCE:** Thank you, Mr. Chair. I won't belabor the point,  
36 because I think Will and Sean covered a lot of my concerns, and  
37 I think I went into this naively, looking at those points about  
38 being able to explore new ideas, and I guess the thorough and  
39 transparent for a research track has a little bit of a timely  
40 component to it as well, but one thing I noticed in the process,  
41 and I don't know if Katie will get to this in her presentation,  
42 but, somewhere down the line, I guess maybe we need to explore  
43 the ability to look at some of these data breakdowns, outside  
44 of geopolitical lines, and I noticed that was one point of  
45 contention, at least in the stock ID process, that we have  
46 surveys and boundaries that are geopolitical, but parsing the  
47 data can be difficult.

48

1 I don't know how we move forward in that, but I think it's  
2 something to consider, as we do move forward, since these  
3 research tracks are going to be our opportunity to change  
4 things. If we don't do it then, we're stuck for the next cycle,  
5 if we can even do it then. Thanks.

6  
7 **CHAIRMAN NANCE:** Thank you. We're going to take Mandy, and then  
8 we're going to have Katie's presentation, and then we'll get to  
9 other questions that are from here.

10  
11 **DR. KARNAUSKAS:** Thanks. I was just going to add one more bit  
12 to the subject of environmental covariates in stock assessments,  
13 and I'm going to steal a quote from John Walter. When we used  
14 to talk about this stuff, and we've done a lot of research on  
15 how you go about including the environment in stock assessment,  
16 and John used to always remind us that the assessments are like  
17 Prego spaghetti sauce. It's in there. The environment is in  
18 there, and so I thought that was a great comparison.

19  
20 A lot of the data, all of the data, streams are tracking the  
21 environmental impacts, and we call it process error, but it's  
22 already in the assessment, and so we do have to remember that  
23 putting additional environmental covariates in the assessment  
24 can often do a lot more damage than they do good, and so we  
25 certainly have a number of cases, like red tide and recruitment  
26 modeling, where we have included environmental covariates in  
27 the assessment, but those have to be selected very carefully.

28  
29 Going back to the participatory workshops that Katie talked  
30 about, and as Dave Chagaris mentioned as well, not only do we  
31 characterize the socioecological aspects of the fishery, but we  
32 also ask the fishermen stakeholders what they think are the  
33 major drivers of the biology of the species, and so I think, if  
34 they were to point us toward certain mechanisms, those could  
35 potentially warrant, or take priority, as further research  
36 steps. Thanks.

37  
38 **CHAIRMAN NANCE:** Thank you. Katie, let's go ahead and do your  
39 presentation, real quick, here.

40  
41 **DR. SIEGFRIED:** Okay. Thank you, Mr. Chair. We consulted with  
42 council staff about setting up this short, but perhaps dense,  
43 presentation for you all, after some consternation surfaced  
44 during the stock ID process for red snapper, which you all have  
45 heard some SSC members comment on this morning, and so we just  
46 wanted to start to set what the expectations are for a research  
47 track, potentially, and then this can complement the way that  
48 the SSC prioritizes the research they would like to see.

1  
2 First of all, as Julie stated, research tracks are meant to  
3 incorporate current research and then determine which hypotheses  
4 can be tested with those available data.

5  
6 The research track assessments, they may begin with a stock ID  
7 process, if it's identified in the TORs. Sometimes it's not  
8 requested, and so it's not required, but, if a stock ID is  
9 requested, then we have a panel then that gathers together and  
10 reviews all of those relevant studies, all that research and  
11 all of the relevant data, to decide on a stock structure that  
12 then is required to build the model throughout the rest of the  
13 assessment process, and it's kind of like our architecture, the  
14 bones.

15  
16 The stock structure is to be based on the best scientific  
17 information available and to be based on first principles, using  
18 the data, and it's to be arrived at by a consensus, through this  
19 transparent and inclusive process that Julie outlined in her  
20 presentation.

21  
22 The Center wanted to set up this expectation, because we're  
23 realized this, through trial and error, that, with scamp and  
24 red snapper, that multiple stock structures just cannot be  
25 carried through the rest of the research track, and that's for  
26 two major reasons, and this may have been a miscommunication in  
27 the past, and we're sorry about that, and we would like to make  
28 that clear now, that we cannot support multiple stock  
29 structures, with our current workload and staffing and  
30 prioritization of other assessments.

31  
32 This is for two major reasons. Most importantly, there is no  
33 objective way for us to judge which model is best when the model  
34 structure changes, and so, for example, our standard model  
35 comparison techniques, like AIC, or any other information  
36 criteria, require the same treatment of the data, and, by that,  
37 we mean changing stock structure that tends to change the way  
38 the data are used, using different likelihoods, like an index  
39 configuration, et cetera.

40  
41 Our research track data are also supposed to be preliminary. As  
42 Julie stated, like for scamp, we don't have a terminal year that  
43 is most recent, and we also don't expect all the data to be  
44 perfect. We want them to be approximate and sort of what we  
45 need to build those bones, but they may not be the most final,  
46 most QA/QC'd data, and so, if we don't have that, we cannot  
47 compare model diagnostics across varying stock structures.

48

1 We also have this hypothesis testing statement that's been made  
2 repeatedly, but each stock structure may not be able to test  
3 the same hypotheses, or use the same data, which also makes them  
4 incomparable, and so that's the most important reason that stock  
5 structure cannot be carried through, barring anything much more  
6 intensive, like a simulation study or something where we have  
7 multiple post-docs working on this before the research track  
8 even begins, but, at this point, what we have are the panel  
9 looking at the available data and coming up with one stock  
10 structure and comparing across multiples, and it's just very  
11 difficult if there is no objective, quantitative way to do that.  
12

13 In addition, multiple stock structures creates a factorial  
14 design for the modeling team and data providers, potentially  
15 creating an infeasible workload for the timeline of a research  
16 track, and so I'm sorry that I don't recall who just mentioned  
17 it, but there is some timeliness required for a research track,  
18 and we do need management advice at some point.  
19

20 I tried to create just a pictorial to explain this factorial  
21 experimental design, and so, if we carry that stock structure  
22 through the process, we could potentially create an  
23 exponentially higher workload for the analysts and our data  
24 providers.  
25

26 What I have put here is -- If you look at Model Structure A at  
27 the top, we test just one hypothesis, looking at alternative  
28 selectivities, and so we have four different competing  
29 hypotheses about selectivities, and it creates four models from  
30 that one model structure.  
31

32 Then we test each of those selectivity hypotheses with a high  
33 and low natural mortality, and, those of you who have followed  
34 our assessment processes, this probably doesn't look that crazy,  
35 right, because we probably test selectivities, high and low  
36 natural mortality, and multiple other hypotheses in the process  
37 of doing our sensitivities, as an example.  
38

39 If we then carry all of these hypotheses say for the alternative  
40 selectivities or high and low natural mortality through say two  
41 more model structures, we create an exponentially higher  
42 workload for ourselves, and we don't necessarily know if the  
43 selectivity scenarios will require the same treatment of the  
44 data, and so not only do we have different data, but we have  
45 different assumptions, and it's a problematic scenario for us.  
46

47 This is just a really simple example of why it creates such a  
48 huge workload and how it's difficult to test across the

1 scenarios, and I hope this is clear that this is just meant to  
2 be a cartoon, and that we're actually a lot more complicated in  
3 our processes.

4  
5 Once that stock structure is decided by a panel consensus, like  
6 Option A in the last slide, we can test multiple hypotheses with  
7 the data available at the data workshop phase, and we can look  
8 at inclusion or exclusion of a variety of indices or the way  
9 that those indices are standardized. They could include or  
10 exclude information about hypoxia, say, in the index  
11 standardization.

12  
13 The age and length composition data can be weighted or not  
14 weighted, or using different likelihoods to fit those, and we  
15 have catch and discard data that can be taken back to a  
16 historical period or not, and then how the discard data are  
17 arrived at by a model is another sensitivity that we can  
18 potentially look at, or hypothesis. Sorry.

19  
20 We have different selectivity functions, retention assumptions,  
21 and we can investigate different stock-recruit relationships,  
22 generally data-weighting issues, and we can attempt to  
23 incorporate published studies about topics such as larval  
24 transport, depredation, density-dependent mortality, et cetera.

25  
26 All of these hypotheses can be tested during the research track  
27 assessment, but not necessarily during an operational, and so  
28 we do have this expectation of hypothesis testing in a research  
29 track, but just not necessarily the stock structure.

30  
31 Just a little note at the bottom there is that the research  
32 track framework allows for this hypothesis to be tested using  
33 the data provided at the data workshop phase, based on the stock  
34 structure decided during the stock ID, and it could also be the  
35 status quo, if the stock ID was not specified in the TORs, but  
36 this was meant to expand on the expectations and clarify the  
37 expectations that may have been communicated in the past for a  
38 research track, and I hope that this helps sort of create a  
39 place to start the conversation about what can be included and  
40 not included for future research track assessments, and I think  
41 that's my last slide, if there are any questions.

42  
43 **CHAIRMAN NANCE:** Thank you very much. I appreciate that  
44 presentation. Paul, did you have something to add to this?

45  
46 **DR. MICKLE:** I appreciate this information, and it does give a  
47 lot of kind of background to what the research tracks can really  
48 provide, and I really appreciate this actual slide, because this

1 gives the ability to look at the multiple hypotheses that you  
2 can actually challenge and look at and see if you're going --  
3 The path you're using, and the model design, and the stock  
4 structure you've actually decided on has been tested through  
5 these different things, and so I really appreciate that.

6  
7 Just to jog my memory a little bit, I thought we would -- A few  
8 years ago, there was a lot of discussion about gray triggerfish  
9 and the ability to maybe look at some sort of new type of data,  
10 research track discussion, because I think it has been updated  
11 quite a bit, and benchmarked quite a bit, that particular  
12 species, but the recruitment side and the sargassum component -  
13 - I thought maybe there had been some direction and some research  
14 funds spent to look at kind of maybe that relationship, and I  
15 don't know whatever came of that, if anybody remembers.

16  
17 I thought maybe that NOAA had funded a little bit to look at  
18 it, and maybe Dr. Hernandez over at Southern Miss, and I think  
19 a GIS satellite specialist, maybe down here at USF, had teamed  
20 up, and I think I just lost focus, or I just didn't follow-up  
21 on that, but whatever happened to that effort of trying to  
22 understand maybe a habitat and ecological component to the  
23 conversation we're having?

24  
25 **CHAIRMAN NANCE:** Mandy, do you have something to that point?

26  
27 **DR. KARNAUSKAS:** I'm actually the technical monitor on that  
28 project, and so I could update a little bit. It is coming to a  
29 close, and they are in the process of investigating satellite-  
30 derived sargassum indices and the relationship with gray trigger  
31 recruitment, and so that research is still in progress, but the  
32 project is coming to a close, and they are actively working with  
33 the stock assessment folks at the Southeast Center, and so they  
34 are making those linkages.

35  
36 **DR. MICKLE:** That's terrific, Mandy, and that's really great to  
37 hear. We all understand that it's very difficult when  
38 ecological data are very spatial in nature, and they're very  
39 bound spatially by the study site, which creates issues in Gulf-  
40 wide stock assessments and those things, and so I would just  
41 like to highlight that that seems like a really wonderful  
42 effort, where NOAA provided the data need of a new type of data,  
43 and it was kicked off in a way that NOAA really outlined exactly  
44 the way the research could allow data to be informative to a  
45 stock assessment, because so much ecological data is not, for  
46 various reasons, and so that's just a really great example of  
47 how this provides benefit and pays dividends once the efforts  
48 are in motion. I just wanted to highlight that.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25  
26  
27  
28  
29  
30  
31  
32  
33  
34  
35  
36  
37  
38  
39  
40  
41  
42  
43  
44  
45  
46  
47  
48

**CHAIRMAN NANCE:** Okay. Sean.

**DR. POWERS:** Thanks, Katie, for the presentation, and it is consistent with what we've heard from the Science Center during the stock ID workshop. I guess, getting back to your first point, and I totally agree that, if first principles agreed, and we could draw a definitive boundary, then that's, obviously, the best solution, but the issue with red snapper is that none of the bits of information were any overwhelming individually, and so we had a lot of places where we could have drawn that boundary.

I guess that's the point, is what happens, and I think this is the case for red snapper, and I hope it's the only species we have this problem with, but what if first principles don't give a clear answer? That's what we're facing here.

You know, while we did get consensus, the consensus wasn't overwhelming. I mean, basically, Option C was the consensus, which is the three-stock model, for those of you who aren't familiar with it, versus a new line at the Florida-Alabama line and a two-stock model.

I'm not sure which one is correct, because there is no overwhelming signal on first principles from the studies on where definitively to draw that line, and so I understand the concern about the workload, but, again, this was the priority that the SSC had for a research stock assessment on this, was deciding on the stock structure.

I realize that there is no objective measure, because there will be differences in the models and the data inputs, and it will affect sampling sizes and all of those things, but there is probably a way, short of doing a complete factorial design, that we can look at this question, and we can choose a couple of indices and then look at their fits, because, ultimately, since the genetic life history information isn't leading us to any definitive point, ultimately, we want to see what makes the most sense or, for lack of a better word, visual fits of the indices.

We have done that consistently in the SSC, actually looked at visual fits of the indices, when we can't get an objective way, and so I understand this list of hypotheses that you want to test, but part of -- Or that we think that we should test, but, for example, I would be willing to give on a few of these if we could look at the stock ID structure.

1 I understand it's a tremendous amount of work, but, arguably,  
2 it is the most important species that we deal with at the SSC,  
3 or at least public perception would say that, and so I guess  
4 that's -- My question comes back to what if first principles  
5 don't give us a clear boundary? I mean, there would be some  
6 argument, according to Magnuson, that we should then, if there  
7 is no clear thing, we should manage it as one whole stock, and  
8 I don't think anybody is advocating for that, but what happens  
9 when first principles don't lead us to definitive stock  
10 boundaries?

11

12 **DR. SIEGFRIED:** Can I respond to that, Mr. Chair?

13

14 **CHAIRMAN NANCE:** Absolutely, Katie.

15

16 **DR. SIEGFRIED:** I think, without showing the SSC this whole  
17 stock ID report at this point, it would be difficult to truly  
18 debate all of this, Sean. I know that the Center and council  
19 staff have discussed that we would like to present the stock ID  
20 report to the SSC at the next meeting, and that, once the SSC  
21 can see all of those details, it would be a heck of a lot easier  
22 to debate this, at that point, at least the details of the red  
23 snapper stock ID.

24

25 When you say that the first principles don't arrive at a clear  
26 stock structure, then it has to be something where the panel  
27 comes to consensus of what other best scientific information  
28 there is. If there's not one clear answer, which seemed to  
29 happen for the red snapper stock ID, then the panel discusses  
30 it, which we did over multiple webinars, and we had to come to  
31 some kind of compromise, based on what was available and what  
32 we expected to see if we could rely on just first principles  
33 alone.

34

35 I would ask if we could debate the actual details of the red  
36 snapper stock ID at the next one, where the whole SSC can be  
37 aware and educated about what the panel discussed.

38

39 **CHAIRMAN NANCE:** Ryan, is that possible to do?

40

41 **MR. RINDONE:** I would argue no, the reason being that the data  
42 workshop, or the data preparation workshop, whatever it is that  
43 anyone feels like calling it for the research track process,  
44 and it's supposed to be the first week of November, and debate  
45 implies that there's something left -- Something still to be  
46 decided, and so, if this decision is not made, isn't already  
47 made at this point and ready to go, I mean, it affects everything  
48 downstream at this point.

1  
2 If we wait until the next SSC meeting, which is the end of  
3 September, then, at the end of that meeting, that leaves  
4 essentially the month of October for everyone who is responsible  
5 for data to put those data together in such a way that complies  
6 with the hypothesis, or hypotheses, for stock structure and have  
7 to do that in a month, and I would venture to say that you will  
8 hear a lot of people say that's either highly unlikely or flat  
9 impossible.

10  
11 Then, for all of that to be prepared and ready to be discussed  
12 at that data workshop in November, I just don't personally see  
13 how that's possible, given my experience with the SEDAR process,  
14 and so the possibilities, from there, would be that either we  
15 would have to go forward with what we have, and try to think of  
16 alternative ways of looking at things, as Sean alluded to, or  
17 we would have to look at the schedule and see how we could  
18 change the schedule to accommodate further consideration of the  
19 stock ID process, and so I see Julie has got her hand up.

20  
21 **CHAIRMAN NANCE:** Julie, do you want to respond, and then Katie,  
22 or vice versa?

23  
24 **DR. NEER:** I just want to step in with regard to the process.  
25 As I said, we have a stock ID process that we went through and  
26 we followed, and SEDAR is more than happy to make the report  
27 available for you all to see, and it will be posted on the  
28 website as soon as it's finished, in the next couple of weeks,  
29 but SEDAR does not currently, in its format, come back to the  
30 SSC in between each one of these steps to get them to sign-off.

31  
32 It is an entire process that moves forward, and, as I said, it  
33 is a sequentially decision-making and recommendation-making  
34 process, and, if we are now going to have to get each stage of  
35 this process reviewed and signed-off on by the SSC, that is a  
36 fundamental change to how SEDAR functions, and it will require  
37 a lot of discussion at the steering committee level, if that is  
38 a path that we're going to go down, then that's -- I have a  
39 feeling that we're going to discuss this topic in general at  
40 the next meeting in October for the SEDAR Steering Committee,  
41 but we have ADT members who are in this whole process, and some  
42 of them were actually on stock ID, and some of them were not,  
43 but we have SSC representation at each one of these stages for  
44 a reason.

45  
46 The whole product, at the end, comes to the SSC for their review,  
47 but coming back and now taking this report and sending it to  
48 the SSC for them to weigh-in on, without the benefit of seeing

1 all the discussions and all the -- We had fifty-two people  
2 appointed to the stock ID panel for red snapper, and we had a  
3 series of webinars and workshops.

4  
5 For you guys to now just look at that condensed report and then  
6 perhaps override the decision that was made by the panel is a  
7 real problem for the process, and, if that's what you wish to  
8 do, I guess the SSC can make that recommendation, and then we're  
9 going to have to take that up to leadership and see if it can  
10 be accommodated or not, because that is not how the process  
11 works, as it is currently structured. Thank you.

12  
13 **CHAIRMAN NANCE:** Thank you. Katie, anything on that?

14  
15 **DR. SIEGFRIED:** Yes, and I'm really sorry that I used the word  
16 "debate". What I thought we were doing, and had discussed  
17 doing, is bringing it for awareness and not for approval, and  
18 so what I meant was it's difficult to answer Sean's specific  
19 questions about it, because the whole SSC is not aware of what  
20 we're talking about, because there is no document, but I  
21 certainly didn't mean to add in that the SSC needed to approve  
22 that. The panel came to consensus, and so I apologize for  
23 misspeaking.

24  
25 **CHAIRMAN NANCE:** Thank you, Katie. Will.

26  
27 **DR. PATTERSON:** Thanks, Jim. Katie, back to your original sort  
28 of two points about why we couldn't explore stock structure  
29 within the assessment model, or models, one is this factorial  
30 issue, and the second is just the data requirements to  
31 accomplish that.

32  
33 As far as the factorial, anytime we change an assumption about  
34 selectivity, or we change assumptions about high or low M, that  
35 doubles the number of runs that are required, and so, by having  
36 two stock ID assumptions, it would be no different than any of  
37 those other parameters.

38  
39 It seems to me what it really comes down to is the data, and I  
40 understand the difficulties in trying to produce all the various  
41 information, whether it's the age comps or the index information  
42 for various indices, and that, if you have different geographic  
43 boundaries between population groups, or stock sub-units, then  
44 that causes problems, or it creates more work, but, to me, that  
45 just argues for the process I think that's being undertaken, or  
46 is attempted to be, in the region of more automation of the data  
47 time series and the ability to pull data at the click of a  
48 mouse, if possible, for these various different components of

1 what goes into stock assessments and not have it be a two or  
2 three-month process to get data providers to get information  
3 for a given index or a given source of information that goes  
4 into an assessment, into a given assessment.

5  
6 I know that's problematic now, and I'm hoping, in the future,  
7 that, if this automation process is successful, at least to some  
8 extent, then perhaps we can start to evaluate some of these  
9 things, and, as far as an objective way to interpret the  
10 information, if you ran a two-stock versus a three-stock  
11 assessment, and then tried to figure out which one is the most  
12 parsimonious, or the best fit, in some other respect, I think  
13 we can do that, like Sean was alluding to, even without a formal  
14 framework.

15  
16 I mean, obviously, it's better to be as objective as possible,  
17 but I think that could be done, and so I understand that it's  
18 not going to happen for red snapper for this particular process,  
19 this particular research assessment, but, right now, you have a  
20 three-stock model moving forward.

21  
22 What happens if you get to the end of two years and you're not  
23 getting convergence, or there's something else squirrely, and  
24 you have indices that just don't fit, because the population  
25 structure that's assumed in that model just doesn't match the  
26 fish, the biology of the animal, and you have bits of information  
27 that may be suggested, but, in the end, it's not the best  
28 approach, and what do you do at that point?

29  
30 You've got two years invested into a process that doesn't  
31 produce a result that maybe the SSC would recommend to be turned  
32 loose into an operational assessment, and so, if the issue is  
33 about efficiency and best use of time and how to accomplish the  
34 objectives of the research track process, we could actually end  
35 up in a position where you have -- By not running these multiple  
36 scenarios, and, by multiple, I am suggesting two, but then you  
37 could actually end up in that same situation, but for a different  
38 reason.

39  
40 **CHAIRMAN NANCE:** Thank you, Will. Trevor.

41  
42 **DR. MONCRIEF:** I want to make two points, real quick, and so  
43 the first one is on the document itself, and then I'm going to  
44 call of follow -- I think Will was going down the route that I  
45 was going, but I've got another scenario that I wanted to ask a  
46 question about.

47  
48 Paragraph 3 of the guidance document, and I think it's Sentence

1 4, says this would increase quality, because the research  
2 assessments are not rushed to completion under the pressure of  
3 needing to provide management advice. Then another sentence in  
4 your bullet points, the last one, is, therefore, the frequency  
5 of research track assessments should be tempered by the extent  
6 of compelling new information and the resources available and  
7 that there are no expiration dates on the assessment tool built  
8 through a research track.

9  
10 I feel like -- I think you all are going to provide the clarity  
11 that was asked by multiple folks, but I think adding what you  
12 all have in this last slide would provide a lot of clarity in  
13 the document, and it would really clear it up, for anyone who  
14 pulls this up, to be able to look at what the research track is  
15 supposed to be.

16  
17 The other one is I think we all have come to the consensus that  
18 we want to explore multiple stock structures, and it would be a  
19 great thing to do, but it might not be in the cards here, and I  
20 guess my question is, is there concern from you all's staff, or  
21 anybody at this table -- Basically, what I am thinking is this  
22 is going to come up again for a research track in a few years,  
23 and the same question is going to arise, and we have the  
24 possibility that we're going to have basically a previous  
25 assessment that had a stock structure, a research track  
26 assessment now that's going to have a different stock structure,  
27 and then the new one, when it comes out, the next research track  
28 could have a potentially different stock structure altogether.

29  
30 Is there any concern about comparability or changing these stock  
31 structures over time for each one of these assessments, because  
32 that's a fundamental change, in my mind.

33  
34 **CHAIRMAN NANCE:** Katie, go ahead and address that, please.

35  
36 **DR. SIEGFRIED:** We did -- To Trevor's question, we did talk a  
37 little bit about comparing stock structures, where we couldn't  
38 collapse back to status quo, and I think that's what you're  
39 getting at, is that it's difficult to compare when the stock  
40 structure may change from research track to research track.

41  
42 That was one of the appealing options, but one of the things  
43 that made the option seem appealing is that, potentially, if we  
44 ran into issues like what you're saying, or what Will was saying,  
45 where we had convergence issues, or problems with the data not  
46 being enough to support another region, that we could then fall  
47 back on status quo, which is something that I think is outlined  
48 in that document as well, that if the data aren't sufficient to

1 move into the different stock structure that we would have to  
2 fall back on that. Can I also comment on Will's point, Mr.  
3 Chair?

4  
5 **CHAIRMAN NANCE:** Absolutely.

6  
7 **DR. SIEGFRIED:** Okay. So then, as far as automation goes, we  
8 have some staff who are dedicated to the automation side of it,  
9 and we are going just about as fast as we can on those, and  
10 we've made some big strides, but a few of the things that we  
11 haven't fully automated yet are key points to the stock  
12 structure discussion, the indices and the age and length  
13 composition data weighting, and those are much more difficult  
14 to automate, when it comes to changing the stock structure.

15  
16 We are open to suggestions and further discussion about that,  
17 as well as any academic studies that are of interest to those  
18 on the SSC, or their collaborators, to look into something like  
19 a simulation study for stock structure, and our staff,  
20 unfortunately, just have such a high operational workload that  
21 we can't pursue all of the types of research that we would like  
22 to pursue outside of our SEDAR and operational workload.

23  
24 The other thing that I wanted to mention about this slide that's  
25 on the screen here, it certainly is not all-inclusive, and I  
26 hope that that was understood, and there's plenty of other  
27 things that we can test. Natural mortality comes to mind, and,  
28 also, we can incorporate hypothesis testing in the operational  
29 assessments and not just research track, and so I hope that was  
30 clear.

31  
32 I wish we were farther along with the automation and that there  
33 was an easier way to move forward with stock structure,  
34 something where we had some sort of decisional framework with  
35 all the available data, but we're just not there yet.

36  
37 **CHAIRMAN NANCE:** Thank you. I think this research track is one  
38 of those things where it's the first attempt, and it's a good  
39 learning experience on how these things need to proceed. Any  
40 additional comments on this topic? Okay. Julie and Katie,  
41 thank you very much for those presentations, and I appreciate  
42 all the comments.

43  
44 We're going to break for lunch, and we'll come back at 1:00  
45 Eastern Time, and we'll go into the red grouper. Thank you much  
46 to all those who participated.

47  
48 (Whereupon, the meeting recessed for lunch on August 9, 2021.)

1  
2 - - -

3  
4 August 9, 2021

5  
6 MONDAY AFTERNOON SESSION

7  
8 - - -  
9

10 The Meeting of the Gulf of Mexico Fishery Management Council  
11 Standing and Special Reef Fish, Special Socioeconomic & Special  
12 Ecosystem Scientific and Statistical Committees reconvened on  
13 Monday afternoon, August 9, 2021, and was called to order by  
14 Chairman Jim Nance.

15  
16 **CHAIRMAN NANCE:** Welcome back, everybody. Our next agenda item  
17 is we're going to review the updated red grouper interim  
18 analysis. Skyler, I guess you're up for that.

19  
20 **REVIEW OF UPDATED RED GROUPEr INTERIM ANALYSES**

21  
22 **DR. SKYLER SAGARESE:** Thank you so much, and I'm going to  
23 basically be giving a run-through of the updated interim  
24 analysis for red grouper. I know there are some new folks on  
25 the SSC now, and so I'm going to try to maybe add a little bit  
26 more background as I go through it than I normally would have,  
27 but, if you've looked at the materials online, there is quite a  
28 few new documents that we've posted, and there's been a lot of  
29 updated work on red grouper since we had our last presentation.

30  
31 I am going to just start, quickly, by going through a brief  
32 history of the interim analyses for red grouper. Red grouper  
33 was the first stock that we did do an interim analysis for, and  
34 I'm also going to spend a lot of time, on this call, talking  
35 about some updated methodologies that we proposed at the Science  
36 Center to move forward with for red grouper, and so I will kind  
37 of go in detail in terms of why we're proposing those approaches  
38 and talk about some of those specific issues with red grouper,  
39 and also talk about another issue that's come up.

40  
41 From the allocation standpoint, when we started digging into  
42 landings time series and assessment predicted outputs,  
43 basically, we ended up coming back to our projections and kind  
44 of doing a little analysis for the interim before another full  
45 assessment can be done, and that helps out with the predicted  
46 assessment recreational landings, and so we've done sort of a  
47 little adjustment to the OFL and ABC that we'll see later on,  
48 and I did want to highlight here that there's a lot that's in

1 this presentation, but there is also --  
2  
3 We've tried to break it up into pieces, and, where we need SSC  
4 decisions to be made, we're kind of going to approach it that  
5 way, and so we'll talk about through the first issue and then  
6 kind of stop and discuss. You know, number one is that  
7 recreational weight adjustment, and are those results accepted,  
8 and then number two, because the interim is dependent upon that  
9 decision, then we'll jump into the interim analyses results.  
10  
11 Of course, with red grouper, with the groupers and the ongoing  
12 red tide, there's been quite a bit of concern that we've been  
13 hearing, and so we wanted to try to provide a little bit of  
14 input there, and I'm hoping that Brandon Turley will be able to  
15 chime in, and he's been leading some of those results, and so,  
16 when we get to that point, I'm hoping he can jump in with some  
17 additional background, and so there's a lot to cover.  
18  
19 Basically, the take-home for red grouper, SEDAR 61, was  
20 finalized and presented at the September 2019 SSC meeting and  
21 then at the October 2019 council meeting. At the time, while  
22 that assessment was ongoing, we had the red tide that had  
23 occurred in 2018, and there was some concern that was raised,  
24 in terms of the ACL wasn't being met, and so the first interim  
25 analysis that was conducted at the Science Center was for Gulf  
26 red grouper.  
27  
28 I highlight here that all the interims we've done so far from  
29 red grouper have been projection-based interims, and I will go  
30 into more detail in a few slides on what that means, but that's  
31 really important to keep in mind, and that's one of the themes  
32 of this presentation.  
33  
34 After that first interim analysis, it was -- The SSC suggested  
35 that it could be useful for setting a new ACL, and that was  
36 about 4.6 million pounds at the time, but, ultimately, it wasn't  
37 used, because the 2019 ACL that was put into place by an  
38 emergency rule, and then later by framework action, actually  
39 used the 2017 landings value, which was, I believe, 4.16.  
40  
41 The first interim produced advice, but, ultimately, that advice  
42 wasn't used, and then, more recently, at the end of -- All my  
43 years are jumbling together, but, at the end of 2020, when we  
44 produced another interim analysis, using the 2019 data, we were  
45 able to kind of get a gut-check on what the SSC had agreed upon,  
46 in terms of the assumption of the red tide mortality, and so  
47 one thing to note here is that the SEDAR 61 stock assessment  
48 had a terminal year of 2017.

1  
2 At that time, 2018 was the first year of our projections, and  
3 we knew that there was a very bad ongoing red tide, and so we  
4 had to make some assumptions in our projections to allow for  
5 some sort of event, and so, for example, in the figure on the  
6 right, what we ended up showing for that assessment, the output  
7 that followed throughout much of the reviews, was a -- That's  
8 just the time series of the projected yields out of our  
9 projections, which started -- So the first year of projected  
10 yields was in 2020, and then through 2035.

11  
12 We ended up putting fixed catches for both recreational and  
13 commercial in 2018 and then in 2019. In 2019, because we did  
14 not have final data, we made the assumption that the commercial  
15 ACL would have been landed and that recreational landings would  
16 have remained similar to 2018.

17  
18 The first thing to highlight is, and as we document in our  
19 reports, there's a lot of assumptions that go into our  
20 projections, but, ultimately, what that 2020 interim analysis  
21 showed was that our assumption was pretty good that there was a  
22 red tide, and it looked like it did have a bad influence on the  
23 stock, based on the trend and the relative index.

24  
25 Then, in 2021, and so, in this past December of 2020 and then  
26 in March of 2021, we put out two different interims, using the  
27 index of abundance that we'll go through, essentially a full  
28 index and then an index that was based on a reduced spatial  
29 footprint, because of 2020 and COVID and other reasons that the  
30 survey wasn't able to sample the whole region.

31  
32 There's been -- Just to kind of put it in perspective, there's  
33 been a lot of interims that have occurred for red grouper since  
34 that first one, but, at the end of the day, none of them have  
35 actually been used yet to set catch advice, and much of it had  
36 to do with the results of SEDAR 61 being tied into the allocation  
37 issues, and so allocations had to be finalized before we could  
38 finalize the projections and get out the new OFL and ABC.

39  
40 Basically, the most important thing, with all the work that we  
41 did projection-wise, was that the big assumption for our 2018  
42 red tide was that it would have been similar, and had a similar  
43 impact to the population, as the 2005 event.

44  
45 Previously, as I mentioned earlier, kind of foreshadowing, all  
46 of the interim analyses that we've done for red grouper focused  
47 on a forecasted index, and so they were projection-dependent,  
48 and so what this figure here is showing is you've got relative

1 abundance on the Y-axis, over time, and, in this case, this was  
2 for the full NMFS bottom longline survey.

3  
4 The index of abundance is in red, and then the reduced spatial  
5 area index is in green, and what the previous interim approach  
6 that was applied for red grouper, we would take the assessment  
7 forecasted, and so the dashed-blue line is essentially the  
8 expected trend for that index that the stock assessment was  
9 projecting forward, based on all the assumptions we made in our  
10 projections, and so the fixed landings, the red tide assumption,  
11 and that is the trend that the assessment had expected would  
12 have happened if all the conditions we made in the projections  
13 were constant, and so selectivity, retention, and everything  
14 was assumed to be the same as 2017.

15  
16 Many of you that looked through those SEDAR documents, you know  
17 that the projections have a lot of assumptions built into them,  
18 and so that's how that previous interim analysis worked, is we  
19 were comparing what the current index, the actual observed  
20 index, was doing in relation to where we thought we were from  
21 the forecast.

22  
23 I have highlighted those strong assumptions in red, because all  
24 of the work that's been done was based on the assumptions, and  
25 now, with the terminal year of 2017, we're already into 2021,  
26 and all those projections that we presented are really assuming  
27 that the assumptions we made about the red tide, which, again,  
28 was just an assumption, sort of a placeholder, in the absence  
29 of any other information, that those may not represent -- A  
30 couple of years later now, we have better data streams, and we  
31 don't really have to rely on those forecasted relationships that  
32 we thought were the truth at the time. We did the best that we  
33 could, but there's been some new research that we want to  
34 incorporate for the interim.

35  
36 Just to kind of bring the where is the red grouper fishery at  
37 to-date, and so we've seen this plot in the past, and this is  
38 just looking at the -- Over time, the red-grouper-specific  
39 quotas for commercial on the left-hand panels and then  
40 recreational on the right, the landings are the dashed lines,  
41 the realized landings are the dashed lines, and then the quotas  
42 are the thick line, and, at the bottom, it's just plotting the  
43 percentage of the quota that's been landed.

44  
45 In 2019, the ACL was dropped considerably, and so, in 2019, the  
46 commercial fishery caught about 70 percent, and then, in 2020,  
47 they caught about 80 percent of the quota, and then, in both  
48 2019 and 2020, the recreational fleet caught just over 80

1 percent for both years, and so, even with the change in the ACL,  
2 currently, neither fishery is actually realizing the entire ACL.

3  
4 I do want to point out that this was based on the available data  
5 that I had at the time. Because we're currently halfway through  
6 2021, the commercial quota, I believe, right now is about 60  
7 percent, and I'm not quite sure about recreational. I didn't  
8 see new data, and so there's still some concern that we're not  
9 seeing as many fish, although I do think that, very recently,  
10 that has changed, and I think that we're starting to see the  
11 cohort that the assessment had predicted in 2013.

12  
13 We're starting to get some reports that red grouper fishing is  
14 really good, and that's promising, and I think that's -- These  
15 are the kinds of reasons why we want to apply these interim  
16 approaches in between full-blown stock assessments, because it  
17 will allow us to have a bit more of a handle, real-time, on  
18 what's going on, and so, as I mentioned, with the terminal year  
19 of 2017, the SEDAR 61 assessment is already quite old, and it  
20 still really has not been used yet, until now, luckily, but  
21 there is still quite a bit to discuss.

22  
23 What we're proposing with the new approach, and the working  
24 paper that's now posted on the website kind of goes through this  
25 in detail as well, is essentially switching to an index-based  
26 approach that does not rely on the projections, and so this  
27 approach was used for red snapper and gray triggerfish, but  
28 that's not the only reason why we want to switch to this  
29 approach. We think that this is a more defensible management  
30 procedure that has been used and has been simulation tested.

31  
32 In this case, it was tested in the Huynh paper for vermilion  
33 snapper, and we still don't have a red-grouper-specific MSE that  
34 has been used to test all the different combinations and  
35 management procedures, and it's something we're hoping to work  
36 towards at the Science Center, but, for now, in this case, we  
37 did feel that the additional peer review of this approach by  
38 Huynh was justification for putting forward this sort of an  
39 interim approach, a harvest control rule that does not rely on  
40 the projections.

41  
42 Again, this removes the reliance on what I talked about with,  
43 number one, we had to make an assumption about the 2018 red  
44 tide, and now we're a few years past that, and we're already  
45 kind of getting into the midst of another red tide, and so how  
46 good were those assumptions in the first place, as well as the  
47 landings, and so the benefit of removing the reliance on the  
48 forecasted index is that we can use the index of abundance we

1 have from the reference period and from our recent period and  
2 get an idea of what's going on and be able to adjust the catch  
3 there.

4  
5 That's one of the biggest -- The biggest change from what we've  
6 presented in the past, is we are no longer comparing the observed  
7 data that we're getting more recently to the forecasted index  
8 of abundance, and, again, as I mentioned, the reason for this  
9 move, or this shift, was because this approach has now been  
10 simulation tested for another Gulf stock, and I need to  
11 emphasize here that the approach we had used in the past has  
12 not yet been simulation tested, and so we feel more comfortable  
13 moving forward with an approach that has.

14  
15 Again, it has been presented and accepted for red snapper and  
16 gray triggerfish, and so, from that 2018 first interim, a lot  
17 has changed, in terms of how we approach interim analyses for  
18 red grouper, and it wasn't until very recently that we  
19 reevaluated all of the different steps, the approach, that we  
20 took, as well as some of the other modifications that we needed.

21  
22 Just to kind of give you an idea of how this approach works,  
23 and I do want to point out that the approach we presented follows  
24 from what was done I think a few months ago for red snapper,  
25 where it takes a modification of the Huynh approach, where we're  
26 now using a moving average, and, essentially, what we're getting  
27 is our catch in year Y-plus-one, and so that would be the year  
28 we're trying to produce, and so, for example, 2021 in our case,  
29 and the C reference is essentially the reference level of catch  
30 that would come out of the recommendation for the assessment.

31  
32 Normally, it would be the year following the terminal year, and  
33 so, for example, our terminal year was 2017, and so,  
34 technically, we would have seen this advice go into play in  
35 2018. Now, of course, we've had a pretty large lag from SEDAR  
36 61, but, just for the purpose of this analysis, we wanted to  
37 stay strict to that thinking that this really was a case where  
38 there was a much larger time lag than there really should have  
39 been, and so, for this presentation, we're going to look at the  
40 results that looks at a three-year or a five-year moving average  
41 for both the recent mean index and the reference mean index.

42  
43 The reference mean index is just the average index value that  
44 was before and after, and so from 2017 to 2019, or for the five-  
45 year period, and, basically, we just kind of anchor that catch  
46 level that came out of the assessment, and you anchor it to the  
47 index value during that reference period, and that's what you  
48 compare with more recent data, so you can see where you're

1 getting.

2

3 Just kind of going back into this, the adjustment -- We would  
4 essentially be recommending catch levels that could be  
5 implemented starting in 2022 from this analysis, and what I want  
6 to now talk about is this -- So the reference catch level that  
7 we're going to adjust, and we ended up going back and re-doing  
8 our projections using the Amendment 53 final preferred  
9 allocation ratio of 59.3 percent commercial to 40.7 percent  
10 recreational.

11

12 After kind of going back and forth with some very keen eyes, in  
13 terms of comparing ACL monitoring landings with what the SEDAR  
14 61 assessment was predicting, we ended up going back and looking  
15 at our projections and coming up with an approach that allows  
16 us to scale up our recreational weights, and so what was  
17 happening in the SEDAR 61 assessment, and, specifically, the  
18 steps we took, and we do have a paper, a working paper, online,  
19 or on the website, that kind of talks through the steps of why  
20 we had to do that.

21

22 I wanted to now take a few slides and basically talk through  
23 the issues, and then, number one, the first thing we provide in  
24 this presentation is our recommended adjustments to the OFL and  
25 the ABC, and, from there, we would apply the interim on that  
26 approach.

27

28 For SEDAR 61, a couple of years of back-and-forth and kind of  
29 digging into the data, and the first thing that I do want to  
30 caveat with red grouper is SEDAR 61, I think, was the first  
31 assessment where we really had to dig into recreational landings  
32 in weights. Traditionally, in the Gulf, we have always modeled  
33 recreational landings in terms of numbers of fish, and that's  
34 how we put the data into the model, and we fit to the numbers,  
35 and so everything looked fine when we were going through SEDAR  
36 61.

37

38 It wasn't until afterwards, when you started looking at the  
39 derived recreational landings in weights, and so the stock  
40 assessment predicts the recreational landings in weights that  
41 it expects with what's actually in the ACL monitoring dataset,  
42 and we noticed a pretty large discrepancy.

43

44 What was causing, or what's behind, that discrepancy is  
45 essentially just a pretty large difference in terms of the mean  
46 weight of red grouper that were landed by the recreational fleet  
47 from what comes out of the ACL monitoring data versus what the  
48 assessment thought, and so some of the reasons behind this, in

1 the assessment model, is that we generally estimate the growth  
2 curve externally to the assessment model and then fix it in the  
3 stock assessment, giving it a variability around age, to kind  
4 of get at where we think the fish would be.

5  
6 We put in retained age compositions, and we put in discard  
7 length compositions, and, in the case of red grouper, the model  
8 was converting those age compositions into length compositions  
9 and then into weights, but it really didn't have any weight  
10 information, in terms of the size of fish, to anchor those  
11 estimates, and so the way the model was fitting is just what  
12 we've done in the past, but it wasn't noticed until you started  
13 digging into the outputs.

14  
15 The first thing, for this figure, and so this is just comparing  
16 the mean weight of red grouper landed by the recreational fleet,  
17 and so, for SEDAR 61, it's a single recreational fleet that  
18 combines headboat, charter boat, and private, and the thick line  
19 here in the assessment expected mean weight, and so the mean  
20 weight of landed red grouper predicted by the assessment model  
21 is much smaller, and so you can see it's about four pounds  
22 gutted weight. That was what the model thought.

23  
24 When you look at the ACL monitoring data, you can see that that  
25 mean weight is pretty variable from year to year, but it  
26 generally bounces between about four and seven pounds, and, in  
27 2019, it was about six pounds, in gutted weight, and all of  
28 these metrics have been in gutted weight, for consistency.

29  
30 Where this plays is, when you look at the assessment -- Again,  
31 we fit to numbers, and we didn't see any major discrepancies,  
32 when it came to reviewing the assessment model, and that's what  
33 you see on the top here. This is what we saw with the  
34 assessment, and the numbers were fitting to millions of fish,  
35 and the dashed line is the ACL monitoring numbers, and the solid  
36 line is the assessment-predicted numbers.

37  
38 Now, remember that, for recreational landings, we assumed fairly  
39 large error estimates, and so, for red grouper, we had a CV of  
40 about 30 percent, or 0.3, and so the model doesn't have to fit  
41 those numbers exactly, and that's kind of what we're seeing  
42 here. In some years, it fits fairly well, and, in some years  
43 it doesn't, particularly in the late 1980s. There are some big  
44 differences there.

45  
46 When it came time to compare the assessment-predicted  
47 recreational landings in weights, in the bottom, on the panel,  
48 that's the black line, and so that's what the assessment thought

1 the recreational landings, in weight estimates, would be, but,  
2 when you compare that to the dashed, the ACL monitoring weights,  
3 you can see a pretty large difference.

4  
5 What we ended up doing first was saying, okay, well, we know  
6 that the assessment model underestimated the mean weight of a  
7 landed red grouper, and what we wanted to do then is take a --  
8 Basically, just find a ratio of the mean weight that the model  
9 thought was happening to what we actually saw in the ACL  
10 monitoring data, and, for that, we used that 2019 value.

11  
12 The reason why we chose the 2019 is, if you remember, 2018 had  
13 the big red tide that occurred, and so we were concerned that  
14 we had this big event that hit the fishery, but the assessment  
15 model kind of made an assumption, but we didn't have the facts,  
16 in terms of how severe it was and what the effect was, and so  
17 we didn't want to use the mean weight from 2018, thinking that  
18 it wouldn't be representative.

19  
20 Then, in 2020, we had COVID, and we had reduced sampling and  
21 other issues with that, and so, for the purpose of this analysis,  
22 we chose to use the ratio of the mean weight for 2019 from the  
23 ACL monitoring to what the assessment thought, and so that's  
24 what we used to get this blue line here, is basically -- If we  
25 had taken the assessment-predicted numbers and multiplied that  
26 by the mean weight from the ACL monitoring data, these are the  
27 trends in the weights that we would have gotten, and so, in many  
28 of the years, you see it's a lot better, or a lot closer, to  
29 what you would think, but there is still some differences,  
30 again, because we do have considerable uncertainty for the  
31 landings for this stock.

32  
33 That is kind of where -- We just wanted to demonstrate that this  
34 was the issue, and, when we adjust for that issue, given what  
35 we can do in the time allotted for trying to reevaluate some of  
36 this, we are able to get better -- Fit better to the expected  
37 weights that are shown in the ACL monitoring, which, again, are  
38 used for management, and so that was the big concern, was that  
39 there was such a divergence between the weights that are used  
40 for management and then what the assessment was putting out.

41  
42 Then what we end up having is, if you remember from Amendment  
43 53, and so the Preferred Alternative Number 3, based on the  
44 allocation that I discussed earlier of 59.3 commercial and 40.7  
45 recreational, what comes out of that analysis would have been  
46 an OFL of 4.66 million pounds gutted weight, but, once we have  
47 gone back and we essentially redid all of our projections to  
48 ensure that the allocations would be maintained throughout the

1 projection period, and we recalculated the OFL, using the same  
2 decision rule that was used for the SEDAR 61 review, which the  
3 OFL was defined as the retained yield from -- The average  
4 retained yield from 2020 to 2024, and so, for that initial  
5 original value of Amendment 53, it was 4.66 million pounds  
6 gutted weight.

7  
8 Once we took our projections and we adjusted the recreational  
9 landings in weights up, because we knew that our model-predicted  
10 weights were an underestimate, what that would lead to now would  
11 be an OFL, and so we're calling it the adjusted OFL, of 5.99  
12 million pounds gutted weight, and, again, the only thing that  
13 we did there was we basically took the recreational landings  
14 that were projected by the model and just bumped up a little  
15 bit, based on that ratio of mean weight that we knew was  
16 underestimated in the assessment.

17  
18 That's what we would propose, for moving forward, an updated  
19 OFL of 5.99, and then the ABC, following what was done from the  
20 September 2019 meeting, the ABC was defined as the catch level  
21 that would have a 30 percent probability of overfishing, and so  
22 what that would translate to, in this case, would be an ABC of  
23 5.57 million pounds gutted weight.

24  
25 Essentially, for our interim, we would propose to move forward  
26 with this  $C_{ref}$  of 5.57 million pounds as the ABC value to be  
27 adjusted in the interim analysis.

28  
29 With that, here's kind of the first place where I think we can  
30 take any questions on -- Really, the first issue is that  
31 adjustment. Does the SSC accept the new projections, as well  
32 as the updated OFL and ABC that we have made based on scaling  
33 up the predicted recreational landings to better match what is  
34 seen in the ACL monitoring dataset? That, here, would be the  
35 ABC of 5.57 million pounds gutted weight. I am happy to take  
36 questions on anything I have talked about until now and open  
37 the floor to questions or comments or even SSC discussion.

38  
39 **CHAIRMAN NANCE:** Doug.

40  
41 **MR. GREGORY:** Thank you, and thank you, Skyler. That was really  
42 good. The new approach to just using the index, isn't that  
43 equivalent to us choosing a beta of one with the old approach?

44  
45 **DR. SAGARESE:** You're correct that, yes, it's similar, because  
46 the length of -- The number of years you would select for the  
47 moving average -- Basically, selecting a moving average gets us  
48 away from having to specify that beta, and so it is one way to

1 kind of rein-in how variable that catch advice would be, but  
2 you are correct in that, yes, it is very similar to having to  
3 select that beta.

4  
5 **MR. GREGORY:** In 2019, which is the only document I had in front  
6 of me, we chose beta equals one, and so, even though the approach  
7 is totally different, that's not a major of a change for us to  
8 consider as initially I thought. My other question, or concern,  
9 is aren't we kind of going out on a limb to use the new  
10 allocations that have not been implemented? What if those  
11 allocations get rejected? What happens then? That may not be  
12 to you, but the SSC itself.

13  
14 **DR. SAGARESE:** What I can say, and I will certainly defer to  
15 Katie or anyone else on the call, but we approached this analysis  
16 under the assumption that the allocations in Amendment 53 would  
17 be finalized. Katie or anyone -- Does anyone else have something  
18 else to follow-up with?

19  
20 **DR. SIEGFRIED:** We would have to reevaluate this if the  
21 allocations change, but this set of allocations that she's going  
22 to go over, or that Skyler has been assuming in this presentation  
23 and analysis, was arrived upon after several dozen attempts at  
24 figuring out allocation, and so it can still change, I suppose,  
25 but they did take final action on Amendment 53, as far as I  
26 understood.

27  
28 **MR. GREGORY:** Right, but it still has to be approved and  
29 implemented by National Marine Fisheries Service. One other  
30 comment is, going forward, I hope the assessment teams look at  
31 a similar issue with weights between projected or the von  
32 Bertalanffy curve, versus what's used in the ACL monitoring  
33 dataset, and it may not be as significant as it is with grouper,  
34 but it could be.

35  
36 Since the last meeting where we discussed this, Will raised the  
37 issue of trying to incorporate uncertainty in this index, and  
38 what if we had an index that changed OFL only, and then we used  
39 some uncertainty approach to calculate ABC? That would address  
40 Will's concern about us not incorporating some uncertainty,  
41 because it doesn't make sense to have uncertainty buffered below  
42 ABC, and it's contrary to what we usually do. Thank you very  
43 much, again, and so far, so good.

44  
45 **DR. SAGARESE:** Thanks, Doug. Just in relation to your first  
46 comment, we are absolutely adding in checks within our  
47 assessment process, to make sure that we're comparing the mean  
48 weight of the landed, or even discarded, fish that we have. I

1 strongly encourage everyone on this call -- So scamp is  
2 currently the ongoing research track, and we've made some  
3 changes to the report, and so, if you want to just quickly  
4 peruse the current assessment report that's up there for Gulf  
5 scamp, and we've added in some information there.

6  
7 We definitely see this as one of those -- As we kind of -- One  
8 of the growing pains, at least that I have experienced, being  
9 here now for almost six years, is we're continuously learning  
10 and figuring out better ways to show what we need and other  
11 validations that we need to do, and so we're hoping that our  
12 reports, as we get more towards an automated process, will have  
13 that kind of information, and so please take a look at the scamp  
14 assessment report, and I am happy to -- Please email me any  
15 comments or questions or things you would love to see, and I  
16 would really, really appreciate that, because we are trying to  
17 address that, moving forward.

18  
19 Then, yes, your second question about -- For red grouper,  
20 basically, what I did, for now, is just kind of do what was done  
21 in the past, where we did the interim analysis on the ABC level,  
22 and we're recommending an adjusted ABC.

23  
24 I believe that red snapper, for that interim, that there was  
25 also discussion about why we don't use the OFL, and so I think  
26 that's a good point, and maybe Katie has more thoughts from the  
27 Science Center perspective on whether we want to move forward  
28 with that, but it's certainly something that could be done,  
29 where we run the interim on that OFL value, and then share those  
30 results, as we move forward.

31  
32 **MR. GREGORY:** I am not asking to do that, but it's just a thought  
33 and thinking of what Will said at the previous meeting, and so  
34 thank you.

35  
36 **DR. SIEGFRIED:** Can I address that, Mr. Chair?

37  
38 **CHAIRMAN NANCE:** Yes, Katie. Please do.

39  
40 **DR. SIEGFRIED:** Doug, that's a great point, and I do think there  
41 are better ways to incorporate uncertainty, and we're looking  
42 into other ways, including updating our projection methodology,  
43 where we could carry some of the uncertainty through.

44  
45 I'm not sure that that would be the best way, to just use the  
46 interim to update the OFL, but we -- Like Skyler said, we are  
47 open to participation from SSC members when we get farther along  
48 in our projection methodology discussions, and so we can put

1 you down, if you're interested.

2  
3 **CHAIRMAN NANCE:** David.

4  
5 **DR. GRIFFITH:** Skyler, thanks a lot for that presentation. I  
6 did appreciate it, and I was wondering about this discrepancy  
7 between the projected and the real weight, and I was just  
8 wondering if you had any ideas about why that might be, and I  
9 am not really familiar with recreational side of this fishery,  
10 and I'm more familiar with the commercial side, but would you  
11 think there's any like high-grading going on, that people are  
12 keeping larger species and throwing back the smaller ones, or  
13 anything like that, because they do that in the commercial  
14 fishery, where they keep a certain size fish that they know that  
15 the dealers are going to like.

16  
17 **DR. SAGARESE:** That's a great question, and I can provide a bit  
18 more insight into what's actually going on, and so my expertise  
19 with this, of course, is red grouper. What happened with the  
20 configuration -- This is how we specified the model, and it was  
21 just an inconsistency that we didn't catch in time, because we  
22 weren't comparing all of the outputs, and so we've always fit  
23 to recreational landings in numbers, and so we've always looked  
24 at the fits from the expected and the observed, in numbers, with  
25 some error, and you don't expect a perfect fit, and so that  
26 looked fine.

27  
28 When we reviewed the SEDAR 61 assessment as well, as I had  
29 mentioned earlier, what we ended up fitting to, the input data,  
30 were age compositions of our retained fish, but length  
31 compositions are our discarded fish, and so, normally, you would  
32 have length compositions of your retained fish as well, and so  
33 the model would have a lot more information, in terms of the  
34 length-to-weight relationship and then using the growth curve  
35 to convert ages to lengths and such.

36  
37 There would be a lot more information, and you would be able to  
38 check things, and what happened with red grouper is one of the  
39 changes we made in the base model was we switched from an age-  
40 based selectivity pattern for each of the fleets, including  
41 recreational, into a length-based selectivity pattern.

42  
43 What I think happened, and what we'll see when we revisit this  
44 assessment in the future, is that that -- Because we did not  
45 include retained length comps -- In this case, we often have -  
46 - We have to be concerned that we're not using the same data  
47 for length and ages. Otherwise, we're double-dipping, but, in  
48 this case, that not including all of the length information we

1 had led to that issue, and so it led to that disconnect, because  
2 the model knew that there were 100,000 fish that it was removing,  
3 but trying to convert those numbers then into lengths and into  
4 weight, or from ages into lengths and to weight, is where this  
5 issue happened.

6  
7 For this, what we're currently -- Because we've got the scamp  
8 assessment ongoing, we've been looking a lot at different ways  
9 to model recreational landings, looking at different inputs,  
10 and this is something that is one of the top topics we want to  
11 discuss when the upcoming review workshop at the end of the  
12 month occurs, just to kind of make sure that, in the future, we  
13 don't see this again.

14  
15 I can only really speak to red grouper, but I know, for a fact,  
16 that this is something that we will be reevaluating for the next  
17 assessment, and we'll talk about that later, I guess, when we  
18 talk about the scope of work for the next red grouper assessment.

19

20 **CHAIRMAN NANCE:** Thank you. Rich.

21  
22 **DR. WOODWARD:** On the -- How do discards enter into the setting  
23 of the OFL, and I would think that the average weight for  
24 discarded fish is going to be below that for the retained fish,  
25 and so how does that come into it? Again, I am very low on the  
26 learning curve, and so help me out here.

27  
28 **DR. SAGARESE:** You are correct in that the mean weight of the  
29 discarded fish will likely be much smaller, because, oftentimes,  
30 it's undersized fish that are discarded. The OFL, and so the  
31 way we set the OFL in the assessment, is the OFL is based on  
32 the retained yield, and so we project forward the retained  
33 yield, and so discarded fish do not play into the actual OFL  
34 estimate that we provide, and so the OFL that we provide, in  
35 terms of recreational fish -- Recreational landings are defined  
36 by the Type A and then Type B1, and so recreational fish that  
37 we treat as landings are those that were observed dead by  
38 observers from the MRIP program, or by -- Not observers, but  
39 port agents.

40  
41 They are observed dead or that were said to be discarded dead  
42 by the fishermen, which would be B1, and so, recreationally,  
43 the B2s, which are normally those fish that are released, those  
44 are not included in the definitions of the OFLs or how we  
45 calculate the OFLs. I hope that answers your question.

46  
47 **DR. WOODWARD:** But, clearly, if you -- I mean, discards are  
48 going to enter into your modeling, in terms of the general

1 impact on the fishery, no?

2  
3 **DR. SAGARESE:** Yes, correct, and so the model does estimate dead  
4 discards. We estimate it within the model, but so, for example,  
5 the B2s with the discard mortality rate applied is not -- It  
6 does not feed into the OFL estimate that we produce currently,  
7 and so, yes, the model accounts for dead discards, but the  
8 actual OFL -- We're not really trying to optimize discarding,  
9 but we're trying to optimize -- We project forward and report  
10 the retained yield.

11  
12 **DR. WOODWARD:** Okay. Thank you.

13  
14 **CHAIRMAN NANCE:** Tom Frazer.

15  
16 **DR. FRAZER:** Thank you. Skyler, I've got a quick question with  
17 regard to the figures that are on page 5. You might want to  
18 pull them up, real quick. The question has to do with the  
19 panels, the recreational panels, and, in particular, the bottom-  
20 right panel that has the percent of the quota landed, and so we  
21 have information provided for the recreational sector from 2014  
22 to present, and do those estimates -- Do they use six pounds  
23 per fish? Do they use that readjusted weight, or do they use  
24 the weight at the time that the data were reported?

25  
26 **DR. SAGARESE:** That's a great question, and so this table -- I  
27 have all my sources on the left, and this is table is summarizing  
28 and plotting all the data that's been reported in the ACL  
29 monitoring datasets, and so commercial landings shown in this  
30 table are out of the IFQ portal, the website, and then the  
31 recreational landings come off of the SERO website for --

32  
33 I believe the units here would be the CHTS units, because that  
34 is how the fishery is currently monitored, and so I would not  
35 be able to say, specifically, that they're using the 6.22,  
36 because, the way that the Southeast Fisheries Science Center  
37 develops their estimates of recreational landings in weights is  
38 they actually use a mean stratified approach, and so they find  
39 the mean weight over the different strata, and I think we've  
40 shown that those kind of slides in the past, from year, region,  
41 species, there's a whole bunch of strata to get to, and so these  
42 data are showing those that are used from the ACL monitoring  
43 dataset.

44  
45 This has nothing to do with the assessment, and this is strictly  
46 from the monitoring perspective, and this is how the fishery  
47 has been operating in the units that it is currently managed.

1 **DR. FRAZER:** Sure, and using the data that were collected during  
2 the in-season monitoring to kind of estimate the weights.  
3 That's right.

4

5 **DR. SAGARESE:** Yes, exactly.

6

7 **DR. FRAZER:** Okay, and we can get those data from SERO?

8

9 **DR. SAGARESE:** Well, there is -- You can find the Gulf of Mexico  
10 historical recreational landings and annual catch, yes, and so  
11 the HTML -- The second from the bottom is essentially the site  
12 where I went for recreational landings, and then they have more  
13 recent, normally preliminary, for example, here, for that 2020  
14 and 2021. That's where I went to get the data for the  
15 monitoring, because that's what I believe is used for the  
16 management.

17

18 **DR. FRAZER:** I'm not trying to pin you down specifically, and  
19 I'm just trying to figure out -- I appreciate that I can get  
20 the landings data there, and I just really want the weight data  
21 for each of those years that went into the conversion, and so I  
22 will follow-up with SERO.

23

24 **DR. SAGARESE:** Yes, and I should also mention too that this is  
25 red-grouper specific, and so, of course, there were quotas for  
26 shallow-water groupers prior, but this just kind of focuses on  
27 the recent, to highlight some of the concerns that were raised,  
28 in terms of not being able to meet the quotas, and so this is  
29 not a complete, comprehensive time series of red grouper, but  
30 this is really just red grouper.

31

32 **DR. FRAZER:** Right. I get it. Thank you.

33

34 **DR. SAGARESE:** Thanks.

35

36 **CHAIRMAN NANCE:** Jason.

37

38 **MR. ADRIANCE:** Thank you, Mr. Chair. Jason Adriance. Thanks  
39 for the presentation, Skyler, and I apologize if this is in the  
40 documentation, but is this FES or MRIP units, for the  
41 recreational data?

42

43 **DR. SAGARESE:** Everything for SEDAR 61 used MRIP-FES, and so  
44 all of the outputs of the assessment and what we've talked about  
45 is comparing FES to FES. When I talk about the ACL monitoring  
46 dataset, for example in that working paper, the recreational  
47 adjustment, yes, that is all strictly using the FES data, so  
48 that it is apples-to-apples, and I will add a caveat to that

1 slide that I just was on, Slide 5, because that's how it is  
2 monitored, and that's previous CHTS, but everything else you  
3 will see from me is using FES.

4  
5 **CHAIRMAN NANCE:** Okay. Thank you. The question is do we as  
6 the SSC accept the new projections? We need a motion, and do  
7 we want to discuss it first, or do we want somebody to make a  
8 motion?

9  
10 **DR. GRIFFITH:** In the interest of moving forward, I will move  
11 that the SSC accept the new projections and updated OFL and ABC  
12 from the adjustment that scales up assessment predicted  
13 recreational landings in weights using the mean weight from the  
14 ACL monitoring dataset.

15  
16 **CHAIRMAN NANCE:** Thank you. Do we have a second?

17  
18 **DR. ISAACS:** I will second.

19  
20 **CHAIRMAN NANCE:** Thank you. Any discussion? John, go ahead.

21  
22 **DR. FROESCHKE:** Just for my own edification, are you bundling  
23 Decision Point 1 and 2 at this time, because, the way it's  
24 written, there is two decision points. There is Decision Point  
25 1 to just accept or not the weight adjustment, and then Decision  
26 Point 2 is to subsequently apply the interim analysis, and then  
27 there's a decision point whether you would use the three or  
28 five-year moving average.

29  
30 **CHAIRMAN NANCE:** Okay. So we could say, in this one, for my  
31 own knowledge here, we could say that we accept the new  
32 projections and updated OFL and leave the ABC, because that's  
33 the one that is going to change with the different years.

34  
35 **MR. RINDONE:** Mr. Chair, it would be my recommendation that you  
36 take these things in smaller bites, and so perhaps the first  
37 motion would focus mostly on whether or not to accept the new  
38 methodologies that are being used for the interim analysis as  
39 the best science and as the best approach, moving forward, for  
40 that purpose. Then, after that, talk about what to do as far  
41 as the actual catch limits, the OFL and then the ABC, bearing  
42 in mind that there is more than one option available to you for  
43 the ABC, and so just smaller bites.

44  
45 **CHAIRMAN NANCE:** Okay, and so let's back up then. Do we accept  
46 the new methodology, and I guess we need a motion for that one.

47  
48 **MR. RINDONE:** Well, the original motion maker and seconder,

1 David and Jack, can modify their motion, if they like,  
2 considerate of this smaller-bite approach.  
3  
4 **DR. ISAACS:** I think the smaller-bite approach, as you said,  
5 has some merit, and maybe we could consider the weight change  
6 adjustment separate from the OFL and the ABC.  
7  
8 **CHAIRMAN NANCE:** I think that would be the wise thing to do.  
9  
10 **DR. GRIFFITH:** I don't have any objection to doing that either.  
11  
12 **MR. RINDONE:** Okay. Can you guys help Jess with your new  
13 language there? Based on the discussion that you guys have had,  
14 it could be something to the effect of that you accept the new  
15 projections using the updated recreational weight estimation  
16 scaling procedure.  
17  
18 **CHAIRMAN NANCE:** I'm not sure we -- Don't we want to have that  
19 we accept the new methodology?  
20  
21 **MR. RINDONE:** Whatever you guys think best details --  
22  
23 **CHAIRMAN NANCE:** Because the methodology, and then we can go  
24 with the projections in a separate one. John.  
25  
26 **DR. FROESCHKE:** I guess I would advocate for the motion to say  
27 that you accept a new methodology to estimate the weight of  
28 recreationally-caught red grouper, and then, subsequently, deal  
29 with -- I don't even know that I would call them projections,  
30 because it's really just a fixed value of OFL and ABC. We don't  
31 really have a year-by-year projection, based on this.  
32  
33 **CHAIRMAN NANCE:** Well, it's a fixed value for OFL, but then ABC  
34 can be based on either a three-year or a five-year adjustment.  
35  
36 **DR. FROESCHKE:** Correct, but it doesn't change year-by-year.  
37  
38 **CHAIRMAN NANCE:** That's right. Absolutely. **So the new motion**  
39 **reads: The SSC accepts the new methodology to estimate the**  
40 **weight of recreationally-caught red grouper.** Any discussion  
41 on that motion? Paul.  
42  
43 **DR. MICKLE:** A point of clarification. Should we identify what  
44 the new methodology is in the motion or not? Is it specific  
45 enough the way it is?  
46  
47 **MR. RINDONE:** You guys can craft this to be as specific as you  
48 want it to be.

1  
2 **CHAIRMAN NANCE:** Paul, go ahead and put that in.  
3  
4 **DR. MICKLE:** Just the new mean weight estimation methodology.  
5 That's fine.  
6  
7 **CHAIRMAN NANCE:** John, did you have another comment?  
8  
9 **DR. FROESCHKE:** I was just going to add that if you wanted to  
10 add -- It's based on the landings from the ACL database, but,  
11 if you've got it covered, then don't mind me.  
12  
13 **CHAIRMAN NANCE:** Okay. Doug.  
14  
15 **MR. GREGORY:** I have no comment on this, and my hand has been  
16 up for quite a while.  
17  
18 **CHAIRMAN NANCE:** We will let you put it down then. No, go  
19 ahead, Doug.  
20  
21 **MR. GREGORY:** My original question was the reference to the  
22 simulation methodology references a journal called "FishFish",  
23 and I assume that's a typo, and so I was wondering what journal  
24 that came from.  
25  
26 **DR. SAGARESE:** That's the abbreviation for *Fish and Fisheries*.  
27 Sorry. I will write out the full journal names next time. Good  
28 eye there.  
29  
30 **MR. GREGORY:** My hand is down.  
31  
32 **CHAIRMAN NANCE:** Okay. Thank you, Doug. David Chagaris.  
33  
34 **DR. CHAGARIS:** I think this new mean weight estimation is  
35 acceptable as sort of a stock approach, but we still have the  
36 underlying issue of this discrepancy between the mean weight in  
37 the assessment and what the ACL is using that I think needs a  
38 lot more attention, and hopefully we'll learn more about it with  
39 the scamp, but I am just trying to think through, and maybe,  
40 Skyler, if you all had any discussion on this.  
41  
42 For example, the assessment model is either predicting that the  
43 recreationally-caught red grouper are much smaller in size or  
44 they're catching smaller fish, and so, if that model and the  
45 reference points are all tuned to a certain selectivity pattern  
46 and size-at-weight, and then, on the backend, we just adjust  
47 that weight up, what sort of implications or consequences might  
48 that have, just in general?

1  
2 I am just trying to think through that, and then, of course,  
3 the other issue is trying to reconcile -- Because, just looking  
4 at the fits to the composition data for the recreational fleet  
5 and the SEDAR 61 document, it does look like it is predicting a  
6 few more younger fish than the data would show, and just that  
7 small discrepancy could be leading to these differences in mean  
8 weight over the -- In total.

9  
10 I am just wondering, and did you all explore any kind of  
11 selectivity adjustments or anything to try to fit those before  
12 doing this, and what are your thoughts on potential implications  
13 moving forward with this back-end-adjusted heavier size red  
14 grouper?

15  
16 **DR. SAGARESE:** Dave, those are some great insights, and what I  
17 can say, at this time, is we have only really tried to find an  
18 interim approach to adjust the catch advice, and we have not  
19 gone back and done sensitivities, because we're currently in  
20 the middle of the research track for scamp, and so we have been  
21 kind of -- We haven't had as much time as we would like to  
22 devote to this, and so, at this point -- It's hard really to  
23 say what the implications would be, because I would not feel  
24 comfortable saying something until have thoroughly evaluated  
25 all the different options and kind of highlighted the tradeoffs.

26  
27 From that perspective, until we have another red grouper  
28 assessment, where we can actually dig into the details and see  
29 what were the implications historically of these changes  
30 throughout the model, and throughout the other time series, and  
31 all the inputs, we really can't make that many changes right  
32 now, outside of the SEDAR process.

33  
34 I think what I would say is we have to really stay tuned, and,  
35 if this is a priority by the SSC, which this is -- As you  
36 mentioned, this kind of is just an interim way to move the catch  
37 advice forward, but there is quite a bit more work that will  
38 need to be done at the next assessment, during the SEDAR process,  
39 so that this can be evaluated and reviewed by a panel.

40  
41 **DR. CHAGARIS:** Okay. Thank you for that, and, I mean, at least  
42 from my perspective, I would see this as being a priority,  
43 because these discrepancies in the ACL units and the stock  
44 assessment units is something that we see quite a bit, and so  
45 it would be good to have that resolved.

46  
47 **CHAIRMAN NANCE:** Yes, I agree. Harry.

48

1 **MR. BLANCHET:** This is kind of along those same lines,  
2 recognizing that this is not something that is going to be  
3 capable of being done right now. What this really highlights  
4 for me is it's not just the retained catch, but also, if the  
5 harvest is such a bigger fish, that also probably has some  
6 implications for what the release sizes are and what those  
7 discards might look like, in terms of ages, and so it concerns  
8 me, in terms of where we may be with regard to stock status  
9 overall.

10  
11 I hate to talk about P\* and uncertainty, but this is a perfect  
12 example of uncertainty that we're certainly not taking into  
13 account when we're looking at what the difference between ABC  
14 and OFL was going to be for red grouper. Thank you.

15  
16 **CHAIRMAN NANCE:** Thank you, Harry. Any other questions on this  
17 one motion? **Is there any opposition to this motion? If there**  
18 **is, in the room, please raise your hand. Seeing none, it looks**  
19 **like the motion has passed without opposition.**

20  
21 Skyler, I think it would be good -- I think this Decision Point  
22 1 for accepting the new methodology -- I think what we want to  
23 do is go through maybe the rest of the presentation, and then  
24 we can discuss OFL and ABC together at the end.

25  
26 **DR. SAGARESE:** That sounds great. What we're going to go through  
27 now are the interim analysis results for using that Cref of  
28 basically starting with an ABC value of 5.57 million pounds  
29 gutted weight, and what would the outcome of the interim be  
30 using that adjusted catch advice that we just discussed. Again,  
31 really emphasizing that in the interim, until another red  
32 grouper assessment is on the books and underway, so that we can  
33 really dedicate the review and the details and all of that  
34 during the SEDAR process, where this needs to be done, but  
35 highlighting that we are doing it for scamp, and that hopefully  
36 you will be seeing those results in the near future.

37  
38 Looking at the results, here, what I am showing is the results  
39 of the interim analysis using the three-year average, and, as  
40 Doug alluded to earlier, one of the control points is the number  
41 of years that you find in your average, and so, of course, the  
42 fewer years that you're using the mean from -- You will have a  
43 bit more variability in there, and so, the more years you use  
44 in the average, the closer the -- I should say the more similar  
45 the advice will be from year to year.

46  
47 In this case, for the three-year average, what we're showing is  
48 this the plot of the relative index of abundance for the NMFS

1 bottom longline survey, and I do want to highlight that this is  
2 now -- All of the interim analysis, as we saw in the last  
3 presentation, this is using the reduced spatial area, and so,  
4 because of COVID, the bottom longline survey didn't reach their  
5 furthest northern sites, where they often sample, and so the  
6 entire bottom longline index was run on a subset of data that  
7 only sampled fish in that same area, and so this is now comparing  
8 apples-to-apples.

9  
10 The concern with the full index was that the value was  
11 artificially high in 2020, because it didn't sample that  
12 northern-most region, and so what we're using here is the  
13 reduced area index, which we call it throughout the  
14 documentation, and you can see that, basically, the index is  
15 very high in 2011 and 2012, and SEDAR 42 had a terminal year  
16 right around there, and so, at the end of SEDAR 42, things  
17 looked great, and then we had SEDAR 61, with a terminal year of  
18 2017, and we started to see a decline, and then we had the red  
19 tides, and so the red tide in 2018 and, honestly, a red tide  
20 going on right now that is really in its infancy.

21  
22 What we end up seeing, for the three-year average, is our  
23 reference period would have been the years 2017 through 2019,  
24 and so we have a I reference value of 0.68, but our current  
25 reference is actually the last three years, and it would have  
26 been 2018 to 2020, is about 0.61, and so it's only a ratio of  
27 0.89, and so, because the recent index is lower than the  
28 reference index, we would actually see a drop in the recommended  
29 catch, which would become 4.96 million pounds gutted weight.

30  
31 Remember our reference, in this case, was 5.57, and the interim  
32 analysis shows that that would be dropped to 4.96, using that  
33 three-year moving average, and, in the case of the five-year  
34 moving average here, we would have been using the index, the  
35 reference index, values from the average of 2019 back to 2015,  
36 and it would be about 0.72, and then, more recently, from 2020  
37 to 2016, it would have been 0.65, and so, here, still, even with  
38 the five-year average, we're a bit lower than we were during  
39 that reference period, but, in this case, the ratio is a little  
40 higher. Here, it's 0.91, instead of 0.89.

41  
42 If you were to adjust the 5.57, with this approach, in this  
43 case, the adjusted -- The output of the interim would be 5.07  
44 million pounds gutted weight, and so the -- Kind of trying to  
45 summarize everything, this has been a lot of material.

46  
47 There's been a lot of documentation out in the past about the  
48 old approach and the new approach, but what we really want to

1 highlight, and the take-homes from all the work we've done to  
2 now, is that using this index-based approach that does not rely  
3 on the projections is a better way to go, because the whole  
4 point of being able to do the interim analyses is being able to  
5 adapt to what's going on out on the water.

6  
7 For example, the issue of the red tides, the red tides are a  
8 fairly large issue for the groupers, and so red grouper is a  
9 perfect example, where we had an assessment, and the terminal  
10 year was 2017, and we had an idea of what stock status was in  
11 that year, and then we had a really bad red tide, and we did  
12 not have the data, at the time, to kind of inform how bad was  
13 that for the population and what did it do to the size of the  
14 population and the age structure.

15  
16 One of the benefits of this approach, that has been simulation  
17 tested, is that it performs pretty well when there is episodic  
18 natural mortality occurring, and that's exactly what we have in  
19 the case of the red tides, and so, in this case, working with  
20 that observed index, and being able to get it fairly quickly  
21 and run this approach, we're able to better adapt to changes  
22 that are ongoing, and I think that's one of the strengths of  
23 the interim approach, period, but not having to --

24  
25 In the case of red grouper, not having to rely on that forecasted  
26 index of abundance, again, with all those assumptions that we  
27 talked about earlier. This really seems like a much better  
28 approach to move forward with, and, again, this is all stuff  
29 that we'll look at further when we do have a full MSE working  
30 for the red grouper, to be able to test all these different  
31 decision points and other issues, such as the beta. For example,  
32 using that, instead of looking at the average-type index-based  
33 management procedure, to potentially look at that buffer, where  
34 we use that type of approach that's been done in the past.

35  
36 The old approach for red grouper has not been simulation tested,  
37 and we do feel more comfortable moving forward with something  
38 that has been simulation tested and can be updated very quickly  
39 as we move forward, and so I think the -- For this decision  
40 point now, I guess the options here are -- Number one would be  
41 for the SSC to consider for acceptance the results we've shown  
42 for either the three-year or the five-year moving average, which  
43 would be -- For the three year moving average, it would be an  
44 adjusted ABC of 4.96 million pounds gutted weight, or, for the  
45 five-year moving average, it's 5.07 million pounds gutted  
46 weight.

47  
48 Now, that is strictly just kind of showing what we have provided

1 and coming forward and taking those numbers and accepting them  
2 or not, but, because we're talking about red grouper, we have  
3 an ongoing red tide that has just kind of started to creep up  
4 now, and --

5  
6 **CHAIRMAN NANCE:** Skyler, Roy has a question, if you would take  
7 that, please.

8  
9 **DR. SAGARESE:** Sure.

10  
11 **DR. CRABTREE:** I think I'm good with what you guys are proposing  
12 here, and it seems to me that 4.96 or 5.07 is not much  
13 difference, but I am trying to get a feel for what this means  
14 relative to the fishery, and so the allocations all changed,  
15 and they haven't been catching their quotas in recent years,  
16 and so, if we did put in place an ABC of 4.96, would we expect  
17 that that would be caught, and, if so, would it be caught  
18 relatively quickly, or would it be close, because a lot of this  
19 is showing CHTS versus FES, and I am having a hard time piecing  
20 it together.

21  
22 **DR. SAGARESE:** Roy, that's a great thing to bring up, and so we  
23 are -- All of these results that we're now showing are in MRIP-  
24 FES units, because SEDAR 61 used MRIP-FES, and so I believe,  
25 with Amendment 53, the 2017 landings that were used to set 2019  
26 emergency rules were converted into FES units, and I believe it  
27 was 5.62 million pounds, and someone might want to just double-  
28 check me on that, and so, if that emergency ACL was in FES  
29 units, it would have been 5.26, and that would have been  
30 accounting for FES.

31  
32 What we're currently proposing, and remember that the ABC that's  
33 coming out of Amendment 53 for the preferred alternative was  
34 4.26 million pounds, and so that's a bit lower than what that  
35 emergency ACL would have been, but you're right in that these  
36 numbers are still lower than what was on the books for that  
37 emergency rule, but, again, based on the data we've looked at  
38 for complete years of 2019 and 2020, the ACLs have not been met  
39 yet.

40  
41 What I can say is I am hearing that there's a lot of positivity  
42 coming from red grouper fishermen that they're catching a lot,  
43 and it seems that they may be able to get closer to that quota  
44 this year, and I'm not -- I can't, for 100 percent certainty,  
45 say that they will meet that, but it does, to me, seem like  
46 there has been some issues, and then we have this ongoing red  
47 tide again, and, as I will kind of talk about in the new few  
48 slides, that's a potential reasoning for -- Maybe if we're not

1 -- Maybe if the ACL is not being reached, maybe we don't want  
2 to jump the gun too much and kind of get the next interim and  
3 see what, if any, damage has been done with the 2021 red tide.  
4

5 **DR. CRABTREE:** I just know we've been criticized, on and off,  
6 for the last, I don't know, five or six years, of not doing  
7 enough with red grouper, and, when you look at it, it is a case  
8 where the catches don't appear to be constraining the fishery,  
9 and it's almost like we've been behind, and catches have just  
10 dropped, because of, I guess, red tide and a whole host of other  
11 things, and that is what is tough to figure out here.  
12

13 We've got so many things going on with red grouper, and it's  
14 hard to tease out what management can do versus what, because  
15 of red tides and things, that we can't really control, but it  
16 does seem to be a case where being careful here would be wise.  
17

18 **CHAIRMAN NANCE:** Benny.  
19

20 **DR. GALLAWAY:** I just needed to get unmuted. I was late getting  
21 back, and so I'm sorry that I interrupted. I'm done.  
22

23 **CHAIRMAN NANCE:** Okay. Rich.  
24

25 **DR. WOODWARD:** I just wanted to follow-up with the last  
26 discussion, and it seems like the catches have been falling  
27 pretty fast over most of the last decade. I mean, recreational  
28 fish have been falling since like 2011, and is this related to  
29 -- Is it all red tide, or is it stock, or it is just people  
30 don't want to catch red grouper? What is behind the decline in  
31 harvest?  
32

33 **DR. SAGARESE:** That's a great question. The one thing that I  
34 can say here, for red grouper, is what we've seen in the past  
35 is we seem to see these huge cohorts that come through, and so  
36 there's a lot of -- You will have very low recruitment, and then  
37 you will get a huge pulse, and those pulses that move through  
38 the population tend to sustain a lot of the landings, and I  
39 think we -- You know, we do often, after red tide, see big  
40 blooms in recruitment, if there's been a big mortality event,  
41 and we saw that with gag, and we've seen that with red grouper  
42 as well.  
43

44 You're right in that the population was dropping, and I guess  
45 it was after 2017, when this terminal year was, and we were  
46 still below the target, but we were not in a negative stock  
47 status state. In terms of this population, there's a lot of  
48 things that we're hearing on the water going on, that, for

1 example, it's hard to catch red grouper, but there was -- During  
2 the SEDAR 61 assessment, there was a lot of positive, and it  
3 was, oh, we're catching lots of undersized, and so maybe, in a  
4 few years, we would start to see those pulses come through.

5  
6 I think that's kind of what we're hearing about right now, and  
7 it could be that the 2013 recruitment event that the assessment  
8 predicted, that we're starting to see that come through the  
9 fishery, and some catches are going up now, but the thing that  
10 I can highlight here, and one of the uncertainties we have, and  
11 it's a bit topic for research tracks, in my opinion, is that we  
12 have these red tide events.

13  
14 Yes, we've incorporated red tide mortality into the stock  
15 assessments, but we made assumptions that the mortality was  
16 constant across ages, and that may not in fact be truthful. As  
17 you get more data -- For example, the work that Dave Chagaris  
18 is doing with his RESTORE work is -- You know, it might be that  
19 those kinds of assumptions have to be revisited in our stock  
20 assessments, and so what we've done is we've made assumptions  
21 about the red tides, but we really don't -- Until we get a few  
22 more years of data, to be able to look at what happened to the  
23 indices and what happened to the age structure, we really can't  
24 get a handle on the exact magnitude of those events and what it  
25 did to the stock.

26  
27 I think it's really important too to mention that, with red  
28 grouper, we don't have a lot of data on the juvenile red grouper,  
29 and so we don't have an age-zero index. I believe red grouper  
30 are fairly infrequently caught by FWRI in the surveys, and so I  
31 think the concern with red grouper that I certainly see is the  
32 red tide, because we just don't know exactly what's going on  
33 and how it's affecting juveniles and how it's affecting the  
34 adults exactly.

35  
36 I think that, the more that we look into some of the ecosystem  
37 approaches, because these red tides don't just affect red  
38 grouper, and they affect forage and predators and other species,  
39 that I think, as we learn more, that we're going to have to keep  
40 adapting to how we model these types of ecosystem events in our  
41 assessments, because we've done what we can, given the data we  
42 have, but I am definitely concerned, given the 2018 event that  
43 occurred, and now the 2021, that may be ongoing, that we'll talk  
44 about in a little bit, but I think, as Roy alluded to, there's  
45 just a bunch of factors going on as to why they're not landing  
46 what they can.

47  
48 Then you talk about some of the things we've heard at some of

1 the stakeholder workshops that I've been to, and, for example,  
2 the interspecies competition and that it's hard to get the hooks  
3 down to red grouper, because of all the red snapper, or aspects  
4 like that, and so there's a lot going on right now.

5  
6 **CHAIRMAN NANCE:** John, you had a comment?

7  
8 **DR. FROESCHKE:** My comment was just in reference to Roy's  
9 question about the landings, and so just a couple of things to  
10 think about. One, when comparing these landings to what's  
11 currently on the books, remember the old landings, or what we  
12 have now, is in the CHTS units, and so, essentially, in the FES,  
13 the recreational landings are going to accumulate about twice  
14 as fast.

15  
16 We did, in Amendment 53, which was the management documented  
17 based on SEDAR 61, we do have a closure analysis in there, based  
18 on the current landings in 61, which are, again, lower than  
19 this, and we could look at that, and it's Table 2.1.1, if you  
20 wanted to bring that up.

21  
22 That was only on the recreational, and I don't believe there's  
23 an equivalent for the commercial, but, under some scenarios, we  
24 were predicting a closure analysis for red grouper on the  
25 recreational side, whereas, in recent years, we have not.

26  
27 That's something to think about, and it is a different system,  
28 and we do provide, in the actions and alternatives, the FES,  
29 what we thought the old estimate would be perhaps equivalent to  
30 in FES.

31  
32 The other thing that I will just mention, real quickly, is we  
33 did, in I guess -- All the months go together here, but, in  
34 June, early June, we went out to public hearings on that  
35 amendment, and so we went to like seven locations all throughout  
36 the Panhandle, and we had a lot of comment about that there are  
37 more red grouper, and it's coming back and things, and that was  
38 a big push to do this interim analysis, and, based on the earlier  
39 results that we saw in January and things, it showed this big  
40 increase, and so it does seem to at least suggest that there is  
41 some recruitment coming through, not withstanding whatever  
42 happens with this red tide, which has been quite severe, in our  
43 area at least.

44  
45 **CHAIRMAN NANCE:** Steven Saul.

46  
47 **DR. SAUL:** Thank you, Mr. Chair, and thank you, Skyler, for the  
48 presentation. I do find good merit in this approach, but I did

1 have a question regarding cohort strain, and so, when you pull  
2 projections from the stock assessment model, like Stock  
3 Synthesis or whatever you use, the sort of cohort strain, size  
4 structure, et cetera, is sort of baked into the projections, at  
5 least in terms of defining what they should be, whereas, in this  
6 approach, using the index, although indices do pick up cohort  
7 strains, there is usually like a lag, in a sense, and, I mean,  
8 the same with size data, I suppose, but you cannot always see  
9 the same effect in an index that you do when you look at size  
10 composition or age composition data.

11  
12 Given that it seems that this population for red grouper seems  
13 to be kind of cohort driven, boom and bust, whether it's due to  
14 red tide or whatever, or just the biology of the animal, I guess  
15 I'm wondering if you can sort of comment on what -- On whether  
16 you feel that that is sort of a limitation with this index  
17 approach, in sort of properly setting the ABC and the OFL.

18  
19 **DR. SAGARESE:** Thanks, Steve. Again, those are great questions,  
20 and so, for projections, what we assumed was that the  
21 recruitment would -- We basically assumed average recruitment  
22 from 2010 to 2017, and so that average value is what the  
23 assessment model predicts throughout the projection period,  
24 which I will note does include that 2013 spike, but I would have  
25 to go back to my notes, but I believe, when we had the SSC  
26 review of SEDAR 61, that that spike was noted in the recruitment,  
27 and I think I did some sort of sensitivities excluding it, but  
28 I would have to double check.

29  
30 You're absolutely right in that the index that we've chosen  
31 here, the bottom longline survey, is an older red grouper --  
32 It's tracking the older individuals.

33  
34 What I didn't show for this presentation, and I'm glad you made  
35 me remember this, is that, for red grouper, we also have the  
36 index from the summer SEAMAP groundfish survey, and, in this  
37 case, I would have presented the updated results, because those  
38 red grouper are younger, and they're not exactly age-zeros, but  
39 that index tracks the younger population, and it was recommended  
40 for use in the stock assessment.

41  
42 That survey was not active in 2020, because of COVID and other  
43 reasons, but what I would say with the -- I think that's  
44 potentially -- While that index is not used exactly in this  
45 management procedure, because we're focused on the adult  
46 population, I think that's where there is value in other data  
47 streams, to kind of bring the whole picture when these analyses,  
48 as we can, to say, oh, well, here is what also going on in the

1 groundfish survey at the moment, and we're seeing really low  
2 numbers here too, and so maybe that would be indicative of poor  
3 recruitment as well, or maybe we're seeing different trends.

4  
5 I'm hoping that that index will be out now and will be available  
6 for when we present the 2022 interim analysis, and we'll be able  
7 to present the trends in that index as well, because I think  
8 you're right in that we're not really putting a lot of -- We're  
9 not specifically tracking the recruitment, and that's one option  
10 that these interim procedures --

11  
12 They're not set in stone, where, if there was a lot of interest,  
13 that you could develop a composite index, or you could develop  
14 a multi-indicator approach, where you're interested in what's  
15 going on with the juvenile index and what's going on with the  
16 adult index or with the size compositions, and so I think you're  
17 right that that's something to consider moving forward, but I  
18 do think, with red grouper, that, because we have those issues  
19 -- That's my one concern with when we do projections.

20  
21 We are making a bunch of assumptions, and so everything that we  
22 run is based on those assumptions. I think, in this case, given  
23 what we're hearing from some of the testimony from fishermen,  
24 it seems like they're doing fairly well, and, to me, it seems  
25 like that 2013 is turning out to be more representative, and I  
26 know there were a lot of concerns, at the time, of that spike  
27 and whether it would be realized.

28  
29 Again, we have the red tide, and we don't quite know exactly  
30 what those red tides -- How much mortality on each class it's  
31 having, and we've just assumed that it's going to affect each  
32 age class in the same proportion, and so my caveat with the  
33 science with red grouper is the red tides.

34  
35 What has happened, and how are we going to account for that in  
36 these assessments, and that's certainly one of those  
37 uncertainties that -- I always think that incorporating more  
38 environmental aspects into the assessment -- It's certainly what  
39 I am a proponent for, but it also can add to the complexity,  
40 and red grouper shows exactly that. We have answered one  
41 question, but we've come up with ten more, and so I really hope,  
42 later, that a research track could be dedicated to red grouper,  
43 to try to tease out some of those aspects that we've seen.

44  
45 **CHAIRMAN NANCE:** Thank you. Mandy.

46  
47 **DR. KARNAUSKAS:** Thank you, Mr. Chair. I wanted to go back  
48 Roy's question, and I had raised my hand a while ago, but,

1 regarding the factors impacting the ability to meet the catch  
2 limits, I'm not sure about the recreational side, but, on the  
3 commercial side, I think we've also heard about lack of access  
4 to allocation, in particular trying to lease allocation, and  
5 so, in areas where red grouper might be plentiful, it can be an  
6 issue of folks not being able to get the allocation to actually  
7 catch those red grouper.

8  
9 This came up in the last SSC meeting, I think in our discussion  
10 of the IFQ review, and I'm not sure if SERO has some analysis  
11 on this, but I just wanted to throw that out there, that that  
12 can be a factor of the commercial side for why we're not seeing  
13 the industry take full advantage of the quota.

14  
15 **CHAIRMAN NANCE:** Thank you. Ryan, did you --

16  
17 **MR. RINDONE:** Thank you, Mr. Chair. I was just going to speak  
18 to a question about why people or may not be catching red  
19 grouper, and it certainly does vary by fleet, by and large,  
20 especially for the recreational fleets.

21  
22 They're multispecies trips, almost all the time. When  
23 recreational fishermen go fishing, they fish for what they can  
24 catch, and they specifically try to target the things that they  
25 can keep, and so, if the season is open for a particular species,  
26 more or less, it should be considered fair game that that  
27 recreational fishing trip either directly, or secondarily, is  
28 going to try to target those particular species.

29  
30 With the commercial sector, especially for red grouper, because  
31 it's under an IFQ, there are other things that could be at play,  
32 and, depending on the price per pound of fish, that could  
33 influence the desirability of trying to expend the effort to  
34 land that species at that time.

35  
36 For fishermen that don't have the ability to retain those fish,  
37 if they don't have -- If they're not a shareholder in the IFQ  
38 program, and they're leasing their shares, the ability to lease  
39 those fish from somebody else -- If they can't find someone to  
40 sell them those fish to be able to land, then they can't retain  
41 them, and so, in those cases, it may be market forces that are  
42 driving commercial retention more so than recreational  
43 retention, which is, usually anyway, driven largely by what's  
44 open and what's not.

45  
46 That's just a glimpse at a couple of the things that could  
47 influence whether or not a particular fleet endeavors to retain  
48 red grouper.

1  
2 **CHAIRMAN NANCE:** Thank you. Luiz.

3  
4 **DR. BARBIERI:** Thank you, Mr. Chairman. Actually, my hand had  
5 been raised a while back, and Mandy has already addressed the  
6 comment that I was going to make for the last SSC meeting, and  
7 so I'm good to go. Thank you.

8  
9 **CHAIRMAN NANCE:** You're welcome. Sean.

10  
11 **DR. POWERS:** Just to clarify, are we doing this for 2022, or  
12 we're trying to change for 2021, is the first question I have.

13  
14 **DR. SAGARESE:** We are presenting catch advice that could be  
15 implemented started in 2022 from this 2021 interim analysis.

16  
17 **MR. RINDONE:** We don't have any illusions of being able to get  
18 something done before the end of the year.

19  
20 **DR. POWERS:** I am just checking on that. Second, in your Figure  
21 1, I am just trying to get it clear, and the recreational  
22 landings in that figure are in what currency?

23  
24 **DR. SAGARESE:** Can you clarify? Figure 1 in which document?

25  
26 **DR. POWERS:** Figure 1 in the report, the interim analysis report.  
27 It's the one you had in the slide show.

28  
29 **DR. SAGARESE:** That's Slide 5. This Slide 5 is strictly the  
30 MRIP -- This is the CHTS, and this is how all the data are  
31 monitored, and this is not factored into the assessment. This  
32 is just to give you a snapshot of how the fishery has operated,  
33 based on the data from SERO's website.

34  
35 **DR. POWERS:** Like Roy, a lot of us, I'm concerned that they're  
36 not coming close to the ACL, and I know I have anecdotal reports  
37 from fishermen, and I realize this is an interim analysis, but  
38 is there any commercial effort data that we could see, to see  
39 at least if the effort is increasing while the ACL is not being  
40 reached, or if it's the effort is decreasing? That would make  
41 me feel a little better.

42  
43 **DR. SAGARESE:** I would have to follow-up with Science Center  
44 staff on whether there is commercial effort information  
45 available. I am not so sure.

46  
47 **CHAIRMAN NANCE:** We have some from the council here.

1 **EXECUTIVE DIRECTOR SIMMONS:** I think, just roughly, the  
2 commercial landings, I guess in the last four years, have  
3 increased about 10 percent per year, and so I think they're at  
4 80 percent, but Matt has some more information to show for both  
5 sectors, and I think with estimates of the recreational landings  
6 in the FES currency.

7  
8 **DR. FREEMAN:** Sure, and so I'm waiting for staff to pull open  
9 Reef Fish Amendment 53, and, when they do, Table 2.1.2 has the  
10 recreational landings available in MRIP-FES, and so I could  
11 discuss that, in terms of what the rec ACL would be from the  
12 two options that the Science Center has presented. It's Table  
13 2.1.2.

14  
15 That very last column shows rec landings in MRIP-FES. If you  
16 look all the way to the right, that last column, you see  
17 landings, and 2015 was like 3.8 million pounds, and, again,  
18 that's in MRIP-FES, down to 1.6 in 2019. In comparison, looking  
19 at the two options that the Center has presented on, I did some  
20 math last week, just so I would have them prepared, and the rec  
21 ACL -- We're looking at either 2.02 million pounds gutted weight  
22 or 2.06 million pounds gutted weight, and so, at least compared  
23 to relatively recent years in those rec landings in MRIP-FES,  
24 it does seem feasible that they could reach that, and so I will  
25 pause there.

26  
27 **CHAIRMAN NANCE:** Thank you. Andy, did you have a comment to  
28 this point?

29  
30 **MR. ANDY STRELCHECK:** I can't speak to the effort data. What I  
31 can say, and Carrie mentioned it, is we have been seeing an  
32 increasing trend in commercial landings. Two-million pounds  
33 were landed back in 2019, and we saw 2.4 million, I believe,  
34 landed last year.

35  
36 Right now, we're seven months into the commercial season, and  
37 they have reported 1.8 million pounds, which is roughly 60  
38 percent of the quota, and so we're expecting landings to  
39 continue to go up, and, at least based on the alternatives that  
40 are before you, they would at least be coming closer than the  
41 80 percent that they've been landing in recent years, probably  
42 closer to 90 to 100 percent of the overall commercial quota.

43  
44 In terms of the recreational harvest, I think Matt has covered  
45 it, but, because of the conversion to FES, we're likely to see  
46 the recreational sector, if trends continue, bumping up against  
47 the revised catch limits.

1 **CHAIRMAN NANCE:** Roy.

2  
3 **DR. CRABTREE:** Can someone tell me -- If we set the catch level  
4 at 4.96, what would the commercial quota then be?

5  
6 **DR. FREEMAN:** I can answer that. I was just about to. You're  
7 reading my mind. The commercial -- Again, for folks who might  
8 not be familiar, the rec sector catches to their ACL, and the  
9 commercial catches to their ACT, and so, under the two options  
10 presented by the Science Center, the commercial ACT would either  
11 be 2.79 million pounds gutted weight or 2.86 million pounds  
12 gutted weight.

13  
14 Under 53, and, again, we're kind of using that as the benchmark,  
15 the rec ACL is 1.73, and the commercial ACT is 2.40, and so,  
16 relatively speaking -- Again, as an economist, I cranked out  
17 all the numbers, and the differences would be, for the rec ACL,  
18 an increase either of 0.29 million pounds gutted weight or 0.33  
19 million pounds gutted weight. For the commercial side, with  
20 the ACT, it would either be 0.39 million pounds gutted weight  
21 or an increase of 0.46 million pounds gutted weight.

22  
23 **CHAIRMAN NANCE:** Thank you, Matt. Will.

24  
25 **DR. PATTERSON:** Thanks, Jim, but my question has been answered.

26  
27 **CHAIRMAN NANCE:** Okay. Carrie.

28  
29 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair. Skyler, I  
30 had kind of a different question. In the first part of the  
31 presentation, you were suggesting that the ABC could be changed,  
32 based on the recreational landing weight estimates, to that 5.57  
33 million pounds. What is the concern with that versus the -- We  
34 could use that as a reference, with the three-year or five-year,  
35 and is that equivalent to I think what Doug asked earlier? Is  
36 that 5.57 million pounds that essentially is being corrected  
37 from the stock assessment, is that equivalent to that beta of  
38 one that we talked about? Can you go into that a little bit?

39  
40 **DR. SAGARESE:** Sure, and so the way that I approached the weight  
41 adjustment is I had to redo the projections from the SEDAR 61  
42 assessment model that accounted for that weight adjustment for  
43 the recreational landings, and so, as SEDAR 61 was reviewed,  
44 the SSC determined the OFL as the mean catch from 2022 to 2024  
45 of those five years of the projections, and so, for this  
46 analysis, I redid the projections, and I took the projected  
47 retained yields that came out, and that was the estimate of the  
48 OFL, was -- I am starting to jumble my numbers, and I'm not

1 going to say, but maybe 5.99 million pounds gutted weight.

2  
3 At the time of SEDAR 61, what I put on that slide where I say  
4 that the ABC is 5.57, that is making the same assumptions that  
5 the SSC, when they set SEDAR 61 -- Basically, all of the  
6 assumptions and decisions that they made to set the probability  
7 of overfishing of 30 percent, that defined the ABC, and so, on  
8 that slide, I presented what would have been the OFL and the  
9 ABC, using this adjustment approach to the SEDAR 61 projections.

10  
11 The way that we've worked with the interim is we take whatever  
12 ABC the SSC gives us and adjusts that ABC value in the interim  
13 analysis, and that's where I am adjusting the 5.57 million  
14 pounds gutted weight, taking that as that would have been --  
15 The same decision would have been made that the OFL and the ABC  
16 that we've basically updated with this weight adjustment would  
17 have been used, or would have been recommended, and then we have  
18 adjusted that ABC.

19  
20 The whole interim works off of the ABC value that I assume that  
21 same approach would be taken, because, if, for example, the SSC  
22 did not accept the OFL and ABC from the adjustments that we've  
23 shown, we would have conducted the interim analysis on the ABC  
24 value of 4.26 million pounds gutted weight out of Preferred  
25 Alternative 3 from Amendment 53. That's where that 5.57 comes  
26 from, and that's how it feeds into the interim.

27  
28 **CHAIRMAN NANCE:** Okay. Thank you. John.

29  
30 **MR. MARESKA:** I guess this is just a comment, and so I like the  
31 information as it's presented, but what's giving me pause is  
32 the fact that if that relative abundance -- If that jumps up to  
33 say 2.6 in 2022, and, all of a sudden, our OFL, or ABC, is  
34 estimated to be 12.6 million pounds, are we still going to feel  
35 that same about it then, just because that's a tremendous  
36 difference, and, when I look at the -- Is that 2011 and 2012,  
37 and it looks like it only took about three years for the fishery  
38 to knock that back down to where it was closer to one, and so  
39 it's just giving me a lot of things to think about, whether I  
40 choose a three or a five-year average.

41  
42 **CHAIRMAN NANCE:** Ryan.

43  
44 **MR. RINDONE:** Just more food for thought on whether you choose  
45 a three or a five-year average, and, granted, the circumstances  
46 can always vary as to why, but, at this point, we're looking at  
47 having had two not insignificant red tide events in the Tampa  
48 Bay region within the last five years, and, obviously, we can't

1 predict when the next one will occur, and it may be next year,  
2 or it may be eight or ten years from now, but certainly the  
3 variability of when those things can occur is unknown, and the  
4 scope of mortality that could be put upon the red grouper stock,  
5 which has already been pretty well demonstrated to be pretty  
6 susceptible to episodic mortality from red tide, and the  
7 severity of that is going to be unknown until afterwards, and  
8 so that's just something to think about.

9  
10 Long ago, we had a workshop that examined incorporating episodic  
11 mortality into stock assessments, which was one of the starting  
12 points for a lot of the efforts that have since gone into this,  
13 and, of course, there could also be other things, like I touched  
14 on briefly with Dr. Griffith about, like with reasons for why  
15 the commercial sector may not be landing its red grouper, and  
16 it may have absolutely nothing to do with the health of the  
17 stock. There are multiple things that could be at play that  
18 you guys have to think about.

19  
20 **CHAIRMAN NANCE:** Thank you. Luiz.

21  
22 **DR. BARBIERI:** Thank you, Mr. Chairman. John, to that point  
23 about the three versus the five-year moving average, I mean,  
24 besides everything that Ryan just said, in terms of the more  
25 recent red tide events, there is also the fact that the main  
26 purpose of this interim analysis is to be more reflective of  
27 recent conditions, to be more like a quasi-real time assessment  
28 of what's going on and updating the assessment catch advice in  
29 between full assessments.

30  
31 To me, when you use the five-year, you're spreading that time  
32 period over time, and, of course, you get something that perhaps  
33 is a bit more stable over time, but the idea here is to reflect  
34 the most recent conditions, and so, with that, I would go with  
35 the three-year, if I had to make a choice.

36  
37 **CHAIRMAN NANCE:** We're going to go to the end of the presentation  
38 before we make motions, but it's good to have this discussion  
39 right now, and then we can -- Harry.

40  
41 **MR. BLANCHET:** My comment is pretty much to that same point as  
42 Luiz, but, not unsurprisingly, I come out on a different side.  
43 We're trying to balance responsiveness versus stability, and  
44 the thing that struck me was the Figure 2 in the document 08(b),  
45 which is showing the variability, or the precision, of the NMFS  
46 bottom longline, on an annual basis.

47  
48 We don't really have a measure of how precise these indices of

1 abundance are on a three-year basis, and we do see what they  
2 are looking like on an annual basis, and it would be 8(b).

3  
4 What brought me to that was really the discussion about the  
5 difference between 0.89 and 0.91, and is that really a true  
6 difference, or is it just spurious, just random, within that  
7 noise, and, honestly, I don't know, but I kind of like the  
8 three-year for its -- In this particular case, because we are  
9 dealing with these relatively infrequent, but highly  
10 consequential, events. If we were dealing with something like  
11 yellowedge grouper, I would think -- I think I would be more  
12 inclined to go for something with a longer time period. That's  
13 all my comments.

14  
15 **CHAIRMAN NANCE:** Thank you. Go ahead, Doug.

16  
17 **MR. GREGORY:** Thank you. I also support the shorter moving  
18 average, because it does give us a lower quota. I feel a strong  
19 need to be precautionary. We've been precautionary with red  
20 grouper, and we have not been proven wrong yet, and the  
21 reallocation of red grouper actually increases the overall  
22 fishing mortality for any given OFL or ABC, because it shifts  
23 more fish from the commercial to the recreational, where there  
24 is a higher discard mortality, and so that makes me even more  
25 cautious, and so I am supporting the three-year moving  
26 average, or anything we can do to be as precautionary as  
27 possible. Thank you.

28  
29 **CHAIRMAN NANCE:** Okay. Thank you. Skyler, let's go ahead and  
30 finish the presentation, and then, as the SSC, we'll have a  
31 discussion on next steps.

32  
33 **DR. SAGARESE:** Okay. Thanks. I think that's a great idea,  
34 because we did want to try to emphasize -- What we've talked  
35 about is a lot of uncertainty. We've got environmental  
36 uncertainty with red grouper, with the ongoing red tide right  
37 now, and so, for the presentation, if you caught it when we  
38 uploaded it about a week ago, the other option, in addition to  
39 using the numbers we've shown so far, would be to wait until  
40 the 2022 interim analysis comes out.

41  
42 We tend to complete our interims for red grouper in December,  
43 and so, in December of 2021, I would anticipate having the new  
44 interim completed, assuming that the survey -- That the index  
45 of abundance comes to us on time and we don't have any sampling  
46 issues, but I would imagine that we will be presenting that,  
47 and I would guess that it would be reviewed by the SSC at the  
48 January 2022 meeting.

1  
2 The reason why we bring this up is because of the ongoing red  
3 tide. We have certainly started to hear more and more concerns  
4 being raised around the Tampa Bay area, and so the figures that  
5 I am showing here I pulled from the FWRI website, just kind of  
6 highlighting what the status was, even as of three weeks ago,  
7 but, basically, you can see that this current red tide is from  
8 the Tampa peninsula down to about -- It hasn't hit Fort Myers  
9 yet, but the concern is that we have this event that's brewing,  
10 and so these events tend to get more severe as the year goes  
11 on, and they generally really peak later in the summer.

12  
13 The fact that we're starting to see such a strong red tide in  
14 July, it really remains to be seen how severe it's going to get.  
15 Currently, it's really been focused on the inshore regions, and,  
16 while that might be good from a perspective of we're not seeing  
17 much offshore yet, that is a cause for concern, and so I'm not  
18 sure right now if we can -- If you can unmute Brendan Turley,  
19 and so he's currently working as a post-doc with Mandy at the  
20 Science Center, and he's been doing a lot of detailed analyses  
21 on the red tide data and the satellite data. If we can get him  
22 to kind of just chime in for the next couple of slides, I think  
23 that the SSC would really benefit from kind of seeing where we  
24 are right now, with some on-the-ground sampling that's been  
25 going on.

26  
27 **MR. BRENDAN TURLEY:** Skyler did a good introduction, but the  
28 background behind what I've been doing is we are interested in  
29 learning more about how red tide is associated with hypoxia,  
30 because hypoxia is really bad for the environment, and the  
31 research that I have been working on is finding that there is a  
32 fairly strong association between bad red tides, like 2005, and  
33 2014 was similarly bad, but in a different way, and then, in  
34 2018, we found that there were pretty large areas of hypoxia.

35  
36 There's been a real limitation in our ability to sample these  
37 events, just because research cruises take time to plan, and  
38 they're expensive, and there are gaps between, and so what was  
39 kind of borne out of 2018, in discussions with the fishermen,  
40 who are really impacted by these red tide events, is some had  
41 taken up the mantle of starting to do sampling to fill in those  
42 data gaps.

43  
44 It's been a really important collaboration to help us better  
45 understand what's going on, not just during red tide, but  
46 between red tides, which is really a limitation, because, when  
47 there is an event, people sample, but, kind of between them, we  
48 kind of forget, and there's not as much sampling, and there is

1 always sampling, of course, for various surveys, but it's been  
2 really important to work with the fishermen, who are on the  
3 water every day.

4  
5 The brief overview of the data that I'm going to show you is  
6 that there's a commercial fisherman who is working with the  
7 Florida Commercial Watermen's Conservation Group, and it's a  
8 non-profit out of Pine Island, Florida, and they take these  
9 hand-held sondes and collect water column data at various  
10 locations, wherever they happen to be, but we got one of them  
11 to agree to take some samples just off the coast of Tampa Bay.

12  
13 What you're looking at is a map of the overview of where he  
14 sampled, and the black and red lines was his zig-zagging up the  
15 coast, and then he did a line outwards towards the continental  
16 shelf break, and he then worked his way southward, collecting  
17 data all along the way, which has been tremendous in helping us  
18 understand what conditions are going on right now.

19  
20 The data were binned and smoothed and interpolated, and I will  
21 show you various plots to help you understand what we are  
22 actually seeing offshore. He did report pretty good water  
23 conditions, and pretty good fishing too, at least north of the  
24 27.8 line.

25  
26 I will say, kind of as like a take-home, right off the bat,  
27 there weren't any real areas of concern that might be related  
28 to red tide, and what this is not designed to do is to give you  
29 ready-to-use data for intake in any sort of stock assessment or  
30 process, but, rather, this is just helping to provide some  
31 environmental context for what we are seeing offshore during  
32 this really bad red tide event.

33  
34 This is that first segment that's closest to the shore, and all  
35 you're looking at is the same profiles, depth versus latitude,  
36 with the south being on the left-hand side, for temperature,  
37 salinity, chlorophyll, and dissolved oxygen, and, like I said,  
38 we really were looking for like hypoxic areas, which is  
39 typically considered below two milligrams per liter, and so this  
40 segment -- We don't really see anything that is really cause  
41 for concern, and I would call it pretty normal conditions, and  
42 there might be a little bit of salinity stratification in the  
43 northern reach.

44  
45 This is that segment that's just offshore of that. Similarly,  
46 there's not a whole lot to report, which is good. I mean, this  
47 is pretty close to shore, relatively speaking, and so it seems  
48 that at least the conditions that we are interested in don't

1 seem to really be affected by the red tide that's onshore  
2 currently.

3  
4 This is that line that he took directly offshore, and you start  
5 to see that it gets deeper, and you start to see some more  
6 thermocline, as you get further out towards the shelf break,  
7 and a little bit of decrease in salinity that might be probably  
8 related to the plume coming from the Mississippi River, a little  
9 bit of a chlorophyll signal on the bottom, but nothing really  
10 concerning to us.

11  
12 If we look at the profile going southward, again, there's  
13 nothing really concerning to us. There's a decrease in salinity  
14 in the north, probably associated the river plume, a little bit  
15 of some chlorophyll on the bottom, which some have suggested  
16 might be associated with red tide, but take that with a grain  
17 of salt.

18  
19 There is a little bit of increasing chlorophyll, but, again,  
20 there's nothing really that pops out at us that might be a cause  
21 for concern that might be associated with the red tide onshore,  
22 and so, overall, things look good right now, and it's hard to  
23 say, without sampling again, what the conditions will turn out  
24 to be, but that's pretty much all I had to say. I will take  
25 any questions, if you want, now. That way, I don't have to stay  
26 through all of this, and I have other things to do.

27  
28 **CHAIRMAN NANCE:** Any questions on these last few slides? I  
29 don't see any questions, but thanks for that presentation.

30  
31 **MR. TURLEY:** All right. Take care.

32  
33 **DR. SAGARESE:** Thanks, Brendan.

34  
35 **CHAIRMAN NANCE:** Go ahead, Skyler.

36  
37 **DR. SAGARESE:** I will keep plowing away. Now we're at the point  
38 where we've kind of given you -- We've gone through the new  
39 interim approach, what the results would be, as applied, again,  
40 for implementation starting in 2022, but then we've also kind  
41 of highlighted the potential concern with the ongoing red tide  
42 event and kind of given a snapshot of what the conditions looked  
43 like a few weeks ago, of course noting that those conditions  
44 can change at any time, and it's something that I think everyone  
45 will be watching very closely offshore, to see if this plume  
46 starts to move further offshore and become an issue for the  
47 offshore fisheries.

1 Now we're up to the second decision point for the SSC, which  
2 is, essentially, number one, would you accept this results that  
3 we've shown for the interim, and, if you do, which would be the  
4 moving average, and would it be three years, five years, or  
5 potentially another, and I know Harry mentioned something about  
6 more years.

7  
8 The one thing that I will point out is -- In that Huynh article,  
9 they talk about -- Of course, all these different decision  
10 points should really be simulation tested in some sort of  
11 approach that is -- In a simulation that is specific to red  
12 grouper. We have not yet had the ability to do that at the  
13 Southeast Science Center yet for red grouper.

14  
15 Of course, it's on the list of research that we would like to  
16 conduct, but there are certain drawbacks of -- The benefit of  
17 the moving average is it's kind of a continuous -- As I think  
18 Luiz said, a quasi-tracking. We're kind of getting a closer  
19 look at what's going on with the stock and then what's happening  
20 with that index, and we're going to adjust the catch advice  
21 based on that.

22  
23 I think, the longer you make that time period, the less movement  
24 there will be, and, yes, that could be more -- You won't see as  
25 much variability, but you might also remove the ability to make  
26 some changes based on what's going on.

27  
28 The one thing I want to point out, and what we see with the  
29 interim analyses is, when we show results, and it looks like  
30 things will drop, you also have the other way, and so if, for  
31 example, in 2021, the index comes back, and the population looks  
32 like it's good, and things are doing really well, and that  
33 cohort is moving through, and the red tide didn't have a big  
34 effect on the stock, we will see that in the index and whether  
35 the approach recommends an ABC -- It could go up or down, and  
36 that's part of the nature of this approach.

37  
38 I do have one more slide, and then I will back up to that, but  
39 I just want to highlight, again, that we haven't simulation  
40 tested all of this work for red grouper specifically. Of course,  
41 it's something we want to do with every stock we do show, but  
42 we do feel that these results, because there has been some  
43 simulation work done, it is useful for the SSC at this time,  
44 and, of course, we strive to be able to conduct an MSE specific  
45 for red grouper, in addition, not just looking at interim  
46 approaches, but the red tides and how best to incorporate it  
47 and what are the potential risks and all those types of issues.

48

1 I think that's just references, and I am happy to take more  
2 questions, but I will leave the slide here at this next decision  
3 point.

4  
5 **CHAIRMAN NANCE:** Perfect. Thank you very much for that  
6 presentation. It was excellent. From the SSC perspective, the  
7 modeling, as we said in our motion, really looks good, and I  
8 appreciate that new approach. I think it enhances being able  
9 to have these interim analyses.

10  
11 I think the point right now where we want to go to is we need  
12 to decide -- The OFL is going to be the same, no matter what we  
13 do, but whether we want to use a three-year average -- For the  
14 ABC, a three-year average or five-year average or wait until  
15 December and look and see if we have anything from red tide.

16  
17 My question, Skyler, is, if we wait until December and get the  
18 data in, how much data would you have extra? Would you have  
19 all the way through 2021?

20  
21 **DR. SAGARESE:** We would have the ongoing -- The bottom longline  
22 index of abundance, they sample in August and September for red  
23 grouper, and they have done a lot of work to automate much of  
24 the data cleaning and the index development, and so we should  
25 have the 2021 index in time to provide results by the end of  
26 this year.

27  
28 Then we would be able to update the method through 2021, and,  
29 again, the caveat there is that the survey is out there in  
30 August and September, but the red tides may also trickle into  
31 October, November, and December, depending upon how severe it  
32 is, and it might go beyond those months, but we will have the  
33 index updated through 2021.

34  
35 **CHAIRMAN NANCE:** Okay. Thank you. Trevor and then Roy.

36  
37 **DR. MONCRIEF:** Skyler just answered my question that I was going  
38 to ask. We've heard angler reports on the fishery-dependent  
39 side, but I was going to see if there was any -- If anyone had  
40 been seeing anything on the fishery-independent surveys, but,  
41 since it's done in August and September, I guess we'll see here  
42 in a little while.

43  
44 **CHAIRMAN NANCE:** Roy.

45  
46 **DR. CRABTREE:** I mean, my inclination is that we would go ahead  
47 and give the council a new ABC. If they wanted us to hold off  
48 and wait, if we had some guidance from them, but that's sort of

1 their decision, if they want to do that, and so it seems, to  
2 me, and so I will make this as a motion, I guess, is that the  
3 SSC accepts that updated methodology and interim assessment  
4 results and sets the ABC at 4.96 million pounds, based on the  
5 three-year average.

6  
7 **CHAIRMAN NANCE:** I think we need to have the OFL in there, also.

8  
9 **MR. RINDONE:** Mr. Chair, just a point of order to that, and so  
10 that ABC would actually be higher than our current OFL, and so  
11 you guys should probably start with the OFL and then work back  
12 from there. The OFL was 5.99 million pounds gutted weight.

13  
14 **DR. CRABTREE:** So that would set the OFL at 5.99 million pounds  
15 gutted weight and the ABC at 4.96. I am going with the shorter  
16 period, because I tend to agree with Luiz.

17  
18 **CHAIRMAN NANCE:** I think we may want to have that in there.  
19 Using the three-year moving average.

20  
21 **DR. PATTERSON:** You need to indicate Gulf red grouper in there  
22 somewhere.

23  
24 **CHAIRMAN NANCE:** Thank you.

25  
26 **MR. GREGORY:** Mr. Chair, when we're ready to vote, I request  
27 that you read the motion.

28  
29 **CHAIRMAN NANCE:** We will, yes. We will. I think we need "the  
30 SSC accepts the updated methodology for red grouper".

31  
32 **DR. BARBIERI:** Mr. Chairman, should we clarify that this is in  
33 FES units, just to avoid any potential confusion?

34  
35 **CHAIRMAN NANCE:** Yes, we should.

36  
37 **DR. POWERS:** I will second the motion.

38  
39 **CHAIRMAN NANCE:** Okay, and so here is the motion. The SSC  
40 accepts the updated methodology and interim analysis results  
41 for red grouper and sets the OFL at 5.99 million pounds gutted  
42 weight and the ABC at 4.96 million pounds gutted weight, using  
43 the three-year moving average for setting the ABC relative to  
44 the OFL. These catch limits are in MRIP-FES units. Dr. Powers  
45 has seconded that. Any discussion? I think, David, you had  
46 your hand up before.

47  
48 **DR. GRIFFITH:** No, and I just wanted to know if a mixing event

1 affects the red tide, and so, if we have a hurricane between  
2 now and December, if that's going to affect it, but --

3  
4 **CHAIRMAN NANCE:** We hope we don't have any. Sean.

5  
6 **DR. POWERS:** So my question is, since we're not going to wait,  
7 which was one of the options, will we be able to see the interim  
8 analysis again in January, I mean, in case we want to change  
9 our minds or intervene?

10  
11 **CHAIRMAN NANCE:** Ryan, to that point?

12  
13 **MR. RINDONE:** Yes. Thank you. Yes, you guys -- The council  
14 has a standing request to the Science Center for annual interim  
15 analyses for red grouper, until otherwise indicated, and so,  
16 every January, we expect -- Well, every December, late December,  
17 before the January SSC meeting, we expect to receive an interim  
18 analysis from the Science Center for red grouper, and so that's  
19 just kind of become a standard thing that we have prepared for  
20 January.

21  
22 You guys didn't see this one this past January, because there  
23 was another red-colored fish that was occupying a lot of your  
24 time, but, typically, that January SSC meeting is when you would  
25 see the red grouper interim.

26  
27 **CHAIRMAN NANCE:** Thank you. Luiz.

28  
29 **DR. BARBIERI:** Mr. Chairman, thank you. Just a couple of points.  
30 First of all, just to make sure that the council has a full  
31 understanding of our decisions here, and I know that we're going  
32 to have our report, and there are the meeting minutes and all  
33 of that, but, just to make sure, I think it would be good to  
34 have -- To understand why we made this decision regarding the  
35 three versus the five-year moving average for estimating this,  
36 as well as why we decided to go with this approach versus not.

37  
38 Then one other thing is I think that Skyler's presentation  
39 brings up some very good points about the potential red tides  
40 that could happen between now and the end of the year and that  
41 the cruises are going to be in August and September, and they  
42 may not be reflective of the potential impacts of these red tide  
43 events, but my question is can we still get the interim analysis  
44 completed at the end of the year, Skyler, so that we get to see  
45 what happened in reality, versus what we are proposing here?

46  
47 **DR. SAGARESE:** My understanding is there's a request from the  
48 council for annual interims for red grouper, and so -- Katie

1 can chime in too, but I'm pretty sure we are already planning  
2 on -- Assuming that we have the index developed in time, and no  
3 issues with that, and we will be presenting that report by the  
4 end of the year, is my understanding.

5

6 **DR. BARBIERI:** Excellent. Thank you. That's great, actually.

7

8 **CHAIRMAN NANCE:** Thank you, Luiz. Will.

9

10 **DR. PATTERSON:** I just recommend changing the words "these catch  
11 limits" to "values" in the last sentence.

12

13 **CHAIRMAN NANCE:** Is that okay, Roy?

14

15 **DR. CRABTREE:** Yes.

16

17 **CHAIRMAN NANCE:** Thank you, Will. That's perfect. You want  
18 "catch values" though, correct? Just "values"? Okay. Thank  
19 you. David Chagaris.

20

21 **DR. CHAGARIS:** Thank you. This might be a moot point now, since  
22 we're able to revisit this at the end of the year, but I'm  
23 curious as to whether or not there are any consequences, or  
24 ramifications, of waiting. If this is supposed to provide catch  
25 advice for 2022, does it matter if the council gets that  
26 information now or December?

27

28 **CHAIRMAN NANCE:** I think the point is we provide the science,  
29 and then they can choose whether to wait or not. I think we're  
30 providing this to them, and we'll have another -- It looks like  
31 another analysis in January that we'll look at, or December  
32 report, which will give us the chance to change that for next  
33 year, if it looks bad. Matt.

34

35 **DR. FREEMAN:** The council will be receiving a draft framework  
36 at the August meeting, in a week-and-a-half, based on the SSC's  
37 recommendation. The tentative timeline would be that the  
38 document would go final in October, and, again, that's  
39 tentative, and so it would be in place at the beginning of 2022,  
40 which, obviously, would have implications for commercial quota,  
41 et cetera, towards the start of the year, whereas, again, if  
42 it's delayed, implementation might not happen until later into  
43 2022.

44

45 **CHAIRMAN NANCE:** Okay. Thank you. Harry.

46

47 **MR. BLANCHET:** Dr. Chagaris asked my question.

48

1 **CHAIRMAN NANCE:** Okay. Thank you. Jim.

2  
3 **DR. TOLAN:** I was just going to echo what Dave was saying, and,  
4 if I cut out real quickly, I'm just going to let you know that  
5 I'm going to vote against this motion, simply because this red  
6 tide is pretty unprecedented, in terms of the timing, and so I  
7 think waiting until December is not a bad idea. Thanks.

8  
9 **CHAIRMAN NANCE:** Thank you for that comment. Carrie.

10  
11 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair. My question  
12 is for Skyler and Luiz. I think, if we were going to take a  
13 hard look at red tide, that you would have to look at multiple  
14 fishery-independent indices, which would not just be the NMFS  
15 bottom longline index updated, which I think is what has  
16 historically been used for this, and so I think you would want  
17 to look at those visual surveys, any trap surveys, or anything  
18 else, because I don't know that the bottom longline is going to  
19 show what we think it may for a couple of years from any impacts  
20 from red tide, and that's just what I am thinking. I guess we  
21 would ask for all of those, the next time this is on the agenda,  
22 and is that correct?

23  
24 **DR. SAGARESE:** To follow-up, what I mentioned earlier too is  
25 the SEAMAP summer groundfish survey. In the past, we have  
26 provided fishery-independent indices updates for that and for  
27 bottom longline, because we both have much of that work  
28 automated at the Science Center, and so I can plan on showing  
29 those, assuming that we have enough data and the index is  
30 developed in time.

31  
32 The other fishery-independent surveys are the video survey,  
33 which is a bit more complicated, because it's three different  
34 labs that combine their data, and so that has much more of a  
35 lag, in terms of combining the data and doing an index. That  
36 would not be ready in time for this meeting, and the other index  
37 is the FWRI repetitive time drop survey, which is no longer  
38 operational.

39  
40 I think, going forward, for December, we should be, assuming  
41 Pascagoula is able to produce the two indices that I have  
42 mentioned, the longline and the SEAMAP ground fish survey, and  
43 those would be the two that I would expect that we can present  
44 for the January SSC meeting.

45  
46 **CHAIRMAN NANCE:** Okay. Carrie.

47  
48 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair. Skyler, we

1 do get red grouper in the SEAMAP trawl surveys?  
2

3 **DR. SAGARESE:** Yes, we do, and it's actually in the stock  
4 assessment. It gets smaller red grouper, and so it's a pretty  
5 good indicator of the younger red grouper size classes and age  
6 classes. It's not an age-zero, but it has quite a bit of catches  
7 of red grouper, but I think that might change now, with some of  
8 the changes in the survey protocols, and so we may see that  
9 there may be less data than there used to be, but, at this time,  
10 yes, it was recommended for use in the stock assessment. We  
11 have shown results in the past for that index, and so those are  
12 the two fishery-independent indices that we can definitely have  
13 together.  
14

15 **EXECUTIVE DIRECTOR SIMMONS:** Okay. Thank you.  
16

17 **CHAIRMAN NANCE:** Since the trawl survey moved over to Florida,  
18 in these later years, we're able to see some of the different  
19 fish over there now. Roy.  
20

21 **DR. CRABTREE:** I am really, in terms of the timing, looking at  
22 the need to get this into the FES currency issue, because that's  
23 what we have to monitor the fishery, and then, when we get that  
24 done, and then, if we get new information in January, or when  
25 we get it, we'll deal with that as quickly as we can.  
26

27 **CHAIRMAN NANCE:** I think that's a wise choice. Rich.  
28

29 **DR. WOODWARD:** I just have a comment that I think this idea of  
30 sort of moving the limits up and down, based on stock estimates  
31 and indices of the stock, makes an awful lot of sense, but it  
32 seems to me like there should be -- There is a variation across  
33 species, across situations, and that the -- For example, a very  
34 long-lived species might need to move faster or slower than a  
35 short-lived species and how much uncertainty there is in the  
36 catch data.  
37

38 Obviously, we don't have that kind of information for this  
39 decision today, but that would be an interesting analysis that  
40 could be done down the road that would help inform decisions  
41 along these lines in the future.  
42

43 **CHAIRMAN NANCE:** Okay. Thank you. Any other comments or  
44 discussion? Let's go ahead, and I think, for this one, we'll  
45 vote. We already have -- I know that Jim has expressed  
46 opposition to this motion, and so, Jessica, would you do the  
47 call, please?  
48

1 Here's the motion we're voting on. The SSC accepts the updated  
2 methodology and interim analysis results for red grouper and  
3 sets the OFL at 5.99 million pounds gutted weight and the ABC  
4 at 4.96 million pounds gutted weight, using the three-year  
5 moving average for setting the ABC relative to the OFL. These  
6 values are in MRIP-FES units.

7  
8 **MR. GREGORY:** Mr. Chair?

9  
10 **CHAIRMAN NANCE:** Doug.

11  
12 **MR. GREGORY:** With the OFL, I didn't hear you say "5.99". I  
13 just heard you say "5.9".

14  
15 **CHAIRMAN NANCE:** It's 5.99 million pounds gutted weight.

16  
17 **MR. GREGORY:** Thank you.

18  
19 **CHAIRMAN NANCE:** Thank you.

20  
21 **MS. MATOS:** Jim Tolan.

22  
23 **DR. TOLAN:** Opposed.

24  
25 **MS. MATOS:** Rich Woodward.

26  
27 **DR. WOODWARD:** In favor.

28  
29 **MR. RINDONE:** You guys can just say yes or no, if you like, too.

30  
31 **MS. MATOS:** Steven Scyphers.

32  
33 **DR. SCYPHERS:** Yes.

34  
35 **MS. MATOS:** Sean Powers.

36  
37 **DR. POWERS:** Yes

38  
39 **MS. MATOS:** Will Patterson.

40  
41 **DR. PATTERSON:** Yes.

42  
43 **MS. MATOS:** Jim Nance.

44  
45 **DR. NANCE:** Yes.

46  
47 **MS. MATOS:** Trevor Moncrief.

48

1 DR. MONCRIEF: Yes.  
2  
3 MS. MATOS: Paul Mickle.  
4  
5 DR. MICKLE: Yes.  
6  
7 MS. MATOS: David Griffith.  
8  
9 DR. GRIFFITH: Yes.  
10  
11 MS. MATOS: Doug Gregory.  
12  
13 MR. GREGORY: Yes.  
14  
15 MS. MATOS: Benny Gallaway.  
16  
17 DR. GALLAWAY: Yes.  
18  
19 MS. MATOS: Roy Crabtree.  
20  
21 DR. CRABTREE: Yes.  
22  
23 MS. MATOS: David Chagaris.  
24  
25 DR. CHAGARIS: Yes.  
26  
27 MS. MATOS: Harry Blanchet.  
28  
29 MR. BLANCHET: Yes.  
30  
31 MS. MATOS: Luiz Barbieri.  
32  
33 DR. BARBIERI: Yes.  
34  
35 MS. MATOS: Lee Anderson.  
36  
37 DR. ANDERSON: Yes.  
38  
39 MS. MATOS: Jason Adriance.  
40  
41 MR. ADRIANCE: Yes.  
42  
43 MS. MATOS: Michael Allen. John Mareska.  
44  
45 MR. MARESKA: Yes.  
46  
47 MS. MATOS: Luke Fairbanks.  
48

1 **DR. FAIRBANKS:** Yes.

2

3 **MS. MATOS:** Jack Isaacs.

4

5 **DR. ISAACS:** Yes.

6

7 **MS. MATOS:** Mandy Karnauskas.

8

9 **DR. KARNAUSKAS:** Yes.

10

11 **MS. MATOS:** Josh Kilborn.

12

13 **DR. KILBORN:** No.

14

15 **MS. MATOS:** Steven Saul.

16

17 **DR. SAUL:** Yes.

18

19 **CHAIRMAN NANCE:** You skipped Cynthia, I think.

20

21 **MS. MATOS:** She is absent. That's it.

22

23 **CHAIRMAN NANCE:** Okay. Well, thank you. It's been a lively  
24 discussion, and I appreciate that. Skyler, thank you very much  
25 for that excellent presentation. Now we'll go ahead and have  
26 our break, and we'll come back at 3:30 Eastern Time.

27

28 (Whereupon, a brief recess was taken.)

29

30 **CHAIRMAN NANCE:** It's approaching time to start again. I think  
31 our next topic is Determination of Topical Working Groups for  
32 SEDAR 75, which is the Gulf of Mexico gray snapper operational  
33 assessment.

34

35 **MR. RINDONE:** Mr. Chair, if I could, if we could talk about the  
36 red grouper operational assessment first, while that particular  
37 species is fresh in everyone's minds, and maybe that would be a  
38 decent modification. Just to take the red grouper operational  
39 assessment scope of work first, since we just finished talking  
40 about the interim analysis and that species is fresh.

41

42 **CHAIRMAN NANCE:** That would be perfect. We will do Item XI and  
43 then X.

44

45 **SCOPE OF WORK FOR RED GROUPER OPERATIONAL ASSESSMENT**

46

47 **MR. RINDONE:** All right, and so we're going to review this scope  
48 of work for the planned operational assessment for red grouper,

1 which is going to take place in 2024 and use data through 2022.  
2 You guys should discuss the items proposed for the terms of  
3 reference that are in this scope of work, whether topical  
4 working groups would be necessary, and for which topics, like  
5 life history, recreational landings, whatever, and red tide,  
6 perhaps, and whether an in-person workshop should be necessary  
7 for this operational assessment.

8  
9 Your recommendations will then be incorporated into the scope  
10 of work and submitted to SEDAR for use in developing the terms  
11 of reference for the proposed assessment, and so, up here, you  
12 can see -- On the screen now, you can see the proposed scope of  
13 work, and so this was developed by council staff, in  
14 consultation with SERO and the Science Center, and also looking  
15 at some of the things that were mentioned as needing examination  
16 in SEDAR 61. You guys can take a look and recommend edits as  
17 you think appropriate.

18  
19 We can go line-by-line, if you want. I mean, some of the main  
20 takeaways here is we're suggesting a terminal year of data of  
21 2022, and we have added in that we want -- As we have for been  
22 for many of these recent assessments, to document any changes  
23 in the MRIP data, both pre and post-calibrations, in terms of  
24 the magnitude of changes in catch and effort, and we are  
25 recommending that -- This is new, and this is a new addition,  
26 and we're recommending that this be compared to the values that  
27 are demonstrated in SEDAR 61, just to see how the data change  
28 with time, due to QA/QC processes.

29  
30 Also, to update life history information, if warranted, as it  
31 may relate to growth, reproduction, and mortality, and red tide  
32 factors in here and in Number 3 down there. Also, consider the  
33 treatment of recreational harvest, such as consider inputting  
34 recreational catch in weight, such as in pounds, instead of in  
35 numbers of fish, and then reevaluate error estimates for the  
36 recreational landings, and that's something from SEDAR 61.

37  
38 For point Number 3 here, to explore the potential effects of  
39 red tide with consideration to past red tide events and more  
40 recent events in 2018 and thereafter, which would include the  
41 2020 event and if that -- Sorry. The 2021 event and, if that  
42 extends into 2022, then that as well. Dr. Powers.

43  
44 **DR. POWERS:** Given our discussions about the red tide and all  
45 of the great ideas that people had, I mean, how do we go about  
46 -- Would we just make a motion, or we would just suggest that  
47 we think that this is a big enough issue for a topical working  
48 group, because we don't think we can just simply just check this

1 box without one?

2  
3 **MR. RINDONE:** You guys can -- At the bottom there is an option  
4 for topical working groups, and we can list those out there,  
5 and so we can add in a topical working group for red tide there,  
6 and, if we can get this to a point where everybody is generally  
7 happy with the material contained therein, then you guys can  
8 just make a blanket we think this is good and submit this to  
9 SEDAR, and so I can add that in now.

10  
11 **CHAIRMAN NANCE:** Also, as we go through here, if there's any  
12 edits that we want to have. John, did you have a comment?

13  
14 **DR. FROESCHKE:** Just real quick, just following up on the earlier  
15 discussion we had on the average weight issue that we just  
16 discussed, is that incorporated in the first bullet on Item 2,  
17 in regard to the changes in MRIP data, or are there other parts  
18 of that that need to be considered?

19  
20 **SSC MEMBER:** I had the same question. Thank you.

21  
22 **CHAIRMAN NANCE:** Let's go through this, and then if there are -  
23 - Think about, like for Number 2, if we want to add something  
24 and edit, and let's put that in, okay? This is our opportunity  
25 to put items into this document, so that, when we have the  
26 assessment, we know they're being covered.

27  
28 **MR. RINDONE:** Under Number 2, if you guys wanted to be more  
29 explicit about it, you could add a bullet that says something  
30 like "explore the effects of changes in the mean weight  
31 estimation procedure from that used in SEDAR 61 to that proposed  
32 and used in the 2021 red grouper interim analysis". Is that an  
33 addition that you guys would like to see put there? I am seeing  
34 some nods.

35  
36 **CHAIRMAN NANCE:** Yes. Steven Saul.

37  
38 **DR. SAUL:** Thank you, Mr. Chair. Please correct me if this is  
39 beyond the scope of an update assessment, and it's been a bit  
40 since I was involved in the SEDAR process, but one edit to the  
41 scope of work that I would recommend, and, again, this may be  
42 not appropriate for an update and have to be done during a full  
43 benchmark, but one recommendation that I would make would be to  
44 try and include runs, sensitivity runs, or the base runs, that  
45 incorporate historical data. There is precedent for this for  
46 red snapper, of course, and we often include historical time  
47 series, going back pretty far, and we have analogous data for  
48 groupers, and we know, from historical records, that this is an

1 old fishery, that people were catching red grouper back in the  
2 1800s and such.

3  
4 Again, I don't know that it's -- Correct me if this is not an  
5 appropriate place for it, and if that should be considered  
6 during a full, during a benchmark, assessment, but that would  
7 be my recommendation. Thank you.

8  
9 **MR. RINDONE:** So where are we plugging this in again, Steve?

10  
11 **DR. SAUL:** It's not for any specific line item, but it was just  
12 a general kind of -- It may have to be another item.

13  
14 **MR. RINDONE:** Okay, and so do you want to draft that?

15  
16 **DR. SAUL:** I can. Again, is it appropriate for this type of an  
17 update assessment to explore that?

18  
19 **MR. RINDONE:** We haven't set the schedule yet. Since this is  
20 beginning in 2024, it's still, obviously, a ways off, and so,  
21 at this point, we request the things that we want to see happen,  
22 and then it's moved to SEDAR, and SEDAR consults with the Science  
23 Center, to try to determine the feasibility of these things,  
24 and, if it's something that can be done, then we'll do that.

25  
26 **CHAIRMAN NANCE:** I think it would be good to put it in, and it  
27 can always be taken out.

28  
29 **MR. RINDONE:** Okay, and so let's go ahead and put it under  
30 Number 3, and so, Steve, if you want to give me specific  
31 language, I will type that into my copy here.

32  
33 **DR. SAUL:** Okay, and so I would say to explore stock assessment  
34 model runs that incorporate historical landings data back to  
35 the start of the fishery. The reason I feel this is important  
36 is because, from my own work, it has shown -- Again, when I have  
37 simulated Gulf fisheries and then assessed them, that, in models  
38 like Stock Synthesis and many of the assessment tools that we  
39 use, that it can be really difficult to fit that starting year  
40 fishing mortality value, and that value makes a big difference.  
41 The model is really sensitive to that, and, when you play around  
42 with that, you can often get different stock status results,  
43 and so, if you don't have that right, it can be a problem, and  
44 so that's the rationale behind the recommendation.

45  
46 **MR. RINDONE:** Okay, and so I'm actually going to plug this in  
47 as the fourth bullet under Number 2, and, Steve, just to this  
48 item, this is something that was explored in-depth in SEDAR 61,

1 but it also something that can be revisited, and it usually is  
2 revisited, just as a function of trying to determine the start  
3 year for the assessment.

4  
5 One of the things that makes some of the grouper species a  
6 little bit more interesting is the IFQ program and the  
7 resolution and availability of data going back in time, and  
8 sometimes it's a little bit more hit or miss, but we can  
9 definitely plug that in and look at that again, and so, given  
10 where I've got it put now, under Number 2, do you think that  
11 appropriate?

12  
13 **DR. SAUL:** That works for me, yes. Thank you.

14  
15 **CHAIRMAN NANCE:** Let's see. I think Luiz is next.

16  
17 **DR. BARBIERI:** Thank you, Mr. Chairman. I am going to start  
18 with the same caveats that Steve just made, regarding the fact  
19 that, yes, this is an operational assessment, and I understand  
20 Katie and Julie's presentations this morning, talking about what  
21 scenarios are considered for operational versus research track  
22 assessments, but, still, I really would like to see if it would  
23 be possible to conduct the sensitivity run that explores the  
24 use of the Florida State Reef Fish Survey data of the private  
25 recreational sector, instead of MRIP, similar to what we are  
26 doing now for gag, and, again, it's just something that, as we  
27 continue the discussion on how to develop, implement, or  
28 interpret the results of these supplemental surveys, more  
29 specialized surveys, in the Gulf for some of our reef fisheries,  
30 that, the more we learn about them and how models, assessment  
31 models, handle those data, relative to MRIP, the more  
32 information I think we're going to have to help us move forward  
33 in getting those issues resolved. That's my point there, Mr.  
34 Chairman and Ryan.

35  
36 **CHAIRMAN NANCE:** Thank you. Ryan.

37  
38 **MR. RINDONE:** Thank you, Mr. Chair, and thank you, Luiz. I  
39 would also be adding this under Number 2, and this would be the  
40 fifth bullet, and it's my understanding that this sensitivity  
41 would use the SERFS survey in place of the MRIP program data.

42  
43 **DR. BARBIERI:** Yes, just for the private recreational sector,  
44 yes.

45  
46 **MR. RINDONE:** All right. Explore the use of the Florida State  
47 Reef Fish Survey program for recreational catch and effort for  
48 red grouper, in place of the same data collected by the Marine

1 Recreational Information Program. For private recreational  
2 catch and effort. Sorry. Luiz, does that look correct to you?  
3

4 **DR. BARBIERI:** Yes, it does, Ryan. Thank you. That's it.  
5

6 **CHAIRMAN NANCE:** Okay. Thank you. Harry.  
7

8 **MR. BLANCHET:** I was going somewhere else, but I think that  
9 there is -- I think you can -- From the first line of Luiz's  
10 bullet, if you put "private" right before "recreational", on  
11 the first line, you don't need that last phrase.  
12

13 Where I was going is I know that a lot of these terms of  
14 reference have been built by a considerable effort by a group  
15 of people, and I am kind of curious, in terms of the third  
16 bullet, the first sub-bullet, about inputting recreational catch  
17 in weight, instead of numbers of fish.  
18

19 To me, I have always -- Because of the way that weight is  
20 estimated in the MRIP, I have always considered that less  
21 reliable than the numbers of fish harvested, and so I'm curious  
22 why that bullet is in there.  
23

24 **CHAIRMAN NANCE:** Is that the third bullet on Number 2, Harry,  
25 that you're talking about?  
26

27 **MR. BLANCHET:** Yes, the third bullet, the first sub-bullet under  
28 that bullet, right where the cursor is.  
29

30 **CHAIRMAN NANCE:** Okay.  
31

32 **MR. RINDONE:** I can speak to this, and so this has been talked  
33 about at the council level, because the commercial landings are  
34 input in weight, and the catch is measured in weight, and  
35 everything, all the quota, is allocated and dispersed in weight,  
36 and all of that is done in weight, but the recreational catch  
37 is initially recorded and monitored in numbers of fish, which  
38 is then converted to weight, and, within the stock assessment,  
39 the stock assessment internally estimates annual average weight,  
40 and then that's what it uses to take that numbers of fish and  
41 turn it into a weight within the assessment.  
42

43 The thinking was to try to just input everything as weight,  
44 since it's managed in weight, as opposed to counting it in  
45 numbers and then managing it in weight, and this has been  
46 attempted, and it wasn't successful for gag, but perhaps it  
47 would be for another species, like red grouper, and so that's  
48 why it's being considered here, and the Science Center folks

1 that are on the line, and I'm sure there's still a couple, can  
2 speak to the difficulty with being able to do this, but this  
3 was something that the council had talked about wanting to see.  
4

5 **MR. BLANCHET:** I mean, I'm -- You almost never hear me speak  
6 against including something, but, to me, this seems like a step  
7 backward, unless there is some reason in the modeling process  
8 that this should be included. I recognize that -- We just saw  
9 a slide that showed the issues with translating from -- The  
10 estimation process that the model had versus what was estimated  
11 from the dockside sampling. However, that's very different than  
12 what I am seeing here, and I would much rather have it being  
13 fixed by some other method than by using the weights, and that's  
14 just -- It rubs me the wrong way.  
15

16 **CHAIRMAN NANCE:** Okay. Thank you. Doug Gregory.  
17

18 **MR. GREGORY:** Thank you. I say to Harry that the bullet says  
19 "consider". It doesn't say do it, and so I'm comfortable with  
20 that. With the historical landings, that was attempted in the  
21 late 1990s with the red grouper stock assessment. To the extent  
22 that a big effort was made to try to compile Cuban landings,  
23 because our longline fleet learned how to longline from the  
24 Cubans, and, prior to the Magnuson Act, the Cuban fishery was  
25 fishing on the west coast, and I think, until the longline  
26 fishery was developed, or started, there probably wasn't a large  
27 commercial catch of red grouper, because they don't aggregate  
28 like gag, and so exploring it is no problem, but it's been done  
29 before.  
30

31 My question to Luiz is does the Florida State Survey program  
32 extend in enough years for it to replace MRIP in the assessment,  
33 or would it be used something like an independent index of some  
34 sort? Thank you.  
35

36 **DR. BARBIERI:** Just to answer that question, Mr. Chairman?  
37

38 **CHAIRMAN NANCE:** Yes, you may. Thank you.  
39

40 **DR. BARBIERI:** Doug, we do have a full calibration for the  
41 entire time series. It doesn't really include a historical  
42 period. I mean, that would have to be handled differently, and  
43 this is something that we are going through now with gag, but,  
44 for the full time series of MRIP data, we have a calibration  
45 conversion factor in place.  
46

47 **MR. GREGORY:** Thank you.  
48

1 **CHAIRMAN NANCE:** Okay. Thank you. Dave Chagaris.

2  
3 **DR. CHAGARIS:** Just another maybe bullet to add with regard to  
4 the mean weight. Maybe we could add a bullet that says, if  
5 using numbers, compare mean weight from the stock assessment  
6 with the ACL monitoring mean weight.

7  
8 Actually, better yet, include -- So, going back to Harry's  
9 question, I mean, part of the problem is that -- I agree with  
10 Harry that, ideally, we would be able to fit the model to  
11 numbers, and the mean weights would line up, and everything  
12 would be fine, but one thing that we're trying to do, I believe  
13 we're trying to do, with scamp is to actually include observed  
14 mean weight data from the recreational sector in the model and  
15 then fit to those data, to try to match that, and so something  
16 along those lines. Include or compare the mean weight from the  
17 model with the mean weight used in ACL determination, because I  
18 think that was really -- What Skyler showed today really  
19 highlighted the issue, and it's something we're going to want  
20 to take another look at.

21  
22 **CHAIRMAN NANCE:** Okay. Thank you.

23  
24 **MR. RINDONE:** Mr. Chair, just so we're putting this in the right  
25 place, and, Dave, heads up. Under Item 2, the third bullet,  
26 the third sub-bullet, we're going to have a -- I have, as a  
27 third sub-bullet, to explore the effects of changes in the mean  
28 weight estimation procedure between SEDAR 61 and the 2021 red  
29 grouper. To explore the effects of changes in the mean weight  
30 estimation procedure between SEDAR 61 and the 2021 red grouper  
31 interim analysis.

32  
33 Under that, I have Dave's -- So this is, if using numbers of  
34 fish as the input, or unit, for recreational catch, compare the  
35 mean weights estimated by the model with that reported by the  
36 SERO ACL Monitoring Dataset. As the input unit for recreational  
37 catch, and so, that "for" between "input" and "unit", you can  
38 delete that word. Dave, thoughts?

39  
40 **DR. CHAGARIS:** I think that's good, and maybe we could just add  
41 maybe -- At the end of that, you could add "or explore fitting  
42 to the SERO ACL monitoring data within the model". I don't know  
43 if that's maybe getting a little bit too prescriptive, but  
44 there's two things. You can compare the model with the ACL data  
45 afterwards, or you can actually try including them in the model  
46 as an observed time series.

47  
48 I guess, continuing on with that, "or explore fitting to the

1 SERO mean weights". I think that's just there to remind the  
2 assessment team of this other option when building the model,  
3 if that works.

4  
5 **MR. RINDONE:** Okay. Got it.

6  
7 **CHAIRMAN NANCE:** Looks good. Jason.

8  
9 **MR. ADRIANCE:** Thank you, Mr. Chair. So the advantage of being  
10 later in the queue is I guess I can just jump straight to where  
11 I wanted to get to. Given the previous presentation and what's  
12 going on with this Section 2, this might be one we consider for  
13 a topical group, a landings group. Thanks.

14  
15 **CHAIRMAN NANCE:** Thank you. Mike Allen.

16  
17 **DR. ALLEN:** I must admit, this is my first SSC meeting, and I'm  
18 a bit drinking from a firehose, diving right in, but I enjoyed  
19 Skyler's presentation, and I just wanted to add that, perhaps  
20 for no other species, the red tide effects on natural mortality  
21 anomalies are going to be important. They've had big effects  
22 on the abundance, and I don't fully understand what that topical  
23 working group option might be, but I definitely think that Point  
24 3 here in the document is a critical thing to consider in the  
25 future assessments, and so thank you, Mr. Chairman.

26  
27 **CHAIRMAN NANCE:** Thank you very much for that input. Any other  
28 edits within the document itself? Let's go down to the bottom,  
29 Ryan.

30  
31 **MR. RINDONE:** Thank you, Mr. Chairman. Item Number 4 is pretty  
32 canned, and it reflects the update to the status determination  
33 criteria from Reef Fish Amendment 44, and so, if we scroll on  
34 down, Item Number 5 just says to report what you did.

35  
36 Right now, we have it listed that an in-person data and  
37 assessment workshop is not recommended for this assessment. If  
38 you guys think that the nature of it necessitates a workshop,  
39 you can certainly recommend otherwise, and, right now, for our  
40 topical working groups, I have three. I have, based on the  
41 discussion, and so you guys advise, but I have red tide, changes  
42 in the mean weight estimation procedure, and recreational catch  
43 and effort.

44  
45 Typically, for the -- Well, not typically, because we've never  
46 done this before, but, in concept, for the operational  
47 assessments, we try not to have more than two or three topical  
48 working groups, and we really try to use those to focus in on

1 specific issues that need to be evaluated. It's red tide,  
2 changes in the mean weight estimation procedure, and the third  
3 one is recreational catch and effort.

4  
5 **CHAIRMAN NANCE:** Then we'll need to change topical working  
6 groups are thought necessary.

7  
8 **MR. RINDONE:** The other thing to evaluate is the in-person  
9 workshop component of this. If you guys think that the  
10 discussions are such that they would better be served by being  
11 in person to discuss some of those things, you can recommend  
12 that, or, if you think this can be facilitated by webinar, then  
13 we can --

14  
15 **CHAIRMAN NANCE:** I am going to ask Sean this question. With  
16 the red snapper stuff that you were doing, was it  
17 straightforward to do it over webinar, or would it have been  
18 better to be in-person?

19  
20 **DR. POWERS:** The stock ID? It would be much better to be in-  
21 person. I mean, without a doubt. Of these topics though, I am  
22 guessing you could do two or three by remote, but the red tide  
23 issue is a pretty large one, and it's not just this stock that  
24 is affected, and so I would think that you would want an in-  
25 person workshop for red tide. Some of the ideas that we  
26 discussed, whether it's age-specific mortality, how you deal  
27 with the mortality and how you include some of the environmental  
28 modeling products, and the models that are going out, like the  
29 ecosystem model, and so I think that's a large one. I would  
30 put it with this species, but realize that it's going to affect  
31 a lot of other species.

32  
33 **CHAIRMAN NANCE:** Maybe Julie can answer this, but is the in-  
34 person data and assessment workshop -- You have the topical  
35 working groups, which is separate from the data and assessment  
36 workshops, right, Julie?

37  
38 **DR. NEER:** No. There are no -- There is no longer an assessment  
39 panel that gets together and works on all the data for  
40 operational assessments. There are now only topical working  
41 groups, and so there is no panel to review all the components  
42 of the data. The only pieces that anyone external to the Science  
43 Center is going to get to weigh-in on are the things that are  
44 talked about within a topical working group.

45  
46 Topical working groups may be held in-person, and they may be  
47 held via webinars, and I was going to suggest that, if there  
48 are ones that you feel are better suited via webinar, versus

1 ones might be better to have in person, please indicate that,  
2 because the reality is, if you need three topical working groups  
3 for every operational, we cannot, probably, afford six in-person  
4 workshops.

5  
6 The new structure, we need as much information as possible, and  
7 so if the SSC -- Like Sean had said, perhaps a red tide  
8 discussion would be better suited to be in-person. Maybe red  
9 tide is best suited in-person, and changes in mean weight  
10 estimation may be handled via webinar, and that information  
11 helps everyone process the scope of this -- The scope of what's  
12 being requested, and so we would appreciate that.

13  
14 **CHAIRMAN NANCE:** Do we need to then say, for each one of these,  
15 in-person or webinar?

16  
17 **DR. NEER:** I think it would be good to provide what you would  
18 like to see, and it's really not up to me, SEDAR, to make that  
19 decision. How this works is -- I will say you guys request what  
20 you want, basically your statement of work of what you would  
21 like to see, what you and the councils would like to see, and  
22 you provide that information to the Science Center. The Science  
23 Center will weigh-in on what can be accomplished.

24  
25 You may request -- You guys just added four different things to  
26 the terms of reference, to the statement of work, and they might  
27 say we can do one, two, and four, but we can't do three, right,  
28 and so then there's a negotiation period between the council  
29 and the Science Center before it's actually approved.

30  
31 The Science Center may also say we agree that you need topical  
32 working groups for all three of these things, and we may think  
33 you need topical working groups for two of them, but not this  
34 one, and there's a negotiation process, but you should put  
35 everything you want in here, and it never hurts to ask.

36  
37 You may not get it all, but that, again, is a negotiation between  
38 the Science Center and the council, and then SEDAR gets to make  
39 happen, but, yes, if you have advice on which ones you think  
40 would be best suited for -- Like Sean said, these two might be  
41 fine via webinar, but this one maybe would be better in-person,  
42 and indicate that, so that we have an idea of what you guys are  
43 thinking.

44  
45 **CHAIRMAN NANCE:** Okay. Thank you.

46  
47 **MR. RINDONE:** All right. So, in light of that, we'll go ahead  
48 and delete the in-person workshop bit there, and we'll just take

1 it out completely. Next to "red tide", in parentheses, put "in  
2 person". Next to "changes in the mean weight estimation  
3 procedure", put "via webinar". Then what is the pleasure of  
4 the SSC for recreational catch and effort? Think about this  
5 also in context of the comparison between the Florida State Reef  
6 Fish Survey and MRIP, and is this best served in person, or can  
7 it be done via webinar? That's a question.

8  
9 **CHAIRMAN NANCE:** I think webinar.

10  
11 **DR. TOLAN:** Mr. Chairman, if I may?

12  
13 **CHAIRMAN NANCE:** Yes, Jim.

14  
15 **DR. TOLAN:** Having been the leader for the landings and CPUE  
16 group for red snapper, the very recent one, I think the quality  
17 of the data that was out there and the number of people that  
18 participated, we did just fine with a webinar, and so I would  
19 agree that this one could be handled by webinar.

20  
21 **CHAIRMAN NANCE:** Thank you very much, Jim, for that input.  
22 Trevor, you had a comment?

23  
24 **DR. MONCRIEF:** My only comment is -- On that one, doing it via  
25 webinar I don't think too much matters, but those two -- I know  
26 the weight estimation procedure is fairly analytical, and there  
27 will probably be a little more conversation, but I was thinking  
28 the two could probably be combined, but, since they're both  
29 separate webinars, it should be no problem.

30  
31 **CHAIRMAN NANCE:** Thank you. Any other -- David, yes.

32  
33 **DR. GRIFFITH:** Given the importance of red tide, I was just  
34 wondering if -- It's going to affect a whole bunch of different  
35 species, and I was just wondering if -- Is there another way to  
36 actually -- Rather than within the SEDAR, to focus on that as a  
37 working group for a whole bunch of species, rather than just  
38 red grouper, or does it have to come under something like this?

39  
40 **MR. RINDONE:** It's funny that you mention that, because that  
41 was exactly what I was just texting Ms. Guyas about, about how  
42 this isn't the only species for which this situation would exist  
43 for the State of Florida, and it exists for gag, and it exists  
44 for, obviously, red grouper, and several of the southeast U.S.  
45 species that we manage along with the South Atlantic Council,  
46 like mutton snapper and black grouper, yellowtail, et cetera.

47  
48 There is definitely some other species that would fall into

1 this, and, looking at all of those species and the relationship  
2 between, and the differences between, SERFS and MRIP would be a  
3 larger SEDAR procedural thing, I think. That would be a larger  
4 separate effort, probably separate from this assessment itself.  
5

6 I think that, in the interest of making sure that all the I's  
7 are dotted and the T's are crossed for red grouper, what you  
8 guys have in here is appropriate, but you could also recommend  
9 to the SEDAR Steering Committee, of which the council's two  
10 members are currently here, Dr. Simmons and Dr. Frazer, that  
11 the idea of a workshop of some fashion to explore the differences  
12 between SERFS and MRIP would be beneficial to the SEDAR process  
13 for multiple species, and that certainly does seem to be the  
14 case. Perhaps, after we tie the bow onto the scope of work,  
15 that's something that you guys could formally recommend.  
16

17 **CHAIRMAN NANCE:** Let's go ahead and finish this one. We need a  
18 motion to approve this document, with the edits that we've made.  
19

20 **SSC MEMBER:** So moved.  
21

22 **CHAIRMAN NANCE:** Okay. Any opposition to that?  
23

24 **MR. RINDONE:** You need a second.  
25

26 **CHAIRMAN NANCE:** Okay.  
27

28 **DR. BARBIERI:** Second, Mr. Chairman.  
29

30 **CHAIRMAN NANCE:** Okay. Perfect. **Any opposition to that?** Thank  
31 you. If we would like to make a motion, I am open to that, for  
32 a red tide meeting, to be able to explore the effects of red  
33 tide on different species.  
34

35 **DR. POWERS:** Ryan, we're talking about like a best practices  
36 type of workshop or something like that?  
37

38 **MR. RINDONE:** Yes, and so, with respect to the difference between  
39 the State Reef Fish Survey and MRIP, it would be like a best  
40 practices thing, basically to look at the relationship between  
41 the two surveys and the differences for all the species for  
42 which the State Reef Fish Survey currently includes, which,  
43 right now, it's ten species, and, in the future, it's going to  
44 be increased to I think thirteen species, once they get a few  
45 more years of data.  
46

47 This would be something that, because it spans so many species  
48 that are managed both by the state and federally, a SEDAR

1 procedural workshop seems a good look to be able to look at all  
2 of that at once, rather than species-by-species.

3  
4 **DR. POWERS:** Yes, and so the only problem, issue, that I see  
5 with that is, obviously, we're talking Florida now, because of  
6 red grouper, but Alabama and Mississippi and all of them have  
7 their state datasets now, and so I could see each one wanting  
8 the opportunity for the different species in question, to do  
9 precisely that. It came up with red grouper by Luiz, justifiably  
10 so, because Florida -- Obviously, red grouper in Florida would  
11 be the only state that has a comparable dataset, but I think,  
12 once we open this box, each state is going to want to be  
13 involved.

14  
15 **MR. RINDONE:** To that point, Mr. Chair, you guys could certainly  
16 constrain this to the species that primarily or only occur in  
17 Florida waters, and, for instance, like yellowtail snapper isn't  
18 really found in any measurable quantities that are relevant  
19 outside of Florida, and the same mostly with gag, with red  
20 grouper, like with those kinds of species. Obviously, for  
21 something like red snapper, there are multiple different  
22 datasets that are available to quantify recreational catch and  
23 effort for red snapper, and so that particular species might  
24 not be a subject in this procedural workshop. You guys could  
25 identify that, and I think Luiz would probably be key to helping  
26 to identify which species.

27  
28 **CHAIRMAN NANCE:** Julie, did you still have your hand up on  
29 something?

30  
31 **DR. NEER:** I do, and I just wanted to -- As you continue this  
32 discussion, I wanted to -- Two things to be aware of. One,  
33 you're talking likely a procedural workshop will not happen  
34 until 2024, at the earliest, most likely, and so, if you want  
35 to go through the SEDAR process, this is quite a bit down the  
36 line, and that's not saying you shouldn't recommend it.

37  
38 I also want to let you know that the procedural workshops are  
39 usually -- They make sure that the topic spans and can take all  
40 of the species that all of the cooperators can be involved, with  
41 regard to the importance for -- This is certainly an issue  
42 within the Gulf, with red tide, and this is not an issue in the  
43 South Atlantic for any of the other cooperators, and so just  
44 keep that in mind when you're crafting whatever your request  
45 might be.

46  
47 Third, I think it's an excellent idea to try to do this outside  
48 of an individual assessment, and the SEDAR procedural workshops

1 are one way to handle it, and there might be a way that the  
2 council can organize something on its own, with the help of the  
3 Science Center, and produce information and review things  
4 outside of SEDAR, where you might have more flexibility in  
5 timing and can tackle more than one issue.

6  
7 Just, as you're crafting your motion recommending this be given  
8 its own look, especially for red tide, maybe think about those  
9 things and how you word your motion, to leave a little bit of  
10 flexibility of who might need to make this happen, so that it  
11 gets done in a timely fashion, because it is an important issue  
12 that does cross a variety of species within the Gulf, but is  
13 not a huge topic in some of the other regions. Thank you.

14  
15 **CHAIRMAN NANCE:** Thank you, Julie. Benny.

16  
17 **DR. GALLAWAY:** I believe the Fishery Ecosystem Management Plan  
18 will address red tide as one of the ecosystem issues of  
19 consequence in the report, and Carrie or Mandy might wish to  
20 speak to that also, but I will be meeting with the program  
21 manager this afternoon, later, and I'm sure that red tide is on  
22 that list, and so it will be addressed very soon, with a  
23 presentation in the next week or so in the Fishery Ecosystem  
24 Management Plan study.

25  
26 **CHAIRMAN NANCE:** Okay. Thank you. Jason.

27  
28 **MR. ADRIANCE:** Thank you, Mr. Chair. To the point of -- Sean  
29 brought it up a little bit, but you have -- While some of these  
30 state surveys focus specifically on red snapper, some cover all  
31 species, and so I hate to say the "C" word, but it sounds a lot  
32 like calibration to me, just outside of red snapper. Anyway,  
33 thanks.

34  
35 **CHAIRMAN NANCE:** You're welcome. Thank you. Jim.

36  
37 **DR. TOLAN:** Thank you, Mr. Chairman. Jason I think covered the  
38 question that I was just about to ask, and it really was a  
39 question for the folks in Florida. When you do have a red tide,  
40 and you have an assessment, what level of detail do you normally  
41 go to, because I know, here in Texas, when we get our pretty  
42 bad red tides, it's long along the Gulf beach, and it's pretty  
43 much everything we run across, and we're counting everything,  
44 and we're putting them into different size bins, and so we're  
45 getting a bunch of information, but I was just curious, on the  
46 Florida side, what level of detail you're working with. Thank  
47 you.

1 **CHAIRMAN NANCE:** Thank you. Any other discussion? Any motion?  
2 Luiz.

3  
4 **DR. BARBIERI:** Thank you, Mr. Chairman. Just to Jim's question  
5 there, Jim, we try to collect some information on the sizes and  
6 ages and species that are being impacted by the red tide events,  
7 but, as you know, this can be a very overwhelming effort that,  
8 in some ways, depending on the area coverage, can be highly  
9 inaccurate and imprecise and generate sometimes more confusion  
10 than not.

11  
12 We mainly just try to incorporate the information that's coming  
13 through the indices of abundance, with the idea that, if an  
14 event is large enough to have stock-wide-level impacts, it will  
15 show up in the indices that are really successfully indexing  
16 abundance for that stock.

17  
18 Of course, that doesn't really work all the time, and that  
19 doesn't include sometimes the level of detail that we would like  
20 to have there, and so efforts like the Center has been conducting  
21 and then the projects that Dave Chagaris and others have been  
22 working on, to try and more explicitly integrate those effects,  
23 are better, and they improved to just the general assessment  
24 process, but we try to integrate some level of those impacts  
25 into our state species assessments, but in a limited way that  
26 never has gone as extensively as what we see with some of those  
27 other assessments. I hope that answers your question, Jim.

28  
29 **DR. TOLAN:** Mr. Chairman, if I may?

30  
31 **CHAIRMAN NANCE:** Absolutely.

32  
33 **DR. TOLAN:** Thank you so much, Luiz. I wholeheartedly agree  
34 that the accuracy of some of these assessments, especially when  
35 they can range hundreds and hundreds of miles up and down the  
36 coast, here in Texas, and so, again, like you guys, we do what  
37 we can with the personnel that we have, and we try to capture  
38 the event, but, when you have one of these -- Like especially  
39 in Florida, and you have these long-term events, and they're  
40 going on and on and on, and it's really hard to keep up with  
41 what's fresh and what's not and what's coming in, and so I fully  
42 agree that the accuracy can be an issue, but that's all I have  
43 to say on red tide. Thank you.

44  
45 **CHAIRMAN NANCE:** Thank you very much. Katie.

46  
47 **DR. SIEGFRIED:** Thank you, Mr. Chair. Feel free to tell me to  
48 wait until the Science Center gets these scopes of work to make

1 my comments, and I certainly don't want to impede the SSC's  
2 ability to make their comments freely, but I just have a couple  
3 of comments for you.

4  
5 One of them is about just clarifying for me what we were just  
6 discussing, and are we talking about the way that we model red  
7 tide, or are we talking about the way that we monitor during  
8 red tide, because I see this procedural workshop, which I'm  
9 concerned that we wouldn't actually be able to have until 2024,  
10 might be conflating the two, and, actually, what we were  
11 discussing, at least internally, is we still don't quite have  
12 the time -- We haven't had the time or quite know how to model  
13 red tide effectively, and we've talked to Dave Chagaris a lot  
14 about this, and it's like we need to wait until we have our  
15 research track for red grouper in order to explore all these  
16 things.

17  
18 We just can't go down every avenue of just what Dave has  
19 discovered during his research if it's an operational, and so I  
20 don't know if it was discussed as to whether the red grouper  
21 assessment could be a research track, and it's certainly  
22 important, and you have your three topical working groups, and  
23 it seems like the group could actually make even more, and so I  
24 see this as a really good candidate for that, but I understand  
25 if that's not the council's choice.

26  
27 The other thing I was going to ask about is I guess the  
28 calibration side of it, and so I didn't actually see it as both  
29 the monitoring and modeling, and Sean is right that, if we go  
30 down that path, we would have to discuss calibration and all of  
31 the state data, which I didn't see as conflated with red tide,  
32 and so those are just my comments. Thanks.

33  
34 **CHAIRMAN NANCE:** You're very welcome. I was looking, and maybe  
35 I'm wrong here, Katie, but I was looking more as a monitoring,  
36 as opposed to modeling. Is there other -- Go ahead, Trevor.

37  
38 **DR. MONCRIEF:** I mean, I think you would have to do a little  
39 bit of both, right? You would have to take into account the  
40 surveys, the monitoring, the effects, and then, within the  
41 framework of the operational assessment, what your constraints  
42 are, and come up with some reasonable analyses to move forward,  
43 whether it be just sensitivities on age-specific mortality or  
44 increased natural mortality or something else like that, and so  
45 that was my thought.

46  
47 **CHAIRMAN NANCE:** I guess, with that, Ryan, do we -- On the  
48 topical groups, we just have red tide there, and is that too

1 open?

2

3 **MR. RINDONE:** For the purposes of a topical working group,  
4 probably. When the Science Center is looking at this  
5 information, they're trying to determine workload and time and  
6 the data that are going to need to be gathered and who needs to  
7 be asked what, and specificity is certainly their friend, and  
8 so, if there's a specific aspect of red tide that you guys, or  
9 a couple of aspects of red tide that you guys, really want to  
10 zero-in on, it would certainly help the process to list those.

11

12 **CHAIRMAN NANCE:** I think, to help the Center, instead of just  
13 having red tide, we need to be more specific on what the topic  
14 is that we're interested in. Sean.

15

16 **DR. POWERS:** I think the lower-hanging fruit is two. One is  
17 how do you model the mortality events, and, secondly, what type  
18 of index of red tide, an environmental covariate, you can put  
19 in the model, and I think those, to me, are the two immediate  
20 ones.

21

22 There's larger questions on ecosystem and food web and all those  
23 other things, but the most proximate for stock assessment is  
24 how do you deal with the mortality, and that's the question of  
25 age specific as well as general mortality, and then what kind  
26 of index can we put in, and I know some work has been done on  
27 both of those, and so a lot of it is just synthesizing what's  
28 been done and trying to figure out what's the next step, and I  
29 think those are the two topics most relevant for a stock  
30 assessment.

31

32 **MR. RINDONE:** For that first bullet under topical working  
33 groups, after red tide, we're going to put "age-specific  
34 episodic mortality and red tide index development". Dr. Powers,  
35 what do you think? All right.

36

37 **CHAIRMAN NANCE:** Do we need to have another motion to approve  
38 that change? I would think.

39

40 **MR. RINDONE:** Yes, you guys could make a --

41

42 **CHAIRMAN NANCE:** Anyway --

43

44 **MR. RINDONE:** I mean, we follow Roberts Rules here, and so,  
45 technically, you would have to have a motion to reconsider the  
46 previous motion and then make a new motion, but it doesn't seem  
47 as if there would be a lot of mutinous mumblings about --

48

1 **CHAIRMAN NANCE:** I hope not.

2  
3 **MR. RINDONE:** So at your pleasure, Mr. Chair.

4  
5 **CHAIRMAN NANCE:** Is there any opposition to approve the edits  
6 that have been made in the red grouper operational assessment  
7 scope of work? Hearing none.

8  
9 **MR. RINDONE:** All right. I've got it, and I will send this to  
10 SEDAR, so that they can share it with the Science Center and we  
11 can get to work on plotting out a schedule for this thing.

12  
13 **CHAIRMAN NANCE:** Thank you very much. I guess our next item is  
14 --

15  
16 **MR. RINDONE:** Topical working groups for SEDAR 75.

17  
18 **CHAIRMAN NANCE:** So it's Topic X. Ryan, would you bring that  
19 one up, please?

20  
21 **DETERMINATION OF TOPICAL WORKING GROUPS FOR SEDAR 75: GULF OF**  
22 **MEXICO GRAY SNAPPER OPERATIONAL ASSESSMENT**

23  
24 **MR. RINDONE:** Sure. If we can go to the scope of work, then I  
25 will tell you what's going on with this, or, generally speaking,  
26 I can just tell you anyway. SEDAR 75 is going to assess the  
27 Gulf of Mexico gray snapper, and it follows the SEDAR 51 stock  
28 assessment.

29  
30 There is going to be two topical working groups at this time,  
31 one for life history and one for recreational catch and effort,  
32 specifically looking at the effect of the shore mode on  
33 recreational catch and effort for gray snapper. The shore mode  
34 constitutes a significant portion of the landings, especially  
35 in Florida, and so, right now, these are the people that I have  
36 listed for participating in SEDAR 75: Jim Tolan, Doug Gregory,  
37 Steven Scyphers, and Jim Nance. There are also some other  
38 members that are part of our larger SEDAR pool that are members  
39 of FWRI and then other fishermen.

40  
41 At this time, given the diverse makeup of the SSC participants  
42 and the other participants, it is my advice that all of you be  
43 appointed to both topical working groups. It seems as if you  
44 would all have something to contribute under both, and so,  
45 unless there is some objection to that, that's the path forward.  
46 Does anyone think that a poor idea? Brilliant. I like it.  
47 Make sure that ends up in the transcription, that it's a  
48 brilliant idea. All right. We can move on from that one, Mr.

1 Chair. That one was easy.

2

3 **CHAIRMAN NANCE:** Okay. The last one is scope of work for the  
4 vermilion snapper operational assessment, and it's Topic Number  
5 XII.

6

7 **SCOPE OF WORK FOR VERMILION SNAPPER OPERATIONAL ASSESSMENT**

8

9 **MR. RINDONE:** For this one, just like with red grouper, we're  
10 going to review the scope of work, and this assessment is going  
11 to take place in 2024, using data through 2023, and, just like  
12 the last one, you guys just take a look and see what we have  
13 listed in here for what to do for vermilion and see what kind  
14 of changes that you want to make.

15

16 We don't have as many things listed in here for vermilion,  
17 mostly because there hasn't been much change in the data  
18 available for the species, and the SEDAR 67 assessment used the  
19 MRIP-FES data, but we haven't implemented catch limits yet,  
20 based off the recommendations from the SSC, from I think it was  
21 June of 2020, and so we've been a little backed up in amendment  
22 development, and there's lots of things going on.

23

24 The catch advice that would result from this assessment though  
25 wouldn't be expected to be incorporated until sometime in  
26 probably 2025, and so there's still plenty of time to implement  
27 those new catch recommendations from the SSC following SEDAR  
28 67.

29

30 What we have listed in here is to document any changes in the  
31 MRIP data, pre and post-calibration, in terms of the magnitude  
32 of changes to catch and effort, and compare that to SEDAR 67,  
33 and then to update the life history information, if warranted,  
34 and then that's really it.

35

36 The updated status determination criteria, as listed in  
37 Amendment 44, are included in Scope of Work Item Number III  
38 there. Then do the report. An in-person workshop or topical  
39 working groups are not currently recommended for vermilion.  
40 Does anyone have any edits to this?

41

42 **CHAIRMAN NANCE:** Dr. Griffith.

43

44 **DR. GRIFFITH:** I don't have an edit, but I was just wondering  
45 what is your knowledge of the vermilion snapper stock? I know,  
46 when I was doing that study of the IFQ program, they were saying  
47 that vermilion was the one that a lot of people were going to  
48 shift to if they were cut out of -- If they didn't get catch

1 shares, or didn't get enough catch shares, and so I was just  
2 curious what's gone on in the past few years with the stock,  
3 that you know of.

4  
5 **MR. RINDONE:** Thank you. SEDAR 67 reported the stock as healthy,  
6 and I think one the comments was these things grow like weeds,  
7 and so the stock does appear to be pretty healthy, and it's not  
8 a stock that we hear about from fishermen as being one that they  
9 think is imperiled, and we know, from other species, that  
10 they've not been shy to let us know when they think something  
11 is on a downturn.

12  
13 We don't have any data to suggest, at this time, that there is  
14 a dramatic amount of effort shifting or anything like that going  
15 on, or anything like that, or anything biological occurring with  
16 the stock that would somehow impede its ability to support  
17 removals through fishery activity, and so that's what I have.

18  
19 **CHAIRMAN NANCE:** Any other comments? Rich.

20  
21 **DR. WOODWARD:** I am just curious, and I don't know whether this  
22 belongs in the SEDAR process or not, but we just had this long  
23 discussion about adjusting the harvest control rule based on  
24 index-based adjustments, and the reference was that they had  
25 done this for vermilion snapper, and is that something that  
26 would be normally included in a SEDAR-type of document, or is  
27 that always ex-post in an SSC discussion?

28  
29 **MR. RINDONE:** I will kind of punt to the Science Center on this  
30 one, if they think that the Huynh study is something that should  
31 be considered within the scope of the vermilion snapper  
32 operational assessment. Katie, are you around?

33  
34 **DR. SIEGFRIED:** Yes, I'm here. Sorry. My audio was not working  
35 for Rich's comment, but I heard you, Ryan. Is the question why  
36 wouldn't we just do an interim instead of an operational?

37  
38 **MR. RINDONE:** Rich, do you want to restate your question for  
39 Katie, please?

40  
41 **DR. WOODWARD:** My question was, I mean, we had this discussion  
42 about index-based adjustments in the harvest control rule, and  
43 is that something that would typically be -- Is that the type  
44 of analysis that would typically be done within the context of  
45 a SEDAR document, or is that something that is outside the scope  
46 entirely of those type of analyses?

47  
48 **DR. SIEGFRIED:** The interim assessments have been requested from

1 the council, and they are not SEDAR processes. They are not  
2 run by SEDAR, and so the interim-based approach is separate.  
3 That would have to be requested instead of, or I guess in lieu  
4 of, or after the operational assessment, in order to maintain  
5 management advice in between SEDAR-run assessments. We didn't  
6 decide -- The Science Center didn't decide whether this was an  
7 interim or an operational.

8  
9 **DR. WOODWARD:** So let me rephrase my question. Is analysis of  
10 an index-based harvest control rule outside the scope of this  
11 scope of work?

12  
13 **DR. SIEGFRIED:** That is separate, yes.

14  
15 **DR. WOODWARD:** That's all I wanted to know. Thank you.

16  
17 **CHAIRMAN NANCE:** Harry.

18  
19 **MR. BLANCHET:** This kind of goes to Luiz's point about the last,  
20 or one of the prior terms of reference, but is this another one  
21 where we want to be comparing state-level data versus the MRIP  
22 recreational harvest data? That's a question.

23  
24 **MR. RINDONE:** Luiz, is vermilion included in SERFS? I didn't  
25 think that it was.

26  
27 **DR. BARBIERI:** No, that's not included, Ryan. You're correct.

28  
29 **MR. RINDONE:** So the other recreational catch and effort  
30 datasets would be TPWD and LA Creel, and I think that's it for  
31 vermilion, and so TPWD being the only one available for Texas,  
32 because MRIP hasn't operated there, and then LA Creel being the  
33 only index available for Louisiana from 2014 on, but, beyond  
34 that, it would be MRIP for Mississippi, Alabama, and Louisiana.

35  
36 **MR. BLANCHET:** So, basically, it is what it is. Okay.

37  
38 **MR. RINDONE:** It is what it is.

39  
40 **CHAIRMAN NANCE:** Yes. Julie.

41  
42 **DR. NEER:** I just wanted to quickly follow-up on Rich's question  
43 with regard to operational versus interim, and so the SEDAR  
44 manages research tracks and operationals, and those are the full  
45 assessment processes, and, out of those assessment processes,  
46 we get status updates, stock status determinations, out of those  
47 processes. Well, just from operationals, but we get stock  
48 status processes, and we update all of the information from the

1 last assessment. If the last terminal year was 2017, we'll  
2 update it through 2022 or whatever is feasible for when the  
3 assessment gets done.

4  
5 The interim analyses that happen in between are simply -- You  
6 don't produce a stock status update, and you don't update all  
7 of the data. You only update that one index, or that one piece  
8 of information that was determined to be the thing we're using  
9 to track the stocks between doing full assessments, and so it's  
10 not necessarily outside the scope of looking at that, but it's  
11 a very different process.

12  
13 With regard to this operational assessment for vermilion, we  
14 would update all the data from the last assessment and look at  
15 -- So that we have up-to-date data, and come up with potentially  
16 a new stock status, and give you all the management parameters,  
17 whereas you don't get all of that out of an interim, and you  
18 just get a how to adjust your ABCs, up or down, essentially,  
19 and so I just wanted to try and clarify that, because I really  
20 didn't talk about interims in my presentation, because, as Katie  
21 said, and she's correct, those are negotiated between the  
22 Science Center and the cooperators directly, and SEDAR is not  
23 really a part of those. Thanks.

24  
25 **CHAIRMAN NANCE:** Thank you. Any edits to this TOR? Does someone  
26 want to move to accept these?

27  
28 **DR. MONCRIEF:** I will make the motion to accept.

29  
30 **CHAIRMAN NANCE:** Okay. Do we have a second?

31  
32 **DR. POWERS:** Second.

33  
34 **CHAIRMAN NANCE:** Any opposition? Okay. So moved. That ends  
35 for today.

36  
37 **MR. RINDONE:** Good job, everybody. You survived your first day.

38  
39 **CHAIRMAN NANCE:** Tomorrow, we start at 7:30.

40  
41 **MR. RINDONE:** Tomorrow, we start at 8:30, Eastern Time.

42  
43 **CHAIRMAN NANCE:** I was doing Galveston time.

44  
45 **MR. RINDONE:** 8:30 a.m. Eastern Time tomorrow, everybody. Thank  
46 you.

47  
48 **CHAIRMAN NANCE:** Thanks to everyone that participated.

1  
2 (Whereupon, the meeting recessed on August 9, 2021.)  
3

4 - - -

5  
6 August 10, 2021

7  
8 TUESDAY MORNING SESSION  
9

10 - - -  
11

12 The Meeting of the Gulf of Mexico Fishery Management Council  
13 Standing and Special Reef Fish, Special Socioeconomic & Special  
14 Ecosystem Scientific and Statistical Committees reconvened on  
15 Tuesday morning, August 10, 2021, and was called to order by  
16 Chairman Jim Nance.  
17

18 **CHAIRMAN NANCE:** Welcome, everybody, to the SSC on the second  
19 day. We're going to start with Item XIII, Determination of  
20 Approach to Assess the Gulf of Mexico Tilefish Complex.  
21

22 **DETERMINATION OF APPROACH TO ASSESS GULF OF MEXICO TILEFISH**  
23 **COMPLEX**  
24

25 **MR. RINDONE:** Thank you, Mr. Chair. This is more of like an  
26 open discussion and trying to get information from you guys on  
27 what you think about this, and so the council has been talking  
28 with the SEDAR Steering Committee about another assessment for  
29 Gulf of Mexico tilefish.  
30

31 The last assessment proved pretty difficult, because we had  
32 landings data, but not a terrible amount more than that, as far  
33 as information on the different species. In the Gulf,  
34 originally, we had five species of tilefish for which the Gulf  
35 was responsible, and it was golden, blueline, goldface,  
36 blackline, and anchor tilefish.  
37

38 In 2010, when the IFQ program began for the tilefish complex,  
39 all five species were included, and then, in 2012, anchor and  
40 blackline tilefish were removed from that share category, the  
41 landings being almost zero most of the time, and so the golden  
42 tilefish is the species that was kind of used as like an  
43 indicator for the rest of the tilefish complex in SEDAR 22, but  
44 SEDAR 22 did include those three species, and so golden,  
45 blueline, and goldface.  
46

47 Landings of all of those, of those three species, are somewhat  
48 consistent for the commercial sector and pretty intermittent

1 for the recreational sector in years past, but, as you approach  
2 the current year, there are ever increasing numbers of -- Or  
3 ever increasing landings by the recreational sector of tilefish,  
4 as you see more recreational fishermen operating larger boats  
5 that can go out further and, within one fishing day, operating  
6 larger transducers, under higher power, and they're able to  
7 better map the bottom and better find these fish.

8  
9 Deep-dropping by recreational fishermen has gotten a lot more  
10 popular, especially with improvements in electric reel  
11 technology and just general availability of more data to try to  
12 find these fish.

13  
14 When the South Atlantic did its assessment for SEDAR 50 for  
15 blueline tilefish, there was a lot of debate about connectivity  
16 between the Gulf and the Atlantic with respect to blueline  
17 populations on the West Florida Shelf. There's not a terrible  
18 amount of information on blueline on the West Florida Shelf, or  
19 anywhere else in the Gulf for that matter, but it stood to  
20 reason that, given current patterns in the Gulf, going through  
21 the Straits of Florida, that there was probably some gene flow  
22 going from the Gulf to the Atlantic to at least support  
23 homogeneity, from a genetic standpoint, between the stocks.

24  
25 Tilefish are not a migratory species though, and so there's no  
26 presumption that blueline tilefish are going from the Gulf to  
27 the Atlantic, and so the Straits of Florida would still serve  
28 as a population bottleneck, like a geographic barrier, between  
29 the stocks, as far as that is concerned.

30  
31 Basically, what we're looking for from you guys is just some  
32 open discussion about, based on the findings from the SEDAR 22  
33 stock assessment report that are up on the website and our  
34 contemporary understanding of tilefish, for which there hasn't  
35 been much work done on tilefish species in the Gulf since then,  
36 and a couple of things, but not much, would the -- What approach  
37 should the council consider when trying to figure out how it  
38 should move forward with assessing these stocks? Is it  
39 something that we should take a swing at individually, or should  
40 we consider them a complex, bearing in mind the data environment  
41 and how we typically have been trying to look at these things,  
42 and so I will open the floor.

43  
44 **DR. CRABTREE:** Ryan, when we did the previous assessment, that  
45 was golden tile, and is that correct, SEDAR 67?

46  
47 **MR. RINDONE:** It was 22, actually, was the last time any of the  
48 tilefish were assessed.

1  
2 **DR. CRABTREE:** Was that golden?  
3  
4 **MR. RINDONE:** It was golden, but it was considered for all  
5 three.  
6  
7 **DR. CRABTREE:** When I have looked at this fishery in the past,  
8 the recreational landings are probably increasing, and I think  
9 that's probably real, but, boy, when you look at the catch  
10 estimates, they really suffer from low numbers of intercepts,  
11 and I can recall a number of occasions where one intercept would  
12 drive the estimate essentially through the roof. Then, in the  
13 previous assessment, were they able to come to a status  
14 determination, or was it inclusive, or what happened?  
15  
16 **MR. RINDONE:** It was inconclusive, as far as whether the stock  
17 was overfished or not, and then overfishing, since it's just  
18 been measured based on the average landings in our Tier 3, and  
19 so --  
20  
21 **DR. CRABTREE:** I know, for years, we've done golden tilefish  
22 assessments in the South Atlantic, and blueline as well,  
23 although there have been a lot of issues, more issues, really  
24 with that one, and the Mid has done assessments on golden  
25 tilefish, and I think those have all come to conclusions.  
26 Whether you believe them or not is a different story, but they  
27 have come to status determination conclusions, and I wonder if  
28 anyone has looked and compared the two. I would think we have  
29 more data in the Gulf, but I don't really know if that's true,  
30 and I think we have higher landings in the Gulf than in the  
31 South Atlantic, but I'm not even sure of that.  
32  
33 **MR. RINDONE:** I can try and look that up, real quick, just like  
34 a landings comparison.  
35  
36 **DR. CRABTREE:** Well, it would seem, to me, to be kind of a  
37 starting point, is to see what the other -- Look at golden and  
38 what have they done in the other regions and what has worked  
39 and what hasn't.  
40  
41 **MR. RINDONE:** Well, they have more data on tilefish species in  
42 the Atlantic than we do in the Gulf, and so we might have  
43 comparable landings, but the SEDAR 50 assessment focused  
44 exclusively on blueline, but, again, based on the -- There was  
45 a lot of debate in the data workshop for blueline about the  
46 connectivity between the Gulf and the Atlantic, and those in  
47 favor of saying that the West Florida Shelf was connected to  
48 the Atlantic, as far as justification for a single-stock

1 hypothesis, it was based mostly on there being habitat that  
2 seemed reasonable to be occupied by blueline tilefish from west  
3 Florida through the Keys and up the east coast of Florida, and  
4 it seemed reasonable, based on the current patterns, that larvae  
5 could be making the trek.

6  
7 **DR. CRABTREE:** Well, I'm sure they are, and I remember that  
8 debate very well, and the council, the South Atlantic more, was  
9 pretty adamant that they wanted the assessment break at the  
10 line, and no one felt that the fact that some larvae may come  
11 around -- That's true of everything, and it's going to be true  
12 of any snapper and grouper species, and so that didn't seem like  
13 a compelling reason for why we would jumble these together, and  
14 I know, over there, it's been a longstanding issue with the Mid-  
15 Atlantic about how to divvy up management of things like  
16 blueline tile.

17  
18 We've done separate golden tile assessments for the South  
19 Atlantic and the Mid, even though there is even less of an  
20 apparent boundary between the two, and so that's just some  
21 background.

22  
23 **MR. RINDONE:** As it stands right now -- Based on the generic  
24 annual catch limits and accountability measures amendment that  
25 was implemented in 2012, there's a 582,000-pound gutted weight  
26 allocation to the commercial sector for the entirety of the  
27 tilefish IFQ program, and that constitutes 99.7 percent of what  
28 the total allocation would be, and so only 0.3 percent to the  
29 recreational sector.

30  
31 Typically, the entirety of the tilefish IFQ program isn't  
32 landed, and so -- Recreational landings being historically  
33 pretty low, it's not been something that the Southeast Regional  
34 Office has been flagging to us as there being an outstanding  
35 issue or anything like that with tilefish landings, where we  
36 need to be paying closer attention to it, but, again, this is  
37 for all species combined, and so they're not reported to us by  
38 individual species.

39  
40 **CHAIRMAN NANCE:** David Griffith.

41  
42 **DR. GRIFFITH:** The last assessment was done in 2011, and is that  
43 right?

44  
45 **MR. RINDONE:** Using data through 2009, yes.

46  
47 **DR. GRIFFITH:** Okay. Since then, is that when the recreational  
48 sector has seen tilefish as a much more popular species?

1  
2 **MR. RINDONE:** Yes, and it's growing in popularity because the  
3 technology has improved, and more fishermen have larger boats  
4 that are able to go out to those depths and try to fish for  
5 those species within the course of a day.

6  
7 Depending on where you are in the Gulf, the frequency of that  
8 activity has increased at a faster rate, and so, like up in the  
9 northern Gulf, where you don't have to go offshore quite as far to  
10 get into deeper water, that practice has picked up, and there's  
11 some charter captains up there that have been telling us about  
12 that, but, off of like Florida and Texas, the upper West Florida  
13 Shelf and the Texas shelf, you could have to go quite a ways  
14 offshore in order to get there, but, if you're in a thirty-six-  
15 foot Contender, with triple 350s on the back of it, you can get  
16 out there and back in the course of a day.

17  
18 **DR. GRIFFITH:** How about the commercial sector? Has the  
19 popularity of the species gone up with dealers and the market  
20 and stuff, because I recall, when I was doing some work in  
21 Charleston, there was some interest in golden tilefish by local  
22 chefs and stuff like that, and so it was kind of starting a  
23 market there for them, and so I was wondering if the same thing  
24 is going on with the commercial sector. When I was doing the  
25 work on the IFQ program, tilefish was kind of an incidental  
26 species, and it wasn't that big of a deal.

27  
28 **MR. RINDONE:** For the commercial fleets, they have always landed  
29 them in the longline fleets, and so, in some areas, they focus  
30 more on other grouper species, like historically in the eastern  
31 Gulf, before they were pushed out offshore a little bit further,  
32 but, in the central and western Gulf as well, when they're  
33 fishing for things like scamp and deepwater grouper species,  
34 and they do get tilefish.

35  
36 Insofar as I am aware, and I don't know if Matt is listening  
37 in, or Assane is listening in, and they might have more  
38 information on this, but the market has been relatively steady,  
39 and so, Mr. Chair, you have Luiz and Paul and Carrie.

40  
41 **CHAIRMAN NANCE:** Thank you. Luiz.

42  
43 **DR. BARBIERI:** Thank you, Mr. Chairman. I just wanted to add a  
44 little bit more background to what Roy presented and talked  
45 about earlier. For golden tilefish over there, in the South  
46 Atlantic, it has been a programmatic assessment, and Roy is  
47 right that they have been able to conduct an age-structured  
48 assessment and obtain stock status determination, but the

1 uncertainties associated primarily with the recreational  
2 estimates, landings estimates, has been really problematic.

3  
4 In perhaps not the last one, but the two previous assessments,  
5 they have major uncertainties that couldn't really be well  
6 explained, and it was just something that we could tell, and it  
7 wasn't easy to get to and have very high -- Blueline tilefish  
8 was an even worse situation. They started over there by trying  
9 to conduct an age-structured model, using BAM, and that didn't  
10 really go anywhere.

11  
12 Then they tried to do a biomass dynamic model, through BAM as  
13 well, but not an age-structured, and that didn't go much  
14 further, and then my recollection is that, for the last time,  
15 they actually had to use a data-limited approach, because they  
16 couldn't get anything better completed for blueline tilefish,  
17 and so I like this approach, Ryan, and I think it's an important  
18 discussion, but this is something that I think we're going to  
19 have to discuss, in terms of broader issues that have to do with  
20 the high uncertainties in some of these landings estimates,  
21 primarily for the recreational sector associated with the  
22 tilefish species and then evaluate if there is some other way  
23 for us to approach recreational fisheries data collection for  
24 these stocks that would be more reliable than what we have in  
25 place right now through MRIP, given the fact that these stocks,  
26 for the recreational sector, is still very much considered rare-  
27 event species. Thank you.

28  
29 **CHAIRMAN NANCE:** Thank you, Luiz. Carrie.

30  
31 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair. I was just  
32 going to point out that, I think in the five-year review of the  
33 IFQ program, it says that, typically, golden tilefish, or  
34 tilefish, account for 80 percent or more of the tilefish complex  
35 landings, and we can circulate this report, if it's not up on  
36 our website yet.

37  
38 **CHAIRMAN NANCE:** What was the percent?

39  
40 **EXECUTIVE DIRECTOR SIMMONS:** 80 percent. However, in recent  
41 years, there has been a shift towards more blueline tilefish  
42 being caught, and we're not sure what may be driving this shift,  
43 but it's something that we should perhaps investigate, and this  
44 was an exchange between Andy and Jessica Stephen and some of  
45 our staff.

46  
47 We can circulate that report, and it says it's Figure 1 on page  
48 32, but I don't -- I mean, would it be worthwhile to consider

1 perhaps that data-poor process that we used, and I think that  
2 ended up that we got some management advice, and maybe not  
3 status determination criteria, but we got some management advice  
4 for lane snapper. If not, then I guess we'll just try something  
5 else, but that's just some ideas to start looking at this again.  
6 Thanks.

7  
8 **CHAIRMAN NANCE:** Plus, I was curious -- There's a whole bunch  
9 of recommendations in SEDAR 22, and it would be interesting to  
10 see those recommendations and then anything that has happened  
11 in order to meet those recommendation needs. I don't know if  
12 there's anywhere where that's listed.

13  
14 **EXECUTIVE DIRECTOR SIMMONS:** I don't know. Ryan, we would have  
15 to look at that. I'm not sure we've made any progress. Do you  
16 know?

17  
18 **MR. RINDONE:** I would venture to guess there has not been any  
19 progress specific to -- I am going to look it up right now, but  
20 I would venture to guess there has not been any specific progress  
21 to tilefish, but there have been substantial improvements in  
22 best practices and model development and just the general way  
23 that Stock Synthesis can operate and handle different types of  
24 data from where we were back in 2009, 2010, and 2011, when this  
25 assessment was done.

26  
27 The Science Center can certainly speak better to the things that  
28 are available, as far as the NMFS Data Limited Toolkit and the  
29 models contained therein, and perhaps some insight on the data  
30 that they know to be available, versus what is necessary to run  
31 the species or the complex through Stock Synthesis.

32  
33 **CHAIRMAN NANCE:** Thank you. Paul.

34  
35 **DR. MICKLE:** Just two things, real quick. First, I would wager  
36 that the recreational landings are probably very underestimated,  
37 and I mean private landings, because these are large boats, like  
38 Ryan said, and, to approach Luiz Barbieri's concerns about the  
39 recreational landings, those large boats leave from private  
40 properties, which never encounter, ever. There is a zero  
41 percent chance they will ever encounter MRIP intercepts.

42  
43 In talking to folks that do this from their private homes, it's  
44 just too hard to launch those large boats at public ramps and  
45 annoy everyone around you, and they don't have to, and so they  
46 launch from their houses, or they have the boat houses they  
47 launch from, and they're back by one o'clock, at least in the  
48 central Gulf, and so it's not as far as people think, at least

1 with the technology they possess.

2  
3 Also, they have actually -- A few of them in eastern Louisiana  
4 and western Mississippi, I've gotten a few calls to identify  
5 them, because they are very into tilefish, and they even have  
6 some of the Gulf of Mexico dichotomy books to identify them,  
7 and I have been called, called over to their houses, and there  
8 is maybe some hybridization, and there is some very strange  
9 looking tilefish coming up that don't quite look like golden or  
10 anything else.

11  
12 There is a paper that came out, and this is the last thing that  
13 I want to share, and T.S. Kang put it out in 2019 talking about  
14 some new PCR methods for identifying and differentiating  
15 tilefish species, and there is a lot going on. It's a very  
16 stable environment with deepwater fish, and so a hybridization  
17 is very probable, and it seems like keeping this as a complex  
18 would be a wise thing.

19  
20 I mean, I am giving anecdotal information just to share with  
21 the group, but, yes, they are targeting tilefish, because  
22 they're just so sought after. Just, in my experience, in talking  
23 to folks in the past ten years, they have shown up on menus all  
24 along the east coast and west coast. They are highly prized,  
25 and, once they end up on menus, folks want to go out and get  
26 them themselves, because the price is so high from the  
27 commercial side. If you own a big boat, you want to use it a  
28 lot, and when everything else is closed -- You can go for them  
29 year-round, which is a very attractive endeavor. That's it.

30  
31 **DR. GRIFFITH:** Do you know the time period? Is it over the past  
32 ten years or so that this has happened, since this assessment  
33 came out?

34  
35 **DR. MICKLE:** I don't know if I can answer that. I've just been  
36 getting calls and talking to folks lately, but it's centralized  
37 Gulf, and I'm just imagining Alabama and Louisiana is the same  
38 as what we have here in Mississippi, but I've got a few calls  
39 here and there, and they're mostly identification and just  
40 sharing that they're doing very well, and it's a real steady  
41 fishery for them, and it's not as far as people say when you  
42 can do about seventy-five miles an hour.

43  
44 **SSC MEMBER:** It might be interesting to look through some of  
45 the magazines and internet forums that these people use to  
46 communicate with each other and see if there are more references  
47 to tilefish coming up in those sources. I don't have any  
48 experience looking at those things, but it could be interesting

1 to explore.

2

3 **CHAIRMAN NANCE:** Ryan.

4

5 **MR. RINDONE:** From both personal experience and talking to  
6 fishermen, there is a growing desire by recreational fishermen  
7 to go and catch tilefish, because there is a considerable amount  
8 of effort that is put into catching one, but, if you're deep-  
9 dropping, and you catch two forty to sixty-pound tilefish,  
10 everybody is happy, and so everybody gets to take home nice cuts  
11 of fish, and it makes terrific table fare, which is part of the  
12 reason why it commands the price that it does at seafood  
13 restaurants and at fish houses, and so it's --

14

15 From the fishermen in the northern Gulf that we've talked to,  
16 the guys that are operating charter businesses out of popular  
17 marinas will say that there's a lot more talk about fishing for  
18 deepwater grouper and tilefish species now than there was say  
19 ten years ago.

20

21 **SSC MEMBER:** Is there a challenge to finding them and catching  
22 them that might make them more interesting to anglers?

23

24 **MR. RINDONE:** There is a challenge, and so you have to have the  
25 technology to be able to sound the bottom in a way to understand,  
26 and so, if you're running an off-the-shelf \$500 or \$600 depth-  
27 sounding equipment, you may not have the power to really be able  
28 to sound the bottom in a meaningful way, except for large  
29 features, but, if you're on a large center console, or a sport  
30 fisher, and you have a transducer that's running over a thousand  
31 watts through it, to be able to sound the bottom in much higher  
32 resolution, you can see those shifts in ledges, and you can see  
33 differences in the bottom topography that a smaller vessel with  
34 less-powerful equipment might not be able to see.

35

36 That is where some of the charter vessels have an advantage for  
37 being able to put people on these fish, because it's a business,  
38 and so the investment is just considered a critical part of the  
39 business, but more private recreational fishermen are starting  
40 to run this equipment, and they're getting better at finding  
41 these fish, and it's a challenge, because, when you drop that  
42 deep line down there, you have no idea what you're going to  
43 catch, and so maybe you get a yellowedge, or maybe you get snowy  
44 grouper, or maybe you get a tilefish or a blackbelly rosefish,  
45 or who knows what.

46

47 It's kind of like a lottery, or like playing a slot machine.  
48 When you pull the handle down, you have no idea what you're

1 going to get, and maybe you get something cool, and it's always  
2 exciting.

3  
4 **SSC MEMBER:** It could be kind of an angler's version of the  
5 birders checklist of species they've never caught before, and  
6 that's interesting.

7  
8 **CHAIRMAN NANCE:** Okay. let's go ahead. Shannon.

9  
10 **DR. SHANNON CALAY:** Thank you very much, and congratulations to  
11 you, Jim.

12  
13 **CHAIRMAN NANCE:** Thank you.

14  
15 **DR. CALAY:** From the Science Center's perspective, Ryan is quite  
16 correct when he said that the -- We have evolved quite a bit  
17 with our data-limited and data-moderate methodologies since the  
18 time of SEDAR 22, and, in fact, in the U.S. Caribbean, we have  
19 successfully created both OFLs and ABCs with a data-moderate  
20 implementation of Stock Synthesis, which only uses catch  
21 information and length composition data, but there are other  
22 configurations that could be considered, and, essentially, what  
23 is needed to do a data-limited approach, or a data-moderate  
24 approach, is a reliable time series of catch, an index of  
25 abundance, or length composition data.

26  
27 What I think I would recommend, rather than promising, for  
28 example, to do a research track assessment of this stock, would  
29 be to allow the Science Center to do a data triage, to make sure  
30 that this is a plausible species to assess, and, if it is, we  
31 can let you know what methodologies are feasible.

32  
33 **CHAIRMAN NANCE:** Okay. It sounds like, from just the talk we've  
34 had right here, it sounds like it's a sought after -- It's  
35 getting more popular, and so it would probably be good to do  
36 something with it, but we, obviously, need the data in order to  
37 do that. Roy.

38  
39 **DR. CRABTREE:** Shannon, is there enough in the NMFS longline  
40 survey to get any kind of index of abundance?

41  
42 **DR. CALAY:** Well, that is exactly what we would want to look  
43 into. My recollection of SEDAR 22 is that there were indices  
44 that were attempted, and I think the assessment just didn't  
45 quite meet the standard for using it for management purposes.

46  
47 We do also have a commercial IFQ fishery, and it is possible  
48 that this one might be able to be turned into an index of

1 abundance, but we do need the time to look into that and to see  
2 if the stock is plausible. What, frankly, the Science Center  
3 doesn't want to do is commit to entire an entire research  
4 tracking process and then find out, after all the data that are  
5 provided, that it's not really a candidate for assessment.

6  
7 I would encourage you to basically request a data triage, but  
8 you do need to understand that it does take some time to do that  
9 data triage correctly, and so it may not be something we can  
10 turn around quickly, but I think we could turn it around in a  
11 reasonable timeframe.

12  
13 **CHAIRMAN NANCE:** Thank you very much. Will.

14  
15 **DR. PATTERSON:** Thanks, Jim. A couple of things. The earlier  
16 discussion about whether the fishery actually is, at least on  
17 the recreational side, targeting these deepwater reef fishes  
18 more heavily, I think the anecdotal information is pretty clear  
19 there, but, again, I think it's going to be tough to come up  
20 with an objective way to try to quantify that, but it's  
21 definitely -- As Ryan was pointing out with the electronics,  
22 and the evolution of transducers in particular, the ability to  
23 find soft bottom to target at least golden tilefish has  
24 increased.

25  
26 Charter captains, which typically have more advanced sonars than  
27 just the chirps that you can get on most center consoles, the  
28 challenge is not just the bathymetry, but also the reflectance  
29 of the sediment, and, to the second point here about blue line  
30 as a percentage of the catch, I think it would be worth looking,  
31 at whatever level of detail that the data exist, at what the  
32 spatial distribution of recent recreational golden versus  
33 blue line tilefish landings have been, because the habitats where  
34 they live are different.

35  
36 Golden bury into clay and mud sediment, and blue lines prefer a  
37 little harder bottom, and so the distribution of where they  
38 exist on the upper slope in the northern Gulf is a little bit  
39 different, and, spatially, I think you might find some  
40 differences in where they're being targeted.

41  
42 For example, if the long-range deep-drop fishery in the West  
43 Florida Shelf has increased more so than other places, then you  
44 might see a shift in the distribution, and so I don't think we  
45 can just look at landings trends, but we need to look at this  
46 spatially as well.

47  
48 Then, as far as the data-limited assessment approaches, we

1 published a paper last year using the NMFS Panama City otolith  
2 archive for warsaw, in which we used the Taylor et al. 2004  
3 Bayesian model to estimate growth rates, but also to estimate  
4 mortality, and Rob Ahrens was a part of that, and he's now at  
5 the Pacific Islands Fisheries Science Center.

6  
7 I think, given the amount of otolith data that exists in Panama  
8 City, for golden in particular, this might be an approach that  
9 would be useful. You have to make some assumptions about  
10 selectivity, but you can actually do sensitivities where you  
11 change the shape of the selectivity function in the model, and  
12 we're doing some work, and Beverly Barnett is involved with  
13 this, and some other folks, looking at age validation for some  
14 of these deepwater fishes, and the three that Ryan just  
15 mentioned of yellowedge, golden tilefish, and blackbelly  
16 rosefish are all part of that.

17  
18 We do have some knowledge of what's in the archive, and I think  
19 it's substantial enough that you could potentially explore the  
20 SS length-based approaches that Shannon just mentioned while,  
21 at the same time, trying to utilize the otolith archives and  
22 the age composition data in a little different way than we would  
23 typically use, but might be useful for some of these deepwater  
24 data-limited stocks.

25  
26 **CHAIRMAN NANCE:** Thank you, Will. Doug Gregory.

27  
28 **MR. GREGORY:** Good morning. Thank you. I just wanted to  
29 reinforce what Ryan and Shannon were saying, and I think  
30 Shannon's suggestion of a triage is ideal. I was the chair of  
31 the review workshop for tilefish and the grouper, and what I  
32 remember from that is the tilefish assessment ran into problems,  
33 because SS was a new method for us, and my impression was the  
34 lead analyst chopped up the data too much.

35  
36 There were too many fleets, and there were too many depth zones,  
37 or regions, and there just wasn't the data to support that many  
38 different categories, because I clearly remember telling him  
39 and suggesting that he doesn't do that next time, because his  
40 next assessment was red snapper.

41  
42 I think another look at it would be ideal, without going headlong  
43 into an assessment routine, and I think the Science Center is  
44 the ideal people to take a look at this and give us some advice  
45 on whether we should go with the data-limited approach or use  
46 SS again. Thank you very much.

47  
48 **CHAIRMAN NANCE:** Thank you, Doug. I agree. Trevor.

1  
2 **DR. MONCRIEF:** I think everybody's points so far have been well  
3 made, and I am also in favor of a data triage, just to be able  
4 to see what's there and what's available. One point I was going  
5 to make, on the fisheries side of things, is, I mean, yes, these  
6 guys are going out and targeting golden tilefish, and that  
7 fishery has really expanded over the last few years, as we've  
8 already discussed, but the guys who are doing it are going out  
9 there for a lot of different species, and it's not really just  
10 a specific tilefish fishery, but it's they can go out there and  
11 catch let's just say five to ten species pretty easily that  
12 really don't have seasons, and things that come in the boat can  
13 go straight to the box.

14  
15 That's one of the reasons they do it, with constrained seasons  
16 on the closer-in species and everything else like that, and  
17 that's really what has driven this fishery to be so popular,  
18 along with the advances in technology.

19  
20 The other thing that I was going to point out, and I think Luiz  
21 is about to be up, and he'll probably be able to speak to it a  
22 little bit better, because he was an instrumental part of it,  
23 but the NAS report that came out on management of species with  
24 ACLs and everything has a specific list in there about  
25 identifying an angler universe, an offshore angler universe  
26 within the Gulf of Mexico, and leveraging that, using that, as  
27 a vehicle to identify the magnitude of this fleet that fishes  
28 the deep-drop fishery.

29  
30 That will probably be something that we can look forward to as  
31 we continue to look into that report and everything else, and I  
32 think that's a good way for us to be able to get an idea of how  
33 big the fleet actually is.

34  
35 **CHAIRMAN NANCE:** Thank you very much. Julie.

36  
37 **DR. NEER:** Thank you. Good morning. Shannon touched on some  
38 of what I wanted to bring up, just as a kind of little procedural  
39 thing. Currently, tilefish, or a tilefish complex, assessment,  
40 either way, is slated for 2024, as an operational assessment.  
41 It sounds, from all the discussions here and the discussion the  
42 Science Center has put forward, again, that this might not be  
43 appropriate for an operational, because it sounds like we might  
44 need to change models and try new methods of assessing this  
45 species.

46  
47 I too support the Science Center's suggestion to request a  
48 triage of the data, and then we can more accurately figure out

1 what type of assessment this should be in the SEDAR process. I  
2 don't think it would fall under an operational, which is what  
3 it is currently slated for, but, again, we don't want to invest  
4 a bunch of time in putting it in as a research track if the data  
5 is just not there, and so that's just a little hint on what we  
6 thought we were going to do with it might need to change with  
7 regard to the type of assessment that is requested for this  
8 species this next time. Thank you.

9  
10 **CHAIRMAN NANCE:** Thank you. Ryan, to that point?

11  
12 **MR. RINDONE:** Thank you, Mr. Chair. Julie, we have an assessment  
13 on the books that, granted, ultimately wasn't used for  
14 management advice, but, through that assessment, we identified  
15 some of the data that were available, and there's been some  
16 discussion here about some other data and approaches that might  
17 be considered.

18  
19 Given that -- I kind of wonder and does this have to actually  
20 go in as a research track, if we're considering taking a step  
21 back, as opposed to trying to do something more with these three  
22 species, and so, if we could use the time that would otherwise  
23 be blocked off for an operational assessment and to allow the  
24 Center to do its triage and to make some recommendations, I  
25 mean, even that would be a step somewhere. Right now, we're  
26 just kind of standing here without any real clear path forward  
27 for this complex.

28  
29 I know it doesn't really fall within the prescribed pegs for  
30 the research track and operational, but it just doesn't seem  
31 appropriate to leverage the machine to the research track degree  
32 in this case.

33  
34 **DR. NEER:** Mr. Chair, may I respond to that?

35  
36 **CHAIRMAN NANCE:** Yes, you may.

37  
38 **DR. NEER:** Okay. Ryan, I wasn't saying that -- While I agree  
39 that, yes, there was an assessment, it doesn't really matter if  
40 it was used for management or not, so much as that there was an  
41 assessment. One of the underlying tenets is that, if you are  
42 changing the methodology that you're using, basically coming up  
43 with a new approach, new modeling, it should go through a  
44 benchmark/research track.

45  
46 Now, research tracks do not have to take two years. They can  
47 be designed to do whatever needs to be done. If you want to  
48 use the time that was put in, penciled in, for an operational

1 assessment and have the Science Center spend that time on  
2 triaging, that's perfectly acceptable with SEDAR, and we would  
3 just take it off the SEDAR schedule, and then the Science Center  
4 and the council can discuss how you would like to reallocate  
5 that time, but I'm just saying that I don't think we can -- That  
6 data triage doesn't have to come through the SEDAR process.

7  
8 In fact, I think it shouldn't come through the SEDAR process.  
9 I think the data triage is something the Science Center will do  
10 on its own and report back to you guys with regard to what they  
11 think can be accomplished moving forward, because I agree that  
12 we do need to do something for these species, for sure, because  
13 it's been a while, and it is increasing in popularity, and we  
14 need to see what's going on with them.

15  
16 I was just trying to lay out that I don't think you could do an  
17 operational assessment, since it sounds like we're trying to  
18 change the modeling approach, how things are done, but note that  
19 a research track does not have to take forever. Research tracks  
20 can be -- They are developed and set up with a schedule and a  
21 process for whatever we need them to be for the species or the  
22 group of things.

23  
24 Actually, I wanted to point out, after your discussion yesterday  
25 with regard to red tide, one of the things that was initially  
26 put forward with research tracks is that you could use a research  
27 track slot to develop say how to handle red tide for four species  
28 in the Gulf of Mexico, and that could be something you could  
29 do, and research tracks do not have to be always single-species  
30 assessments.

31  
32 They were initially designed to be pretty flexible with regard  
33 to what we need to do and how to design them in such a way that  
34 they can accomplish what we need, and they don't have to be a  
35 one-size-fits-all. A research track for tilefish would probably  
36 not look anything like the research track that we're doing for  
37 red snapper right now, as an example, and so I hope that  
38 clarifies what I was trying to say. Thanks.

39  
40 **MR. RINDONE:** Thanks, Julie, and I guess, just looking at Dr.  
41 Simmons in the back here, and knowing that Dr. Frazer is  
42 listening, maybe, on the margins there, let's go ahead and  
43 pencil that in for a discussion item for the next SEDAR Steering  
44 Committee meeting, for the Gulf Council to have a little bit  
45 more discussion about that approach for looking at tilefish.

46  
47 **DR. NEER:** Certainly.  
48

1 **CHAIRMAN NANCE:** Thank you. I am more leaning towards having a  
2 data triage first, and I think that would give us a lot better  
3 look at where we want to go with the assessment. I think that  
4 really is a necessary first step, but I will wait for these  
5 other three individuals, and then we can talk about that. Luiz.

6  
7 **DR. BARBIERI:** Thank you, Mr. Chairman. Trevor has already  
8 brought up the issue that I was going to mention. Thank you,  
9 Trevor, for bringing that up, and so the NAS report has just  
10 been released, and you probably saw the announcement that came  
11 out, and we are in the process of scheduling briefings with all  
12 the different councils and interested commissions.

13  
14 There will be an opportunity, in the not-too-distant future,  
15 sometime this fall, to come and present this to the Gulf Council,  
16 and perhaps even the SSC as well, and, in that report, and, by  
17 the way, Sean Powers and Steven Scyphers are also members of  
18 that committee, and so they can probably help me discuss some  
19 of these issues, when that presentation is given.

20  
21 In that report, there are some options that are brought up that  
22 specifically focus on addressing some of these rare-event  
23 species, like the deepwater groupers and the tilefishes, and so  
24 it's not an easy issue to handle, and this is not a discussion  
25 that is going to resolve everything immediately, but I think,  
26 there, it will give us some options to discuss going forward on  
27 how to address these, and not for the immediate future, but  
28 perhaps in developing better data streams that can support  
29 assessments and management in the future, and so stay tuned.  
30 It's going to happen sometime this fall, and I will be talking  
31 to council staff and coordinating for those presentations.  
32 Thank you.

33  
34 **CHAIRMAN NANCE:** Thank you very much. Harry.

35  
36 **MR. BLANCHET:** This is going back a little bit, but one of the  
37 things that we're talking about here is that, essentially,  
38 eleven or twelve years ago, we had an assessment that did not  
39 come out particularly well, and we had a set of recommendations  
40 of how it could be improved, and we don't seem to be very far  
41 along, in terms of data collection processes, that might help  
42 improve the outcome.

43  
44 While I appreciate the ability of the Southeast Fisheries  
45 Science Center to do the best that they can with the data that's  
46 available, I really think that we need to be taking a look, and  
47 tilefish is one example of this, but we do have a lot of other  
48 species that are not well captured by a general survey for the

1 recreational fishery, for instance.

2

3 I am just using this as one example of how the council's  
4 responsibilities and the existing data systems may not jibe,  
5 because, yes, we have a small subset of recreational anglers  
6 who do not match the profile of the typical recreational angler  
7 that's going after these folks, and it's really a challenge, if  
8 you're thinking in terms of the thing that has been most often  
9 suggested of a panel-type approach, and how do you maintain a  
10 panel whose job, essentially, is to -- It will certainly be  
11 perceived that the job of that panel is to provide the data that  
12 the Gulf Council and NOAA is going to use to constrain the  
13 fisheries that those people are currently enjoying.

14

15 There is no stick, and this has -- It's a voluntary recreational  
16 approach, and I don't know how you get something that can be a  
17 long-term data collection platform for these rare-event species,  
18 and we have tried a few things, on a volunteer basis, and it  
19 does not seem to be very widely adopted.

20

21 I heard Jack Isaac's suggestion of internet surveys, and,  
22 obviously, those have some uses, in terms of flagging new  
23 species of interest, but I don't know if that has become less  
24 of a new curiosity and more of a regular occurrence, and I don't  
25 know how much -- Again, I have concern over the consistency of  
26 a long-term dataset there, but I think it can -- I guess where  
27 I'm going here is that a lot of what we are working with now is  
28 surveys that were intended to collect long-term information for  
29 the most abundant species.

30

31 Those species, we've got pretty good grips on, and we're now  
32 looking at stuff where we really don't have good information,  
33 but we know something is happening, and, if we're talking about  
34 things like tilefish -- If I recall correctly, the size of the  
35 stock estimated from the most recent assessments were not all  
36 that big, and so, if we're talking about realistic harvest rates  
37 from the recreational sector becoming significant, this could  
38 be important in a hurry.

39

40 I am just encouraging that we need to really think in terms of  
41 beyond tilefish, but, also, for other rare events, how do we  
42 get a good long-term system of collection? I mean, things like  
43 Florida has got a system for tarpon that I don't know a whole  
44 lot about, but that's the kind of thing that I am talking about,  
45 and that's not something you're going to get a good estimate  
46 for in MRIP, and so I'm just throwing out more questions than  
47 answers.

48

1 **CHAIRMAN NANCE:** Thank you, Harry. Those are very good things  
2 to think about, for sure. Benny.

3  
4 **DR. GALLAWAY:** Thank you, Mr. Chairman. I will try to be brief,  
5 and I want to go on record as supporting the data triage, as  
6 has been suggested, and I'm assuming that there is no problem  
7 with financially supporting that with funds that have been  
8 allocated for a different type of assessment, and so those funds  
9 would be used to support the data triage effort, is my  
10 suggestion, or concurrence with people who have suggested that.

11  
12 I also believe that Harry has just opened a big box that needs  
13 serious thought, and so I would recommend that, as we go forward,  
14 we address those issues in a systematic way and not kind of  
15 shove them off to the side of the table. Thank you.

16  
17 **CHAIRMAN NANCE:** Thank you. The data collection is something  
18 we really need to think about for some of those other species.  
19 I would like to entertain a motion. John.

20  
21 **MR. MARESKA:** I just sent an email to Jessica, and so she'll  
22 put the motion on the board that I drafted.

23  
24 **CHAIRMAN NANCE:** Thank you very much.

25  
26 **MR. MARESKA:** It's a brief motion, and so I hope that all the  
27 lengthy discussion that was very good and covered a lot of  
28 important details -- Hopefully that will just be captured in  
29 the minutes.

30  
31 **The motion reads: The SSC recommends a data triage report be**  
32 **generated for tilefish, being golden tilefish, as the indicator**  
33 **species for the tilefishes complex as a guide to the selection**  
34 **of the model environment for the next stock assessment. On that**  
35 **note, we can add "golden tilefish", so that it's a little bit**  
36 **clearer for people.**

37  
38 **CHAIRMAN NANCE:** I am going to ask this, and this is going to  
39 be just -- Do we want to have "by the Southeast Fisheries Science  
40 Center"?

41  
42 **MR. MARESKA:** Yes, I will take that amendment, but I would like  
43 a second, too.

44  
45 **CHAIRMAN NANCE:** Yes, absolutely.

46  
47 **DR. CRABTREE:** Second.

1 **CHAIRMAN NANCE:** Okay. Roy is the second for this. Any  
2 discussion? David.

3  
4 **DR. GRIFFITH:** Just to clarify, I am not really sure what data  
5 triage means, and is it like a pilot study or something like  
6 that?

7  
8 **CHAIRMAN NANCE:** In my mind, it's to look at all the data that's  
9 available and see what's available and how many years we have  
10 and those types of things, to be able to allow us to see what  
11 we can do in an assessment.

12  
13 **DR. CRABTREE:** I think the promising thing here is, as Shannon  
14 pointed out, they have really made a lot of progress in data-  
15 poor assessment techniques, because I was part of what was going  
16 on in the Caribbean, and it's far more data-poor than we are.

17  
18 The problem with tilefish recreationally is the CVs on the catch  
19 estimates are -- I suspect they're 100 percent in many years,  
20 and, while it's good to talk about long-range plans for tags  
21 and permits and all these kinds of things, that's going to take  
22 years and years, and so I think it's those new techniques that  
23 offer the most promise here.

24  
25 **CHAIRMAN NANCE:** Ryan.

26  
27 **MR. RINDONE:** Thank you, Mr. Chair. First to the motion, and  
28 then to Roy's comment about the CVs, because I have the PSEs  
29 pulled up, and so I can tell you about that, but, for the motion,  
30 Dr. Simmons had mentioned that 80 percent of the landings right  
31 now for the tilefish IFQ program, on average, were attributable  
32 to golden tilefish, but that landings for blueline tilefish were  
33 increasing.

34  
35 Just to make sure that, whatever approach that the Science  
36 Center ends up recommending, it is considerate of the three  
37 species that are currently managed by the council, and perhaps  
38 you guys would consider having that data triage focus on those  
39 three tilefish species, and it may come to pass that,  
40 specifically to goldface as an example, there isn't any, and,  
41 to blueline, there is barely enough to talk about, and there's  
42 enough for golden, but we still have 20 percent of the landings  
43 to account for, and so, when forces are combined, then we have  
44 something more comprehensive to look at, and so perhaps list  
45 those three species out, and just say a report be generated for  
46 the tilefish complex and then, in parentheses, list those three  
47 species, just to provide as explicit direction as possible.  
48 That's not to say that the Science Center probably wouldn't do

1 that anyway, but just so everyone understands.

2  
3 **MR. MARESKA:** I am fine with that change, if you want to, but,  
4 I mean, I think that's kind of been incorporated in the initial  
5 discussion that you led off, that those were the three species  
6 that are being considered here.

7  
8 **CHAIRMAN NANCE:** I think it would be good to put this in  
9 parentheses, so that we have that. My only other concern is,  
10 in looking at this, does this read that we're asking the  
11 Southeast Fisheries Science Center to do this report? We've  
12 stuck the Southeast Fisheries Science Center at the end, and it  
13 says, "for the next stock assessment by the Southeast Fisheries  
14 Science Center", and so it doesn't really, in my mind, read that  
15 we would like them to accomplish doing this report.

16  
17 **DR. CRABTREE:** I think, Jim, what this amounts to is we're  
18 recommending that the council ask them to do it. Then that will  
19 probably have to be somehow negotiated in the context of the  
20 SEDAR workflow, I would guess, but it's for the council to  
21 figure out.

22  
23 **MR. RINDONE:** Typically, what happens is you guys request  
24 something like this, and then we send a memo to the Science  
25 Center asking them about doing this after having a phone call  
26 with them to understand what is actually able to be accomplished  
27 and when, so that we're not asking them for something that is  
28 not able to be accomplished.

29  
30 Then, after that phone call, we send a memo, and they plug it  
31 into their workflow as they can, and, since we don't have this  
32 slotted for an assessment until 2022, it gives a little bit of  
33 time to try to figure out -- Sorry. 2024. It gives us a little  
34 bit of time and then a little bit of time to try to figure out  
35 when to start poking around about this.

36  
37 The other thing that I forgot to mention to you guys was about  
38 the PSEs for tilefishes, and so this is for all three tilefish  
39 species combined, and this is from the MRIP query page, and so  
40 the PSEs from 2012 to 2020 range from 35.2 in 2020 to 104 in  
41 2017, and the landings, in terms of pounds, for A and B1, range  
42 from about 700 pounds to 323,000 pounds for recreational  
43 landings, and so 700 to 323,000 pounds is a big swing, and so  
44 the recreational landings are not going to be very informative,  
45 I don't think.

46  
47 **CHAIRMAN NANCE:** We have one more comment here from Luke.

1 **DR. FAIRBANKS:** I was just curious if the data triage report  
2 could or would consider alternate methods for collecting some  
3 of the recreational data, or is it exclusively just existing  
4 catch and other data?  
5

6 **CHAIRMAN NANCE:** I think, in my mind, it would be seeing what  
7 data is available and then maybe recommend other ways to collect  
8 data, if it's not available. Thank you, Luke. Harry.  
9

10 **MR. BLANCHET:** To Ryan's point of the recreational harvest, I  
11 think, when we started this whole discussion off, the first  
12 point that was made was that MRIP is not a good vehicle for  
13 collecting this data, because the people who are going out,  
14 especially on the private side, are such a small fraction of  
15 the total population that it's never going to be measured by  
16 the standard MRIP survey.  
17

18 You are not going to see these guys at the dock, and so there's  
19 going to be zero catch to multiply by that effort value, and,  
20 when you do catch one, you're going to catch -- It's going to,  
21 as Roy pointed out, blow up the estimate. This requires a  
22 different kind of survey if you're going to get some reliable  
23 estimate, and I don't know the scale of those estimates, because  
24 the people that are involved with that fishery are a different  
25 group of folks than what you're going to see at a public boat  
26 launch, or even a public marina. I think that, if we start off  
27 with looking at MRIP data, we may be deluding ourselves.  
28

29 **CHAIRMAN NANCE:** Roy, to that point?  
30

31 **DR. CRABTREE:** Well, I mean, I think this is a longstanding  
32 concern with rare-event species in the MRIP survey, and it's  
33 not unique to the Gulf, and I know we've had a lot of  
34 discussions.  
35

36 The MRIP folks are looking at different ways to stratify the  
37 survey, to produce better estimates, or at least to bring down  
38 the CVs on the estimates, things like producing estimates only  
39 every two years, so that you have more intercepts and things,  
40 and so that's going on. I don't know where that will take us.  
41

42 Unfortunately, in the Gulf, even for things that are common,  
43 like red snapper, because the council has chosen to  
44 geographically parse the whole thing down to ever smaller  
45 regions, then we get in the situation where no one is happy with  
46 the estimates of catch even for common things anymore, and that  
47 stresses the system, and we devote all kinds of resources and  
48 funding to dealing with those issues, and this one, because

1 these are rare-event species, it's not going to get the  
2 attention, and it's not going to get the priority, but there  
3 are things going on in the MRIP program to try and look at  
4 different ways to handle this, but I suspect that resolution of  
5 those issues is going to come after this exercise is done.

6  
7 **CHAIRMAN NANCE:** Thank you. After Will and David, I'm going to  
8 cut off our discussion. Will.

9  
10 **DR. PATTERSON:** Jim, has this motion been seconded?

11  
12 **CHAIRMAN NANCE:** Yes, and it was seconded by Roy.

13  
14 **DR. PATTERSON:** Okay. Great. **I support this motion, and I**  
15 **suggest a slight edit here and just to strike the text after**  
16 **"generated" and through "species"**. I think that captures this  
17 idea that we're not going to look just a golden tilefish, but  
18 all the tilefishes, if that's acceptable to John.

19  
20 Secondly, I totally understand the point that Harry is raising,  
21 and I don't think it precludes the data triage, however. MRIP  
22 and the private recreational data are one thing, and the age  
23 composition information that exists in Panama City are different  
24 sorts of information altogether, and then, also, I think the  
25 for-hire sector recreational fishery data may be quite  
26 informative here for how targeting has changed, perhaps, over  
27 time.

28  
29 I fully understand that it's an important issue for rare-event  
30 species, as has been discussed, but I don't think it should  
31 preclude at least looking at what data do exist and what they  
32 might tell us.

33  
34 **CHAIRMAN NANCE:** Will, one question. Did you want to have the  
35 Southeast Fisheries Science Center still, or do you want that  
36 cut out, also?

37  
38 **DR. PATTERSON:** It doesn't -- If folks think that needs to stay  
39 in there, great, but I just think that we shouldn't say only  
40 for golden tilefish and that it should be for the complex.

41  
42 **CHAIRMAN NANCE:** Okay. John.

43  
44 **MR. MARESKA:** I have no objection to that edit.

45  
46 **CHAIRMAN NANCE:** David.

47  
48 **DR. CHAGARIS:** I was just going to say something along the same

1 lines as Will. The triage will definitely eliminate any major  
2 deficiencies, but it's still good to do it, because it will have  
3 an eye towards the assessment modeling approaches that might or  
4 might not work, and then, with this discussion of MRIP and  
5 recreational data, I just wanted to remind folks that there is  
6 the for-hire electronic reporting system that will be eventually  
7 going into place, and so there could be some future -- Some data  
8 in the future on this species that might work better than MRIP  
9 for us. Thank you.

10  
11 **CHAIRMAN NANCE:** Thank you. Doug, I will let you in.

12  
13 **MR. GREGORY:** Well, it was to this point. This is a golden  
14 tilefish discussion, and I -- This may be picayune, but the  
15 complex is a complex, and I assume that the Center will look at  
16 golden tilefish as the indicator species, which is what we have  
17 used it for since the beginning. I would hate to change that  
18 trajectory.

19  
20 **CHAIRMAN NANCE:** I think, the way it reads now, it will allow  
21 them to do that and other things, and so I think this is a  
22 better way to -- In my opinion, it's a better way to have the  
23 motion.

24  
25 **MR. GREGORY:** Okay. Thank you.

26  
27 **DR. CRABTREE:** I mean, this is a recommendation to the council,  
28 and staff ultimately is going to draft a letter to the Center,  
29 and they know what we're talking about and can get the content.

30  
31 **CHAIRMAN NANCE:** Okay. Let me go ahead and read the motion.  
32 **The SSC recommends a data triage report be generated by the**  
33 **Southeast Fisheries Science Center for the tilefish complex as**  
34 **a guide to the selection of the model environment for the next**  
35 **stock assessment. Any opposition for this motion?** Thank you.  
36 **It looks like it passed without any opposition.**

37  
38 I appreciate all the comments on this, and I think we've made  
39 some good recommendations and also pointed out some critical  
40 data needs for these rare species. Ryan, let's go ahead and  
41 move to our next item, which is Item XIV, Interim Analysis  
42 Schedule.

43  
44 **INTERIM ANALYSIS SCHEDULE**

45  
46 **MR. RINDONE:** Thank you, Mr. Chair. Up in front of you guys,  
47 you see our interim analysis schedule through 2024, and we have  
48 quite a few of these listed, especially for 2023 and 2024, and

1 you will see some common themes here, and red grouper shows up  
2 every year, just like we had talked about yesterday, and red  
3 grouper is an annual request of the council.

4  
5 For next year, we've also requested greater amberjack, because  
6 of its status determination as being overfished and undergoing  
7 overfishing, and then, also, king mackerel for 2022, because  
8 the terminal year for that assessment was the 2017/2018 fishing  
9 year, and so, by that point, we're pretty far removed on king  
10 mackerel, and we haven't actually done an interim analysis for  
11 it yet, and so the Science Center will be investigating that  
12 and seeing if the SEAMAP larval survey will be useful in that  
13 regard.

14  
15 When you're looking at that second column there of the index  
16 listed for each of these species, that refers to the index that  
17 was listed the last time the Science Center gave a presentation  
18 on likely candidate indices of abundance for each species and  
19 which ones might be able to be looked at for doing an interim  
20 analysis.

21  
22 The terminal year there, in that second column from the right,  
23 is based on when the council is trying to receive that  
24 information, which is that right-most column, and that delivery  
25 date column is based on current management actions and the  
26 fishing year and things like that of when the council would be  
27 best positioned to start conversations about using updated  
28 management advice from you guys, and so there's a lot of moving  
29 parts in this particular schedule.

30  
31 It's important to remember, as Science Center folks mentioned  
32 yesterday, that the interim analysis process is divorced from  
33 the SEDAR process, and so this table and the conduction of  
34 interim analyses is a negotiation that occurs exclusively  
35 between the council and the Science Center. Any input that you  
36 guys have here would certainly be helpful.

37  
38 **CHAIRMAN NANCE:** Thank you, Ryan. I do have a question, though.  
39 It seems like I see red grouper as January, but it seems like  
40 we see red grouper -- Last year, we saw it several times during  
41 the year, and how does that fit into this interim analysis,  
42 because it seems like they do it more than once a year.

43  
44 **MR. RINDONE:** There was the update to the mean weight estimation  
45 methodology for the recreational landings, which is why we saw  
46 some different versions of the interim analysis for this year,  
47 but, now that that methodology has been mapped out, and that's  
48 what they're using from this point forward, our expectation

1 would be that, in late December, we'll receive the red grouper  
2 interim analysis for you guys to consider in January of the  
3 following year, and that will allow that catch advice, if any  
4 is generated from that, to go to the council and for the council  
5 to act upon that and try and get a framework action or something  
6 like that done and get management changed, perhaps even before  
7 the end of that calendar year or by early the following year.

8  
9 **CHAIRMAN NANCE:** Thank you very much. Doug Gregory.

10  
11 **MR. GREGORY:** Thank you. Yesterday, we talked about including  
12 the SEAMAP trawl survey for red grouper in 2020, and so that  
13 could be added to this, and this is a handful, and these are  
14 problematic species, for the most part, in my mind, with the  
15 exception of lane snapper, and so I would suggest reconsidering  
16 trying to do five in 2023 and maybe keep it to the big four.  
17 Thank you.

18  
19 **CHAIRMAN NANCE:** Ryan, to that point?

20  
21 **MR. RINDONE:** I will let the Science Center speak for themselves,  
22 but, for some of these, like for red grouper, the processes are  
23 pretty well mapped out at this point, and it takes probably  
24 about as long to generate the report as it does to actually do  
25 the interim analysis, and so, as more of these are done, the  
26 automation of that process will improve for each of these  
27 species, but we'll certainly let them speak to the perceived  
28 workload associated with this.

29  
30 **CHAIRMAN NANCE:** Thank you. Benny Gallaway.

31  
32 **DR. GALLAWAY:** Thank you, Mr. Chairman. The Great Red Snapper  
33 Count report is critical to many of these red snapper  
34 assessments, and my understanding is that it's still in draft  
35 form. When will a final report be available so that the data  
36 can be used directly, as a final report?

37  
38 **MR. RINDONE:** Mr. Chair, I will take a swing at that. The final  
39 report is in its final editing stages, currently, and so soon  
40 is what we have been told.

41  
42 **DR. GALLAWAY:** Excellent.

43  
44 **CHAIRMAN NANCE:** Thank you. John.

45  
46 **MR. MARESKA:** Ryan, I was curious, and the gray triggerfish  
47 looks like it's going to be done annually starting in 2023, and  
48 that's the combined video index, and is that something -- What's

1 the time delay on that? When we see the combined video index,  
2 is that going to be through the previous year or two years  
3 prior?  
4

5 **MR. RINDONE:** I have it listed right now as for the previous  
6 year, and, if you look at the delivery date, we have a start  
7 date that is later in the following year, to allow for the  
8 processing of that video data to be done.  
9

10 We have had this up and circulated a few times now, and so, if  
11 the terminal years need to be adjusted, we would certainly  
12 appreciate any input on that from the Science Center, but, at  
13 this point, we haven't received anything to say that we should  
14 push that back another year, but I would certainly lean on them,  
15 since they're the ones that have to process those data.  
16

17 **CHAIRMAN NANCE:** Thank you. John.  
18

19 **DR. FROESCHKE:** Thank you. My comment, or perhaps question, to  
20 the Science Center is based off the discussion we had yesterday  
21 with red grouper, and, in our communications with the Science  
22 Center, we're often asked to be as specific as possible with  
23 these requests, and so the most recent iteration used a  
24 different methodology, and earlier, and so I'm assuming we might  
25 want to be specific about which methodology, unless the one  
26 they're using now is, quote, unquote, the default, and then I  
27 don't know if the weight adjustment that was done for red grouper  
28 -- If that would be a similar issue for any of these other  
29 stocks, but it would be nice to know, on the frontend, if it  
30 was or if it isn't. I guess I was looking for a Science Center  
31 response, perhaps.  
32

33 **MR. RINDONE:** I see that Mandy has her hand up and Julie and  
34 Skyler.  
35

36 **CHAIRMAN NANCE:** Go ahead, Mandy.  
37

38 **DR. KARNAUSKAS:** I believe Shannon and Katie had to hop off,  
39 and I can't speak to all these issues, and I don't know if Sky  
40 is on to provide some input.  
41

42 **DR. SAGARESE:** John, just to follow-up with what you -- In terms  
43 of the workload, some of the interims take less time, and so it  
44 seems like we're good to go with red grouper, and I believe that  
45 red snapper and triggerfish as well, and so I wouldn't worry  
46 too much about the workload for some of those.  
47

48 I think, when the combined video survey is used, and Ryan already

1 spoke to the amount of time, it takes a bit longer to process  
2 that index.

3  
4 Lane snapper uses the headboat index, and so that also takes a  
5 bit more analyst time to develop that index, but the one thing  
6 that did notice, looking at this, is the gag assessment actually  
7 does not use the combined video survey, and so we'll have to  
8 redefine what index is going to be used for that interim.

9  
10 We did test sensitivity runs with the combined video, but so,  
11 going forward, in terms of the index, I don't think you have to  
12 be so specific, because I think we have specified the  
13 methodology, and so, whatever methodology was approved and has  
14 been used in the past now for red grouper, for red snapper, for  
15 gray triggerfish, those approaches will be used going forward,  
16 and so I wouldn't worry about adding too much detail.

17  
18 I mean, of course, you're more than welcome to add what you  
19 want, and then what was -- The issue with the weights, and so,  
20 right now, we've only looked at that issue of potentially having  
21 to adjust the weights up for red grouper, and what I think Katie  
22 would say, if she was on this call, is just that we will  
23 certainly look into it and determine whether it's needed for  
24 the other species, but it's hard to say, at this time, if it  
25 will or if it won't.

26  
27 If it will, I would assume that we'll kind of do a similar  
28 presentation and report, kind of documenting why it was needed,  
29 if it was needed, first of all, and what was done to adjust the  
30 catch advice, but that's sort of a -- Of course, it's going to  
31 be a species-by-species issue that we'll look at each time we  
32 do our interims.

33  
34 **CHAIRMAN NANCE:** John.

35  
36 **DR. FROESCHKE:** Thank you for that. I guess my question is  
37 based on the feedback that we have received to make these  
38 requests as specific as possible, and, for example, with the  
39 red grouper, we made the initial request for an interim  
40 analysis, and we never sent a request to change methodologies  
41 or anything, and I don't object to improving the science, but I  
42 do --

43  
44 It can be problematic, for example, if you have the method that  
45 we're using now, and, whenever the next method comes along, if  
46 there's a switch that we're not anticipating, sometimes it's  
47 difficult to understand what to expect, and then it causes these  
48 communication problems, and so I'm just trying to close some of

1 these communication gaps, so everyone is clear what we're to be  
2 expecting.

3  
4  
5 **CHAIRMAN NANCE:** Thank you, John. Mandy, you're up next.

6  
7 **DR. KARNAUSKAS:** I was just trying to chime in on behalf of the  
8 Science Center.

9  
10 **CHAIRMAN NANCE:** Thank you so very much. Paul, you're next,  
11 and then Julie.

12  
13 **DR. MICKLE:** Just two things. if you look up on the terminal  
14 years here, and looking at I'm assuming the data processing  
15 that's causing a little bit of a lag here, and so the combined  
16 video looks like about a year, and then the SEAMAP larval looks  
17 like about two years for data, and I'm assuming it's processing  
18 and QA and QC and getting the data into the form where it's  
19 usable as an input.

20  
21 To the combined video, we actually have a grant right now that  
22 we're looking at automating it through software-based platforms,  
23 and it's going really, really well, and I just wonder -- I know  
24 nothing about the SEAMAP larval, even where it's done, and I  
25 guess it's done in Pascagoula, but that's just a guess.

26  
27 **CHAIRMAN NANCE:** It's done in Poland.

28  
29 **DR. MICKLE:** Poland. Okay. Well, I just wonder if it would be  
30 worth discussions of looking at automated techniques for the  
31 SEAMAP larval, because a two-year data lag for that data stream  
32 seems a little excessive in this day and age for the needs of  
33 such a data stream. Thank you.

34  
35 **CHAIRMAN NANCE:** You're welcome. Julie.

36  
37 **DR. NEER:** Thank you. Just real quick, Paul, the automation -  
38 - The development of the index itself for the larval survey is  
39 not the lag, and it's the fact that the samples are identified  
40 and sent out of the country to Poland for identification, and  
41 that's where that time lag comes for the larval survey, but  
42 that's not actually where I was going to talk.

43  
44 I wanted to talk briefly about the combined video, and it's  
45 actually not produced within the Science Center, and it produced  
46 by the folks down in Florida, and so I'm sure that Ryan has  
47 already spoken to them, when we're talking about workload  
48 issues, how often and how many they need to do on top of the

1 ongoing assessments that they're working on.

2  
3 One other comment on the combined video, and it actually has  
4 never been used in a gray triggerfish assessment, yet. It was  
5 considered a useful way to go in SEDAR 62, but, since SEDAR 62  
6 actually never came to fruition, we don't know if it would have  
7 made the cut and been an actual useful index, and so I just  
8 wanted to point out that, like with gag, it's not used at all,  
9 and we don't know that it would actually have made it in the  
10 gray triggerfish as an appropriate index, once the model was  
11 done, because it was not used in 43, and they were independent  
12 indices that were used in 43.

13  
14 Again, it's not until 2023, and that's fine. We'll be doing a  
15 research track on gray triggerfish beginning in 2023, and so,  
16 obviously, we'll have guidance on that, but I just wanted to  
17 kind of put that little note in people's heads, that the combined  
18 video may not be the best one that comes to be used for gray  
19 triggerfish moving forward. Thank you.

20  
21 **CHAIRMAN NANCE:** Thank you, Julie. Harry.

22  
23 **MR. BLANCHET:** Thank you. The question that I have got may be  
24 simple. All of these interims seem to be listing a single  
25 index, and my concern is that what I really see as a benefit  
26 with these interim analyses is that it formalizes a method of  
27 ensuring that you're actually working with the most recent data  
28 for management, and I really appreciate that.

29  
30 With the bottom longline, I see that as a good tool for measuring  
31 changes in abundance of animals that are available to the  
32 fishery, but, with the red snapper, we have a bunch of other  
33 indices that could also be used that could give us information  
34 on other aspects, and the one that comes to mind is the trawl  
35 index for a recruitment index, which could tell us a lot of --  
36 It could give us more of a heads-up of what's coming down the  
37 pipe.

38  
39 I recognize that the trawl index is not perfect, but it's still  
40 looking at a piece that we currently are not looking at if we're  
41 only looking at the bottom longline, and I know that NOAA has  
42 mentioned the possibility of using multiple indices in some of  
43 these interim analyses, and I just didn't know if that was  
44 something that they were considering for some of these or if  
45 this was the only one that we're going to use. Thank you.

46  
47 **CHAIRMAN NANCE:** Ryan, to that point?

48

1 **MR. RINDONE:** Thank you, Mr. Chair. I mean, the interim analysis  
2 process was designed to be a faster snapshot, using a  
3 representative index of relative abundance, and, when we start  
4 considering multiple indices, we start trending pretty quickly  
5 towards stock assessment territory, and, where the information  
6 that's being evaluated -- I mean, it may as well just be  
7 evaluated as part of a larger stock assessment effort.

8  
9 The addition of each extra index requires those data to be  
10 worked up, and especially if we're considering two, or even  
11 three, indices for an interim analysis, it just -- Each  
12 additional index greatly increases the scope of work, because  
13 not all of the data processing has been automated for all of  
14 these yet, like it has for say the NMFS bottom longline index.

15  
16 The Science Center can certainly add to this comment, but I  
17 think that we just have to be cognizant, and perhaps a little  
18 careful, about how much we're adding to these, lest they drift  
19 quickly towards operational assessment status.

20  
21 **CHAIRMAN NANCE:** I agree with that. Go ahead, Harry.

22  
23 **MR. BLANCHET:** I get that. My concern is that -- As I prefaced  
24 this with red snapper, we have a ton of indices, fishery-  
25 dependent and independent, that get incorporated into that  
26 assessment, but I think that, if we have something like an index  
27 of recruitment that can be used for guidance, and that's what  
28 this is, and this is not an assessment, then I think that it's  
29 something that should be taken a look at, and so, at the very  
30 least, what would it take to begin the automation process?

31  
32 I mean, a trawl survey is not requiring identification of larval  
33 fishes, and I will talk about that another time, or reviewing a  
34 whole bunch of videos, and all of those are very time intensive.  
35 A trawl survey, you've pretty much got the raw material when  
36 you walk off the boat. It seems like that's something that we  
37 could use fairly quickly, and so that's where I'm going.

38  
39 **CHAIRMAN NANCE:** Thank you very much, Harry. Any other comments  
40 for discussion? Will.

41  
42 **DR. PATTERSON:** Harry raises an interesting point about the  
43 timeliness of the data, but another issue here is the  
44 selectivity and what that information is actually telling us,  
45 and so, typically, we use the trawl surveys to inform about age-  
46 zero abundance, or recruitment level is used to index the  
47 spawning stock.

1 Combined video, the selectivity is for fish sort of in their  
2 middle age ranges, and so I think it's important not just to  
3 think about the timeliness of the data, but what the data are  
4 actually telling us a function of the selectivity of that  
5 particular gear or approach.

6  
7 **CHAIRMAN NANCE:** Thank you. Point well taken, Will. Mike  
8 Allen.

9  
10 **DR. ALLEN:** Thank you, Mr. Chairman. I guess I have a question  
11 about just how are these interim analyses used, because I had  
12 the same question about why is a single index mentioned here,  
13 when I'm sure, for many of these species, there is multiple  
14 indices, and I realize this is not a full assessment, but how,  
15 ultimately, is this used in this process, for my understanding?

16  
17 **MR. RINDONE:** I will take that one, Mr. Chair. The interim  
18 analyses can generally serve two main purposes. They can be  
19 used to update catch advice for the SSC to make updated catch  
20 recommendations to the council, and they can also be used as a  
21 health check, and so let's say that we're in between  
22 assessments, and we have a species that's rebuilding, and the  
23 council has passed a framework action to change the catch  
24 limits, and that hasn't been implemented yet, but they're just  
25 generally trying to have a thumb on the rebuilding pace of the  
26 stock, to see if management is working.

27  
28 Looking at an interim analysis that looks at a representative  
29 index of relative abundance can help better inform the  
30 directionality of that rebuilding progress, and it can tell the  
31 council whether they need to plan to take additional action to  
32 make adjustments to fishing mortality, or if everything looks  
33 like it's going as intended, and so updating catch advice and  
34 health checks.

35  
36 **DR. ALLEN:** Okay. That's helpful, Ryan, and so a single index  
37 here is meant to be a check on the trajectory, relative to the  
38 trajectory of the stock, relative to the last assessment?

39  
40 **MR. RINDONE:** Right. We're just peeking under the hood and  
41 seeing what things look like without tearing the engine apart.

42  
43 **CHAIRMAN NANCE:** It allows us an annual look at some of those  
44 species, so we don't have to do full-blown assessments every  
45 year.

46  
47 **DR. ALLEN:** Okay. That's helpful. Thank you.

48

1 **CHAIRMAN NANCE:** Okay. I think we'll go ahead and move on to  
2 the next topic, and I appreciate all the comments and discussion  
3 on this, and it was very important. Now we're going to go to  
4 the SEDAR Stock Assessment Schedule.

5  
6 **REVISED SEDAR STOCK ASSESSMENT SCHEDULE**  
7

8 **MR. RINDONE:** All right. The big one. I will just walk down  
9 the list here. For 2021, the gag operational assessment is  
10 getting all wrapped up, and you guys are going to review that  
11 at the September meeting, and so that will be a big thing on  
12 the September SSC agenda, which, by the way, go ahead and pencil  
13 into your calendars the last full week of September. I will be  
14 sending out a doodle poll on that after this meeting.

15  
16 The scamp research track is still underway, as is the red snapper  
17 research track, and, later this year, we will see FWC get a  
18 mutton snapper benchmark assessment off the ground. In 2022 -  
19 - We'll have the completion of the scamp research track, at the  
20 end of 2021, and then, in 2022, we'll have the operational  
21 assessment of scamp, which will give us that management advice.

22  
23 The red snapper research track will still be going on, and  
24 perhaps being completed by the end of 2022, and then we'll also  
25 have operational assessments for Spanish mackerel and gray  
26 snapper, and the mutton snapper benchmark assessment will be  
27 completed by FWC.

28  
29 For 2023, we'll be finishing up the red snapper research track  
30 and then doing the operational assessment, and then we also have  
31 listed an operational assessment for yellowedge grouper, which  
32 hasn't been updated since SEDAR 22, using data through 2009,  
33 and so it will be good to wipe the dust off of that one, and  
34 then FWC will be kicking off a benchmark assessment for west  
35 Florida hogfish at the end of 2023, and that will wrap up in  
36 2024.

37  
38 In 2024, right now, we have, on the list, a research track  
39 assessment for gray triggerfish, and you guys might recall the  
40 last assessment of gray triggerfish was terminated early, due  
41 to some data issues, and we'll also have an operational  
42 assessment of red grouper and vermilion snapper.

43  
44 You guys just finished up approving the scopes of work for both  
45 of those yesterday, and then we talked today about that tilefish  
46 complex and how we're going to best approach that, and so Dr.  
47 Neer currently has that listed as an operational assessment,  
48 but we'll have the Science Center -- Based you guys'

1 recommendation, we'll ask the Science Center to look at that  
2 data triage and see what's actually feasible, and the SEDAR  
3 Steering Committee will look at what best to plug in there for  
4 Gulf tilefish species in 2024.

5  
6 Then, proposed for 2025, we have the completion of the gray  
7 triggerfish research track, which, in 2026, will be followed by  
8 an operational assessment, which is where we get that management  
9 advice, and we have an operational assessment of lane snapper  
10 on the books, and also for cobia and greater amberjack.

11  
12 Then, by that point, hopefully we've made some strides in some  
13 of the species identification issues between gag and black  
14 grouper and we can take another swing at a benchmark assessment  
15 for black grouper, with FWC at the analytical helm for that.  
16 Busy.

17  
18 **CHAIRMAN NANCE:** Okay. Any comments or discussions? Trevor.

19  
20 **DR. MONCRIEF:** Forgive me if I'm a little bit naïve to the  
21 process overall, but this question kind of popped up into my  
22 head. Yesterday, when we were going over the vermilion snapper  
23 scope of work, given its history, and I think it was defined as  
24 overfished in the early 2000s, but, after an inclusion of data,  
25 it was marked as good. All the assessments after that, it's  
26 been in good shape, and there is no indicators that show that  
27 the stock is being prosecuted in a way that would be ultimately  
28 damaging.

29  
30 When it comes to these schedules, and when you have species like  
31 that that are of relatively small concern, compared to others,  
32 it seems like you could continue to do interim analyses until a  
33 trigger gives you some warning to do an assessment or anything  
34 else like that, which will allow for more resources to go to  
35 these species that are in a little bit more of the limelight, I  
36 guess, and a little bit more concerned state, but that was my  
37 question, the timing of it and the use of interim analyses for  
38 species that are of little concern.

39  
40 **MR. RINDONE:** The reason why we still have these things pop up  
41 on the assessment schedule like this is just because, when we're  
42 looking at an interim analysis, we're typically only considering  
43 a single index of abundance with fixed recruitment and no  
44 further investigation into growth and no evolution of any  
45 knowledge about reproduction or anything like that, and so we  
46 try to assess everything that's been assessed and that can be  
47 assessed with some frequency, albeit not consistent frequency,  
48 because the council priorities can cause there to need to be

1 some adjustments and things like COVID that can come up and  
2 cause substantial delays.

3  
4 We try to assess everything with some intermittent frequency,  
5 just so that we can update all of that stuff. We don't want to  
6 be doing an interim analysis say for yellowedge grouper that  
7 hasn't had any of its stock-recruit information updated since  
8 2009, and none of the trends in recruitment have been updated  
9 since then, and growth hasn't been looked at since then, and  
10 we're a little behind in getting that one done. We've just had  
11 a lot of other -- As you alluded, some more contemporary  
12 priorities that have caused us to ask the Science Center to  
13 focus specifically on certain species, but getting these things  
14 looked at in a more complete approach, through an actual stock  
15 assessment, is definitely a good look for the science, to make  
16 sure we're not letting any of the data that we're using get too  
17 dated.

18  
19 **CHAIRMAN NANCE:** Sean.

20  
21 **DR. POWERS:** I understand your comments, Ryan, but I just want  
22 to echo Trevor's concern, because we're constantly told about  
23 the challenges that assessment teams face, and clearly they do  
24 with the analysts' time and things like that, but, you know, I  
25 mean, some of these, and lane snapper is another example, and,  
26 I mean, these are species that, yes, it would be great to have  
27 up-to-date assessment models for them, but, given some of the  
28 other challenges we hear, about schedule and things like that,  
29 at some point we need to prioritize.

30  
31 I'm not saying we need to do that now, but it's just I share  
32 Trevor's concern that, given that we hear about scheduling  
33 difficulties and then see some of these species that we're not  
34 as concerned about right now.

35  
36 **CHAIRMAN NANCE:** Ryan.

37  
38 **MR. RINDONE:** If you guys want to recommend different intervals  
39 for assessing some of these things, that's certainly your  
40 prerogative to provide that advice to the council and to the  
41 Steering Committee, but just looking at some of these, and so  
42 like lane snapper was last assessed in I think 2019 or 2020,  
43 using data the year prior, and so, by the time it gets to 2025,  
44 the data are six years old or so, and that is a -- For that  
45 particular species anyway, that's a species of growing interest,  
46 especially on the West Florida Shelf. Landings are scratching  
47 close to a million pounds, and so it has definitely grown into  
48 something that it wasn't before.

1  
2 For species like vermilion, like Trevor had mentioned, they grow  
3 like weeds has been a common comment during the assessment  
4 process the last two times that species has been assessed, and  
5 it is -- Based on our current perceptions, it's healthy, and so  
6 it's certainly one that we could push to a later date, if you  
7 guys thought that appropriate, to try to get something else  
8 looked at in its place.

9  
10 I would just caution letting things get to the age of say the  
11 yellowedge grouper assessment, where, at the time that we  
12 actually get to assessing yellowedge grouper here, we'll be  
13 including twelve new years of data, which is -- Well, it's a  
14 lot, and so that's one of our oldest assessments at this point,  
15 and it certainly has a good layer of dust caked on it, and we  
16 should endeavor not to let things get that dated, regardless of  
17 what their last stock status was, because, truly, how are we  
18 supposed to know what the true condition of that stock is if we  
19 don't really take a good look at it once every decade or longer?

20  
21 By all means, recommend to the council and the Steering  
22 Committee alternatives for how to pace these things out, if you  
23 guys think it appropriate to do so, considerate of your own  
24 knowledge and expertise and the previous stock assessment.

25  
26 **CHAIRMAN NANCE:** That really is the challenge, is you want to  
27 make sure that things are assessed at a pretty good rate, but  
28 it seems like there is other things that get in there ahead of  
29 them sometimes, and so you've got like yellowedge that hasn't  
30 been assessed for many years, but, yet some of them are assessed  
31 every other, and those types of things, and so, go ahead, Sean.

32  
33 **DR. POWERS:** Ryan, to build on your point, and I don't see any  
34 reason to change the schedule or not, but just trying to have  
35 some discussion to inform the council, in their negotiations  
36 with SEDAR, where some of our priorities might lie, because,  
37 obviously, we want everything, I mean, as a simple answer, and  
38 everything as quick as possible, and so I don't advocate,  
39 necessarily, for any changes, but I just wanted to be on the  
40 record, like with Trevor, to give the council some background,  
41 if they do have to go into negotiations on the SEDAR schedule.

42  
43 **CHAIRMAN NANCE:** Thank you. Trevor, to that point?

44  
45 **DR. MONCRIEF:** Yes, and I agree with that as well. I don't  
46 think this is the time to be able to redo the schedule or  
47 anything else like that, but there is going to be more and more  
48 species that become of concern, and that's going to be a constant

1 thing that we have to deal with, and I think, as long as we have  
2 the idea of what the priorities are, when the council wants to  
3 push a species, or, if there's something of concern, we have  
4 the species in mind that could kind of be moved to a later date,  
5 because there was concern.

6  
7 **CHAIRMAN NANCE:** Do you have any on the list right now?  
8

9 **DR. MONCRIEF:** I think vermilion snapper sticks out in my head,  
10 for sure. I mean, I'm kind of with Sean, and I know lane snapper  
11 is building, but, to me, that's a small one, and then, the gray  
12 snapper, I know there's concerns with the shore landings and  
13 everything else that came out of the last one, but that's another  
14 one that has probably had a little bit of range expansion over  
15 the last decade or so, and there seems to be landings inshore  
16 and offshore, but --  
17

18 **CHAIRMAN NANCE:** Gray snapper is for 2022, and so that's on  
19 there, but vermilion -- It looks like vermilion is 2024. To  
20 that point, Roy?  
21

22 **DR. CRABTREE:** Yes, and I can tell you, having sat on the SEDAR  
23 Steering Committee since it was created, what is a priority  
24 depends on where you're from and who is yelling at you and who  
25 is on the council, and so it's a tough one to balance.  
26

27 The one thing I would say is I think a kind of philosophical  
28 discussion about how to approach the problem and all of that is  
29 fine for down the road, but one thing that I think we have  
30 really tried to do is stabilize the assessment schedule and not  
31 make changes, because we've had a habit, over the years, of  
32 flip-flopping and changing things, and that really throws a big  
33 monkey-wrench into the whole process when you do it.  
34

35 This has all been agreed to and negotiated, but I think having  
36 discussions down the road -- There has been a lot of time put  
37 into that stock assessment scheduling prioritization process  
38 and all of that, and so we could revisit some of that, if folks  
39 wanted to.  
40

41 **CHAIRMAN NANCE:** Ryan, to that point?  
42

43 **MR. RINDONE:** Thank you, Mr. Chair, and Dr. Crabtree is  
44 absolutely correct, and so everything that you see that has  
45 "final" next to it, there's going to need to be a real ecological  
46 emergency to make changes at that point, and so, really, what  
47 we're talking about is 2024 and 2025, especially more 2025 than  
48 2024, and we can still consider changes for 2024, but we would

1 prefer not to, if possible.

2

3 It's just because there are so many moving parts in trying to  
4 get the data set up for these assessments, and there are teams  
5 and teams of people that have to be mobilized and dedicate time  
6 towards preparing everything for these assessments, and so, when  
7 we do make changes, we do need to be very deliberate about it,  
8 as far in advance as possible, and we have tried to inform all  
9 that pay attention to the schedule, and especially the council,  
10 that changes are simply not permitted two years out from the  
11 current date, unless there is, as I said, some dire ecological  
12 emergency for changing the schedule, and it's locked in at that  
13 point. I see Dr. Neer has her hand up as well, Mr. Chair.

14

15 **CHAIRMAN NANCE:** Julie, thanks for waiting. Go ahead.

16

17 **DR. NEER:** No problem. Ryan just said what I would say, is that  
18 we are looking approximately two years out for finalizing  
19 schedules, and it's really critical that we do that. As I  
20 mentioned yesterday, the stock assessment enterprise for the  
21 Southeast, unfortunately, is not just one center per one  
22 council.

23

24 The Science Center has a lot on its plate, unfortunately, and  
25 so, yes, as Ryan mentioned, 2024, we could maybe make  
26 adjustments to something that's listed in there, because those  
27 won't be final, but the 2024 schedule will be final in May of  
28 2022, and so, if you guys feel strongly about 2024, and certainly  
29 2025, now is a great time to share your thoughts, and perhaps  
30 even talk about what you would like to see in 2026, because we  
31 will start talking about what do you guys think is useful in  
32 2026.

33

34 Now, of course, the SSC is making recommendations, and the  
35 council is the one who actually sits on the Steering Committee,  
36 and they will make their requests for 2026, but we'll start  
37 talking about 2026 in October of this year, and so, if you feel  
38 strongly about species, now would be a great time to let the  
39 council know your thoughts. Thank you.

40

41 **CHAIRMAN NANCE:** Thank you, Julie. Carrie.

42

43 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair. Julie said  
44 most of what I wanted to say. I think it would be helpful -- I  
45 heard take lane snapper off and take vermilion off, but we have  
46 to think about what can fit in that slot as an operational  
47 assessment, and we can't do four research track assessments,  
48 and so I kind of think, with vermilion, we're a little bit too

1 far along, and you just looked at the scope of work, and we're  
2 not at terms of reference yet, but do keep in mind there were  
3 things from the last assessment that are in that scope of work  
4 that could not be addressed, and would not be addressed, in an  
5 interim assessment, and so we have to think about balancing all  
6 of those things.

7  
8 Remember there is an issue with the shrimp trawl bycatch and  
9 all those types of things that I think they were going to  
10 investigate, and, Ryan, is that right, or am I getting confused,  
11 in the vermilion snapper assessment, and so there's things like  
12 that that we have to try to balance when we're thinking about  
13 the schedule as well, and so it would be helpful if you have  
14 some suggestions, especially for 2025 and into 2026. Thanks.

15  
16 **CHAIRMAN NANCE:** Trevor.

17  
18 **DR. MONCRIEF:** To that point, I wasn't encouraging removing  
19 those right off the bat, right now, looking at the schedule,  
20 but what I did want to highlight is we were talking about the  
21 red snapper stuff and discussing timing and the workload and  
22 everything else, and I do think it's more a philosophical  
23 discussion, like Roy said, but, maybe in the future, when we go  
24 through these schedules and we start to get into a crunch, we  
25 can kind of look at these species and decide this one is a  
26 priority, and this one is not as much of a priority, and kind  
27 of use that to be able to gauge the schedule a little bit better.

28  
29 **CHAIRMAN NANCE:** I think the point is though that the crunch is  
30 three years away, and so that's the thing that we need to  
31 recommend, is 2022 and 2023 are locked, and so, if we see a  
32 crunch coming, we need to have it in there for 2025 or 2026.  
33 David.

34  
35 **DR. CHAGARIS:** I don't have any objections to the schedule as  
36 it is. I mean, I can see one making an argument to remove one  
37 species and put more effort into another, but, in general, I  
38 would be concerned about substituting some of these operational  
39 assessments for interim analyses, because, for a lot of these  
40 species, we don't really have representative indices of  
41 abundance, and so those interim analyses have a lot of  
42 uncertainty baked into them, and we could be making management  
43 recommendations just based off of noise in those, whereas the  
44 assessments are going to kind of synthesize more information  
45 for us.

46  
47 Also, as Ryan was speaking earlier, there could be situations  
48 where you have fisheries that are growing, and an interim

1 assessments that's based on an index, an index of abundance that  
2 probably wasn't even designed for that species, it might not  
3 detect that. It wouldn't give us that information, and so I  
4 would just think carefully before we rely too much on the interim  
5 analyses as a replacement for some of these operational  
6 assessments on the schedule. Thank you.

7  
8 **CHAIRMAN NANCE:** Thank you. Ryan.

9  
10 **MR. RINDONE:** Thank you, Mr. Chair. Mandy or Sky, or I guess  
11 particularly Sky, are you still around?

12  
13 **DR. SAGARESE:** I am here.

14  
15 **MR. RINDONE:** I'm thinking about some of the webinars that we  
16 had recently for gag, and that maybe it wouldn't be such a bad  
17 look to try to plug gag in 2025, and thinking about the lane  
18 snapper operational assessment -- I know that you helped out a  
19 little bit with that one, the last time, and it was either you  
20 or Adyan, and I thought it was you, but, if we were to try to  
21 add in gag in 2025, and, again, recognizing that that's a  
22 proposed part of the schedule, and it's not finalized yet, and  
23 I just want to hear you mentally chew on that for a second, if  
24 you don't mind.

25  
26 **CHAIRMAN NANCE:** We have gag in 2021, and we're doing it right  
27 now.

28  
29 **MR. RINDONE:** We do, but landings of gag have been trending  
30 down, and we've had a couple of red tides, and, without the  
31 review having taken place yet, I'm not going to go diving into  
32 it just yet, but suffice it to say that it probably would not  
33 be to the council's detriment to look at gag again in the not  
34 terribly distant future.

35  
36 **CHAIRMAN NANCE:** Skyler.

37  
38 **DR. SAGARESE:** Ryan, I think you're right about we had a lot of  
39 topics that came up with the gag assessment, and, in addition  
40 to what you've already spoken about, we also have the issue of  
41 the red tide, and we know that Dave Chagaris has done a lot more  
42 work, in terms of how to incorporate that, and so I do think  
43 that putting the gag assessment back on the calendar would be a  
44 pretty good idea, in place of that lane snapper.

45  
46 You're right that Nancie Cummings had done the update for lane  
47 snapper, maybe last year, but, in terms of priority, it seems  
48 like the gag grouper assessment is currently ongoing, but it

1 seems like it would not be a bad idea, in the next few years,  
2 to plan on doing that.

3  
4 **CHAIRMAN NANCE:** Sean.

5  
6 **DR. POWERS:** Ryan, in the interest of keeping up with my  
7 statement that we want everything, the cobia is scheduled for  
8 an operational assessment, and has there been discussion about  
9 making that a research track, or was the feeling there's not  
10 enough out there new about cobia yet to warrant a research  
11 track?

12  
13 **MR. RINDONE:** Cobia is one of those stocks where we don't  
14 actually have a fishery-independent index of abundance that gets  
15 used for that, and we use the headboat index, MRIP to inform  
16 the private recreational landings, which have quite a bit of  
17 uncertainty around them, and then the commercial landings, which  
18 only make up a very small fraction, annually, of the total  
19 harvest.

20  
21 Cobia landings have been trending down, and the most recent  
22 research is close to several years old at this point on cobia,  
23 and, if you think about some of the stuff that was done out of  
24 the University of Southern Mississippi, like Jim Franks and Read  
25 Hendon and some of those folks up there, and so I don't know  
26 what problems we would be endeavoring to solve that we would  
27 actually have the data to solve in a research track for cobia.

28  
29 There might be some methodological changes that we could pursue,  
30 but the assessment is already in Stock Synthesis, and the  
31 metapopulation dynamics of cobia have already been considered  
32 the last two times, and it's really a matter of trying to better  
33 understand, at this point, where the stock boundary is for cobia  
34 on the east coast of Florida.

35  
36 We perceive it to be somewhere around Volusia County, but,  
37 without a real definitive stock boundary up there, right now,  
38 we've drawn the line at the Florida-Georgia state line, and  
39 that's based on our current understanding of the genetics, and  
40 so, yes, I really don't know what data would be available to  
41 try to better elucidate that, and I know that there were some  
42 research proposals, one that was recently completed in the Gulf  
43 using pop-up satellite tags to look at cobia movement, and there  
44 were a couple of proposals, and I don't know if they got funded  
45 or not, for the same for the Atlantic, to try to better  
46 understand movement and interconnectivity between that  
47 metapopulation of Gulf cobia that goes up the east coast of  
48 Florida and then the southern metapopulation of cobia from the

1 Atlantic stock that pushes down on that Georgia-Florida border.

2

3 **DR. POWERS:** I guess that was my question, and you kind of  
4 answered it, and it's probably not enough there new to warrant  
5 a research track, and I know it's of increasing concern for  
6 everybody, and that's the only reason that I brought it up.  
7 What was the last one for the Gulf? It was an update, right,  
8 of SEDAR 28 or something like that?

9

10 **MR. RINDONE:** Yes, and it also migrated the data to FES, and  
11 the stock ID process for the last Atlantic cobia assessment,  
12 which I have to dig on the SEDAR website, and Julie probably  
13 knows what it is off the top of her head, but that effort was  
14 what helped to better define where the actual stock boundary  
15 was, and, given the data that were available for a species like  
16 cobia, that they were able to use the genetic data especially  
17 to narrow it down to where they did, to that northeastern corner  
18 of Florida, in my personal opinion, that was pretty remarkable  
19 in and of itself. Then using the Florida-Georgia line was more  
20 for simplicity for anglers, to know where the regulations  
21 applied to them and for enforcement.

22

23 **CHAIRMAN NANCE:** Thank you. Mandy.

24

25 **DR. KARNAUSKAS:** Since Sean brought up cobia, I wanted to mention  
26 that I have heard increasing concern about cobia in the past  
27 few years, and I'm curious if this is just a unique localized  
28 thing or if others have heard these concerns. I would say it  
29 probably started about two or three years ago, like at MREP  
30 workshops, and I heard about lack of cobia in Texas, and then,  
31 more recently, we've been speaking to red snapper fishermen in  
32 Alabama and the Florida Panhandle, and there are really serious  
33 concerns.

34

35 People are saying things like the fishery needs to be shut down  
36 for five years, and we just don't see them anymore, and so I  
37 just thought I would throw that out there, and I'm wondering if  
38 people have heard similar things across the Gulf or if there is  
39 maybe a localized depletion issue going on.

40

41 **CHAIRMAN NANCE:** Roy.

42

43 **DR. CRABTREE:** I have heard a lot about it, primarily from  
44 Alabama and the Panhandle of Florida fishermen.

45

46 **CHAIRMAN NANCE:** Sean.

47

48 **DR. POWERS:** I would agree, and we've heard some concerns for

1 probably the last two years that they've gotten -- It's  
2 anecdotal, but, every year, we do this big deep-sea fishing  
3 rodeo, and, this year, it was remarkable how few cobia we had  
4 weighed in, and, like you said, Mandy, I don't know if that's  
5 localized depletion or if that's Gulf-wide. I guess that could  
6 be answered in the operational assessment as well. As Ryan  
7 pointed out, since we don't have a fishery-independent index,  
8 it's going to tough, and that's kind of why I wanted to think  
9 about was there any potential to do a research track and whether  
10 we could identify some fishery-independent indices, but it  
11 doesn't seem like they're out there for cobia.

12

13 **CHAIRMAN NANCE:** Thank you. Benny Gallaway.

14

15 **DR. GALLAWAY:** Thank you, Mr. Chair. I think my question may  
16 be out of place, and maybe reserved for later, but my question  
17 that I wanted dealt with is have you guys been able to put  
18 together, for the West Florida Shelf, the degree to which the  
19 complete life history for red snapper is completed, or is that  
20 still open to question as to whether it's being produced in  
21 place or largely influenced by immigration, and, if this  
22 question is out of place, just defer it. Thank you.

23

24 **CHAIRMAN NANCE:** Any comment on that one? I'm not sure, Benny.  
25 Ryan.

26

27 **MR. RINDONE:** Benny, I actually worked on a paper with Todd  
28 Kellison out of the NMFS Beaufort Lab a few years back on  
29 connectivity between the Gulf and the Atlantic for red snapper,  
30 and a large component of that work was a literature review  
31 looking at the available data, and so there's a lot that is  
32 stacked up in there, as far as looking at the research that has  
33 been -- Like the peer-reviewed research that has been conducted  
34 throughout the Gulf and the Atlantic.

35

36 As far as better characterizing what I think you're asking, I  
37 feel like there's a lot of fishermen-contributed data that the  
38 council has collected over a number of years related to what  
39 historical fishermen have seen in the past off the West Florida  
40 Shelf, and what we're hearing from those same folks now is that  
41 the abundance levels of red snapper have certainly increased a  
42 great degree compared to where they were ten or twenty years  
43 ago, but the size of the fish isn't -- On average, in the eastern  
44 Gulf, it still isn't on par with what it is in the western Gulf.

45

46 I think though that, like for red snapper -- Obviously, we have  
47 more data available for red snapper than any other species in  
48 the Gulf, by an order of magnitude at least, and so maybe a more

1 specific literature review, to your point, would be necessary  
2 to better capture an answer to that question.

3

4 **DR. GALLAWAY:** To that point, if I'm allowed, Jim.

5

6 **CHAIRMAN NANCE:** Absolutely, Benny.

7

8 **DR. GALLAWAY:** My thoughts were -- Where I was really headed  
9 with that, or thinking about, is we have SEAMAP data now where  
10 we can look at juvenile survival, and is it indicated to be  
11 consistent with what we know from the western Gulf, and is there  
12 a high juvenile mortality, or does it appear to be density-  
13 dependent mortality? Is recruitment from the juvenile sector  
14 into the age-two, if they move to larger reefs, does that appear  
15 to be consistent with juvenile survival rates, or is it more  
16 influenced by, like I say, transported immigration from other  
17 regions?

18

19 We have SEAMAP data, and I haven't seen -- Maybe it's there and  
20 I just missed it, but juvenile survival is an important  
21 consideration as well as the size distribution, which I think  
22 is a really key point that needs to be very seriously addressed,  
23 and I was wondering if people looking at the existing data are  
24 pursuing those questions. Thank you.

25

26 **CHAIRMAN NANCE:** Thank you.

27

28 **MR. RINDONE:** Mr. Chair, I think Will is probably one of the  
29 most expert to answer that.

30

31 **CHAIRMAN NANCE:** Will, go ahead.

32

33 **DR. PATTERSON:** In the red snapper population estimation study  
34 that's wrapping up in the Gulf, we had about 760 natural bottom  
35 sites from Pensacola to the Tortugas, and most of the fish that  
36 we saw were fairly small, young fish, less than 600 millimeters,  
37 and there's a long tail of larger fish, but relatively few.

38

39 We didn't see a whole lot of fish that we couldn't scale with  
40 lasers, or with our stereo camera system, and so, with the  
41 stereo camera system, we're not limited by the distance between  
42 the lasers, but we didn't see a whole lot of fish on the reefs  
43 or low-relief natural bottom sites that we examined that were  
44 less than 200 millimeters, for example, that could be zeroes,  
45 or even a whole lot of fish between 200 and 300 that could be  
46 one-year-olds, more of those than the little guys.

47

48 In the trawl survey, although the trawl survey is occurring on

1 the West Florida Shelf, and has been, I guess, for about six or  
2 seven years now, the issue is that there isn't a lot of shell  
3 rubble habitat, like you have in the western Gulf, or off of  
4 Mississippi and Alabama, even into the Panhandle of Florida a  
5 little bit, where you have settlement habitat for the zeroes  
6 that is trawlable.

7  
8 I don't know -- I haven't looked at it specifically, and I'm  
9 not sure who has, about the trawl data from the expanded survey  
10 east into Florida that has occurred in recent years, the SEAMAP  
11 trawl surveys, and whether they are picking up the zeroes in  
12 that system.

13  
14 As far as the self-recruitment versus subsidies from other  
15 areas, I think the person that's been working on that question,  
16 more than anybody else in recent years, is Ernst Peebles at USF.  
17 They have been using eye lenses to try to estimate whether reef  
18 fishes are locally produced or coming from other areas, using  
19 an isoscape approach with stable isotopes.

20  
21 I don't know where that work stands now, but earlier work with  
22 otolith chemistry was inconclusive, and then, obviously, there  
23 is some tagging studies that showed movement from the north  
24 central Gulf along the Florida Panhandle and down toward Tampa,  
25 but fish that move those great distances were just on the tail-  
26 end of distributions, and conventional tags always stay on fish  
27 for a year or so before they drop off and you can't use that.

28  
29 The work that Matt Catalano did in the red snapper estimation  
30 project in the Gulf, where there were fish tagged in each of  
31 the regions, we didn't tag fish on the West Florida Shelf, and  
32 we tagged them in the Panhandle, and none of those fish have  
33 shown up in catches, or been reported from catches, on the West  
34 Florida Shelf.

35  
36 Unfortunately, as far as your question about local self-  
37 recruitment on the West Florida Shelf versus subsidies coming  
38 from other areas, I think that question is still very much open.

39  
40 **DR. GALLAWAY:** To that point, Jim, I found your West Florida  
41 Shelf report very informative and intriguing. Good job, and I  
42 think these issues are close to resolution, and we seem to be  
43 right around the edges of being able to say something, but not  
44 quite there yet, and so I was trying to figure out how to get  
45 there now, and so, anyway, thanks.

46  
47 **CHAIRMAN NANCE:** You're welcome. Thank you, Benny. Will, did  
48 you have anything else?

1  
2 **DR. PATTERSON:** No. Thanks.  
3

4 **CHAIRMAN NANCE:** Katie.  
5

6 **DR. SIEGFRIED:** Thank you, Mr. Chair. I just wanted to add  
7 something back to the cobia discussion, if I may, and so Mandy  
8 had mentioned what she had been hearing from red snapper  
9 fishermen, and Sean kind of validated that, and we do think that  
10 the cobia stock is in -- It should be a higher priority than  
11 like say the vermilion stock, and what Trevor mentioned earlier  
12 about looking at a stock that's in pretty good shape, and what  
13 are other ways to evaluate that, and it seems like the cobia  
14 should be a higher priority, in general, than the vermilion.  
15

16 I don't think it's actually too late to switch those in the 2024  
17 and 2025 calendar, from what Julie said, and others said, and  
18 so, based on the trajectory of the cobia stock, it was between  
19 SSB SPR 30 and the MSST, and it was 1.11 of MSST and undergoing  
20 overfishing, and so it does seem like a higher-priority stock  
21 than vermilion, but Carrie is right that there were things about  
22 the vermilion snapper assessment that would be good to attack  
23 in an operational.  
24

25 **CHAIRMAN NANCE:** Okay. Any comment? Carrie.  
26

27 **EXECUTIVE DIRECTOR SIMMONS:** Real quick, and thank you, Mr.  
28 Chair. Regarding cobia, we agree that it is a higher priority.  
29 The tradeoff, again, that we have to consider here is the council  
30 is currently working on ending overfishing and making major  
31 changes to management for both sectors for cobia, and that  
32 probably is not going to be implemented until 2022, early 2022,  
33 and so, if we want to try to capture some of that in the next  
34 assessment, we also need to keep that in mind as well, where  
35 that is on the schedule. Thanks.  
36

37 **CHAIRMAN NANCE:** Thank you. Any other comments? Okay. I  
38 appreciate the discussion on this topic. We will go ahead and  
39 break and come back at 10:55 Eastern Time. Thank you.  
40

41 (Whereupon, a brief recess was taken.)  
42

43 **CHAIRMAN NANCE:** It looks like we're ready to start. I think  
44 our next discussion is Item Number XII, and it's the National  
45 Standard 1 Technical Guidelines Sub-Group 3 Tech Memo. I will  
46 go ahead and turn it over to Ryan, I guess. Are you going to  
47 be discussing this one?  
48

1           **DISCUSSION: NS 1 TECHNICAL GUIDANCE SUB-GROUP 3 TECH MEMO**

2  
3   **MR. RINDONE:**   This is actually going to be led by Marian  
4   McPherson, who is on the line, and she is from NOAA Fisheries,  
5   and she's going to walk you guys through this presentation that  
6   she has put together on the National Standard 1 technical  
7   guidance for this technical memo that they've put together to  
8   help inform the councils about alternatives for approaching  
9   catch limits for data-limited species, and so, Marian, as soon  
10  as you're ready to run with it, it's all you.

11  
12  **MS. MARIAN MCPHERSON:**  Hi, everybody.  Thank you, Ryan.  I'm  
13  Marian McPherson, and I work in the Office of Sustainable  
14  Fisheries, and I'm a member of this National Standard 1  
15  Technical Working Group Sub-Group 3 that drafted this technical  
16  memo.

17  
18  Here with me today is Jason Cope and Katie Siegfried and Skyler  
19  Sagarese, who also have worked on this guidance, and they are  
20  really more of the technical experts, and so I'm coming at you  
21  from the policy side, but I'm happy to be here, and I'm glad  
22  that you've had us here to discuss this with you.

23  
24  To start with a little bit of background, basically, the  
25  Magnuson Act has had the requirement for ACLs since 2007, and  
26  2009 is when NMFS established the guidance in the National  
27  Standard 1 Guidelines of how to implement ACLs, and they have  
28  been helpful management tools, in most cases, but, particularly  
29  with some of our data-poor stocks, there have been challenges.

30  
31  There has also been progress, and so it's been a while since  
32  we've looked back at that rule.  In 2016, NMFS issued revised  
33  guidelines for the National Standard 1 Guidelines and convened  
34  this technical working group to focus on implementing the  
35  advice, providing some advice on how to implement the revisions,  
36  and so this draft technical memo is very specifically focused  
37  on one paragraph of those revisions to the National Standard  
38  Guidelines, and so I have put the title here to highlight how  
39  specific our focus was in working on this guidance.

40  
41  There is a paragraph in the National Standard 1 Guidelines that  
42  is written down there, and it's the 50 CFR 600.310(h)(2), and  
43  we are going to call that (h)(2), that sets forth flexibilities  
44  for data-limited stocks for when the standard approach to ACLs  
45  that NMFS provided in its National Standard Guidelines, when  
46  there might be room for recommending an alternative approach,  
47  and so that is what this sub-group looked at, and that is what  
48  this memo is about.

1  
2 Just to give you a quick status update, NMFS discussed this  
3 draft with the CCC in May of 2021, and we have invited comments  
4 by October 1 of 2021, and we are happy to be here working through  
5 what this advice means with some of the SSCs, and you are the  
6 third folks who have invited us to talk with you, and so, again,  
7 I'm happy to be here, and I hope that we can be helpful.

8  
9 Just a note about our sub-group, and, as I said, I am one of  
10 the few policy people on this sub-group, and it's mostly  
11 composed of people from S&T, and we've got folks from each of  
12 the Science Centers who have worked on putting this advice  
13 together.

14  
15 This is an overview. The draft tech memo is organized into  
16 three main areas. The first provides some of the legal context  
17 of the Magnuson Act and the NS 1 Guidelines, differentiating  
18 between the requirements that come from the Magnuson Act itself  
19 versus the requirements that NMFS set up through our  
20 interpretations. For ACLs, the Guidelines sets up a standard  
21 approach, which has to do with ACLs defined in terms of an  
22 amount of fish, weights in numbers, but it also provides  
23 flexibilities, and so we'll talk about that.

24  
25 Then the next section of the tech memo talks about the science  
26 side, what are the data-limited assessment methods that we have  
27 and how have they evolved since 2009, and there are two  
28 categories of assessment methods that we talk about. There are  
29 those that support developing an ACL the standard way, pursuant  
30 to the standard approach in the guidelines, and that's an amount  
31 of fish, and, when those methods are used, the tech memo provides  
32 recommendations and considerations for dealing with  
33 uncertainties and using those methods.

34  
35 The tech memo also talks about other methods that we now have  
36 that have been developed that do support good scientific advice  
37 and could possibly support compliance with the Magnuson Act,  
38 but not in the manner described in the standard approach for  
39 ACLs, and so we'll talk about those methods.

40  
41 Then the paper gets into the management advice, how to apply  
42 these (h)(2) flexibilities, the ability to recommend an  
43 alternative approach to reference points, ACLs, for data-limited  
44 stocks, and then we'll talk about which stocks qualify, and then  
45 we will talk about one potential alternative to an ACL,  
46 expressed as an amount of fish, and that would be looking at an  
47 ACL expressed as a rate.

48

1 Then we do briefly treat stocks that are data-poor and might  
2 qualify for an alternative, but they don't even have data to do  
3 rate-based management, and so that's the overview.

4  
5 First of all, I want to note that nothing in this tech memo  
6 exempts us from the Magnuson Act requirements, and those  
7 Magnuson Act requirements are that the FMP must establish a  
8 mechanism to specify an annual catch limit, and that catch limit  
9 must prevent overfishing, and there must be accountability  
10 measures. Those are the requirements of the Magnuson Act. We've  
11 got to comply with those.

12  
13 Then the NMFS guidelines set forth the standard approach to  
14 ACLs, which is still NMFS' interpretation of the best way to do  
15 this, and that would be to express your ACL in terms of an  
16 amount of fish, a weight or a number of fish, and so the  
17 guidelines set forth that standard approach, and then the  
18 guidelines also provide flexibilities.

19  
20 Those are the (h)(2) flexibilities, which is for certain stocks,  
21 and those include these data-poor stocks that we're going to  
22 discuss, and the council may recommend an alternative approach,  
23 but the alternative still must comply with those Magnuson Act  
24 requirements that are bulletized up at the top, and they must  
25 be included in the FMP, and we must document the rationale for  
26 why it complies with the Magnuson Act requirements.

27  
28 Just to emphasize how (h)(2) is going to be relevant to us, it  
29 allows flexibility from the National Standard Guidelines  
30 approach for ACLs for these limited circumstances that include,  
31 among other things, stocks for which the data are not available  
32 either to set the reference point, and, by that, we're talking  
33 about ACLs, in this context, or to manage to the reference  
34 points pursuant to that standard approach. Again, the key is  
35 going to get down to what data are available and what is the  
36 best we can do with what we have.

37  
38 Now we're going to get into talking about the science for a  
39 little bit, and so, as I mentioned, since 2009, we've had  
40 advances in stock assessments for data-limited stocks, and we  
41 have new tools to more effectively use the data that we have.  
42 We're able to identify manageable metrics, and we have increased  
43 our understanding of uncertainties.

44  
45 This is a flow chart that we put together that depicts what you  
46 can do, what the methods are that out there, based on what  
47 information you can feed into the method. Trying to get to a  
48 standard ACL, expressed in terms of weight or number, you're

1 going to need to have minimum information about abundance.  
2  
3 This flow chart basically goes down the left-hand side of the  
4 screen, assuming that you have the biomass, the abundance,  
5 information needed to get you to a standard ACL, and so it's  
6 just a question of what you have, and the yes/no questions get  
7 you down to -- You can develop an ACL that is expressed in terms  
8 of an amount of fish.  
9  
10 I want to put a flag down there at the very bottom, and you're  
11 going down the left-hand side, but you have a bunch of no. The  
12 bottom middle blue box, it's the catch estimator approaches,  
13 and that is the worst-case scenario of what you can do if all  
14 you have -- The least amount of data, and all you can do is just  
15 a catch estimator approach, and we're going to flag that,  
16 because we're going to have recommendations for that in a  
17 minute, when we get to the recommendations section.  
18  
19 Now, all of this on the right-hand side of the screen are data-  
20 limited methods that can give us good, measurable information,  
21 but just not help us get to that standard approach where the  
22 ACL is expressed in terms of an amount of fish, and so maybe  
23 you have length information, or maybe you have other indicator  
24 information, and you can plug these into the assessment methods  
25 that we now have, and, if you have that information to plug into  
26 these methods, that little purple box at the bottom says you're  
27 going to want to look at (h)(2), an alternative to the standard  
28 approach, and particularly the alternative we're looking at,  
29 that come from these methods, would be a limit expressed in  
30 terms of weight.  
31  
32 You guys, and ladies, may have a lot of questions about the  
33 details on this, and I am going to just hold off on this for a  
34 minute, while I walk through the presentation, and then Jason  
35 Cope can really work through the details of this one, if you've  
36 got questions on this slide, but this is the general vision of  
37 the slide.  
38  
39 Before I move on, I do want to mention that we've sort of laid  
40 it out in this simplistic visual for you, but we know, from  
41 trying to work through this, and working with some of you and  
42 the Science Center, is that it's not a cut-and-dried question,  
43 in data-poor fisheries, of what data really are available for  
44 doing what you want to do with them, and we recognize that  
45 you're going to need to really look closely at what you're  
46 wanting to do, talking with your science people, your managers,  
47 your constituents, about what you can do with what you have,  
48 but there may be a better way than catch estimators, and it's

1 worth looking into.

2  
3 I mentioned that, assuming you're going down the left-hand side  
4 of that slide, and you've got methods that can get you to a  
5 standard ACL, you're still data limited, and there are still  
6 caveats and considerations that need to be kept in mind. I am  
7 not going to read these bullets to you. They are written down  
8 in the paper, and you can read them, but they have to do with  
9 being transparent about uncertainty and using appropriate  
10 buffers, but I do want to highlight, at the bottom, this blurb  
11 about the catch estimator methods.

12  
13 As I mentioned on the last slide, we recognize that sometimes  
14 this really is all you have. If it's your best scientific  
15 information available and you're trying to get to ACLs, then  
16 maybe that's what you have to do, but we're now encouraging you  
17 to look at alternatives and consider whether an (h)(2)  
18 alternative might be more appropriate.

19  
20 If you're still going to be stuck using the catch estimator,  
21 just be sure you're appropriate with your buffers and plan to  
22 transition to another approach. These are recommendations in  
23 this draft memo, and so things for you to chew on and give us  
24 feedback on.

25  
26 Those were the methods that get you to your standard ACL, and  
27 then I mentioned that we have these other methods that provide  
28 really good advice, but just not resulting in weight or amount-  
29 of-fish-based advice, and so you've got length-based methods,  
30 and you've got indicator-based methods, and they do provide  
31 science-based metrics and reference points that can help us  
32 establish limits, monitor to limits, and comply with the  
33 Magnuson Act requirements.

34  
35 The tech memo provides guidance on which data-poor stocks might  
36 be appropriate for using the (h)(2) alternative. As a reminder,  
37 it's focused only on alternatives for stocks that lack the data,  
38 and these are the two sets of criteria that are mentioned in  
39 the (h)(2) flexibility paragraph itself, that the data lack to  
40 either specify or manage with an ACL, and so those are the two  
41 considerations that we have to bear in mind in determining  
42 whether we're going to qualify to look for an alternative under  
43 (h)(2).

44  
45 Here is another visual, sort of depicting the whole premise that  
46 is set forth in our tech memo of which stocks qualify to use  
47 alternative ACLs under (h)(2), and that's one question that  
48 needs to be asked, and then the next question is, all right, so

1 you qualified and recommend an alternative. Is the rate-based  
2 alternative right for you, or appropriate for you?

3  
4 Again, it starts with what information is available, just like  
5 on Slide 7, and you've got to have this core abundance  
6 information to go down the left-hand side of the slide and get  
7 to your standard ACL, and that information is bulletized up  
8 there at the top, and it's about time series of removals, life  
9 history information, et cetera, and so that's the first  
10 question, is do you have the abundance information to start  
11 with, so that you're going to be able to set your ACL, in terms  
12 of an amount of fish.

13  
14 If yes, then start proceeding down the left-hand side. If no,  
15 if you don't even have that, then you can start looking -- The  
16 right-hand side of the screen is going to be the (h)(2) world.  
17 It's time to start looking at whether an alternative would be  
18 appropriate for you.

19  
20 Let's just say that, yes, you have that abundance information.  
21 You're going to go down the left-hand side of the screen, and  
22 you're not done. You're not automatically -- You don't  
23 automatically have to go all the way to the weight/numbers-based  
24 ACL, because you also have to be able to monitor and enforce  
25 that. That's the other aspect of the (h)(2) paragraph.

26  
27 Can you set the ACL, and can you monitor and enforce it? If  
28 yes, then use the NMFS standard approach. Use your weight-based  
29 ACL, and we still think that's the best way to go, but, if no  
30 to either one of those, head over to the right-hand side of the  
31 screen, and that big box in the middle, and that's where you're  
32 starting to get into the (h)(2) world.

33  
34 Like I said, this tech memo focuses on the alternative of  
35 expressing the ACL in terms of weight. Just because you're in  
36 (h)(2), and you can do an alternative, it doesn't mean that rate  
37 is right for you. You're going to have to answer these  
38 questions, and you're going to have to be able to estimate the  
39 average fishing mortality rate, either having length composition  
40 data or other indicators, and you're going to have to have the  
41 proxy for F at FMSY to set the MFMT, the maximum fishing  
42 mortality threshold.

43  
44 If you have both of those things, then you should consider using  
45 this rate-based ACL. It may be preferable to what you're doing  
46 now, without better biomass information, and then the no box on  
47 that side, that gets you down to the very bottom, yes, you  
48 qualify for (h)(2), and you are very, very data poor, but you

1 don't even have weight info, and what are you going to do, and  
2 so you're still required to find a way to comply with the  
3 Magnuson Act, and we'll talk about that a little bit at the end,  
4 but those stocks are still our most problematic.

5  
6 The MSA defines overfishing as a rate or a level of fishing  
7 mortality that jeopardizes the capacity to produce MSY on a  
8 continuing basis, and so, while weight and numbers-based ACLs  
9 are the standard approach, expressing the ACL in terms of the  
10 fishing mortality rate and monitoring the actual fishing  
11 mortality level against the reference point could provide an  
12 alternative means of monitoring, to make sure that overfishing  
13 is not occurring.

14  
15 You could have the same management tools that are available for  
16 managing under a weight-based ACL, or you could use the same  
17 things for managing under a rate-based ACL, and just the trigger  
18 would be expressed in terms of F rather than weights or numbers,  
19 but, if you hit the trigger, you would still be able to apply a  
20 time/area closure, trip limits, size limits, all potential  
21 accountability measures that could be used as well for a rate-  
22 based ACL as they can for an amount-of-fish-based ACL.

23  
24 If you have a data-limited method that can provide you your F  
25 and your MFMT, then the SSC and the council could apply buffers  
26 to derive the ABC and ACL, just like we would do under a standard  
27 approach.

28  
29 Hypothetically, depending on what data you have that are  
30 collected, and maybe you have length data, this might be an  
31 indicator that could be useful and could be incorporated into  
32 management, and so, if the SSC can correlate an indicator with  
33 a rate, and management controls could be designed to maintain  
34 the stock within that indicator range, that might be a way to  
35 go, and so, hypothetically, here's an example.

36  
37 If your stock assessment provides information that your OFL, or  
38 your MFMT, is 9.4 inches, and that comes out of the assessment,  
39 then the SSC might look at that and apply an uncertainty buffer  
40 to say your rate-based ABC might correlate to ten inches, and,  
41 similarly, the council could do a rate-based ACL correlating to  
42 10.2 inches, to get to the  $F_{ACL}$ . We started using these  
43 abbreviations with the F in front of the reference point to  
44 indicate that it's a rate-based reference point. Then, as I  
45 mentioned, the same management options would still be available.

46  
47 As we mentioned, the FMP must describe how the monitoring would  
48 ensure compliance with the Magnuson Act. Our group thought of

1 different ways to potentially do monitoring, and one  
2 hypothetical we examined with the Caribbean is we looked at  
3 setting up a length-based indicator system and doing a data-  
4 limited assessment method using lengths, and the thought process  
5 was that it might be -- Once that method was set up, it might  
6 be just as easy to run the method on an annual basis and compare  
7 the F to the ACL.

8  
9 On the other hand, a potential approach, if you had a good  
10 indicator, might be such as length, just to monitor the  
11 indicator reference point versus the indicator of what you're  
12 finding in your samples, and then it's important that there  
13 would be accountability measures.

14  
15 Another thing to think about is, in setting up such a system,  
16 would be how frequently you would want to monitor. We did not  
17 provide guidance on in-season monitoring in this draft tech  
18 memo, but that's definitely something that people had kicked  
19 around and chewed on a little bit.

20  
21 Finally, I talked about these stocks that are very data poor,  
22 and they lack data for effective management, the standard  
23 approach, and they also lack weight data, and so what do we do  
24 with these stocks? We still have to comply with Magnuson, doing  
25 the best that we can, and these might be stocks that end up in  
26 the catch estimator box, but the paper recommends considering  
27 whether a data collection program could be set up that it would  
28 be cost effective to start moving towards a rate-based ACL  
29 system and whether there could be a step-wise plan to progress  
30 towards a standard ACL. Start with your rate-based, and start  
31 some kind of data gathering, with the goal of progressing  
32 towards the standard approach.

33  
34 That is the broad overview, and, as I mentioned, we do have some  
35 technical experts on the line and here, if you've got questions  
36 or comments.

37  
38 **CHAIRMAN NANCE:** Marian, thank you very much. That was a great  
39 presentation. Any comments from the committee? Rich.

40  
41 **DR. WOODWARD:** Thanks very much. This was very interesting.  
42 As somebody with very little experience in all of this, I am  
43 just -- A couple of questions came to mind. First of all, is  
44 there any use of fishery-dependent data when you're dealing with  
45 some of these questions, and, if so, how is that incorporated  
46 into the analysis?

47  
48 Secondly, I was sort of surprised that there was no mention of

1 -- The word "Bayesian" did not show up in any way, shape, or  
2 form in the document, and so I would think that a Bayesian  
3 approach would make a lot of sense in situations where you are  
4 very data limited, and so two questions.

5  
6 **MS. MCPHERSON:** These are definitely going to be questions for  
7 Jason.

8  
9 **DR. JASON COPE:** Thank you for those questions. The second  
10 question you mentioned, the Bayesian -- Well, let's start with  
11 the first one about the fishery-dependent data, and those  
12 sources are often critical in these data-limited situations,  
13 because you often don't have fishery-independent surveys or  
14 designs or the money to kind of set up those sorts of things,  
15 and so, often, all you have is fishery-dependent data, and so  
16 absolutely all of those -- If you think about that very broad,  
17 or generalized, flow chart, that diagram of assessment methods  
18 that Marian shared, with --

19  
20 **MS. MCPHERSON:** That was Slide 7, if you want to go back to  
21 that.

22  
23 **DR. COPE:** You can if you want, but I just want to highlight  
24 the fact that -- Oftentimes, the critical piece of information  
25 that you do have to work with, or if you're just starting to -  
26 - Oftentimes you coming from that first, and then you try to  
27 build off of that, maybe some fishery-independent information,  
28 and so, yes, very much -- Even though you have to respect the  
29 fact and the caveats that it may not be designed to measure  
30 exactly what you would hope to measure, it's all you have, and  
31 we have to work with it, and so that's fine.

32  
33 There are actually methods that are specifically designed to  
34 use fishery-dependent data, and you kind of can mess things up  
35 if you use fishery-independent data, and those would be examples  
36 that -- Thank you for showing this.

37  
38 **CHAIRMAN NANCE:** Jason, we're hearing about every fifth word.

39  
40 **DR. WOODWARD:** I have a quick follow-up, and I think I got the  
41 gist of what Jason --

42  
43 **DR. COPE:** Did I lose folks there?

44  
45 **CHAIRMAN NANCE:** Yes.

46  
47 **DR. WOODWARD:** Let me just ask a quick follow-up question on  
48 that, and so economists spend a lot of time thinking about what

1 we call the data-generating process, in terms of what are the  
2 incentives and the source of the data, and is that type of  
3 analysis included when you're using fishery-dependent data?

4  
5 **DR. COPE:** I think our angle here is basically looking at what  
6 is available, and so, however that data were generated is kind  
7 of outside the thought process, and we're just seeing what we  
8 have and what we can do with what we have. Now, part of this,  
9 as you can see, as you read through the tech memo, is building  
10 up from where you are, and so all sorts of analyses would then  
11 go into there, including economic analyses of data generation  
12 and all of that, and so it's absolutely a critical point to  
13 this.

14  
15 What we're mostly highlighting here is that we find ourselves,  
16 depending on the stock that we're looking at, in some  
17 challenging data situations that we either can just bypass, and  
18 just make decisions from something, and I don't know what, or  
19 try to use that available information as best as possible, but,  
20 likewise, you should always be thinking on how can you build  
21 from where you're at, and that's really, I think, the  
22 encouragement here, is that, wherever you are, there is  
23 something you can do that can lean on fisheries science, the  
24 history, the theory, whatever it is, as you mentioned, Bayesian  
25 techniques, eliciting priors from experts.

26  
27 You can do all of these things and do the best that you can with  
28 what you have and simultaneously try to figure out where you  
29 want to go next and what are you going to need and what's the  
30 cost-benefit analysis of moving to the next level of data  
31 collection, what should that look like, how are we going to do  
32 that, how are we going to get cooperation, et cetera, and so it  
33 builds from that, and I hope that I'm addressing your question  
34 head-on. I am attempting to.

35  
36 **DR. WOODWARD:** No, that's great. Thank you very much.

37  
38 **DR. COPE:** I don't know if I -- I kind of cursory there mentioned  
39 the Bayesian part, and absolutely. A lot of these methods  
40 either use Monte Carlo approaches or Bayesian approaches, and  
41 all of that stuff is wrapped up in the particular method, and  
42 so there's a lot of sort of prior information, as you can  
43 imagine, going in, expert opinion, all that sort of stuff, and  
44 we're trying to mine as much information as possible in some of  
45 these data-limited situations, and so absolutely Bayesian  
46 approaches are critical here.

47  
48 We didn't go into the deep depths of description on these

1 methods, and we mostly outlined them, to show these are the  
2 types of things, and here are some references, but it definitely  
3 includes Bayesian considerations.

4  
5 **CHAIRMAN NANCE:** Thank you. John.

6  
7 **DR. FROESCHKE:** Thank you. Thank you for producing the report  
8 and providing the presentation. When I looked at this, and I  
9 was trying to look at it through a bit of a regional lens, I  
10 guess, and how this information would apply, or could apply, to  
11 the Gulf stocks, and a couple of takeaways.

12  
13 Originally, if you look at that flow chart on the screen, most  
14 of our data-poor stocks we measure with the landings-based ACLs,  
15 which is, I guess, the catch estimator approaches, and, if you  
16 look at that top box, we have available records, and removals  
17 are monitored, and so, essentially, based on that criterion  
18 alone, the way I see it, all of our stocks would be in the yes  
19 side, the left side, of that flow chart right away, which is  
20 where we already are.

21  
22 I am not sure how applicable this is. That bottom one, where  
23 it says the index, and then it has the fork between the stock  
24 production and the catch estimator, and so the landings is where  
25 we are. I guess, if you had an index, then you would try to go  
26 to the stock production. The way I was interpreting that would  
27 be akin to the data-limited stock assessment, i.e., the SEDAR  
28 49, and what we've done for lane snapper.

29  
30 When we did the SEDAR 49, what we found out, based on the methods  
31 used in there, was that most of our data-poor stocks didn't have  
32 enough information for those kinds of things, and so my  
33 interpretation of this is it's a low bar to get to the yes side,  
34 where you're going to have the catch estimators, but there is  
35 still a pretty big gap between there and what could be done for  
36 the data-limited approaches, unless there is some new  
37 information, or methods, for the stock production that I am not  
38 aware of.

39  
40 The other thing that struck me was the use of the mean length  
41 as an indicator, and I guess I just have some concerns that in  
42 a period -- If you had a particular stock, and you were  
43 monitoring that approach, and you had a big recruitment event,  
44 you're going to drive the average size down, even though that's  
45 a good indicator of the fishery, and it's likely going to lead  
46 to an overfishing signal, and then, conversely, you have periods  
47 of failed recruitment, and you're going to be fishing on older  
48 fish, because that's all that there is, and so everything is

1 going to be looking good, when, in fact, that's probably not  
2 the direction you want to be going to. Those are just some  
3 thoughts from our region, as I see them, and I would just be  
4 curious on the collective response.

5  
6 **DR. COPE:** I'm happy to add a little bit to that. All excellent  
7 observations, and one thing to bring out sort of to the forefront  
8 is, in that very top box, where it says "do you have available  
9 removal records for basically most of the fishery", the other  
10 key part of that is that you're actually able to monitor those  
11 catches well, and, in some fisheries, that's where a lot of  
12 folks kind of find the biggest challenge, is monitoring catches,  
13 whether it's a mix of commercial and recreational, or whatever  
14 it is.

15  
16 You really need both, because, if you set an ACL, but you really  
17 can't monitor it well, then maybe that isn't the good indicator  
18 of the fishing level that you want to measure to see if  
19 overfishing is occurring, and so that's one thing to highlight.

20  
21 Now, if you are in that situation, where you're finding that  
22 you are able to monitor and track catches with little problem  
23 for all FMP stocks, and you have a full time series, then it  
24 just -- Like you said, it kind of just depends on where you land  
25 with the rest of your data what you can do.

26  
27 Now, the big warning though in our tech memo is that some of  
28 these catch estimator methods are assuming some really big  
29 things that you know about the population, such as what the  
30 current stock status is and other things that are huge  
31 assumptions and that the results are very sensitive to, and so  
32 definitely, that warning in the tech memo, we want to highlight  
33 that.

34  
35 On the side of the mean length and length-based methods, you're  
36 absolutely right that those are -- All of these methods are  
37 suffering from certain assumptions, and like the catch  
38 estimators can suffer from not knowing what the current stock  
39 status is, and mean estimators are very sensitive to the  
40 assumptions of equilibrium. As you mentioned, a big recruitment  
41 can really mess up your signal and so you want to recognize  
42 that, and, for some stocks, maybe that isn't -- Even though you  
43 could do it, it may not be the most appropriate thing to do,  
44 because of such an occurrence of big recruitment that might mess  
45 things up, and so those are things that you want to think  
46 through.

47  
48 I think what we want to provide here is the guidance that says

1 here are things that you can do, and, if that does occur, you  
2 just want to work that into your interpretation of the results.  
3 If you have a big drop in mean length, you want to ask yourself,  
4 do we have recruitment? If so, that's a good sign, probably,  
5 and not a bad sign.

6  
7 You can work that into the way that you interpret the results,  
8 but I just want to encourage that, and that's the exact type of  
9 thought that you want to have. Be very critical in the  
10 consideration of these methods, because they all have  
11 weaknesses, but they can -- When those are respected, when those  
12 assumptions and caveats are respected, you can do some powerful  
13 things, even in extreme data-limited situations, that can also  
14 highlight what you want to start to collect next, as far as  
15 data, to get you out of that particular trouble that you might  
16 find yourself in.

17  
18 Of course, we would like to have, ideally, right, integrated  
19 stock assessments with multiple data types that all give the  
20 same signal. The problem with our integrated assessments is  
21 that, and I can speak firsthand to this, you have a bunch of  
22 data, and they are giving you different signals, and which is  
23 the right, quote, unquote, signal.

24  
25 Any time we put length compositions into our assessment, we  
26 might suffer -- If we get the selectivity wrong, or we  
27 misinterpret them, even our integrated stock assessments can  
28 lead us astray a bit, and so all of these things need to be  
29 thought through, and these questions here are really nice to  
30 hear, because these are very thoughtful, critical questions that  
31 are needed when thinking through this, and we hope that we just  
32 provide guidance that folks feel like, if they do find  
33 themselves in the neck of the woods where there aren't a full  
34 time series of catches, or you can't really monitor those  
35 catches, there is still something that can be done to try to  
36 figure out if overfishing might be occurring and provide some  
37 guidance to the managers.

38  
39 **MS. MCPHERSON:** That's a very good -- All of those are good  
40 points, and so I do want to just add on just a bit. I had that  
41 one slide with sort of the summary of recommendations, if you're  
42 going to be using the assessment methods on the left that can  
43 get you to those standard ACLs, and there is -- If anyone has  
44 got the tech memo, or if you just want to take a note for your  
45 review, when you go back, it's on page 7 is our section on  
46 recommendations when you're using those methods on the left,  
47 and I don't know if I copied every bullet, but there is a bullet  
48 that talks about kind of, when you think you have the data, but

1 you're uncertain with it, and there's a section on this in the  
2 tech memo, on page 7.

3  
4 It might be worth just reading the whole thing, but there is a  
5 bullet about, if the results are driven by weakly-justified  
6 expert opinion, poorly-known parameters, severely-limited data,  
7 consider one of the other methods, and so explore the  
8 uncertainty in your inputs.

9  
10 Like, if you have something that you can say fits the box, but  
11 you're super uncertain about it, you might want to look down on  
12 the other side of the slide and see if one of the other methods  
13 might -- We keep hearing in these data-limited fisheries that -  
14 - You've really got to ask among yourselves, and the answer is  
15 within you and within your community of do we trust this data  
16 to do what we're asking of it.

17  
18 It's this second-bullet-from-the-bottom is the one that I was  
19 just reading from, but all of these might be worth considering  
20 when you're providing us your comments.

21  
22 **CHAIRMAN NANCE:** Okay. Thank you very much. Roy Crabtree.

23  
24 **DR. CRABTREE:** Thanks, Jim, and thanks, Marian, for the  
25 presentation. I have seen this a number of times over the  
26 years, and I don't know where this ultimately goes out, because  
27 I think there's a lot of questions about whether this complies  
28 with the statute or not, but that's for the lawyers to sort out  
29 somewhere along the way.

30  
31 The fishery that comes to my mind though that this might be  
32 helpful to us is spiny lobster, and we have really struggled,  
33 over the years, with how to set the ACL for spiny lobster, and  
34 we have struggled with the accountability measure for spiny  
35 lobster, which is essentially we convene a review panel and  
36 review it if we go over and all.

37  
38 Because of the peculiarities of the spiny lobster fishery, I  
39 think the gist has been, over the years, that having a size  
40 limit is sufficient to protect things, because the recruitment  
41 comes from elsewhere, and so the notion that somehow you can  
42 substitute a size limit in some fashion for the ACL -- That's  
43 the one that comes to my mind as a place where this approach  
44 might be worth looking at.

45  
46 I think part of what will come up with the council though is I  
47 think a lot of constituents are going to argue that we can't  
48 monitor and enforce ACLs adequately for any of our recreational

1 fisheries, because the timing issue is so far off, and we  
2 certainly have fisheries where the season is over before we get  
3 any recreational catch estimates, and so how you argue that  
4 that's what you can monitor and enforce I think is a pretty  
5 tortured argument.

6  
7 It's interesting, but I do think, given some consideration of  
8 how we might better deal with spiny lobster, because we've never  
9 closed the fishery down because the catch was too high or too  
10 low, and we have always concluded that the high catches didn't  
11 threaten the stock in some fashion or another, because things  
12 are driven by other drivers, and so that's my thought on it.

13  
14 **CHAIRMAN NANCE:** Thank you. Will Patterson.

15  
16 **DR. PATTERSON:** I am really curious about this idea of utilizing  
17 rate-based approaches. It doesn't seem to have gotten as much  
18 treatment, or consideration, as the landings or mean-size-based  
19 approaches for data-limited stocks when integrated or lesser  
20 assessments, more quantitative assessments, can't be  
21 accomplished.

22  
23 I am curious, and we have the situation, I think, for some  
24 stocks in the Gulf of Mexico, that isn't often encountered,  
25 where you have a time series of landings estimates that are  
26 fairly unreliable, yet there is also considerable otolith  
27 samples that have been collected through time, and so the age  
28 composition of the landings is possible, but it's tough to put  
29 them together so that you have -- You have, I guess, a reliable  
30 estimate of what the landings actually were, but you do have  
31 the age composition data.

32  
33 Earlier, we were having a conversation, a related conversation,  
34 before I think Marian and Jason got on the call, but, in the  
35 Nathan Taylor paper from 2005, where they were looking at  
36 likelihood approaches to estimating von Bertalanffy growth  
37 equations, or growth parameters, they actually show an approach  
38 to taking age composition data and simulating what the  
39 population must have looked like, given assumptions about  
40 selectivity.

41  
42 I am curious if, in Jason's experience in particular, like what  
43 your group has been working on, if anything, in that realm, and  
44 it seems to me probably a pretty rare case where you have age  
45 composition, but no other reliable data, and so I'm just curious  
46 what's been going on in that realm.

47  
48 **DR. COPE:** That is a really great question, and we do have some

1 exciting stuff that's going on in that realm, and you're right  
2 that it is a unique situation to have kind of a treasure trove  
3 of age data and not much else, but that age data is so potent  
4 in its ability to kind of tell you what's going on with the  
5 population, as you said, as long as you can kind of understand  
6 roughly what that selectivity curve is.

7  
8 What that falls into is the category of basically those length-  
9 based approaches, and the length-based approaches are really  
10 there to approximate ages, and that's what those approaches are  
11 doing. Now, if you have ages, you have an even better way of  
12 tracking what's going on in the underlying demography of the  
13 population and the age structure and so forth.

14  
15 Understanding selectivity, you can pretty powerfully understand  
16 what the status of the stock is and pull out some sort of long-  
17 term fishing mortality that has driven that stock to that  
18 particular age structure, and, with that, if you have any other  
19 indicators of the stock, in addition to the -- So maybe you  
20 don't have a really good catch record, but maybe you have other  
21 ancillary data that could indicate some aspect of the  
22 population, whether it's recruitment or something, and you can  
23 put those together in a multi-indicator approach.

24  
25 What's really interesting is, working internationally, this is  
26 exactly the type of stuff that folks do, because they aren't  
27 focused on setting catch limits, and they're focused on just  
28 coming up with the best indicator or way to measure the status  
29 of the stock that they can do, and they come up with a lot of  
30 these creative situations, and I think spiny lobster was a  
31 really good example of how this gets done in other places as  
32 well, because they have the same problem of setting catch  
33 limits, and they often go to some sort of size or length-based  
34 approach to get a stock status and get an estimate of  $F$  and move  
35 on from there.

36  
37 Yes, within -- I mean, this is an aside, and I will just invite  
38 anyone who wants to get into the technical stuff -- If you want  
39 to talk to me about how you can implement these things in Stock  
40 Synthesis, these super data-limited approaches, such as purely  
41 just ages, without a real good catch history, I'm happy to talk  
42 and show you how to do that, but, yes, you can do that sort of  
43 stuff, and it can be really powerful, to be honest, having a  
44 bunch of ages.

45  
46 **DR. PATTERSON:** Thanks. Jim, can I just follow-up, real quick?

47  
48 **CHAIRMAN NANCE:** Yes, Will. Go ahead.

1  
2 **DR. PATTERSON:** Thanks, Jason. That's really cool stuff, and I  
3 will follow-up with you offline and send a recent paper that we  
4 published on warsaw grouper here in the Gulf, and I would really  
5 like to talk about some of these other Stock Synthesis  
6 approaches, to try to code that up, and so, anyway, thanks for  
7 the input, and I look forward to interacting later.

8  
9 **CHAIRMAN NANCE:** Thank you. Luiz.

10  
11 **DR. BARBIERI:** Thank you, Mr. Chairman, and thank you, Marian  
12 and Jason, for the presentation and the discussion. It's very,  
13 very helpful and super interesting stuff, and I think very  
14 useful. I really want to compliment the working group for going  
15 through this process and putting this together, and, obviously,  
16 you were dealing with a super complex issue and a very, very  
17 tough problem to solve, and I think that you did a great job  
18 pulling together a lot of different approaches and considering  
19 a pathway that I think provides very helpful guidance, and so  
20 congrats on that.

21  
22 I had a lot of the same questions and concerns that others have  
23 brought up, for obvious reasons, and I know pretty much all of  
24 you who have worked with this working group, and I know that  
25 you're aware of all those concerns and all those questions and  
26 the use of this data and the availability -- I mean, the use of  
27 these methods and the availability of the data, et cetera, and  
28 so I think everything that you explained there, Jason, and went  
29 through, in responding to John Froeschke and to Will and others,  
30 I think that helps clarify the tone of this.

31  
32 I like the fact that you present this as a variety of approaches  
33 and methodologies and pathways that can be followed to deal with  
34 some of these issues, but it's not very prescriptive to use this  
35 one or use that one, and so I like that a lot, and so my only  
36 question here then is did you go through the process, because I  
37 think it will be helpful, to develop some example applications  
38 of this? Was there time to get some of that done, just so we  
39 could see some of the situations where this may have actually  
40 been tested, to some extent, and shown to provide some useful  
41 guidance? Thank you.

42  
43 **MS. MCPHERSON:** Thank you for your comments. Have we gone  
44 through examples? I will say, in developing the paper, we did  
45 sort of a hypothetical case study exercise with some internal  
46 data that we haven't -- But we are -- We have talked with the  
47 Southeast Region and the Western Pacific Region about possible  
48 pilot projects, and I think there is some interest, and I don't

1 know if anyone from the Southeast Region is here to talk about  
2 possibly doing something like this for queen triggerfish. I  
3 don't know if any decisions have been made about that, but there  
4 is definitely interest at NMFS in having some kind of pilot  
5 projects done, but we're not there yet.

6  
7 **DR. BARBIERI:** Okay. Sounds good. Thank you.

8  
9 **CHAIRMAN NANCE:** Thank you. Steven Saul.

10  
11 **DR. SAUL:** Thank you, Mr. Chairman, and thank you, Marian and  
12 Jason. I was just going to add that I certainly agree that  
13 these approaches, when properly matched, due to the data  
14 structures and such that you have, can be a powerful tool. Some  
15 colleagues and I completed an assessment of about fifty  
16 different reef fish species in Indonesia, together with the  
17 Ministry of Fisheries, and one thing that I found useful that  
18 we've done is we've taken a handful of these approaches that  
19 are appropriate and ran the data through those multiple  
20 approaches and then blended the results and the outputs, in  
21 order to understand some level of model uncertainty, given that  
22 there are a variety of different approaches, and there is really  
23 no one size-fits-all, and no approach really is perfect. By  
24 sort of blending multiple approaches and blending the outputs,  
25 that's kind of one good way that you get at model uncertainty.

26  
27 What we found from doing that is some stocks sort of straddle  
28 the fence, in terms of where they were more relative to FMSY  
29 and BMSY and such, but others, when you look at the ranges, were  
30 either clearly doing very, very well or clearly not, and so you  
31 can really steer your management approach based on some of these  
32 approaches when clear signals can sort of be derived. Thank  
33 you.

34  
35 **CHAIRMAN NANCE:** Thank you, Steven.

36  
37 **DR. COPE:** Can I just say one thing with what Steven said? He  
38 said some really, really good stuff there, and I appreciate that  
39 example of applying it in Indonesia, and I just want to highlight  
40 one thing he noted, is that sometimes these methods give you -  
41 - They do give you clear answers as to what's going on.

42  
43 If we're asking these really data-limited methods to parse out  
44 kind of really fine details on what the population is doing, we  
45 might be asking too much, but there are many instances where  
46 they can give you very clear signals that will help guide  
47 management, and, in the instances where they don't, I think this  
48 is where we fall back onto our risk structure, and this probably

1 falls into the SSC's realm and the council's realm of defining  
2 risk and what do we do when there is a bunch of uncertainty  
3 about status, and how do we approach it.

4  
5 I think lots of councils have talked about how do you structure  
6 your risk approach when you have data limitations, and so,  
7 coupling that with these methods, I think we couple the science  
8 with the risk-based approach, and we can make good informed  
9 decisions, even under highly uncertain situations.

10  
11 **CHAIRMAN NANCE:** Thanks, Jason. Before we leave this topic,  
12 are there any specific SSC recommendations that we have for the  
13 council? Trevor.

14  
15 **DR. MONCRIEF:** Just real quick, I mean, would it be useful to  
16 at least have some candidate species? I mean, we mentioned  
17 spiny lobster and stuff like that, but would it be useful to  
18 have some sort of list of applicable species that could fall  
19 under this?

20  
21 **CHAIRMAN NANCE:** I think that would be very good, and so  
22 certainly spiny lobster is a candidate for this, for this  
23 approach. Any others? I think we had some very good information  
24 here, and good flow charts and everything else, to allow us to  
25 be able to utilize this methodology for our assessments. Will.

26  
27 **DR. PATTERSON:** I just think there are some deepwater species  
28 for which there is quite a bit of age comp data, and perhaps  
29 unreliable catch, or even size comp information, that I am  
30 curious what Jason said here about using SS in those situations,  
31 but I think there's a possibility that we could explore some of  
32 that, using the more recent data-limited approaches.

33  
34 **CHAIRMAN NANCE:** Yes, I agree. Certainly some of those topics  
35 that we discussed this morning would be able to be used here,  
36 maybe. Roy.

37  
38 **DR. CRABTREE:** I guess I have a question for Marian, in terms  
39 of the timing and getting to an actual rulemaking, because this  
40 would require revising the National Standard Guidelines, and  
41 can you give us any sort of notion as to what the agency is  
42 considering, in terms of timing?

43  
44 **MS. MCPHERSON:** Sure. At this point, this is in the form of a  
45 technical memo, and our thoughts, at the moment, are to continue  
46 moving forward with this process, and I believe NMFS has gone  
47 on record saying that you don't need to wait for us to finalize  
48 this advice, because the exception is already in the National

1 Standard 1 Guidelines, in (h)(2), in 310(h)(2), and it  
2 specifically says the council can recommend an alternative  
3 approach for a rate-based ACL.  
4

5 (h)(2) is focused on limited circumstances, and the idea, the  
6 hope, is that we will get a couple of pilot projects going, and  
7 we do have in mind that, as this becomes more widespread and  
8 used, if there is a desire to use it for more than just limited  
9 circumstances, there could be a need for rulemaking.

10

11 **DR. CRABTREE:** Marian, the current guidelines also specify that  
12 catch is an amount of fish, and so a catch limit is an amount  
13 of fish, right?

14

15 **MS. MCPHERSON:** The guidelines set up a standard approach for  
16 ACLs, and that's the language used throughout the guidelines,  
17 is "standard approach", and it's within that context that it  
18 says -- In the paragraph that defines the ABC and ACL, that  
19 paragraph says, for these two purposes, we're saying catch means  
20 the weight of fish.

21

22 Then, later, in the paragraph (h)(2), it says there may be  
23 limited circumstances where we need to propose an alternative  
24 way, alternative to what we said, in that definition of a  
25 standard approach, and so this is what the sub-group has been  
26 working on, is providing advice on what that might mean. What  
27 might an alternative approach look like that could still comply  
28 with what's in the Magnuson Act, an annual limit that prevents  
29 overfishing and that triggers accountability measures, but might  
30 not be effectively able to be done under that standard approach,  
31 where the ACL is an amount of fish.

32

33 **DR. CRABTREE:** Okay. I guess the question becomes how much time  
34 do you want to invest in looking at this, and it seems to me  
35 that what the council needs to do is have a real discussion with  
36 NOAA Office of General Counsel about what they would be willing  
37 to clear or not, because my concern with this is that you could  
38 go way down this path and then find out that you can't get it  
39 through the attorneys, and so it really becomes a question as  
40 to how far you want to go in the absence of something more  
41 concrete, in terms of the guidelines.

42

43 **MS. MCPHERSON:** We do have the green light from the attorneys  
44 to proceed along with this approach, for the purposes of this  
45 tech memo, and it is fully contemplated that, if it becomes more  
46 widespread, there may be a need to do a rulemaking in the future,  
47 but, at this point, it's NMFS' position that the technical memo  
48 provides advice on implementing (h)(2), and (h)(2) is already

1 there.

2

3 A limited basis of alternatives could be submitted, and, as  
4 you're saying, that's going to be where the rubber hits the  
5 road. Specifically, what do we come up with, and (h)(2) also  
6 really specifies that you're not exempt from Magnuson, and you  
7 have to demonstrate in your record how the approach you've  
8 described is going to satisfy those pieces of Magnuson, an  
9 annual limit that can prevent overfishing and that can trigger  
10 accountability measures.

11

12 **CHAIRMAN NANCE:** Okay. Thank you, Marian. Steven Saul.

13

14 **DR. SAUL:** Thank you, Mr. Chair. I was just going to mention  
15 what Will did about some of the deepwater species, and so no  
16 worries. Thank you.

17

18 **CHAIRMAN NANCE:** Okay. Thank you. Mike Allen.

19

20 **DR. ALLEN:** I just wanted to make the point that data-limited  
21 stocks doesn't necessarily mean that the outcome of those  
22 evaluations has high uncertainty or bias. Some of the  
23 historical size structure data from back in time, relative to  
24 current day, can be really, really informative for the current  
25 fishing mortality rate, and so I think it's just important to  
26 think about some of these data-limited stocks aren't necessarily  
27 any more, or to much degree, more uncertain than stocks where  
28 we have a lot of datasets that may not be informative.

29

30 **CHAIRMAN NANCE:** Thank you. Any more recommendations or  
31 comments? Jason and Marian, we sure appreciate your time and  
32 that presentation.

33

34 **MS. MCPHERSON:** Thank you for having us.

35

36 **DR. COPE:** Thank you, everyone.

37

38 **CHAIRMAN NANCE:** We will go ahead and break for lunch now, and  
39 we'll come back at 1:00 p.m. Eastern Time.

40

41 (Whereupon, the meeting recessed for lunch on August 10, 2021.)

42

43

- - -

44

45

August 10, 2021

46

47

TUESDAY AFTERNOON SESSION

48

1  
2  
3 The Meeting of the Gulf of Mexico Fishery Management Council  
4 Standing and Special Reef Fish, Special Socioeconomic & Special  
5 Ecosystem Scientific and Statistical Committees reconvened on  
6 Tuesday afternoon, August 10, 2021, and was called to order by  
7 Chairman Jim Nance.

8  
9 **CHAIRMAN NANCE:** It looks like we're getting ready to start.  
10 It's one o'clock, and so everyone can get reassembled, and we're  
11 going to go on to king mackerel. It's Item Number XVIII, and  
12 we're having a presentation from the Southeast Fisheries Science  
13 Center. I'm not sure who is in line to give that one.

14  
15 **MR. RINDONE:** Shannon or Katie, are either one of you there?

16  
17 **DR. CALAY:** Sorry about that. I was muted by an organizer, and  
18 so I could not speak for myself. I apologize.

19  
20 **CHAIRMAN NANCE:** I told them to do that.

21  
22 **DR. CALAY:** Well, ordinarily, you would be right, for sure.

23  
24 **CHAIRMAN NANCE:** Welcome, Shannon.

25  
26 **REVIEW OF KING MACKEREL HISTORICAL HARVEST AND CATCH LIMITS**

27  
28 **DR. CALAY:** Thank you, and so I think I am on the hook. I would  
29 like to acknowledge Michael Schirripa, who did most of the work  
30 associated with these two presentations, and I am -- I drew the  
31 short straw, because Michael is on leave today.

32  
33 The first presentation was from Council Request 9583, and this  
34 is the influence of the Coastal Household Telephone Survey  
35 versus the FES statistics for the management advice for Gulf  
36 king mackerel. This has been presented to the council, at least  
37 in a brief format, and so I think this has been in the meeting  
38 materials before, perhaps.

39  
40 The Science Center was asked to provide a few sensitivity runs  
41 of the Gulf of Mexico king mackerel stock assessment to  
42 demonstrate the effects of the changes that were made to the  
43 recreational statistics, and so the major changes for this  
44 update assessment were to change from the Coastal Household  
45 Telephone Survey to the FES statistics, and there was also a  
46 change in the shrimp bycatch estimation.

47  
48 We did have an earlier attempt to address this request very

1 directly by putting the FES statistics directly into the 2014  
2 base model, but that produced a model that was unstable, and it  
3 did not produce reliable results, and so this is the second  
4 attempt to address this request.

5  
6 **MR. RINDONE:** Shannon, if you're talking, we cannot hear you.

7  
8 **CHAIRMAN NANCE:** We'll wait for a minute for Shannon to get back  
9 online. Roy.

10  
11 **DR. CRABTREE:** Ryan, what is it that the council is trying to  
12 get at with this? I mean, what is the issue?

13  
14 **MR. RINDONE:** The council is interested in what the catch limits  
15 would have been coming out of SEDAR 38 in 2014 had that model  
16 used FES instead of CHTS for the recreational catch and effort  
17 data, and so what the simulation shows is the four model runs  
18 that you see tabulated here on the board.

19  
20 They just wanted a better understanding of how things would have  
21 looked for kingfish had FES been used in the original SEDAR 38  
22 assessment, which used different spatial delineations for  
23 kingfish than was used previously, and so this set of  
24 sensitivity runs was designed to get at that and answer that  
25 question, and it does.

26  
27 **CHAIRMAN NANCE:** Shannon, are you back online?

28  
29 **DR. CALAY:** Yes. My apologies for that. I will go ahead and  
30 move into the sensitivity runs that were conducted to look at  
31 the effects of the various changes to the king mackerel model,  
32 and so, essentially, we ran four model runs.

33  
34 A model run is simply the baseline SEDAR 38 stock assessment as  
35 it was configured in 2014, no changes, and so the terminal year  
36 of that stock assessment was 2012, and it is the SEDAR 38 stock  
37 assessment base run, and they have used the Coastal Household  
38 Telephone Survey recreational statistics and the shrimp bycatch  
39 estimate produced in 2012.

40  
41 Now we're going to make step-wise changes to the model to look  
42 at the effects of those changes, and so, in Model 2, the only  
43 change is that we are now using -- Well, the few changes are  
44 that we're now using the SEDAR 38 update base case with FES  
45 statistics and the 2012 shrimp bycatch estimate, and we're  
46 truncating the data in 2012 so that it's most directly  
47 comparable with the SEDAR 38 base run.

1 Then, in Model 3, we're again using the SEDAR 38 update  
2 assessment, a terminal year of 2012, the FES statistics, and  
3 the shrimp estimates from the 2020 assessment procedure, and so  
4 now we've got both the change to FES statistics as well as  
5 shrimp bycatch, and then Model 4 is simply the SEDAR 38 update  
6 base run, which has all of the updated data through 2017, the  
7 SEDAR 38 update base model FES statistics, and shrimp bycatch  
8 from 2020 estimation.

9

10 Like the SEDAR 38 and SEDAR 38U assessments, the OFL and ABC  
11 were determined from projections, and the OFL is the 50<sup>th</sup>  
12 percentile from a projection of FSPR 30. FSPR 30 was the proxy  
13 for FMSY for king mackerel, and ABC was simply a P\* of 0.43,  
14 which is equivalent to the 43<sup>rd</sup> percentile of the projection of  
15 FSPR 30.

16

17 The results are tabulated here, if you are interested, but I am  
18 going to go ahead and show you, visually, what these changes  
19 look like, and then we can always go back to this slide, if need  
20 be.

21

22 First, I will show you some comparisons of the differences, and  
23 so this table shows the acceptable biological catch, the ABC,  
24 and the percent difference from the SEDAR 38 assessment that  
25 each model configuration change caused, and so, in this  
26 particular case, I am looking at the first column of this table,  
27 which I have put the mark "Baseline SEDAR 38", and those are  
28 the baseline SEDAR 38 ABC recommendations for the years 2015 to  
29 2027.

30

31 Now I am comparing them to Model 2. Now, remember that Model 2  
32 is essentially the SEDAR 38 update model truncated at 2012 and  
33 using the FES rec stats, and so the major difference here is  
34 the use of the FES rec stats with the SEDAR 38U model  
35 configuration, and you see here that the difference between  
36 Model 1 and Model 2 are relatively small for the Model 2  
37 comparison.

38

39 It's been a while since I looked at this, and I do need to  
40 clarify that these changes are in fact due primarily to small  
41 revisions that were made in headboat landings of discards.  
42 Okay. Now the next comparison.

43

44 **CHAIRMAN NANCE:** Shannon, just one -- Can you wait just one --  
45 Roy has just a question.

46

47 **DR. CRABTREE:** Model 1 uses the CHTS, the old survey, and then  
48 Model 2 uses the FES, and so presumably the rec landings in

1 Model 2 are much, much higher, yet the ABC comes down a little.  
2 Am I misunderstanding something?

3  
4 **DR. CALAY:** Well, Roy, I don't think that you are. I think  
5 that, in fact, there is a clarification needed to what Model 2  
6 is, and I think this has more to do with the changes made to  
7 the headboat landings themselves, and I think that the CHTS  
8 statistics were actually retained in this case, and so I will  
9 look into that, but I think that the major change here is just  
10 due to the headboat landings and discards and the revisions made  
11 to those in particular.

12  
13 **DR. CRABTREE:** Okay, and one other. Are these runs now being  
14 done in Stock Synthesis?

15  
16 **DR. CALAY:** These are all done in Stock Synthesis.

17  
18 **DR. CRABTREE:** But, back in 2012, or 2014, it would have been  
19 done in something else, right?

20  
21 **DR. CALAY:** In 2014, this model was also done in Stock Synthesis.

22  
23 **DR. CRABTREE:** Okay. All right. Thanks.

24  
25 **DR. CALAY:** I am going to have trust Michael on this one and  
26 say that, in fact, that these are in fact the FES estimates,  
27 and there are a number of changes in this model. The FES  
28 statistics is only one of them, and another change was that the  
29 magnitude of the shrimp bycatch changed considerably, and  
30 another one was that the additional years of data have changed  
31 your perception.

32  
33 Rather than attempting to modify the interpretation of this  
34 slide, which has been reviewed by Michael carefully, I would  
35 say that, in fact, these are the changes from the FES data, in  
36 Model 2, and that the changes are relatively small only because  
37 they are also affected by the change to the shrimp bycatch and  
38 the additional years of data, which also change your perception  
39 of the model results.

40  
41 **CHAIRMAN NANCE:** But, Shannon, it looks like shrimp is the same  
42 in Model 1 and 2.

43  
44 **DR. CALAY:** Correct.

45  
46 **CHAIRMAN NANCE:** The only difference is we've gone from the  
47 telephone survey to FES.

1 **DR. CALAY:** Yes.  
2  
3 **CHAIRMAN NANCE:** My question is, when we say SEDAR 38 update,  
4 that indicates to me that there has been some internal changes  
5 in the model between SEDAR 38 and the SEDAR 38 update without  
6 changing to FES and those types of things, and is that correct?  
7  
8 **DR. CALAY:** That is correct. There were a number of changes  
9 made to the model structure to essentially have a model that  
10 was fully convergent and passed all the routine diagnostics,  
11 and so that could be easily teased out, and that was the reason  
12 why, when we tried the original approach, which was just to take  
13 those FES statistics and put them into the old model, it did  
14 not succeed, because there are a number of changes in the model  
15 structure that confound your interpretation of the FES  
16 statistics themselves.  
17  
18 **CHAIRMAN NANCE:** While we see just -- It looks like just FES  
19 changed between Model 1 and 2, and there were probably some  
20 internal things in the model that had to be changed, and so the  
21 model that is used in 1 is different than the model that is used  
22 in 2. Is that a fair statement?  
23  
24 **DR. CALAY:** That's correct, and, when you introduce those higher  
25 FES statistics into Model 2, a number of the parameters are re-  
26 estimated in that model, and, essentially, what has happened is  
27 that you don't see that expected change, where FES statistics  
28 necessarily equals more catch recommendation in this particular  
29 case, because of the changes made to the update model itself as  
30 well as changes made to shrimp bycatch estimation, which were  
31 quite sensitive in the model.  
32  
33 **CHAIRMAN NANCE:** Okay. Jason, we'll go ahead and let you ask  
34 your question, and then, Shannon, after that, we'll let you  
35 continue. Thank you for that.  
36  
37 **MR. ADRIANCE:** Thank you. Shannon, I was wondering if there  
38 was any consideration -- I noticed that the shrimp, the 2012,  
39 jumps right into the FES, but if there was any look at the CHTS  
40 with the shrimp 2020, just to see what that impact may have been  
41 prior to going to the FES and the shrimp 2020. Thanks.  
42  
43 **DR. CALAY:** The only model runs that we did for this council  
44 request were those that are listed here, and so, no, that was  
45 not done in this case, or at least it was not done for this  
46 request. It could appear in the stock assessment report as a  
47 sensitivity run. I would have to look into it.  
48

1 **CHAIRMAN NANCE:** Okay. Thank you, Jason. Okay, Shannon. Thank  
2 you for that.

3  
4 **DR. CALAY:** Okay, and so now, in Model 3, it's still the 2012  
5 truncation, but now we do have both the FES statistics and the  
6 new estimate of shrimp bycatch.

7  
8 You can see that's where you start to see substantial increases  
9 in the OFL and ABC, is when we're including both the FES  
10 statistics and the new estimates of shrimp bycatch, and so the  
11 shrimp bycatch is a very important change in the stock  
12 assessment model.

13  
14 Then, finally, in Model 4, we are making -- In the next slide,  
15 you'll see Model 4 results, and that is all of the changes  
16 simultaneously, and so now we have FES statistics, the new  
17 shrimp bycatch estimates, and all of the data through 2017, and  
18 so that leads us to Model 4, which is in fact the base model  
19 configuration for the SEDAR 38 update assessment.

20  
21 **CHAIRMAN NANCE:** We're only seeing, on this one, the percent  
22 increase in ABC?

23  
24 **DR. CALAY:** You are only seeing the percent increase in ABC in  
25 this particular case, and that's correct, but all of the results  
26 for all four tables are in a slide in this presentation, if you  
27 want to look at the OFL estimates as well.

28  
29 **CHAIRMAN NANCE:** Benny, go ahead and ask your question here.

30  
31 **DR. GALLAWAY:** Thank you. Shannon, can you characterize the  
32 distribution of the shrimp bycatch, and that is, is there any  
33 standout patterns of distribution that shows where this bycatch  
34 is occurring? Is it western Gulf or --

35  
36 **DR. CALAY:** It is western, primarily.

37  
38 **DR. GALLAWAY:** Okay. What depth zone? I'm just curious.

39  
40 **DR. CALAY:** I don't recall the specifics. I would have to look  
41 at the SEDAR document to see what depth zones were included in  
42 that estimation.

43  
44 **DR. GALLAWAY:** Okay. Very good. Thank you. You did a great  
45 job.

46  
47 **DR. CALAY:** Thank you. I do appreciate the thanks.

48

1 **CHAIRMAN NANCE:** Doug Gregory.  
2  
3 **MR. GREGORY:** Thank you. I will be quick. This is quite  
4 interesting, but I just want to point out that, while we followed  
5 the ABC Control Rule for SEDAR 38, we did not for the SEDAR 38  
6 update, and so these ABC numbers won't match what we recommended  
7 to the council for Model 4, because we used, I think, some X  
8 percent of F of MSY for our ABC, and that's a minor point, but  
9 I just wanted to point it out though. Thank you.  
10  
11 **DR. CALAY:** I thought that I checked the SSC document and matched  
12 the numbers in the table in this presentation to your  
13 recommendation, but we could double-check that.  
14  
15 **CHAIRMAN NANCE:** Ryan.  
16  
17 **MR. RINDONE:** Shannon, I'm looking at the SSC summary report  
18 from September of 2020, and the ABC was set at the yield at F  
19 at OY, or 85 percent of F at MSY.  
20  
21 **DR. CALAY:** All right. My apologies.  
22  
23 **MR. GREGORY:** But that's a minor point. If somebody is comparing  
24 numbers, that would be why they wouldn't be the same, and I  
25 don't think it affects any of this discussion otherwise.  
26  
27 **DR. CALAY:** That's correct.  
28  
29 **CHAIRMAN NANCE:** Doug, thank you for pointing that out. Dave  
30 Chagaris.  
31  
32 **DR. CHAGARIS:** Thank you. I am just trying to understand this  
33 a little bit better. Shannon, can you give us some idea of the  
34 magnitude of change going from the CHTS to the FES, as well as  
35 the difference between the 2012 and the 2020 shrimp data?  
36  
37 **DR. CALAY:** Well, the difficulty really is that that direct  
38 comparison is very difficult to make. When we use Model 2 and  
39 substitute in the FES statistics, and so we're doing a direct  
40 replacement of CHTS with FES, the difference looks relatively  
41 small, but we have changed, to some extent, the configuration  
42 of the stock assessment model, and so, rather than looking  
43 ideally --  
44  
45 **DR. CHAGARIS:** I was actually asking about the input data.  
46  
47 **DR. CALAY:** The FES statistics show more removals, and so it  
48 basically is higher landings from the recreational sector out

1 of the FES estimates, but, when you put those higher numbers  
2 directly into the SEDAR 38U model, you don't see -- When you  
3 look at the comparisons between Model 1 and Model 2, you don't  
4 see that expected change that we've seen with some other stock  
5 assessments, where you get that corresponding large increase in  
6 OFL and ABC.

7  
8 In this particular case, it has to do with the changes made to  
9 improve the SEDAR 38 update model and the shrimp bycatch  
10 estimate, which was very different, and so the shrimp bycatch  
11 estimate for -- Well, that gets into the Model 3 configuration,  
12 and so we'll just look at Model 2 and Model 1 right now. It  
13 really has to do with the changes made to reconfigure the SEDAR  
14 38U update model to improve its stability, and it confounds, to  
15 some extent, that expected difference in OFL and ABC that we  
16 have seen in other stock assessments from the introduction of  
17 FES statistics. It does not look like a very large change in  
18 the SEDAR 38 model.

19  
20 **DR. CHAGARIS:** I understand all of that. I was wondering like  
21 are the FES estimates double the Coastal Household, or are they  
22 10 percent? Was it a big change, because, for some species,  
23 the change going from Coastal Household to FES was really large,  
24 but, for others, it wasn't, and so I'm just trying to get an  
25 understanding of what would be the expected change. This is  
26 one of the cases where FES results have been really -- I'm sure  
27 this was presented at another meeting, but I'm just trying to -  
28 -

29  
30 **DR. CALAY:** I'm going to see if I can answer your question. I  
31 was booted off the internet entirely, and so I'm literally  
32 talking at my cellphone, and I'm going to try to look that up  
33 for you now, assuming I can access the internet.

34  
35 **MR. RINDONE:** Shannon, I actually have this up and can answer  
36 these questions, if you like.

37  
38 **DR. CALAY:** Thank you.

39  
40 **MR. RINDONE:** Dave, generally speaking, FES results in about a  
41 twofold increase over CHTS for Gulf kingfish, and, if you guys  
42 look at the SSC meeting materials, you will see the couple of  
43 links on there for the past SEDAR stock assessment reports,  
44 under Item VXIII, and Item XVIII(d) is the SEDAR 38 update stock  
45 assessment report, and, if you go to Figure 5.1, you can see  
46 where Michael isolated some of the main changes to -- Going from  
47 SEDAR 38 to the update, to show you the effects of those,  
48 including FES, the changes to the headboat index, and then the

1 change to the estimation of shrimp fishery bycatch.

2  
3 Those are -- The effect of those on estimates of spawning stock  
4 biomass through the 2012/2013 fishing year are demonstrated by  
5 comparison in those plots there, and so, if you're talking  
6 specifically about the change in the shrimp fishery bycatch,  
7 generally speaking, it gives you a larger initial estimate of  
8 spawning stock biomass at the beginning of the model start time,  
9 and then it drops more precipitously towards about -- Call it  
10 1990. Then it trends back up to about the mid-2000s, and then  
11 it drops in the last couple of years, but it generally follows  
12 the same trend as SEDAR 38's original model.

13  
14 **DR. CHAGARIS:** Okay. Thank you for that, Ryan. I was able to  
15 follow and see those figures, and so, in general, these are much  
16 larger increases than removals that are being added between the  
17 models, and that's what I was trying to get at. Thank you.

18  
19 **CHAIRMAN NANCE:** Trevor.

20  
21 **DR. MONCRIEF:** I will just follow-up, and I had the same  
22 question, Dave, and not just for this, but for the upcoming  
23 agenda item as well, but I think it is useful, at least, when  
24 we're making these large-scale changes in removals, to at least  
25 look at the proportional change in removals compared to the  
26 proportional change in the ABC, just to be able to have an idea  
27 of the magnitude of change between both.

28  
29 **CHAIRMAN NANCE:** Okay. Thank you. Go ahead, Shannon.

30  
31 **DR. CALAY:** Okay. These just show you graphical representations  
32 of the change in ABC and also the difference in the ABC of the  
33 various model runs, and so it's just a graphical presentation  
34 of the results in those tables, and you can see that Models 1  
35 and 2 are similar in the way that they behave, and then Model 3  
36 and 4 are much higher, and that does appear to be -- An important  
37 aspect of that is the shrimp bycatch estimation.

38  
39 This first bullet point, which I admit that I probably modified  
40 somewhat from what Michael had initially said, I don't think  
41 it's fair to say that they are primarily due to the FES  
42 statistics, and we do see some changes in OFL and ABC due to  
43 the use of FES recreational statistics, but that is confounded  
44 by the additional changes that were made to the stock assessment  
45 parameterization to improve model stability.

46  
47 We also see changes in the result due to new years of data since  
48 the previous assessment, the revised shrimp bycatch estimates,

1 which were quite sensitive in the model, and revisions to the  
2 headboat landings and discards, which also caused changes in  
3 OFL and ABC. It is rather difficult, in this case, to actually  
4 sort out the change in FES. Because of the other changes in  
5 model configuration, it is simply not as apparent as it has been  
6 in some other stock assessments. Are there other questions  
7 about this presentation?

8  
9 **CHAIRMAN NANCE:** Any additional questions, please? Roy.

10  
11 **DR. CRABTREE:** I am sorry if I am dense, but I having a really  
12 tough time understanding how this could be, and so you went into  
13 the model and effectively doubled the recreational catches, in  
14 a stock that is principally -- Most of the harvest is rec, yet  
15 the ABC comes down a little, and so, Shannon, is what you're  
16 saying is the catches were way high up until 2013, and then they  
17 plunged down, because the ABC went down, and, if so, does that  
18 mean those high catches drove the stock status down, because I  
19 am not seeing where this is showing it. It just doesn't follow,  
20 to me, how you can double the catches, all other things equal,  
21 and have the ABC actually go down, and something is just not  
22 computing.

23  
24 **CHAIRMAN NANCE:** Ryan.

25  
26 **MR. RINDONE:** Thank you, Mr. Chair. I think there's a couple  
27 of things to remember here, especially for kingfish. One, we  
28 had a very large mixing zone that we resolved in SEDAR 38 to be  
29 constrained only to be south of the Florida Keys and only -- So  
30 that reduced a little bit of the scope of the recreational  
31 effort that was going into the fishery.

32  
33 Two, prior to the migration of the FES, the CHTS landings were  
34 pretty comparable to the commercial landings in many years, in  
35 terms of the magnitude by fishing year, a few million pounds,  
36 give or take, with some variation in and around that, but,  
37 generally speaking, the commercial and recreational landings  
38 were not that different.

39  
40 The migration to FES increased those landings, along with the  
41 effort, but, prior to, they were pretty comparable, and kingfish  
42 is -- Third being that kingfish is unique in that, unlike many  
43 other species that we manage, the recreational sector does not  
44 catch its ACL for kingfish, and hasn't for well over twenty  
45 years, and so, every time the model is predicting that, all  
46 right, in 2020, you can catch X, and in 2021 you can catch X,  
47 in every successive year, we're actually underestimating what  
48 could be caught, all other things being equal, because the

1 recreational sector is not harvesting those fish.

2  
3 In the case of kingfish, also, for the last decade, recruitment  
4 has been poor. It's been terrible, and so that's so that's  
5 another thing to try to resolve with respect to where the  
6 spawning stock biomass is against what the landings are, even  
7 after migrating to FES. There is more interesting things, I  
8 think, at play here than there are typical of some of the other  
9 species that we see.

10  
11 **DR. CRABTREE:** I think that has to be the case, that there's a  
12 lot of stuff going on here, but I can't tell what any of it is  
13 just by looking at the ABCs.

14  
15 **CHAIRMAN NANCE:** I think, Shannon, from what you were saying,  
16 and hopefully I got this right in my head, but when -- From  
17 Model 1, when you introduced the FES values, the model wasn't  
18 converging, and you had to make some changes to the model in  
19 order for FES to be input in there and get convergence, and is  
20 that correct?

21  
22 **DR. CALAY:** Well, I have some answers to these questions.

23  
24 **CHAIRMAN NANCE:** Okay.

25  
26 **DR. CALAY:** So Model 1 is the SEDAR 38 model that was conducted  
27 in 2014. The other model runs all use the SEDAR 38 update model  
28 as the base, and that update model did have changes that were  
29 introduced during the update process, right, and so those  
30 changes were made to enhance the model stability because, in  
31 the SEDAR 38 update, when we switched to FES statistics, the  
32 model essentially did not -- It showed diagnostic behavior that  
33 was unacceptable, and so some updates needed to be made to the  
34 way that was parameterized.

35  
36 Only Model 1 of this particular comparison uses the SEDAR 38  
37 configuration, and all the others, Models 2, 3, and 4, have  
38 those SEDAR 38U configurations.

39  
40 Now, in answer to Roy's question, when we went to SEDAR 38U,  
41 and we put the FES statistics into that model, what happened  
42 was that the model estimates a much higher spawning stock  
43 biomass in the unfished condition, but it actually estimates  
44 very similar spawning stock biomass in the terminal year, and  
45 so it's basically saying that the stock is more depleted now  
46 than the SEDAR 38 model had suggested.

47  
48 **DR. CRABTREE:** Well, that kind of makes sense, and that's what

1 I was wondering if wasn't happening here, is those higher  
2 removals we fished the stock down.

3  
4 **DR. CALAY:** Exactly, and so that's why you're not seeing the  
5 bigger changes in OFL and ABC that we might have expected.

6  
7 **DR. CRABTREE:** I've got you.

8  
9 **MR. RINDONE:** That is part of it. When you think about the  
10 recruitment situation also, and the fact that, right now, our  
11 spawning stock biomass, while above the minimum stock size  
12 threshold, is still below spawning stock biomass at MSY, and so  
13 the OFL and ABC recommendation that you guys approved in  
14 September of last year is on an increasing trend, and it's  
15 because, theoretically, the stock should be rebuilding to SSB  
16 at MSY under that catch advice.

17  
18 **CHAIRMAN NANCE:** Thank you. John.

19  
20 **DR. FROESCHKE:** Thanks. I just wanted to bring up one other  
21 point that is relevant, and it's on this Figure 3.8 in the  
22 report, and it shows the difference between the shrimp bycatch  
23 in there, and so the way that I interpreted this is, in the  
24 SEDAR 38U, the shrimp bycatch historically was much larger, and  
25 so, in order to have the observed landings, the productivity of  
26 the stock must have been higher.

27  
28 Going into more recent times, that shrimp bycatch has largely  
29 gone away, or essentially they are similar between the models,  
30 and so that's when you start picking up the additional removals  
31 related to that historical productivity, and so I think, along  
32 with Shannon's answer, that is how I understand those pieces  
33 fit together.

34  
35 **CHAIRMAN NANCE:** Okay. Thank you very much. Doug.

36  
37 **MR. GREGORY:** I wanted to thank Michael and the Center I guess  
38 for doing all of this. The original request coming from my  
39 friend, John Sanchez, who was a council member, was for the  
40 Center to go back and put FES back into SEDAR 38, and that could  
41 not be done, as Shannon has explained, and so I guess the Center  
42 said how can we try to figure out what the effects might be,  
43 and so we have this document in front of us, which, in the end,  
44 is not very helpful, because of all the confounding factors,  
45 but I applaud the effort to try to piece that out.

46  
47 What John was trying to figure out was, given that FES causes  
48 the ABC to go up, it should have also allowed the commercial

1 sector ABC to increase, and how much would that have been, and  
2 that was a big conundrum, because you just can't do that, and  
3 so I appreciate all of this. It's kind of insightful, but, at  
4 the same time, I don't think we can do anything with it, going  
5 forward. Thank you.

6  
7 **CHAIRMAN NANCE:** Thank you, Doug. Jim.

8  
9 **DR. TOLAN:** I will put my hand down. I think Ryan covered a  
10 lot of the points that I was going to make about the recreational  
11 side quite eloquently, and so I don't really have anything to  
12 add. Thank you.

13  
14 **CHAIRMAN NANCE:** Thank you, Jim. Josh.

15  
16 **DR. KILBORN:** I am curious, and is it possible to use the CHTS  
17 values in the SEDAR 38U configuration, or does that also result  
18 in a destabilized model?

19  
20 **CHAIRMAN NANCE:** Can you repeat the question?

21  
22 **DR. KILBORN:** The question was, to kind of have a directly  
23 comparable Model Number 2 to Model Number 1, could you have used  
24 the CHTS values, in lieu of the FES, in the new 38U configuration  
25 for the Stock Synthesis, or does that also break the model,  
26 basically?

27  
28 **DR. CALAY:** It does not break the model. The SEDAR 38U model  
29 is fairly robust to those types of changes, but, because of the  
30 mixing zone and the way the stocks are distributed across, it's  
31 not something that I can get directly from S&T on their website,  
32 necessarily, and so it would take a little bit of effort from  
33 our data providers to get those estimates in CHTS units, but I  
34 do think -- I am not positive, but, in our perturbations of the  
35 SEDAR 38U model, it did appear to be a fairly robust  
36 configuration, and so I would like to understand the --

37  
38 **DR. KILBORN:** I think that would provide a more --

39  
40 **DR. CALAY:** The trick is to understand specifically what the  
41 council's question is and what sort of information the Science  
42 Center might possess to help them address that question, because  
43 it seems like the work that we have conducted to-date so far  
44 has not really helped them address the question at-hand.

45  
46 **DR. KILBORN:** So, I mean, that might help to kind of shed some  
47 light on what the new model configuration kind of did, and then  
48 we would be able to tease out some of those changes when we look

1 at these other configurations that you have here for Model 2,  
2 3, and 4. That's all.

3  
4 **CHAIRMAN NANCE:** Thank you, Josh. Any other questions or  
5 comments? Benny.

6  
7 **DR. GALLAWAY:** I was impressed by the shrimp trawl bycatch  
8 decline and the consistency between the two approaches, and, in  
9 the report, which I have not read, is it explained what those  
10 changes were? Obviously, there is a reduction, a huge  
11 reduction, in effort, but when and where might be very important  
12 as well, and is that addressed at all in the report, or is that  
13 something that one would have to go tease out? Thank you.

14  
15 **DR. CALAY:** So, unfortunately, and this was something that we  
16 were very honest about during the SEDAR 38 update process, those  
17 SEDAR 38 shrimp bycatch estimates that are used in the stock  
18 assessment are not explained with the document, and they are  
19 not reproducible, and we did have a variety of people attempt  
20 to reproduce those estimates, and we could not reproduce them  
21 at all, and so, unfortunately, it seems to be not possible, at  
22 this time, for us to explain, and the analyst responsible no  
23 longer works for the agency, and so I apologize for that  
24 extremely unsatisfactory answer, but that is the honest answer.

25  
26 **DR. GALLAWAY:** That's the important answer, and so thank you.

27  
28 **CHAIRMAN NANCE:** Jack.

29  
30 **DR. ISAACS:** This really is just more of a question, for my  
31 curiosity, and, Ryan, I thought you did a pretty good job of  
32 explaining the fact that, when you switched from the old system  
33 over to the FES, you saw this doubling in recreational landings  
34 for the king mackerel, and am I correct? Did you see with other  
35 species?

36  
37 **MR. RINDONE:** The degree to which the increases between CHTS  
38 between FES are observed vary by species and by year. It really  
39 depends on the species, and you have to look at them in  
40 particular, but, in almost all cases, it is an increase of some  
41 amount.

42  
43 **CHAIRMAN NANCE:** Roy, did you have a comment?

44  
45 **DR. CRABTREE:** Remember it's a broad effort survey is the change.  
46 This is all interesting, to give you a sense of the changes and  
47 all, but it's also complicated in these models, and there are  
48 so many different things changing, and I guess it's just not

1 clear to me where we could go from here, in the absence of some  
2 specific question that the council is trying to get at with it,  
3 and I'm just not sure where we -- I mean, I appreciate all the  
4 work that the Center did, and they did a great job with it, but  
5 I'm just not clear where we can go with it.

6  
7 **CHAIRMAN NANCE:** Go ahead, Ryan.

8  
9 **MR. RINDONE:** I think part of where the council was looking for  
10 some insight here was just to try to have, in their minds, an  
11 image of, if we had used the data we have now back then, what  
12 sort of catch limits would we have had back then, versus what  
13 we have now, and I think, and Shannon has definitely talked to  
14 this point, that the stock is depleted from where it was when  
15 we assessed in 2014, using data through the 2012/2013 fishing  
16 year.

17  
18 There is a number of reasons for why this might be, but,  
19 generally speaking, like some of the things that we could  
20 certainly point to would be trends in recruitment are below the  
21 long-term average for the last ten years, and they have remained  
22 there for the last ten years, and so a couple of boom years of  
23 recruitment can certainly turn things around for any fishery,  
24 but that just hasn't happened yet for kingfish.

25  
26 We've also seen the consistent pressure applied to the stock,  
27 in terms of the commercial sector just about always landing its  
28 ACL, and, in some years, the recreational sector lands a little  
29 bit more than normal, but the recreational effort is certainly  
30 not limited either, and the council recently increased the bag  
31 limit for the recreational sector to three fish per person, but,  
32 despite doing that, we didn't really see a change in the  
33 recreational landings as a result.

34  
35 If there is a decrease in abundance, despite an increase in the  
36 predicted size of the stock, as a result of using the FES, at  
37 least from my seat, I'm eyeballing recruitment as being somewhat  
38 culpable and without an explanation as to why.

39  
40 **CHAIRMAN NANCE:** Jason.

41  
42 **MR. ADRIANCE:** Thank you, Mr. Chair. Ryan, thinking about the  
43 question the council is supposed to ask, if we were able to look  
44 at this back in time, and I guess the big question is could the  
45 commercial sector have harvested more, and I'm certainly not an  
46 economist, and I would be curious, but wouldn't we have to also  
47 go back and look at the capacity of those fleets, and would they  
48 even have been able to harvest it, given that they don't

1 currently --

2

3 **CHAIRMAN NANCE:** Go ahead, Ryan.

4

5 **MR. RINDONE:** Thanks, Jason. Based on our understanding of the  
6 performance of the commercial fleet for kingfish historically,  
7 I think it's very reasonable to say that, if given a larger ACL,  
8 that they would be able to harvest it. For many years, we've  
9 curated the history of the quota closures associated with the  
10 different commercial zones, and, with few exceptions, those  
11 zones almost always close early, due to those zone quotas being  
12 met.

13

14 Obviously, at some point, if you inject enough quota into that  
15 sector's ability to fish, the season is going to end before they  
16 catch everything, but I am confident in saying that there is  
17 still extra capacity in that fleet to catch more fish, if given  
18 the opportunity to do so.

19

20 **MR. ADRIANCE:** Thanks.

21

22 **CHAIRMAN NANCE:** Doug Gregory.

23

24 **MR. GREGORY:** Ryan answered the question. Thank you.

25

26 **CHAIRMAN NANCE:** Tom Frazer.

27

28 **DR. FRAZER:** Thank you very much. Again, I missed a couple of  
29 minutes of this conversation, but I just wanted to make sure  
30 that people understood the request that was coming from the  
31 council, and I think they do.

32

33 Essentially, what was asked is whether or not we could hindcast  
34 the data, right, using the FES equivalents to look at the ABC,  
35 and then, when you had an adjusted ABC, and then you applied  
36 the allocations to the two sectors, it was just being able to  
37 provide an idea of the magnitude of the fish that might have  
38 been available to the commercial sector historically, and so I  
39 just wanted to make sure that we're all on the same page here.

40

41 **CHAIRMAN NANCE:** Okay. Tom, thank you. I guess let me ask you  
42 this, from my perspective for the SSC, and what do we need to  
43 do? Do we need to do anything with these results to help the  
44 council?

45

46 **DR. FRAZER:** You know, I guess I would ask Shannon, and so, if  
47 we were to look -- Do we have the data in-hand that would allow  
48 us to go back into the historical catch record and look at the

1 adjusted ABCs that were adjusted using the FES numbers, right,  
2 to figure out what a potential harvest of the commercial sector  
3 might look like with those numbers, given the allocation split?  
4

5 **DR. CALAY:** Tom, I admit that I'm not entirely certain what  
6 you're requesting. Are you just asking for us to examine the  
7 statistics themselves and let you know what the allocations  
8 would have been historically if we had been using FES  
9 statistics, or are you --

10  
11 **DR. FRAZER:** That's what I'm asking, and so, if you use the FES  
12 numbers, right, and you applied them to the historical record,  
13 and you had an adjusted ABC, based on the allocation at the  
14 time, what would the number of fish be that would have been  
15 available to the two sectors? That's the question. That's what  
16 people are interested in knowing.

17  
18 **DR. CALAY:** That's a very involved analysis. What you're  
19 essentially asking us to do is to do a hindcasting approach  
20 where we remove, sequentially, a year of the data, back in time,  
21 and re-project the OFL and the ABC based on that new  
22 understanding of the FES and CHTS about the recreational and  
23 commercial allocations, and, in the past, when we've had that  
24 conversation about that proposed body of work, it didn't rise  
25 to the priority where the Center felt that we could afford to  
26 put the staff time on it to do it justice, with our other  
27 obligations in mind.

28  
29 If the council does still desire that, we can have another  
30 conversation about what work could be done and how long that  
31 work would take, but it's not the request that you're asking  
32 for.

33  
34 **DR. FRAZER:** I appreciate that, and I'm super sensitive to the  
35 workload that the Science Center has, and I think it would be  
36 good to explain that at the next council meeting, what process  
37 is involved, how many resources might be involved, and why it  
38 hasn't risen to a priority within the agency, and it may be, in  
39 fact, very well justified, but I just think some explanation,  
40 either coming through the SSC's report to the council, I think  
41 would be welcomed.

42  
43 **CHAIRMAN NANCE:** Ryan.

44  
45 **MR. RINDONE:** Tom and Shannon, I am looking at Table 2 in Item  
46 XVIII(b) in the report for the analysis, and, Tom, I think this  
47 is about as close a stone's throw as you're going to get to what  
48 the OFL and the ABC would have been projected in the out years

1 from the beginning of the SEDAR 38, the original assessment,  
2 and that projection period.

3  
4 If you think about -- If you're looking at those annual  
5 projections for OFL and ABC, given the parameters for Model 2,  
6 which, again, is the SEDAR 38 update model using a terminal year  
7 of the 2012/2013 fishing year, using the MRIP-FES data and the  
8 2012 estimate for shrimp bycatch, and so this -- Model 2 is  
9 using SEDAR 38 and everything else, and FES and -- The SEDAR 38  
10 parameterization, but everything else is basically the same,  
11 and so it's not exactly apples-to-apples to what the council  
12 was asking for, because, like Shannon said, you can't just plug  
13 FES into SEDAR 38, and there were other changes that were  
14 necessary, but it gives you some idea.

15  
16 If you apply the allocation there, 32 percent of that ABC,  
17 that's about what would have been available to the commercial  
18 fleets, and it looks like, if we're thinking about contemporary  
19 time series here -- So 11.65 million pounds times 0.32 is 3.728  
20 million pounds landed weight, and so it's not terribly more than  
21 what is being projected right now under a status quo allocation  
22 with the SSC's updated OFL and ABC recommendations, but it is a  
23 little bit more, but we also have to be cognizant of where we  
24 think the status of the stock is now, and we think it's a little  
25 bit more depleted than it was at the end of the 2012/2013 fishing  
26 year. That's just something to chew on, I guess.

27  
28 **DR. FRAZER:** I agree that it's a helpful or useful exercise to  
29 look at those model projections, I guess moving forward, but I  
30 am good with this discussion, and I think that, again, we can  
31 provide a summary of the discussion and highlight some of the  
32 key points in the SSC report to the council, so they can  
33 understand that we in fact did consider the request, and, if  
34 they want more than that, if they think it will be extremely  
35 valuable, given the large number of things that are on  
36 everybody's plate to pursue, then that's a discussion they would  
37 have, but they would benefit, certainly, from this discussion.

38  
39 **CHAIRMAN NANCE:** Thank you, Tom. Doug Gregory.

40  
41 **MR. GREGORY:** Thank you. The presentation on the website is  
42 not exactly the same that Shannon is presenting to us. On the  
43 website, there's a mistake with the ABCs for Model 4, and that's  
44 minor, and it doesn't affect the discussion at all, but I just  
45 think we should have the corrected document on our website, and  
46 I wholeheartedly agree with the council chair, Tom, what he's  
47 asking.

1 It would provide a lot of insight, and, relative to what Ryan  
2 was saying about this stock being more depleted now than before,  
3 recall that we're only catching maybe two-thirds of the ABC over  
4 the years, and so something is going wrong in this stock.

5  
6 If recruitment is going down that much over this time period,  
7 we need to take a closer look at this and maybe start doing some  
8 more frequent assessments, because the stock used to extend into  
9 the Atlantic, and that was based on research done in the 1970s,  
10 when it was extremely cold weather.

11  
12 Now that we've got climate change and the warming temperatures,  
13 the king mackerel stock in the Gulf doesn't really swing around  
14 the south end of Florida and go up the east coast anymore. In  
15 fact, the gillnet fleet, which fishes in January, seems to be  
16 going more and more north every year, by a mile or two or three,  
17 just to find the concentrated schools of fish.

18  
19 This population -- In SEDAR 38, I didn't hear any discussions  
20 of the population shrinking or the population getting more dense  
21 on the Gulf side, but that was a dramatic change, but maybe we  
22 need to look into it more and see what the dynamics of this  
23 fishery is, because us fishing so much below the ABC -- We  
24 shouldn't be having a declining stock. Thank you very much.

25  
26 **CHAIRMAN NANCE:** Thank you, Doug, for those comments. Any other  
27 comments or recommendations? Ryan.

28  
29 **MR. RINDONE:** Thank you, Mr. Chair. Shannon, just looking at  
30 the difference in the Table 3 in the presentation versus this  
31 table here in the report, it looks like, for Model 2, that there  
32 are some differences there, as far as what the ABC would have  
33 projected to have been by year. I think that probably would  
34 have affected what those percentage differences shake out to be  
35 in that red box.

36  
37 **DR. CALAY:** We can get an update presentation to Ryan soon.

38  
39 **CHAIRMAN NANCE:** So what's different, Ryan?

40  
41 **MR. RINDONE:** The numbers of the projected ABC that are on the  
42 table that are in front of you, and this is from the simulation  
43 report for Model 2, for the ABC, for that right-most column  
44 there, for the Model 2 table, and those values are higher than  
45 those that are presented in Table 3 of the presentation. Those  
46 values are higher than those presented for the ABC here, and so  
47 it may just be a matter of redoing that table in the  
48 presentation.

1  
2 **MR. GREGORY:** Also, if I may jump in, the ABC and the OFL in  
3 Model 4 are identical, and that's what I was looking at earlier.

4  
5 **CHAIRMAN NANCE:** What was that, Doug?

6  
7 **MR. GREGORY:** In this table that came from the website, in Model  
8 4, the OFL and ABCs are identical. That's what caught my eye  
9 earlier, where I requested an updated table.

10  
11 **CHAIRMAN NANCE:** So it looks like, maybe in the report, when it  
12 got copied to the slide, Shannon, it got -- It didn't come over  
13 correctly or something.

14  
15 **DR. CALAY:** Is it just Model 3?

16  
17 **CHAIRMAN NANCE:** No, and it looks like Model 4. In Model 4 on  
18 your slide, it's -- The OFLs and the ABCs are identical to one  
19 another, and then, on Model 2, like for example the OFL is 8.63,  
20 and, in the other one, it was fourteen-something, and so  
21 something went on with the --

22  
23 **DR. CALAY:** Okay. We will make the needed corrections and post  
24 correct documentation soon.

25  
26 **CHAIRMAN NANCE:** Okay. You can see that one that's on the  
27 screen now, Shannon?

28  
29 **DR. CALAY:** Yes.

30  
31 **CHAIRMAN NANCE:** You can see that Model 2 says fourteen-  
32 something, and, on the other one, it was eight. Then, on this  
33 one, on Model 4, the OFLs and the ABCs are different.

34  
35 **DR. CALAY:** This came from a council request that I think was  
36 in March, and so it's possible that there is essentially a  
37 disconnect between the draft document and the presentation, but,  
38 in any case, it's an easy fix, and we'll get corrected and up-  
39 to-date documentation to the SSC archive as soon as possible.

40  
41 **CHAIRMAN NANCE:** Thank you very much. I appreciate that.  
42 Anything else from the SSC? Dr. Frazer.

43  
44 **DR. FRAZER:** Thank you. I don't want to prolong the discussion,  
45 but I just want to ask a few questions that would help me think  
46 about this a little bit. In the model, I am curious how the  
47 discard mortality is handled, particularly with regard to the  
48 recreational fishery.

1  
2 As people have indicated before, they are not necessarily  
3 landing their allocated catch, but we know that effort is  
4 increasing, and there is likely to be very high encounter rates,  
5 and that's one of the attributes of the fishery that folks have  
6 recognized, a positive attribute, at least from the recreational  
7 side, but, with that increasing encounter rate certainly comes  
8 increased mortality, and I am wondering if that potentially  
9 plays a large role in some of the model output.

10  
11 **DR. CALAY:** Was that you, Tom?

12  
13 **CHAIRMAN NANCE:** Yes, Shannon. That was Dr. Frazer, yes.

14  
15 **DR. CALAY:** I'm sorry, but could you restate your question, real  
16 quick?

17  
18 **DR. FRAZER:** Again, it's pretty brief, really, and so one of  
19 the things I'm interested in is how discard mortality,  
20 particularly from the recreational sector, is handled in the  
21 model, and the reason that I ask that is because, even though  
22 that sector hasn't historically landed its allocated quota, it  
23 certainly has increased pressure, and, associated with that,  
24 increased encounter rates and discards, and so I am wondering  
25 if that plays a large role in some of the model output, or the  
26 model findings.

27  
28 **DR. CALAY:** This was an update assessment, and so the discard  
29 mortality was unchanged between SEDAR 38 and SEDAR 38U, and the  
30 discard mortality that was selected for the recreational  
31 components were 22 percent from headboat and 20 percent from  
32 charter and private boats, and so those assumptions were  
33 retained between SEDAR 38 and 38U. Is there more?

34  
35 **DR. FRAZER:** Well, my question then would be those values of  
36 twenty-plus percent were empirical data, and I'm just wondering,  
37 from the SSC, if there were any other more recent information  
38 that might provide insight into perhaps more realistic discard  
39 mortality numbers for that particular fishery.

40  
41 **CHAIRMAN NANCE:** I am not aware of any, but there may be others  
42 that may.

43  
44 **DR. FRAZER:** Okay. I will just sit and listen. If there's no  
45 input, that's okay.

46  
47 **CHAIRMAN NANCE:** Okay. Thank you. Trevor.

48

1 **DR. MONCRIEF:** I mean, I don't have any more information or  
2 anything else about that, but I did want to point out -- I mean,  
3 looking at the Model 4, it certainly seems like it could be just  
4 a little bit of an oversight, but I would be very interested in  
5 Model 2 and how -- Which results are correct and which ones  
6 actually are selected, because, if the document is correct, and  
7 it shows a pretty common, or at least some comparability between  
8 the increase in landings and the overall increase in the ABC,  
9 and so I think Model 2 needs a little bit of focus, to make sure  
10 it's correct.

11  
12 **CHAIRMAN NANCE:** Okay. Thank you, Trevor. John.

13  
14 **DR. FROESCHKE:** I guess I was sort on in that same vein, in  
15 that, if the fourteen million pounds for Model 2 is correct,  
16 then I think that changes how we interpret that table that steps  
17 through the various models, and so that would change my thinking  
18 on that quite a bit, and perhaps make it more interpretable to  
19 directly answer the council's question, based on the information  
20 we have at-hand.

21  
22 **CHAIRMAN NANCE:** Okay. Anything else from the SSC? I want to  
23 commend the Center. It was a great job on this analysis, and  
24 so we appreciate that. Without anything else, let's go ahead  
25 and move on to the next, which is Review of King Mackerel  
26 Historical Commercial Harvest Differences. It's Item XIX. Do  
27 you have the short straw on this one too, Shannon?

28  
29 **DR. CALAY:** I believe I do.

30  
31 **CHAIRMAN NANCE:** Okay.

32  
33 **DR. CALAY:** This one is a little bit simpler though, and Ryan  
34 can certainly tag-team, if this is the one that I believe it to  
35 be.

36  
37 **MR. RINDONE:** It should be XIX(a). Hold on. Tell you what.  
38 It's XIX(f).

39  
40 **CHAIRMAN NANCE:** All right, Shannon. It's showing. You've got  
41 an apple and an orange.

42  
43 **REVIEW OF KING MACKEREL HISTORICAL COMMERCIAL HARVEST**  
44 **DIFFERENCES**

45  
46 **DR. CALAY:** A little cheeky there, but we were asked,  
47 essentially, to look at a table that was presented at the June  
48 council meeting which implied that the commercial landings were

1 in fact quite different between SEDAR 38 and SEDAR 38U, the  
2 update, and I will just give you the short answer first.

3  
4 They are not different. These were a variety of essentially  
5 misunderstandings that evolved from documentation that  
6 potentially could be improved, to some extent, and so here's  
7 the picture that shows you that the commercial landings data  
8 for SEDAR 38 and SEDAR 38U are in fact virtually identical.

9  
10 You can see a little hidden bit of red there popping out from  
11 place to place, where there is a small difference between 38  
12 and the update assessment, but there is nothing important --  
13 There are no important differences there.

14  
15 **MR. RINDONE:** That's the terminal year of SEDAR 38, also, by  
16 the way.

17  
18 **DR. CALAY:** Right, and so that was due to some incomplete  
19 reporting, most likely. The table that was in question is shown  
20 here, and you can see that, in the area that's outlined in red,  
21 there was a column that was marked Gulf of Mexico commercial  
22 handline landings and gillnet, and it was summed to produce a  
23 commercial total landings for SEDAR 38, but, in fact, those  
24 numbers did not -- They did not come from the Science Center,  
25 and they were put together from various documents and not --  
26 They are, essentially, not correct as added together.

27  
28 I think the next slide will tell you a few reasons why, and so,  
29 essentially, those data that were shown in the council table  
30 contain errors that were attributed to differences in how the  
31 data were presented in the stock assessment report and used in  
32 the stock assessment.

33  
34 However, when they are summarized in a consistent manner,  
35 meaning if you had taken the input data from the two assessments,  
36 the commercial data are essentially identical.

37  
38 We do have a variety of different ways of summarizing data in  
39 the documentation process of a stock assessment, and so, for  
40 example, during the data workshop, the data may be summarized  
41 by gear or by region, but they're not necessarily summarized in  
42 the way that they were input directly into the stock assessment,  
43 and so, in this particular case, what was actually added  
44 together in that table presented to the council contains several  
45 errors, one of which was that data that were actually the total  
46 landings for the Gulf of Mexico region were added to gear-  
47 specific landings for the same region, essentially double-  
48 counting some information.

1  
2 We also had an offset, where one set of tables was produced in  
3 calendar year, meaning the sum of the monthly data from January  
4 to December, but the stock assessment model actually uses the  
5 fishing year in the Gulf, and so the data input into a stock  
6 assessment are summarized from July 1 to June 30, and so we were  
7 able to systematically make each of these corrections and show  
8 that the input data for SEDAR 38U and SEDAR 38 are essential  
9 and that, in fact, the table had a variety of misunderstandings  
10 that arose from essentially the rather difficult nature and  
11 lengthy nature of our stock assessment documentation.

12  
13 I don't have to say the Bullet Point 1 again, I don't think,  
14 and what I do want to say is that there may have been some  
15 confusion introduced by the way we present information  
16 throughout the stock assessment process and from the way those  
17 numbers can be pulled by interested parties for use in, for  
18 example, documents that might accompany management actions.

19  
20 In addition, there were some changes made between SEDAR 16 and  
21 SEDAR 38, to the spatial extent of the mixing zone, and those  
22 changes were actually made during the assessment workshop  
23 process, and so the data workshop itself may have used different  
24 assumptions than were used during the final assessment modeling  
25 in SEDAR 38 that may have also caused confusion.

26  
27 What the Science Center is working on, and it's a rather lengthy  
28 process, is to create standardized documentation that will make  
29 it very homogenous how data are presented in our future stock  
30 assessment reports, so that it's very clear to the user what we  
31 are tabulating and how that data should be used.

32  
33 This is certainly a work in progress, but we do -- We will be  
34 showing you some of our automated documentation. We have, and  
35 we will continue, to show you that documentation, and, if you  
36 do find that there are improvements that can be made to improve  
37 its clarity, we would welcome your input.

38  
39 Kind of how do we avoid these sorts of misunderstanding in the  
40 future? I mean, the Science Center is very willing, and well  
41 equipped, to help you explore any data issues that you might  
42 find, or that might arise, and we do routinely respond to  
43 requests for data and for analyses from the council and from  
44 other management partners as well.

45  
46 Essentially, what our recommendation is, it's that, if there is  
47 an issue in the future, that it appears that there is a big  
48 discrepancy in a stock assessment, the Science Center would be

1 very happy to take a look at that and to try to work that out  
2 prior to presentation, so that we avoid kind of the confusion  
3 that can arise when we are essentially unprepared to answer a  
4 council member's questions at a hot mic. I think that's the  
5 last slide.

6  
7 **CHAIRMAN NANCE:** Perfect. Yes, and that happened to me many  
8 times over the years, and it can cause a great deal of going  
9 back and making sure that everything is correct, and so I think  
10 the bottom line is that the data are the same, and I think  
11 that's the key point. Then I think, as you go into automation,  
12 it will help for any future issues like that. Doug.

13  
14 **MR. GREGORY:** Thank you. Thank you, Shannon. I got caught up  
15 in this with king mackerel, and the standardization is an  
16 excellent idea, and I was going to ask for that, at least between  
17 the assessment and the following update assessment, because, so  
18 many times, we want to go back and see what changed or whatnot,  
19 and, a lot of times, I've found that landings might be reported  
20 in gutted weight for some species, for one assessment, and whole  
21 weight in another assessment and metric tons in one assessment  
22 and pounds in the other.

23  
24 It gets difficult, and, like you said, fishing year versus  
25 calendar year, and it gets to the point where you cannot compare  
26 one assessment to the other, as far as the output data, and then  
27 you've got, sometimes in the assessment report, the report that  
28 is the estimated landings from the model and not the input data.

29  
30 I guess the input data should be provided and made clear if  
31 there's any estimated landings that are in the report as well,  
32 and so the standardization will fix all that, and I appreciate  
33 that.

34  
35 The other question I have that SEDAR 38 has caused me to think  
36 about, and Ryan and others, is how do we account for the  
37 historical landings when the geographic area of the Gulf group  
38 king mackerel has changed dramatically beginning in 2014, and  
39 we stumbled across that when we went back to see what percentage  
40 of the quota has the commercial fishery fulfilled.

41  
42 Like Ryan said earlier, usually they are closed before the  
43 season is over, and so the commercial fishery pretty much takes  
44 90 to 100 percent of their quota, but, in some of these reports,  
45 or tables, they were taking 60 percent or 50 percent of the  
46 quota, and so, historically -- This is a question, I think, for  
47 you, or for us, to think about.

1 When we're looking at the landings and the ACLs prior to 2014,  
2 in my mind, we should include the east coast of Florida in all  
3 of that, because that's what the ACL was based on, but then,  
4 after 2014, we do not include the east coast of Florida in those  
5 landings, because the ACL now is based only on from south Florida  
6 into the Gulf, and so that was one point of confusion that  
7 wasn't obvious to some of us, and that should be part of, I  
8 think, the description in the assessment and all documents, that  
9 this change has been made, and, again, it begs the question of  
10 did the population decrease, or did the population just become  
11 more dense and shrink, or both? Thank you very much.

12

13 **CHAIRMAN NANCE:** Ryan is going to take a crack at it first.

14

15 **MR. RINDONE:** Sure. Thanks, Doug, and it isn't that the  
16 population shrank or became more dense, but it's just the area  
17 in which we were measuring the population changed, and so, when  
18 we made that initial data request for the commercial landings  
19 for kingfish, the landings that were sent to us were under the  
20 auspices of the new mixing zone, as was revised for SEDAR 38,  
21 but the historical quotas, going from the 2015/2016 fishing  
22 season back in time, they still included that Florida East Coast  
23 Zone for each fishing year from November 1 through March 31.

24

25 The data that we received, again using that new mixing zone  
26 information, they didn't include that zone anymore, and so we  
27 were missing several hundred thousand pounds a year of landings  
28 from the data that we ultimately received.

29

30 I have since been working with the Southeast Regional Office  
31 and S&T, and yesterday, or this morning, I received the data  
32 that we were looking for, which is the commercial landings for  
33 the Florida East Coast Sub-Zone for November 1 through March 31  
34 for each of the fishing years, and so I will be working on  
35 updating all of our tables in the CMP 33 document to reflect  
36 that.

37

38 At a quick glance, looking at those data, I am pretty confident  
39 that it dots all the I's and crosses all the T's, as far as  
40 resolving that gap in the landings that we thought that we were  
41 missing, and so, where initially you saw that the landings table  
42 was showing that there was a -- That the commercial sector was  
43 not landings its ACL, that will be resolved, and it will be more  
44 accurate to show that the commercial sector has -- As we know  
45 that it has, because of the history of the quota closures for  
46 each of the commercial zones for the last twenty-five years,  
47 and so we have those data, and we'll be working on that.

48

1 **CHAIRMAN NANCE:** Doug.  
2  
3 **MR. GREGORY:** Thank you, Mr. Chair. One quick response. Please  
4 straighten this out before you start calculating percentages  
5 for allocation changes. It makes a big difference.  
6  
7 **MR. RINDONE:** Thanks, Doug, and it will all shake out in the  
8 tables when I update all the landings data, and so I have  
9 everything set up to automatically populate that information if  
10 those data are updated, and so all of that information  
11 throughout the document is going to have to be updated, but it's  
12 just going to take a minute.  
13  
14 **CHAIRMAN NANCE:** Shannon, did you have any response to Doug?  
15  
16 **DR. CALAY:** I think that my main response is that we are aware  
17 that our documents can be very dense, and they are mostly --  
18 The purpose of them, the data workshop and assessment workshop  
19 reports especially, is often just to give us the information we  
20 need to duplicate an assessment a few years later.  
21  
22 We worked very hard on creating an executive summary of the  
23 assessment results that can be read by a non-technical audience,  
24 and I think what we need to do now is just look at that same  
25 information from the assessment report and the data workshop  
26 report that you would like to have created in a standardized  
27 format, and we will add that to our automation tasks, because I  
28 think that there's a real power in creating those automated  
29 documents, and it will avoid some of these misunderstandings in  
30 the future, and so we are very happy to work on that with the  
31 SSC and with the council and council staff.  
32  
33 **CHAIRMAN NANCE:** Thank you very much. Any other questions from  
34 the SSC? Shannon, thank you for those two presentations. I  
35 appreciate it.  
36  
37 **DR. CALAY:** You are very welcome, Jim.  
38  
39 **CHAIRMAN NANCE:** We will go ahead -- Our next one is amberjack,  
40 and it's going to take a while, and so we're going to have a  
41 fifteen-minute break right now, and then we'll come back and do  
42 Item XX, which is Review of the Greater Amberjack Historical  
43 Harvest and Catch Limits. That will take a little bit of time,  
44 and so we'll go ahead and come back at 2:40. Thank you.  
45  
46 (Whereupon, a brief recess was taken.)  
47  
48 **CHAIRMAN NANCE:** We're going to go ahead and get started here.

1 We're going to go ahead and do Item Number XX, Review of the  
2 Greater Amberjack Historical Harvest and Catch Limits. The  
3 presentation is by the Southeast Fisheries Science Center.

4  
5 **MR. RINDONE:** Is this Katie or Shannon again? I think it's  
6 Katie this time.

7  
8 **DR. SIEGFRIED:** It's by Matt Smith.

9  
10 **CHAIRMAN NANCE:** Matt Smith. Okay. Thank you.

11  
12 **REVIEW OF GREATER AMBERJACK HISTORICAL HARVEST AND CATCH**  
13 **LIMITS**

14  
15 **DR. MATT SMITH:** My name is Matt Smith. For those new members  
16 on the SSC that maybe are not familiar with me, I am a lead  
17 assessment analyst with the Sustainable Fisheries Division. My  
18 previous works have included red snapper and vermilion snapper,  
19 and I will be co-leading the SEDAR 74 red snapper research track  
20 assessment going forward.

21  
22 Today, we're not talking about that, and we're talking about  
23 greater amberjack, and I was asked to step in and update these  
24 projections with the FES data, because it was something that  
25 came out of the vermilion snapper assessment, SEDAR 67, when we  
26 started making these comparisons, to try and help the SSC and  
27 the council make sense of changing quotas in the face of changing  
28 landings data.

29  
30 This is a relatively short presentation, and so we're not really  
31 going to spend a whole lot of time on details and specifics,  
32 but what we ended up doing here is taking the SEDAR 33 update  
33 assessment model, which was not the last greater amberjack  
34 model, and that was SEDAR 70, and this was the one before that,  
35 where the CHTS data was used for the recreational fleets.

36  
37 I took just the basic model, and the only things that I changed  
38 in there were the private, charter, and headboat landings, as  
39 well as the discards, and I replaced those with the FES-based  
40 statistics that were produced for SEDAR 70 and used in SEDAR  
41 70. The headboat information was changed because some of the  
42 calculations in there are depending on the MRIP estimates, and  
43 so I updated the headboat one as well.

44  
45 What couldn't be changed for this are the indices of abundance,  
46 and we do, oftentimes, include fishery-dependent recreational  
47 indices in these stock assessments, and there wasn't time, as  
48 part of this council request, to rework that index and input it

1 in here, and so only the landings were changed, in this sense.  
2  
3 I know, from the previous conversation surrounding king  
4 mackerel, there were questions about other model configurations,  
5 and nothing else was changed in this base model. When I updated  
6 the data and refit the model, obviously, it re-estimated some  
7 of the parameters, but there weren't any convergence issues or  
8 things that came up that required further tweaking in the model  
9 to get it to function, and so the only things that happened here  
10 were those landings and discards being updated.  
11  
12 For the projections, I followed what was done in the SEDAR 33  
13 update, to try and make them as comparable as possible, and that  
14 included using a three-year average to establish the relative  
15 Fs, which was 2013 through 2015, and recruitment was derived  
16 from the stock-recruitment curve, and this is something that  
17 has changed recently.  
18  
19 With newer versions of Stock Synthesis, we have the ability to  
20 do more refined and different approaches to how we handle  
21 recruitment in the projections, but, in the SEDAR 33 update, it  
22 was an older model of SSC, and the stock-recruitment curve was  
23 used to predict recruitment in the projections.  
24  
25 Selectivity and retention, all the biological functions were  
26 taken from the most recent time period, and then, as was done  
27 in SEDAR 33, the 2016 landings, sometimes we get landings  
28 information that comes after the terminal year, that trickle in  
29 kind of late in the process, and then we end up fixing those in  
30 the projections, in order to give management advice starting in  
31 the next actionable year.  
32  
33 In the SEDAR 33 update, 2016 was fixed in the projections, and  
34 so I did that again here, and I just pulled the FES data for  
35 2016 from SEDAR 70 and input those landings directly into the  
36 forecast module of Stock Synthesis.  
37  
38 A couple of projections that were done that were in the request.  
39 There was an OFL projection, which here was an equilibrium  
40 projection of FSPR 30 percent. There was also a request for F  
41 rebuild, which, in this case, is an ABC projection that achieves  
42 30 percent SPR in 2027, and then, to try and make this more  
43 comparable to SEDAR 33, or at least provide the information, I  
44 did two additional projections.  
45  
46 One was of FSPR 40 percent, and the other was a projection of  
47 75 percent of FSPR 30. Those were the two projections that were  
48 put forward as possible ABCs in the SEDAR 33 update, which have

1 shown here in this table on the far-right, and the last three  
2 columns are the OFLs and ABCs from the SEDAR 33 update. Just  
3 so we could have a direct comparison with those old ABC options  
4 and what they would look like with FES, I did those runs as  
5 well.

6  
7 Shown here in the table are what would have come out of the  
8 SEDAR 33 update with FES information included for 2017, 2018,  
9 2019, and 2020. The first four columns there are the new data  
10 with FES, and, like I said, the last three columns are just to  
11 show you what came out of CHTS and the SEDAR 33 update.

12  
13 I believe I have one more slide, and this was just kind of a  
14 clarification. It came to my attention, when I was tasked with  
15 doing this, that there was some confusion around these tables,  
16 and this one is from greater amberjack, but it's based on  
17 something that I produced from SEDAR 67 for vermilion snapper  
18 and then did a couple other versions of, and this was just kind  
19 of an on-the-fly attempt to try and give some additional  
20 information to the SSC and the council about what things would  
21 have looked like, and it was kind of a cruder version of the  
22 analysis you just saw.

23  
24 It seemed as though people were taking the far-right column  
25 here, the equilibrium yield column, as being comparable to an  
26 OFL, and so I wanted to include this, just as a point of  
27 clarification for anybody listening. In these tables, that last  
28 column is essentially the equilibrium yield, or what you achieve  
29 in a long-term hundred-year projection, when all the variations  
30 in the age comp and the constant recruitment smooths itself out  
31 and you get this constant equilibrium yield.

32  
33 That final column there is not directly comparable to an OFL,  
34 and it was simply included in these as a way to get a quick look  
35 at whether or not the new advice, in this case from SEDAR 70,  
36 that bottom row -- Is that an actual increase, or is that a  
37 decrease, compared to what it would have looked like in the  
38 past?

39  
40 I guess, for the point of the discussion around these numbers,  
41 if there is any, the previous slide is the table that has the  
42 information to be considered today, and that last slide is just  
43 put in there as a point of clarification, because it seems as  
44 though the initial intention of that last table was maybe  
45 getting misconstrued a little bit.

46  
47 With that, that's it for me, and it was a relatively  
48 straightforward council request, and I'm happy to answer any

1 questions I can, and I believe some of the people who are more  
2 familiar with the nuances of greater amberjack are also  
3 available, if there's questions regarding species-specific  
4 problems, and so thank you very much, and I will answer any  
5 questions that may come up.

6  
7 **CHAIRMAN NANCE:** Matt, thank you for that presentation. I just  
8 want to remind us that, for this, we're not expected to make  
9 any new OFL or ABC recommendations, based on this analysis, and  
10 so are there questions that are occurring just on the  
11 presentation itself and anything that would help the council in  
12 viewing this one? We'll take questions now. Trevor.

13  
14 **DR. MONCRIEF:** This is going to follow, essentially, the king  
15 mackerel questions, but this is another species where the MRIP  
16 landings increased around I think a little over 100 percent, on  
17 average, and we see an OFL increase of about 60 percent, but I  
18 was wondering, and do you know what the proportional change in  
19 total removals were after the change from CHTS to FES?

20  
21 **DR. SMITH:** I was listening into the previous call, and I tried  
22 to look some of those up, real quickly, and so, when I looked  
23 at the percent differences from CHTS to FES for the MRIP fleet,  
24 and so the private charter, and you're looking from 1981 to  
25 2015, because, prior to 1981, that's the historic stuff, and  
26 the statistics I looked at were there was a minimum difference  
27 in those years of 13 percent, a maximum difference of 200  
28 percent, an average difference of 87 percent, and a median  
29 difference of 84 percent.

30  
31 Then the change in the ABC recommendation from the SPR 40 percent  
32 and the 75 percent was roughly 65 percent, and, depending on  
33 which one you look at, it was 62 or 67, and the F rebuild  
34 represents an 81 percent increase over the previous ABC values.  
35 I hope that helps.

36  
37 **DR. MONCRIEF:** That was perfect, and so, essentially, what about  
38 -- If you take into account the commercial landings didn't  
39 change, but that's a part of the removals as well, and what  
40 would be the total proportional change in all removals, I guess  
41 is what the question is?

42  
43 **DR. SMITH:** The total proportional change in all removals, that  
44 one I don't know off the top of my head. I don't have that in  
45 front of me, Trevor, unfortunately.

46  
47 **MR. RINDONE:** Matt, I think you would have to run it back through  
48 to generate that. I don't see that as something that could be

1 pulled out of here.

2

3 **CHAIRMAN NANCE:** Matt, thank you. Doug Gregory.

4

5 **MR. GREGORY:** Thank you. I don't recall what we did before with  
6 greater amberjack. What I see here is three different potential  
7 ABCs, and could somebody remind me what ABC -- What we used for  
8 ABC? Was it F rebuild, FSPR 40, or 75 percent of SPR 30?

9

10 **CHAIRMAN NANCE:** Nancie, can you answer that?

11

12 **DR. NANCIE CUMMINGS:** Thank you very much. I was the lead  
13 analyst on greater amberjack, and I looked through the previous  
14 question, regarding what was the percentage change in total  
15 removals, and I would like to refer you to the SAR report, pages  
16 88 and 89, and that gives you a really good pictorial of the  
17 percentages of the differences, rather, in the recreational and  
18 commercial catches, as well as the discards, and Matt has  
19 already touched on the -- It was pages 88 and 89, Figure 3 and  
20 4. Matt has already given you a good idea as to the recreational  
21 proportional change.

22

23 The commercial from SEDAR 33 to SEDAR 70, up to the same years,  
24 were almost nearly identical, and so there was really no  
25 proportional difference. We were able to replicate those  
26 landings, and then, obviously, we added 2016, 2017, and 2018  
27 for SEDAR 70.

28

29 To the second question, and so that is Figure 3, and those are  
30 the observed landings, and so the top two are the commercial,  
31 and the bottom two are the recreational, and so you're focusing  
32 on particularly the FES and the charter/private. To the second  
33 question, I think from Mr. Gregory, it was what was used for  
34 ABC, and that was 75 percent of OFL, which is F 30, in the SEDAR  
35 33 update. Did that help?

36

37 **MR. RINDONE:** It's F rebuild.

38

39 **DR. CUMMINGS:** F rebuild was defined as 75 percent of OFL, F  
40 30, in the SEDAR 33 update.

41

42 **CHAIRMAN NANCE:** Okay, and so it's F rebuild that we're looking  
43 at is what is currently --

44

45 **DR. CUMMINGS:** F rebuild currently is the fishing mortality rate  
46 that will rebuild the stock back to SSB at SPR 30 in the current  
47 SEDAR 70 assessment.

48

1 **MR. RINDONE:** That's to be done by --  
2  
3 **DR. CUMMINGS:** Correct.  
4  
5 **MR. GREGORY:** That's what we chose as ABC, was the F rebuild?  
6  
7 **DR. CUMMINGS:** For SEDAR 70, yes.  
8  
9 **MR. GREGORY:** But not 33?  
10  
11 **DR. CUMMINGS:** Not 33 or the 33 update.  
12  
13 **MR. GREGORY:** Okay. That's where I was confused, because, until  
14 recently, when it was explained to us, I think we were taking F  
15 rebuild as a sort of different OFL, and we were reducing that  
16 and calling that an ABC, but then, later, it was explained, I  
17 think through Shannon and Rick Methot, that F rebuild itself is  
18 an ABC.  
19  
20 **DR. CUMMINGS:** We actually calculated it. In the SEDAR 33  
21 update, I calculated it, at the request of Steven Atran, but it  
22 was not used. It was 75 percent of OFL.  
23  
24 **MR. GREGORY:** Thank you.  
25  
26 **DR. CUMMINGS:** You're very welcome. Any more questions about  
27 that proportional change in total catch, total landings?  
28  
29 **CHAIRMAN NANCE:** Thank you, Nancie. Shannon.  
30  
31 **DR. CALAY:** Thank you. Doug is quite correct that, at one time,  
32 we were basing OFL on an F rebuild trajectory, but, in fact,  
33 the current guidance is that, in the situations where a stock  
34 is overfished and requires a rebuilding plan, that rebuilding  
35 plan would essentially be an ABC.  
36  
37 **CHAIRMAN NANCE:** Okay.  
38  
39 **MR. GREGORY:** Mr. Chair, may I say something?  
40  
41 **CHAIRMAN NANCE:** Yes, Doug.  
42  
43 **MR. GREGORY:** Thank you, Shannon. I wanted to share a little  
44 bit -- This is more for tomorrow, for the next discussion with  
45 amberjack, but I have become quite concerned about greater  
46 amberjack, as I'm sure other people have, and it seems like, no  
47 matter what management measures are put in place, amberjack just  
48 doesn't recover, and we currently have I think an estimated

1 spawning stock biomass way below, significantly below, our MSST,  
2 and our MSST is at 50 percent of BMSY, and, if you're to believe  
3 any of the theory that gives us MSY, that means the spawning  
4 stock population is somewhere below 25 percent of the virgin  
5 biomass. That is where we've been talking about this biomass  
6 critical point, where dramatic actions are taken, even the  
7 consideration of closing the fishery.

8  
9 I just wanted to leave that with everybody to think about for  
10 tomorrow, and I'm leaning toward really pushing this idea of  
11 doing something draconian to try to rebuild greater amberjack.  
12 Thank you.

13  
14 **CHAIRMAN NANCE:** Okay. Any more questions? Go ahead, Carrie.

15  
16 **EXECUTIVE DIRECTOR SIMMONS:** Thanks, Mr. Chair. Just real  
17 quick, Nancy, in the presentation, or I guess Matt, sorry, for  
18 OFL in the FES units -- I see that it's different in yours. I  
19 apologize, because what we have for the SSC -- I got it. Never  
20 mind. Thank you.

21  
22 **CHAIRMAN NANCE:** Okay. Will.

23  
24 **DR. PATTERSON:** Thanks, Jim. Doug, you make a really good point  
25 here, and I'm curious. I don't still Mandy still on the call,  
26 but maybe -- She is. I'm sorry. I'm wondering -- Maybe this  
27 will come up in the next agenda item, but, since Doug has already  
28 sort of brought this subject to the table here, to the floor,  
29 I'm wondering --

30  
31 In the council's -- Not the council's, but the Southeast  
32 Fisheries Science Center's work with different constituencies,  
33 fishing constituencies, and trying to understand the perception  
34 of anglers and fishers on the water about different populations  
35 of different stocks of fish, I'm wondering what feedback they're  
36 getting on greater amberjack, because different groups that we  
37 work with in the Panhandle of Florida, and then a little farther  
38 to the west, have expressed a lot of concern about amberjack.  
39 I am just curious what anecdotal information that's been  
40 collected perhaps in a more objective fashion indicates, as far  
41 as population status and trend.

42  
43 **DR. KARNAUSKAS:** We have not done a systematic analysis of  
44 amberjack, as we've done for some other species, and so the  
45 short answer is I don't have any information. Again, as I  
46 mentioned earlier, at the red-snapper-focused calls, cobia came  
47 up as unprompted, and we have not had any unprompted mentions  
48 of amberjack, as I remember, and so I don't know if that's

1 helpful at all, but that's about all the information I have.

2

3 **MR. RINDONE:** From the public comment perspective from the  
4 council side, what we typically hear is that, the deeper you  
5 go, the greater the odds of being able to find larger ones, and,  
6 when you're around wrecks and things like that, you certainly  
7 can get into them on occasion, but, typically, what we hear,  
8 from the recreational fishermen anyway, is that it can sometimes  
9 be difficult to find greater amberjack that are at or above the  
10 minimum size limit, which has brought on a little bit more of  
11 the impetus for trying to improve the discard mortality  
12 associated with those fish.

13

14 Depending on how long they're fought, they can be released  
15 pretty heartily even from the depths of say twenty to thirty  
16 meters, but, when you get into depths deeper than that, there's  
17 probably some latent mortality associated with internal injuries  
18 from barotrauma, from being brought up from those depths.

19

20 It's kind of hard to piece together though, because your average  
21 fishing trip offshore, fishing for reef fish species, is more  
22 likely to encounter various snapper or grouper species with  
23 greater consistency, it would seem, at least on the West Florida  
24 Shelf, where we have a lot of interaction with anglers and  
25 greater amberjack, and so other areas of the Gulf may report a  
26 little bit different observations, but, by and large, what we  
27 hear is that it's growing to be a little bit more difficult to  
28 catch legal-sized amberjack. They can be found, but they're  
29 not common.

30

31 **CHAIRMAN NANCE:** Thank you. Benny.

32

33 **DR. GALLAWAY:** Our paper on absolute abundance for federally-  
34 managed reef fish around Gulf of Mexico offshore petroleum  
35 platforms has now been accepted for publication and will be out  
36 soon. A pre-print acceptance version can be found at the *North*  
37 *American Journal* website, and it suggests that, based on the  
38 number of amberjack on the platforms, essentially from Alabama  
39 to Texas, it suggests a much larger stock than is being suggested  
40 by the stock assessment.

41

42 We also have a study in progress, and it's not available. It's  
43 got to the point where it's under peer review, but where we  
44 look at, off of Louisiana, a wider distribution of habitats and  
45 amberjack, and those will also provide enlightened results, and  
46 so I think -- Or different results anyway, and I think the stock  
47 size estimates, in this case, should be reevaluated, and I think  
48 there's a study in progress to do exactly that, and so I would

1 say more information might be necessary before any final  
2 decisions are made about stock size, and how accessible those  
3 stocks are is another matter. They may be larger, based on our  
4 experience. Thank you.

5  
6 **CHAIRMAN NANCE:** Thank you. Any other questions or comments on  
7 this particular item? Will.

8  
9 **DR. PATTERSON:** Just in response to Benny's statement about  
10 estimates that LGL has made on Louisiana habitats, including  
11 petroleum platforms that extend farther to the east, this idea  
12 came up during the peer review of the red snapper population  
13 estimation study in the Gulf, that the data can suggest  
14 truncated age distribution, and issues with egg production that  
15 are associated with that, while, at the same time, population  
16 sizes not be scaled correctly in the assessment, and so they're  
17 not mutually exclusive.

18  
19 There was some discussion during the SSC deliberations about  
20 how to utilize the information from the preliminary report on  
21 the red snapper population estimation study about this, but I  
22 am curious if Matt is still on the line, because Matt is the  
23 lead analyst for red snapper, and then, although Nancie was the  
24 lead for greater amberjack, Matt clearly is familiar enough with  
25 the model to produce these projections.

26  
27 I am curious, and we have three examples now of congressionally-  
28 appropriated funding coming in to set RFPs to fund projects to  
29 estimate population sizes of reef fishes in the Southeast.  
30 There is the red snapper project from the Gulf, and there is a  
31 new red snapper project that I am the PI of in the Atlantic,  
32 and then there's this RFP for greater amberjack that -- I don't  
33 think that's been announced yet, but I could be wrong there.

34  
35 Anyway, with these three projects, we're going to -- If they  
36 occur in the future, there will be estimates of population size  
37 produced outside of the stock assessment process, and so I'm  
38 wondering, with respect to amberjack here, because it will be  
39 the next one in the Gulf that has to -- That management will  
40 have to factor in this external estimate, if there's been any  
41 more thought about how to incorporate or scale the assessment  
42 models using this external information.

43  
44 I mean, it can't be as simple, I don't think, as just putting  
45 in a prior in the assessment model that has to do with what the  
46 population size estimates are from this external source, and  
47 maybe it can be as easy as that, but it seems like there will  
48 be other reconciliation processes required, and so I'm just

1 wondering what the thinking is with respect to that and how that  
2 might be incorporated.

3  
4 I don't have any idea whether these types of processes are going  
5 to continue and what the prospects are for the future, but we  
6 do have these handful that are either currently underway or  
7 recently completed in the region, and so I'm just wondering,  
8 from a stock assessment perspective, if any more thought has  
9 been put into how those results can be incorporated.

10  
11 **DR. SMITH:** I will chime in with what I have, and then, if  
12 Shannon and Katie want to jump in and walk through it some more,  
13 they can follow me up here. We haven't sat down and really come  
14 up with a concrete plan. I have played around with the red  
15 snapper stuff a bit, because, obviously, in, my mind -- We'll  
16 have to sort it out at the data workshop, how best to approach  
17 it, but I don't think it's going to be as easy as we had hoped,  
18 based on my initial exploratory runs.

19  
20 The approach we were trying to take, or that I have tried to  
21 take, is to incorporate that information as an index of  
22 abundance with a selectivity across the appropriate age classes,  
23 and so, in the case of the red snapper, it was age-two-plus, is  
24 what is being looked at there, and the issues that I have run  
25 into that have nothing to do with incorporating it into Stock  
26 Synthesis, is getting the model to respond to those singular  
27 data points.

28  
29 There is so much other information in that model that it seems  
30 that, from this likelihood standpoint, forcing it fit to that  
31 little nugget of information in the sea of other information is  
32 not as straightforward as I thought, and I tried imposing  
33 different lambdas on the data and tried to upweight it and  
34 downweight other things, and I have yet to get the model to  
35 fully respond to the input on the abundance estimate.

36  
37 We're certainly not throwing our hands in the air. We're going  
38 to continue to attack it, but it was not, at least at first  
39 glance, as straightforward as we had hoped it would be to build  
40 it into the assessment, and it is something we're going to have  
41 to sort out, how best to use it, because as you said, there's  
42 not only red snapper, but there is other ones of these coming  
43 down the pipe, and we'll probably continue to see them, because  
44 they have been well received and are extremely valuable, for a  
45 number of reasons. If Katie or Shannon want to chime in, or if  
46 Mandy wants to jump in, please do.

47  
48 **DR. KARNAUSKAS:** I was going to jump in and add to that, Matt,

1 just a couple other lines of research that we have in trying to  
2 make use of those results, and there's the obvious question of  
3 connectivity, both from the biological perspective, but from  
4 the how the fishery operates perspective.

5  
6 On the biological side, a big question is the spawning of  
7 offshore biomass, or biomass that isn't immediately accessible  
8 to fishery, and how does that seed areas that might get depleted,  
9 and so we have the larval connectivity modeling that we're using  
10 to try and get estimates of how much non-depleted areas would  
11 be a source of larvae to depleted areas, and so that's one sort  
12 of research activity we have going on.

13  
14 Then, also, with the participatory work that we're doing, we're  
15 trying to get a sense for connectivity and how currently  
16 underutilized areas might be utilized in the future, and so, if  
17 and when areas become depleted, how far would fishermen go to  
18 access other areas, what are the sort of factors driving those  
19 decision points, and so those are a couple of lines of research  
20 that we have that might also help guide us in terms of how we're  
21 able to use the information.

22  
23 **CHAIRMAN NANCE:** Katie.

24  
25 **DR. SIEGFRIED:** Thank you, Mr. Chair. I just wanted to add to  
26 what Matt and Mandy said, just a small part, and so we did hire  
27 a SEMIS associate that's working with Mandy on that connectivity  
28 work, and so the Center has made that a priority, scientifically  
29 and financially, and then the other thing is it's going to be  
30 incredibly important for the Great Red Snapper Count PIs to  
31 participate in the red snapper data workshop portion and  
32 subsequent assessment webinars, and so we're really going to  
33 lean heavily on those folks to work with us in figuring out a  
34 way to incorporate these data into the next assessment. That's  
35 it. Thanks.

36  
37 **CHAIRMAN NANCE:** Thank you very much. I think that's a great  
38 idea. Any other discussion on this particular topic? Shannon.

39  
40 **DR. CALAY:** Thanks. I just wanted to clarify a point I heard  
41 Will say. Nancie has been the lead of the greater amberjack  
42 assessment for a number of SEDAR cycles, and she is certainly  
43 very familiar with the stock assessment projections and the work  
44 that's been done.

45  
46 The reason why Nancie is not presenting this today has more to  
47 do with the fact that, in our realignment, she's been assigned  
48 now to the Caribbean branch, and so is leading SEDAR 80, which

1 is queen triggerfish, and so I just wanted to explain that we  
2 are still very much collaborating with Nancie and she still is  
3 very much available to assist us, as needed. It's mostly  
4 workload. We're just roped Matt in to help us out.

5  
6 **CHAIRMAN NANCE:** Thank you for the clarification. Benny.

7  
8 **DR. GALLAWAY:** I do want to point out that, for most or all of  
9 our collections, and I am at home right now, and I don't have  
10 it in front of me, but we have length and weight and otolith  
11 and sex and maturity data for most of the federally-managed  
12 species that we collect. A lot of that hasn't been processed,  
13 but it's been collected, and so we're able to sort size and sex  
14 as well for our estimates around platforms and other structures.  
15 Thank you.

16  
17 **CHAIRMAN NANCE:** Okay. Nancie.

18  
19 **DR. CUMMINGS:** I just wanted to say thank you to Shannon, but  
20 also to Matt, for stepping in and running those extra  
21 projections. I just wanted to speak out to some of our input  
22 data, because, as we've seen in a couple of other assessments,  
23 some of our fishery-dependent indices have not been as  
24 informative going forward, because of certain other regulations,  
25 and so we had a --

26  
27 If you will look at your -- If you will read the SAR report,  
28 you will see that, from the SEDAR 33 update to 70, we actually  
29 did not use the commercial vertical line index, but we were we  
30 able to retain the longline index, but I would like to say that  
31 we're looking forward to the continued development of that  
32 combined video index, and so I think that -- I want to say the  
33 answer is still not there, in terms of whether the stock  
34 assessment is doing what we think it's doing, or is not doing  
35 what we think it's doing, but we certainly know that, as the  
36 data inputs get better, and the combined video index becomes  
37 more informative for this stock as well, that we'll probably  
38 see benefits, in terms of the information content, and so I just  
39 want to speak out to that index, and it's a very, very important  
40 index for the stock. Thank you.

41  
42 **CHAIRMAN NANCE:** Thank you. With that, I think we're going to  
43 move on to Item XXI, which is really a continuation of this,  
44 which is Review the Updated Greater Amberjack Projections.  
45 Matt, are you going to be doing that one also?

46  
47 **DR. SMITH:** No, I don't believe I'm on point for this one. We're  
48 all taking a stab at greater amberjack today, and somebody else

1 must have it.

2  
3 **CHAIRMAN NANCE:** Nancie, are you going to do that one?

4  
5 **DR. CUMMINGS:** Yes, Jim. Thank you very much.

6  
7 **CHAIRMAN NANCE:** You're very welcome. Thanks for doing it.

8  
9 **REVIEW OF UPDATED GREATER AMBERJACK PROJECTIONS**

10  
11 **DR. CUMMINGS:** For those of you that are new to the process, to  
12 the SSC, welcome to the group, and I look forward to working  
13 with you, although I'm working also in the Caribbean, again.  
14 I'm Nancie Cummings, and I've been with Southeast Fisheries for  
15 a few years now, and I have worked, amongst other things on  
16 mackerels, Spanish and king, and some of the tuna work, cobia,  
17 and dolphin, early on, and I've been working on amberjack since  
18 probably the mid-1990s, 1990s.

19  
20 This presentation was prepared in response to a request from  
21 the council staff for updates on projections using some  
22 alternative sector allocations. The current sector allocation  
23 is -- Basically, it's the 27/73, 27 percent commercial and 73  
24 percent recreational, and so we were asked to look at  
25 projections from I think it was four allocation of scenarios.

26  
27 1981 to 2004 is 84 percent recreational and 16 commercial. 1993  
28 to 2019 is 80 percent recreational and 20 percent commercial.  
29 Another from 1993 to 2007 is 78 percent recreational and 22  
30 percent commercial, and then, finally, we were asked to look at  
31 another set of projections, leaving the commercial annual catch  
32 limit, the ACL, at 484,380 pounds whole weight, and then to  
33 calculate the remaining sector allocations after that, and so  
34 they would be variable.

35  
36 Then, for continuity purposes, I updated the SEDAR 70  
37 projections. Again, those were 73 percent recreational and 27  
38 percent commercial.

39  
40 Again, I have repeated here the same slide that was provided to  
41 you in the SAR report, as well as in the Executive Summary, and  
42 what that is is it's the pertinent relevant settings, the  
43 projection settings, for the SEDAR 70 assessment, stock  
44 assessment, and these are the relative Fs, selectivity and  
45 retention, and those parameters were taken as averages from the  
46 last three years of the assessment, reminding you that the  
47 terminal year was 2018.

1 In the most right-hand column is sort of a more descriptive  
2 characterization of what that parameter is. The recruitment is  
3 the average of the last ten years of the time series, 2009 to  
4 2018, and the 2019 landings were taken as reported to us, and  
5 the 2020 and 2021 landings were the average landings between  
6 2016 and 2018, and that's a normal convention that we use in  
7 our projections, and that is to use the -- 2019 is one year  
8 beyond the terminal year, and that's usually a preliminary  
9 estimate, and we think that -- when it was provided to us, and  
10 then 2020 and 2021 are averages of the last three years. Again,  
11 for the projection time series, it was 27/73, in terms of that  
12 allocation ratio.

13  
14 Just kind of to give you a little bit of a rundown on software  
15 and notations, I just want to point out that the SEDAR 70 base  
16 model results are achieved through a two-part process. It's an  
17 iterative search, using an R script, for the fishing mortality  
18 -- To attain the fishing mortality at SPR 30 over 100 years,  
19 while maintaining that sector allocation, and also then Part B  
20 is to run the base model in the forecast mode, applying fixed  
21 Fs from Step A for forecast years of interest, i.e., we would  
22 take those from the first ten years.

23  
24 Also, results for F rebuild were achieved by iterating the  
25 annual F that would rebuild the stock to SSB at SPR 30 by 2027,  
26 but I would like to point out that we may want to use -- For  
27 SEDAR 70, that was mainly done through Stock Synthesis only,  
28 except for the part where, in Part B, you take the fixed Fs from  
29 the last -- Instead of equilibrium years, and those are input  
30 into the model to forecast forward for the OFL.

31  
32 I would like to point out that, for the updated projections,  
33 and that's for what we just presented, or are presenting to you  
34 today, all of the results for OFL, ABC, and F rebuild were  
35 achieved using a new F script, and it was written by Nathan  
36 Vaughan, who works with us as a contractor, and it was to achieve  
37 MSY proxy, the annual F, and the sector allocation targets  
38 according to the specified allocation scenarios.

39  
40 We have learned that we have some improvements, and we're able  
41 to maintain those sector allocations a little bit more  
42 accurately, by using this new R script.

43  
44 Results for OFL are obtained by achieving SPR 30 percent at  
45 equilibrium and the constant FSPR 30 in all years and those  
46 fixed allocation scenarios, whether they are the base 27/73 or  
47 the alternative ones. Results for ABC were achieved by  
48 simultaneously achieving a constant F of 0.75 of F 30 and then,

1 again, maintaining those fixed sector allocations in all years.

2  
3 Then F rebuild was achieved by iterating to identify the annual  
4 F value that would rebuild the stock to SSB SPR 30 by 2020,  
5 while simultaneously maintaining the sector allocations, and so  
6 it's a little tricky new script. For amberjack, it ran pretty  
7 quickly. For some stocks, it doesn't run as quickly.

8  
9 This is a summary, and I will walk you through the setup. This  
10 is a summary of the updated projections, and you're going to  
11 find three sets of projections. They are the OFL, which is the  
12 projection under F 30, the ABC, which is the projection at 75  
13 percent SPR, as defined here, and I just want to point out that  
14 this was not ABC in SEDAR 70, as specified under the terms of  
15 reference. ABC, as specified in the terms of reference, was F  
16 rebuild, and this is just an extra set of projections that were  
17 giving you with the second block.

18  
19 Then, if we have the scenario, which would be OFL, ABC, which  
20 is 75 percent of SPR 30, or F rebuild, and I would like to --  
21 The final column then directs you to the sector allocations,  
22 and this was our current. The first row in each block will be  
23 our SSC 2021 projection, which is the 27/73. The final set of  
24 column -- Number 5 is the projected yield in millions of pounds  
25 whole weight, going from 2022 to 2026, and so Row 2 in each  
26 block is the updated projection, which we've given you here,  
27 with the new code, which utilizes Dr. Vaughan's new R scripts,  
28 which effectively maintains those allocation ratios more  
29 accurately.

30  
31 Then that's maintaining the same sector allocation as the base  
32 model, and then the final four rows in each block guide you to  
33 the alternative allocation that we were asked to consider, and  
34 then the projected yields for each scenario, projection  
35 scenario, are 2022 to 2026, and so what we're looking at, in  
36 terms of the updated projections in this model would be Row 2,  
37 giving you the OFL of 2.1 million pounds in 2022 and slightly  
38 increasing out to 2026, and then you would be looking at Block  
39 3, which is the ABC equal to F rebuild, and the Row 2, which is  
40 the base model that was accepted by the SSC with the new  
41 projection code, and, again, the projected yields from 2022 to  
42 2026 being slightly below that of the OFL. Again, the F rebuild  
43 is defined as the annual F that would get you to rebuilding by  
44 2027. That's the last slide. Any questions?

45  
46 **CHAIRMAN NANCE:** Nancie, thank you. Let's go back to that  
47 table. Just real quick, it looks like the first two rows on  
48 each of the different scenarios -- The new code seems to have a

1 larger projected yield than before, and so it went from --  
2  
3 **DR. CUMMINGS:** Slightly larger.  
4  
5 **CHAIRMAN NANCE:** Slightly larger, and so it went from -- Am I  
6 reading that correct?  
7  
8 **DR. CUMMINGS:** Yes, and they're slightly larger.  
9  
10 **CHAIRMAN NANCE:** Okay, and so, in the first one, it went from  
11 1.6 to 2.1.  
12  
13 **DR. CUMMINGS:** Correct.  
14  
15 **CHAIRMAN NANCE:** Okay. Any questions on this? Nancie, thank  
16 you for that presentation.  
17  
18 **DR. CUMMINGS:** You're very welcome, and I would just also point  
19 the audience to the document.  
20  
21 **CHAIRMAN NANCE:** Katie.  
22  
23 **DR. SIEGFRIED:** Thank you, Mr. Chair. Thank you, Nancie. I  
24 did want to just add something to the answer to Jim's question,  
25 and Nancie actually has some slides to this effect, if the SSC  
26 wants to see it, but they just weren't ready in time to be in  
27 put into your briefing book, but the 2022 value, Jim, that you  
28 just compared, the 1.637 in the OFL scenario, versus 2.102,  
29 that's true that it's larger, but, in general, the SSC, or I  
30 guess because the council wants more constant projections, we  
31 have also looked at the average, either the three or five-year  
32 average of 2022 through 2024 or 2022 through 2026, and they are  
33 not that different from the average that you find from the  
34 current recommendation for the OFL and ABC. Does that make  
35 sense?  
36  
37 **CHAIRMAN NANCE:** Okay. That does make sense. Thank you.  
38  
39 **DR. CUMMINGS:** Thank you, Katie, and I can show those, if you  
40 would like. I also have more of the four different alternatives  
41 that were requested from the IPT team that is considering the  
42 framework amendment.  
43  
44 **CHAIRMAN NANCE:** Why don't you go ahead, Nancie, and just show  
45 the slide, just for our edification?  
46  
47 **DR. CUMMINGS:** I think we emailed them to Ryan, and it's just  
48 basically the replacement PowerPoint.

1  
2 **MR. RINDONE:** You can just make here the presenter. We're  
3 trying not to continually update stuff on the website mid-  
4 meeting.

5  
6 **CHAIRMAN NANCE:** Doug, we'll see this, and then I will get to  
7 your question.

8  
9 **DR. CUMMINGS:** What we've done, and thank you, Katie, for noting  
10 this, is we've taken -- What we've taken is, for each scenario,  
11 I've just given you a five and three-year average, and so, if  
12 you look at the -- I will just highlight Row 7 here, the five  
13 and three-year average for the -- This is the OFL and then the  
14 F rebuild, and so, as Katie pointed out, even from the old code  
15 to the new code, they are not that different, especially for  
16 the three-year average.

17  
18 Obviously, looking at the alternative scenarios, there will be  
19 further deliberations on those scenarios, I'm sure, from the  
20 IPT team, and, looking at the F rebuild, similarly, these are  
21 not so different.

22  
23 **CHAIRMAN NANCE:** Thank you for showing that.

24  
25 **DR. CUMMINGS:** You're very welcome.

26  
27 **CHAIRMAN NANCE:** Doug, you had a question?

28  
29 **DR. CUMMINGS:** This is the previous table that you saw without  
30 the five-year and three-year average.

31  
32 **MR. GREGORY:** Regarding the averages, the five-year average is  
33 lower than the three-year average, yet the numbers are going up  
34 year after year.

35  
36 **DR. CUMMINGS:** The numbers?

37  
38 **MR. GREGORY:** Your 2.1 to 2.2 to 2.3, 2.4, 2.47. I would expect  
39 the five-year average to be larger than the three-year average.

40  
41 **CHAIRMAN NANCE:** I think it's the previous five years.

42  
43 **MR. GREGORY:** I'm looking at it backwards. Okay.

44  
45 **DR. CUMMINGS:** That's just the way we had it arranged, Doug,  
46 and this first one is a little weird, because, without the new  
47 code, the R script that maintains the sector allocations, you  
48 had it really going up in 2026.

1  
2 **MR. GREGORY:** Right, and my original thing that I wanted to  
3 point out, given my concern about greater amberjack, and the  
4 differences are minor, but, the more you allocate to the  
5 recreational sector, the lower the OFL is, which means that the  
6 recreational sector is exerting, pound for pound, a greater  
7 fishing mortality rate than the commercial sector.  
8  
9 **DR. CUMMINGS:** But we've known that, Doug, for years. You don't  
10 even have to go out to the projections to see that, because, if  
11 you just go back and look at your landings and your actual age  
12 composition over time, you can see that the recreational fishery  
13 has been prosecuting the fishery higher, more intensely, rather,  
14 since the early 1980s.  
15  
16 **MR. GREGORY:** Thank you.  
17  
18 **DR. CUMMINGS:** Thank you, and you pointed that out about  
19 something else this morning, and I thought it was a wonderful  
20 comment that you made.  
21  
22 **CHAIRMAN NANCE:** Are there any more comments from the SSC? I  
23 guess I have a question. What do we think about these  
24 calculations? Are they acceptable? Benny.  
25  
26 **DR. GALLAWAY:** Is the recreational fishery prosecuted equally  
27 across the Gulf, or is it focused in one area or the other?  
28 Does the eastern Gulf have larger recreational fisheries than  
29 the western Gulf, for example?  
30  
31 **MR. RINDONE:** Yes.  
32  
33 **DR. CUMMINGS:** We don't have the landings -- I mean, we don't  
34 have the inputs into the model broken down to that refinement,  
35 because of basically the availability of samples and so forth,  
36 and we have taken into account weightings of our samples, both  
37 the age and the length comps, by area, east and west, and not  
38 any finer than that, but, in general the answer is yes.  
39  
40 **DR. GALLAWAY:** Yes being that it's more in the east?  
41  
42 **DR. CUMMINGS:** Yes, sir.  
43  
44 **DR. GALLAWAY:** Thank you very much.  
45  
46 **CHAIRMAN NANCE:** John.  
47  
48 **MR. MARESKA:** Nancie, I am just noticing that it looks like,

1 for all these new projections, the buffer between the OFL and  
2 the ABC are very miniscule compared to the current difference  
3 between the OFL and the ABC, and is that something because of  
4 the new R script, or what's causing that decrease in the buffer  
5 between OFL and ABC?

6  
7 **DR. CUMMINGS:** Are you looking at the F rebuild, at the OFL?

8  
9 **MR. MARESKA:** So if we look at the OFL, that first row, using  
10 the current, the projected yield for 2022 is 1.63, and the ABC,  
11 under the F rebuild scenario, is 1.2, and, if we go down to the  
12 second row in each one of those boxes, the OFL is 2.1, where  
13 the ABC F rebuild is 2.02, and so there is very little difference  
14 in all these new projections compared to the current  
15 projections.

16  
17 **DR. CUMMINGS:** We would have to go into each individual year  
18 and look at that, and I can also -- I think Nathan is on the  
19 call, who wrote the script, but I think we can probably say that  
20 that is the largest contributor to those smaller buffers, but  
21 if Nathan or Katie want to add anything to that.

22  
23 **DR. SIEGFRIED:** I can add something to it.

24  
25 **CHAIRMAN NANCE:** Yes, Katie, please.

26  
27 **DR. SIEGFRIED:** So the F rebuild, the fishing mortality that  
28 leads to recovery by 2027, isn't that different from FSPR 30  
29 compared to the 75 percent FSPR 30 that was chosen by the SSC  
30 previously, and Shannon can correct me if I'm wrong, but, when  
31 we looked back to find out why the -- You discussed this a  
32 little bit during Matt's presentation, why it's 75 percent FSPR  
33 30 instead of F rebuild, and it seemed like it was a  
34 precautionary approach, for the very reason that the question  
35 was just asked, and so it's either 25 percent less, if you're  
36 using the 75 percent FSPR, or it's F rebuild, which actually  
37 isn't that different from FSPR 30, if that helps.

38  
39 **CHAIRMAN NANCE:** I think the question John had was the difference  
40 between the OFL and the ABCs. It seemed to be -- If you're  
41 using the old model, then you get an OFL, and you get an ABC.  
42 If you use the new R script, the ABC is much closer to the OFL  
43 than in the original model.

44  
45 **DR. SIEGFRIED:** I don't think that has to do with the new R  
46 script. It's F rebuild.

47  
48 **CHAIRMAN NANCE:** It's occurring whether it's F rebuild or F 75

1 percent SPR 30.

2  
3 **DR. SIEGFRIED:** The 75 percent FSPR 30, the values to compare  
4 would be the 2.102, as opposed to 1.582, which is 75 percent  
5 less, pretty much, and so a 25 percent buffer is pretty good  
6 compared to 2.102. as opposed to 2.021 for F rebuild. I'm sorry  
7 that I can't point for you, and so I'm trying to be clear, but  
8 I know it's hard.

9  
10 **DR. CUMMINGS:** You are correct, and I did confirm your point  
11 about the mortality rate, but it is much closer to OFL, F 30.

12  
13 **CHAIRMAN NANCE:** What we were comparing is you had something  
14 like an OFL of 1.6. With the new code, it went up to 2.1, but  
15 then, if you look at the ABC, for the sixteen, it's 1.214.

16  
17 **DR. CUMMINGS:** No, that's incorrect. This is if you use 75  
18 percent.

19  
20 **CHAIRMAN NANCE:** I was just using that as an example, but F  
21 rebuild is 1.255, and then the next would be -- With the R code,  
22 it's 2.021.

23  
24 **DR. CUMMINGS:** Correct.

25  
26 **CHAIRMAN NANCE:** Okay. So those -- I guess, John, are those  
27 closer?

28  
29 **MR. MARESKA:** Under that scenario, under the current, it looks  
30 like we have a difference of about 300,000 pounds, but, under  
31 the new scenario, it's less than 100,000 pounds difference, and  
32 that pattern just seems to repeat, and I was curious if that  
33 was an effect of the R script or something else has changed.  
34 We can call on someone else, and they may have something to add  
35 to it.

36  
37 **CHAIRMAN NANCE:** Okay. Let's go ahead and go on to Will.

38  
39 **DR. PATTERSON:** Sorry. My hand is down.

40  
41 **CHAIRMAN NANCE:** Doug Gregory.

42  
43 **MR. GREGORY:** Thank you. I suspect -- Thank you, John. That  
44 was a great call. I suspect the F rebuild is exhibiting the  
45 properties it is because we're only like six years away from F  
46 rebuild, unlike red snapper, where we had almost a decade to  
47 build up to it, and we're pretty close to rebuilding already,  
48 and so, if we're put in the position of recommending new

1 projections, I would seriously consider going back to the F 75  
2 percent, and that would be precautious, particularly if that  
3 was our logic in the past, but what are we being asked to do  
4 here?

5  
6 I would not be inclined to call any of this best available  
7 science information. It's just a bunch of numbers that are  
8 projections, and that's what they are, and that's not for us to  
9 choose, and I didn't find anything wrong with it, but --

10  
11 **DR. CUMMINGS:** The task of the Center was to update the  
12 projections assuming that -- Looking at alternative allocation  
13 scenarios. In doing that, because the Center has been working  
14 on new projection code for a number of species, that would work  
15 for a number of species rather, then we felt that it would be  
16 imperative to go ahead and update the projections for the base  
17 model that was accepted in January.

18  
19 **CHAIRMAN NANCE:** Okay. John.

20  
21 **DR. FROESCHKE:** I think maybe Nancy provided the information,  
22 but, essentially, the way I see it is, in January, the SSC  
23 provided an OFL and ABC based on SEDAR 70, and I think it's like  
24 a 1.6 OFL and 1.2 ABC, ish, and so, now, and that was assuming  
25 the 23/73, essentially the Alternative 1, with regard to the  
26 allocation, and so, in terms of developing a document, an  
27 amendment, we would need that, and so the first question is does  
28 the SSC want to reconsider that previous OFL and ABC  
29 recommendation based on the information presented here, meaning,  
30 for that particular allocation, do you want to go with this  
31 2.102 for the OFL and one of the different ABC options? That  
32 is one decision point.

33  
34 The second one is, once you have figured out that, the Science  
35 Center has provided different recommendations for allocations,  
36 based on what the council may be interested in, and so those,  
37 essentially, would be equivalent, just accounting for the  
38 differences in selectivity between the fleets and so how that  
39 affects the OFL overall, and so that's analogous to what was  
40 done with red grouper, but I guess the point we weren't  
41 anticipating was this change to the original no action  
42 allocation, the 27/73, when this -- Based on the new projection  
43 code. I think, once we figure that out, then we can move ahead.

44  
45 **CHAIRMAN NANCE:** Okay. Yes, because the first thing, before we  
46 accept any numbers, we need to determine, from consensus, is  
47 whether this is acceptable, and so is there discussion on that  
48 topic? Are the numbers coming out of here acceptable for us to

1 work with? Silence. Roy.

2  
3 **DR. CRABTREE:** Well, I mean, I don't know why we would not. I  
4 mean, we've already accepted the basics of the assessment and  
5 the update and all those things, right, and so this is really  
6 just an update and then a look at a variety of different  
7 allocations, right?

8  
9 **CHAIRMAN NANCE:** Yes, and my only concern is the difference  
10 between the two top rows on each one are what we looked at in  
11 January, and then a new code that should produce the same --  
12 Some sort of number, but they're a little different, and I know  
13 they're not that much different, but that's my only concern.  
14 Katie, go ahead and -- I will let you go first.

15  
16 **DR. SIEGFRIED:** Thank you, Mr. Chair. I just wanted to reiterate  
17 why we thought that this was necessary, to provide the base case  
18 projections again, and that was not in the council request, as  
19 Nancie said, and I'm not really saying anything different than  
20 what Nancie has already stated, and she just -- There is one  
21 other slide that we had on the updated projection that will show  
22 the effect of --

23  
24 The SSC has been asking, for a long time, for the Science Center  
25 to address the projections and the ski-slope issue that we see  
26 on the screen here. On the right is the old set of projections,  
27 and on the left is the new, and we have this contractor, Nathan  
28 Vaughan, Dr. Vaughan, who has been working on this for a while  
29 and trying to correct the SS-based projections, and so just the  
30 projection module contained with SS that -- As we tend to do in  
31 the Southeast, we break SS a lot, and one of the things that  
32 breaks it is fixing allocations in equilibrium projections.

33  
34 What Nathan's code does now is hold those -- All the values in  
35 the SS base model the way it should be held when we're holding  
36 allocations through time, and so on the left is what the Science  
37 Center thinks is more accurate, and it takes the stock to the  
38 SPR 30 percent that we have stated in the past, and we think  
39 that this is the correct way to do assessment projections now.

40  
41 We didn't want to add confusion, or complicate anything, and we  
42 wanted to provide you with what we think are the best available  
43 projection methodology, or projections using the best  
44 methodology. Thanks.

45  
46 **CHAIRMAN NANCE:** This graph is a perfect one. It explains the  
47 difference, and so I'm glad that you showed this. Thank you  
48 very much. Doug.

1  
2 **DR. CUMMINGS:** You're welcome. You're very welcome.

3  
4 **MR. GREGORY:** I am ready to make a motion to accept the new  
5 methodology, and so the SSC concurs with the --

6  
7 **CHAIRMAN NANCE:** One second. We're going to have Jessica get  
8 ready. Okay. Go ahead, Doug.

9  
10 **MR. GREGORY:** This will need to be wordsmithed, because I didn't  
11 think it out in advance. **The SSC concurs with the Southeast**  
12 **Fisheries Science Center determination that the new methodology**  
13 **for estimating equilibrium mortality rates is an improvement**  
14 **and acceptable as the best scientific information available.**

15  
16 **CHAIRMAN NANCE:** Do we have a second?

17  
18 **DR. GALLAWAY:** Second.

19  
20 **CHAIRMAN NANCE:** Benny made a second. Okay. Is there discussion  
21 on this motion?

22  
23 **MR. GREGORY:** We probably should take out "equilibrium" and say  
24 "for estimating projected mortality rates", and it's not just  
25 equilibrium.

26  
27 **CHAIRMAN NANCE:** Shannon.

28  
29 **DR. CALAY:** Sorry. It's no longer needed, but thank you very  
30 much, Chair.

31  
32 **CHAIRMAN NANCE:** You're very welcome. Discussion? Paul.

33  
34 **DR. MICKLE:** I am trying to figure out the basis of the motion,  
35 and I'm glad that we have a clear option here of what our role  
36 is of identifying if this is best available science or not, and  
37 to be used for management, I guess, is what we're tasked with  
38 here.

39  
40 I appreciate the detail that they've given on this new method.  
41 The only thing that concerns me is that none of us really  
42 understand -- I don't, and I will just speak for myself, but I  
43 don't exactly understand how it's different from how it was done  
44 before in just the nuts and bolts of it.

45  
46 Now, if it's been done in other areas, and this is an acceptable  
47 method, that gives me a lot more comfort in supporting this  
48 motion, but, if this is an R code written by a contractor, I'm

1 sure it's great, and it's working, and the statement I think  
2 that was just made by the Science Center was that they liked  
3 it, and they thought it was usable, which is great, and they  
4 probably do understand it very much, but it's hard me just to  
5 look at this and have a very quick briefing and understand the  
6 nuts and bolts and to say this is acceptable.

7  
8 In a similar story, there is a running -- There is different  
9 types of analyses that are somewhat spin-offs of different types  
10 of tests and statistical comparative things, and, just as an  
11 example, there's a stars analysis, which is literally -- It's I  
12 think similar to this, where it's literally a running T-test,  
13 and so you're looking at changes over time, and there is  
14 independence issues with that, but, in the scientific community,  
15 half the community loves it, and it makes it through peer review,  
16 and the other half of the statistical community can't stand it,  
17 and refuses everything about it, and it's just a great big  
18 divide.

19  
20 I don't know if this is that or not, and it probably isn't, but  
21 those things do exist, and I don't understand this enough to  
22 actually stamp it as the peer-reviewed best available science.  
23 That's all. Those are my thoughts. Thank you.

24  
25 **CHAIRMAN NANCE:** Thank you, Paul. Will.

26  
27 **DR. PATTERSON:** Aren't we projecting future catches here and  
28 not actually mortality rates?

29  
30 **CHAIRMAN NANCE:** Yes. That's a good point. **So projected**  
31 **catches.**

32  
33 **MR. GREGORY:** **Please change it as needed.**

34  
35 **CHAIRMAN NANCE:** Thank you, Will.

36  
37 **DR. GALLAWAY:** Agreed.

38  
39 **CHAIRMAN NANCE:** You always catch those things. John.

40  
41 **DR. FROESCHKE:** Thank you. Jess, can you bring up that chart  
42 with the projections on it again, the one that they just provided  
43 that had the two panels with the -- Who had that?

44  
45 **CHAIRMAN NANCE:** The graph?

46  
47 **DR. FROESCHKE:** Yes, and I just wanted to --

48

1 **CHAIRMAN NANCE:** Katie, did you provide that, or did Nancie,  
2 the graph?

3  
4 **DR. CUMMINGS:** I have that.

5  
6 **DR. FROESCHKE:** I will just start talking while -- I guess, just  
7 looking at that, and it was the first I had seen of this, but,  
8 in general, if you look at the projections for either set of  
9 methods, the projected landings are higher than the last three  
10 years or so, and higher than essentially the landings that I  
11 have seen, yet we expect these to lead to a rebuilding of the  
12 stock, in fairly rapid succession, and it doesn't seem like  
13 we're reducing the landings very much.

14  
15 I guess, just based on historical, we've done, I don't know,  
16 since I've worked here, four or five amberjack assessments, and  
17 they look very similar to those sorts of projections, and we  
18 have yet to make any progress on it, and so the new ones, I will  
19 say, just based on how they are, they're more linear, where, in  
20 the past, they typically would -- A result would be you would  
21 have one year of fairly dramatic reductions in catch and then a  
22 very rapid rebuild, and that's what we had before, and the new  
23 ones look like they are much smoother, which seems, intuitively,  
24 to make sense, but, again, if you look at those first -- Since  
25 2016-ish, I mean, we're right there, and the stock hasn't  
26 responded in the direction that we had hoped.

27  
28 **CHAIRMAN NANCE:** Shannon.

29  
30 **DR. CALAY:** I certainly do understand and respect the desire to  
31 be cautious. I did want to say a few things about the new  
32 projection methodology. I think many of you recall, from some  
33 of our previous work, that, in situations where we are  
34 attempting to hold a constant F, like F rebuild, and also an  
35 allocation, what we sometimes saw is that the F in those  
36 immediate years of the projection, where we get our OFL and ABC,  
37 actually indicate F above the constant F we're projecting, and  
38 so F higher than FMSY, in some cases, or F higher than F rebuild.

39  
40 That was a problem with SS itself, in that Rick concentrates  
41 primarily on the equilibrium situation, which is many, many  
42 years out, and not the transitional effects, which are where we  
43 get our immediate catch advice from. Nathan Vaughan has been  
44 working on our projections, and he's also part of the team who  
45 is implementing changes to SS in association with Rick and his  
46 colleagues, Rick Methot, and so he is available to answer any  
47 questions you might have about what he did and what tests he  
48 may have conducted to assure that his results are correct. He

1 is available.

2

3 **CHAIRMAN NANCE:** Okay. Paul, to that point?

4

5 **DR. MICKLE:** Shannon, I do appreciate that. Is the methodology  
6 in the literature, and has it been published, in gray literature  
7 or anything like that, where you can really jump in the weeds  
8 and understand how these differences are? At this point, it  
9 seems real abstract to me, and maybe I'm not grasping it.

10

11 **DR. CALAY:** It's not in the published literature yet. This is  
12 basically something we have been working on to correct the  
13 projections in the most immediate years, pending a problem that  
14 we see here in the Southeast frequently, and we may be the only  
15 region in the country where they frequently hold allocations in  
16 projections. In most places, they don't attempt to that do that  
17 level of precision in the projections, and so this is an  
18 innovation that has not yet been peer reviewed.

19

20 **CHAIRMAN NANCE:** Thank you, because, in all of our other  
21 assessments, the first year of projections spiked, and it did  
22 it for every species, and so the Center, for the last few years,  
23 has been trying to get that down where it is down to normal,  
24 and I think this is their attempt to do that, and so they've  
25 been working on this for a while now.

26

27 **DR. CRABTREE:** Just to -- What Shannon is saying is, in the  
28 figure to the right, when the yields turn down sharply, that's  
29 because it's overestimating the F, and removing more fish than  
30 we ought to be, and that's corrected in the new methods, and it  
31 keeps the Fs more at the target level, and is that right,  
32 Shannon? Am I understanding it properly?

33

34 **DR. CALAY:** Yes, Roy. You are correct.

35

36 **CHAIRMAN NANCE:** John, to that point?

37

38 **MR. MARESKA:** Shannon, can you speak about the uncertainty  
39 estimates that are surrounding those point estimates? It looks  
40 like, in the update, that uncertainty is a lot larger than it  
41 is in the original January estimates.

42

43 **DR. CALAY:** I, unfortunately, don't know the answer to that,  
44 but I think that both Nathan and Katie are available, and they  
45 may understand that.

46

47 **CHAIRMAN NANCE:** Okay. While they're -- Why don't you go ahead,  
48 Jim, and ask your question.

1  
2 **DR. TOLAN:** Thank you, Mr. Chairman. Could we go back to Slide  
3 7, the table? I just want to make sure that I understand this,  
4 because I understand Paul's concern on the R code, and so the  
5 basic comparison of the R code, initially, looks to be from 1981  
6 to 2004, and you run through those projection years, and then I  
7 just want to make sure that this new method, this R code, is  
8 carried forward for each one of these other time steps where  
9 the allocation changes, and so we get all the way to 2019, where  
10 the terminal year includes this new method, and so I just want  
11 to make sure that's what I understood. Thank you.

12  
13 **CHAIRMAN NANCE:** Any response on Jim's question?

14  
15 **DR. CUMMINGS:** I was a little confused when you mentioned 2019.  
16 The projection is beginning in 2022, and so maybe I just didn't  
17 hear it correctly. Thank you.

18  
19 **CHAIRMAN NANCE:** Jim, could you re-ask your question?

20  
21 **DR. TOLAN:** To that point, the last line of the sector allocation  
22 goes from 1993 to 2019 and a 20/80 split, and then, after that,  
23 we were having these projections based on that allocation  
24 through those years, and is this new allocation tracking the  
25 method with this R code? Is that included through those years,  
26 up through 2019? The main comparison that we're being shown is  
27 this new R code goes through 2004, and here's the difference,  
28 and so is this now maintained through all of these other  
29 differences in the sector allocations?

30  
31 **CHAIRMAN NANCE:** I think, Jim, the analysis is 1981 through  
32 2004, but the projections -- That's the difference, and it's  
33 just the projections start with 2022, and so you're using the  
34 old projection method, as in Stock Synthesis, in the first row,  
35 and the new R code -- For the projection only 2022 throughout  
36 for the new R code.

37  
38 **DR. TOLAN:** Again, that ends in 2004, at that allocation --

39  
40 **DR. CUMMINGS:** The projection -- I just want to make sure that  
41 we all know that we are projecting from 2022 forward. Shannon  
42 probably, or Katie, can also confirm this, but we are interested  
43 in projecting from 2022 forward, and the scenario title is just  
44 giving you an indication of how that sector allocation was  
45 defined, and so it's just a descriptor, and so I just wanted to  
46 say that, because we have our base model -- We basically started  
47 in 2018, with the terminal year, and we have the stock status  
48 and a bunch of catch and a bunch of mortality rates, and so on

1 and so forth, and we have our retention parameters and so on  
2 and so forth, and, according to the projection scenario, then  
3 we start -- We have 2019 catches that were put in, as I  
4 described, and 2020 and 2021 were an average of 2016, 2017, and  
5 2018.

6  
7 According to that definition, I think there's like three, and  
8 then we start moving forward in 2022 with whatever projection  
9 allocation scenario was defined, and the first two rows are the  
10 basic, the current status, the 27/73, and then we have four  
11 other options that we considered.

12  
13 In each of those, that 16/84 was carried forward in 2022, 2023,  
14 2024, and it went out for a hundred years, and so I hope I  
15 helped, and I think both Shannon and Katie might want to follow-  
16 up on that.

17  
18 **DR. TOLAN:** Mr. Chair, to that point, if I may?

19  
20 **CHAIRMAN NANCE:** Yes, you may, Jim.

21  
22 **DR. TOLAN:** I really appreciate these explanations, and it's  
23 been helping me understand it quite a bit, and it's to the  
24 motion that I'm really addressing this too, because we're  
25 stating in the motion that this new method is the new best  
26 available science, and I just wanted to make sure where it was  
27 being captured in terms of the projections, and so these  
28 explanations are helping, but thank you.

29  
30 **CHAIRMAN NANCE:** Thank you. Shannon, anything on this point,  
31 or should we go on to the other questions, first?

32  
33 **DR. CALAY:** I was really just going to let you know that Nathan  
34 was muted by an organizer, but he thinks he has figured it out  
35 now, and so he is now available to answer the question about  
36 the uncertainty, and maybe some other questions that you have  
37 as well.

38  
39 **CHAIRMAN NANCE:** Okay. Nathan, I see your name there, and so  
40 why don't we go ahead, and, Jason, if you don't mind, I'm going  
41 to move Nathan up and have him explain it, and then we'll get  
42 to your question.

43  
44 **DR. NATHAN VAUGHAN:** Thank you very much. I just wanted to  
45 point out the details of how this works, so that people aren't  
46 too concerned that there's some magic happening behind the  
47 scenes. Like Shannon pointed out, the biggest issue with the  
48 SS projections is we're trying to balance three things, and SS

1 kind of does some of them.

2

3 We're trying to balance achieving a set target, in this case  
4 SPR 30 percent, in 100 years time, which is equilibrium, and  
5 we're trying to then achieve the total removals,  $F$ , that equates  
6 to that final equilibrium target in every year, and we're also  
7 trying to make sure that we get the correct allocation in pounds  
8 between those two recreational and commercial groups in every  
9 year.

10

11 The basic SS projection is only able to get one or two of those  
12 things correct, and so it can get -- If you run it by default  
13 to an SPR 30 percent, it will project that 30 percent correctly,  
14 and it will get the  $F$ s in each year right, but it won't get the  
15 allocations, and so the allocations end up all over the place,  
16 because it just projects with constant effort between fleets.

17

18 If you try to turn on allocations inside of SS, there is a  
19 default option to do that, and it then gets the allocations  
20 correct, but, because of the single run estimation that it does,  
21 it then doesn't reach your required or expected target, and so  
22 your 30 percent will get to 20 percent, or 35 percent, depending  
23 on the assessment, and then it also doesn't achieve the correct  
24  $F$  in every year, and that's what Shannon was mentioning, and  
25 so, in those early years, you might be too high, and you might  
26 also be too low, and so all my code does is go through and does  
27 an iterative search, multiple times, to adjust the catches  
28 between fleets until all of those targets are achieved.

29

30 It can be directly tested in the SS output files that you did  
31 achieve the correct  $F$  that we've targeted, and we did achieve  
32 the correct final stock status, and we did achieve the correct  
33 allocations between fleets, and so it hasn't been published,  
34 but it's not doing anything that can't be directly tested in  
35 the SS report files, and so that is all being -- We are all now  
36 correctly -- We're sure that we are actually on the correct  
37 target for all of those features.

38

39 For the recruitment, for the uncertainty that we project in  
40 that, basically, all that we do is, once we run that projection,  
41 we do the search and get the correct  $F$ s in every year, until we  
42 meet all of our targets. Once we've done that, then we run a  
43 final version of SS with uncertainty turned on, that re-  
44 estimates the parameter values, and then that projects the  
45 uncertainty forward into the projection period.

46

47 The reason you see, and, if it is brought up, the reason you  
48 see that funneling, and the uncertainty actually reduces from

1 the recent year into the future, is because all our projection  
2 estimates -- Our recruitment is fixed at that recent mean, and  
3 the Fs are fixed in our projections, and those uncertainties  
4 get sucked up, and the uncertainties get sucked up at zero, and  
5 so you end up -- You've got those uncertainties in F and  
6 recruitment in the recent years, and it is slowly reduced down  
7 to just the model parameter uncertainty in the long-term  
8 forecast.

9  
10 We are currently working to try to come up with methods to  
11 incorporate more of that real uncertainty in future recruitment  
12 and annual landings, so that we can get more realistic  
13 uncertainty projections into the long-term projections, but, at  
14 least for the moment, because you're using either the 75 percent  
15 SPR or the F rebuild as your ABC, instead of a P\* approach, that  
16 is less of a concern that they're not necessarily lining up  
17 exactly as we might like, but that is something that we're  
18 working on at the Center. I'm happy to answer any other  
19 questions, if that wasn't clear.

20  
21 **CHAIRMAN NANCE:** Nathan, thank you very much for that  
22 explanation. Jason, go ahead with your question.

23  
24 **MR. ADRIANCE:** Thank you, Mr. Chair. Can we go to Slide 8  
25 again? I don't know the rebuild year offhand, and so this may  
26 be the answer, but the graphic on the left, out there at about  
27 2027 or 2028, the OFL and rebuild flip-flop, and is that's  
28 what's going on there?

29  
30 **DR. VAUGHAN:** Yes, 100 percent. That's the change in the year,  
31 and so the F rebuild was a little bit lower than the F OFL, and  
32 so that's the stock rebuilding a little bit faster, and then it  
33 jumps up in 2028.

34  
35 **MR. ADRIANCE:** Thank you.

36  
37 **CHAIRMAN NANCE:** Good eye. Will.

38  
39 **DR. PATTERSON:** Thanks, Jim. I thought that I understood this  
40 until we put this figure up. I don't understand, in the July  
41 2021 update, why it appears that a much lower equilibrium level  
42 is being reached, and the curve flattens out, whereas, in  
43 January of 2021, you have projections to much higher yields down  
44 the road, and the yields in 2030 are projected to be about what  
45 they were, and actually a little bit less, than 2016, when  
46 overfishing was estimated to be occurring.

47  
48 I am confused as to why such a flat curve, and I understand some

1 of the issues about smoothing out the early years, but I don't  
2 understand why it looks like productivity is estimated to be  
3 lower in the out years.

4  
5 **CHAIRMAN NANCE:** Nancie or Katie?

6  
7 **DR. CUMMINGS:** I was going to ask if Katie wants to take that  
8 one. I think she's on.

9  
10 **DR. VAUGHAN:** Katie is muted, and so I think I will jump in.  
11 There were some changes that were made in the projections with  
12 how SS was interpreting the previous forecast and with the  
13 recruitment steepness, and so the previous code that was used  
14 to run projections was built on an assumption of a steepness of  
15 one, and this was used for red snapper and some other species,  
16 where it's not been an issue, but, in the amberjack case, it  
17 did have more of an impact, and so, when we switched to the new  
18 code, we're rebuilding from a different value in SS, basically,  
19 and so it has -- It does change the target equilibrium OFL  
20 benchmark, if that helps. Sorry for jumping in. This is in  
21 line with what we were presenting as doing, and there was just  
22 some corrections made to the previous target.

23  
24 **CHAIRMAN NANCE:** Does that answer your question, Will?

25  
26 **DR. PATTERSON:** Partly, and I would have to think about some  
27 more of what's going on here, but, while we have Nathan, and  
28 so, if you've changed the steepness, you're clearly changing  
29 the assumptions about stock productivity, but you're projecting  
30 landings in 2030 that were overfishing in 2016.

31  
32 **DR. VAUGHAN:** Previously, yes, it was going much higher than  
33 what we're envisioning, and the issue was that it was being  
34 projected on spawning biomass, and so, if your steepness is one,  
35 your spawning biomass ratio is the same as your SPR ratio, and  
36 everything is equivalent.

37  
38 If your -- When your steepness, as is the case with amberjack,  
39 is less than one, your SPR ratio, which is what we were intending  
40 to project, and what we're now showing you accurately, is  
41 actually less than your spawning biomass, and so, in this  
42 projection, the spawning biomass is a -- The spawning stock  
43 biomass ratio is less than 0.3, while the SPR ratio, which is  
44 your spawning stock biomass discounted for the recruitment, that  
45 average future recruitment, is balancing it out, if that makes  
46 sense, and so we're targeting now a 30 percent SPR, which is  
47 what was the terms of reference for the assessment.

1 **DR. PATTERSON:** But, historically, if the steepness was fixed  
2 at one, or 0.99, that wasn't projected forward. There was an  
3 average recent recruitment that was projected forward. We're  
4 basically saying there's no relationship between spawning stock  
5 biomass and recruitment, and so we take the average recent  
6 recruitment and project that forward, knowing that we're really  
7 not thinking about thirty years down the road, or a hundred  
8 years down the road, and we're only concerned about the  
9 immediate future.

10  
11 **DR. VAUGHAN:** Yes, and it's just that doing that recruitment as  
12 well -- That is something that is more recently added to SS, is  
13 that option for that average recent recruitment, and that also,  
14 yes, will impact it, and so it's just -- It came to light, the  
15 disconnect between spawning biomass ratio and SPR ratio, that  
16 it hadn't been an issue in previous assessments, but it was an  
17 issue in this case, because both the steepness and, for  
18 amberjack, the average recruitment that we're projecting is much  
19 lower than what you would expect at equilibrium, than the virgin  
20 recruitment level, and so both of those things are impacting  
21 that result, now that we're discounting for the correct SPR  
22 target.

23  
24 **DR. PATTERSON:** If we actually had the SPR-projected  
25 trajectories here, or eggs, or SSB at biomass, just so we could  
26 see what the population is doing that's producing these catches,  
27 because I just -- I can't wrap my mind fully around what you're  
28 telling us here, that, even though we're dialing down the Fs,  
29 our catches aren't diminishing much, and our F rebuild is  
30 similar to what recent catches have been, and we're not going  
31 to recover the stock to a point where it's going to produce more  
32 catch in the next ten years than what we've seen for a stock  
33 that is perceived, or estimated, to be significantly overfished.  
34 I still don't quite catch all that.

35  
36 **CHAIRMAN NANCE:** It doesn't look like it would get us past the  
37 overfished state.

38  
39 **DR. VAUGHAN:** I am not sure where Nancie is -- You're very close  
40 to being able to fish, with the new projections and the new  
41 target, and the model actually puts you pretty close to where  
42 it -- That's why the F rebuild is very low, and like it's not -  
43 - Those are constant Fs, obviously, resulting in those catches,  
44 and so they're saying that you're a lot closer to your target  
45 biomass than the old version that wanted to project to a biomass  
46 ratio benchmark, which is much higher.

47  
48 **CHAIRMAN NANCE:** These graphs are good, but if we can go back

1 to that table, because I think the numbers themselves will be -  
2 - There we go. Will, does this -- Let's look at this and see  
3 if this helps.

4  
5 **DR. PATTERSON:** Jim, these are just the numbers that are in  
6 those figures, and so it shows that, from 2022 to 2023, you have  
7 a 500-pound increase, and then it goes to a 400, then a 300,  
8 and then a 200, and so you're just getting -- This is the  
9 plateauing that we saw in the previous figure.

10  
11 **DR. VAUGHAN:** Maybe the -- Do they have the current status  
12 relative to that target? Is it Slide Number 3, I think, if you  
13 go up to it? Nancie might know better if she has a slide here  
14 that has the current stock status determination.

15  
16 **DR. CUMMINGS:** There's not a slide, but you're asking, under  
17 OFL, when are we going to recover, and is that the real question?

18  
19 **DR. PATTERSON:** I think what Nathan's point is, it's that, if a  
20 stock is close to its F rebuild target, that's why you would  
21 see the plateauing.

22  
23 **DR. VAUGHAN:** Exactly. It's very close to the target.

24  
25 **DR. CRABTREE:** I mean, that's what I am getting out of this, is  
26 the Fs aren't very far from the target, and there is not much  
27 rebuilding to come, and so you're not going to see much of a  
28 change in the fishery from rebuilding.

29  
30 **DR. VAUGHAN:** Exactly, and so the previous models going with  
31 the spawning biomass expected very large potential increases,  
32 because they were targeting a much larger raw spawning biomass  
33 than we are now by correctly doing SPR.

34  
35 **DR. CRABTREE:** If I could, Jim, the problem, over the years,  
36 has been this stock has not responded in the way the projections  
37 indicated that it would, because the projections were indicating  
38 big changes would happen, and they never did, despite what we  
39 did management-wise, and we didn't see that.

40  
41 What I am gathering, from the way we've been doing it, is it  
42 just wasn't -- The projections weren't doing what we thought  
43 they were doing, because the computations weren't working right,  
44 and that's been resolved here.

45  
46 **CHAIRMAN NANCE:** Sean, to that point? Go ahead.

47  
48 **DR. POWERS:** I guess, Roy, are you -- Is this indicating the

1 stock is less productive than we thought? Is that why we're so  
2 close to rebuild, even -- I mean, so we've been making incorrect  
3 assumptions about the productivity of the stock? Is that --  
4

5 **DR. VAUGHAN:** That's hard to know, because these projections,  
6 and everything to do with them, is based on the assumption of  
7 fixing recruitment out into the long term at the current  
8 average, the recent years' average, and so it's difficult to -  
9 - We would hopefully see a change, if it's going to increase,  
10 and then we could make corrections down the road, but these  
11 current projections and that long-term expected yield is based  
12 on the recent averages, and so, when we've used the virgin  
13 recruitment in the past, it has come up with much larger catches,  
14 which apparently have been an overestimate, which is why we  
15 haven't achieved those targeted rebuilds that were expected by  
16 the model.  
17

18 **DR. CUMMINGS:** The recommendation to use the fixed recruitment  
19 from the recent years was only recently done, and it was actually  
20 after the original SAR report went in, and it was done right  
21 before the SSC meeting, to the last ten years.  
22

23 If you do review the base model, you will see the results of  
24 the -- The diagnostics on the recruitment curve, you will see  
25 that there are quite a few spikes in those early years of  
26 recruitment, and then we're using 2009 to 2018. There was one  
27 question at the SSC meeting regarding that choice, and it was  
28 felt that that was more of a judicious choice to reflect the  
29 recruitment.  
30

31 **CHAIRMAN NANCE:** Okay. Thank you. Doug.  
32

33 **MR. GREGORY:** Thank you. Well, this is confusing also, in that  
34 the stock is estimated to be at like 37 percent of BMSY, or 30  
35 percent of BMSY, and so that's saying that it is extremely  
36 depressed, and so, following along what Will was saying,  
37 something here doesn't add up right. Thank you.  
38

39 **DR. VAUGHAN:** Do you have that figure there Nancie somewhere?  
40 I don't know that, with the new projections, that the stock is  
41 at 30 percent of BMSY, given the --  
42

43 **DR. CUMMINGS:** I can give you the number, but we didn't make a  
44 -- I didn't make that figure, because it was -- It was decided  
45 not to update the executive summary, because we weren't trying  
46 to request a new evaluation on the base model, but I can get  
47 that number for you, just if you will hang on.  
48

1 **DR. VAUGHAN:** I think that might be the issue. I think, with  
2 the new projections, BMSY is much lower than it was before.

3  
4 **CHAIRMAN NANCE:** I think that's the issue. We have an assessment  
5 that's been done, and then, with the projections that we had,  
6 we have an OFL and an ABC that we have taken, but now these --  
7 We have the same base model, but now these new projections are  
8 different than what we have seen in the past.

9  
10 **DR. CUMMINGS:** Right, and the current stock is based at 77  
11 percent of BMSY, and it's 0.77, and so I just will say that it's  
12 above MSST, and I don't know if all the new members know that  
13 MSST is 50 percent of BMSY for this stock. I will just say that  
14 the BMSY has been reduced to 3179, basically, millions of  
15 pounds, or metric tons.

16  
17 **MR. GREGORY:** So what is the percent biomass currently?

18  
19 **DR. CUMMINGS:** 77 percent.

20  
21 **MR. GREGORY:** I'm off-base then. I thought for sure that I was  
22 reading that it -- Particularly looking at the slides that we  
23 saw in the previous agenda item, and the current biomass was  
24 below 50 percent of BMSY, and so --

25  
26 **DR. CUMMINGS:** That was before the new code was written that  
27 would search for equilibrium OFL. I think we have a slide that  
28 does give you those metrics. No, we didn't put it in there.  
29 Okay.

30  
31 **DR. VAUGHAN:** That is, obviously, a change for the base as well,  
32 but that's part of the issue, is every one of those four  
33 different projections with different allocation ratios all have  
34 a different BMSY, or B, and so it's --

35  
36 **DR. CUMMINGS:** If you look at your document that was provided,  
37 along with this presentation, on Table 2, it does give you the  
38 metrics, the benchmarks and reference. It's Table 2, which is  
39 page 4.

40  
41 **DR. VAUGHAN:** That's on page 4 of the report, Katie says.

42  
43 **DR. CUMMINGS:** So there's your mortality criteria, and so  
44 nothing has changed in the first five lines, and then the  
45 mortality rate criteria -- You have a new SPR, F at SPR 30, of  
46 0.42. That 75 percent is FOY, and F rebuild is different, and  
47 it's 0.32, and so you can see that these are close, as Katie  
48 was referring to. It doesn't take as long to get there. With

1 F rebuild, we do get there by 2027, because that's the  
2 definition, and, without OFL, we get there at 2034, about two  
3 or three years earlier than in the previous --  
4

5 **DR. VAUGHAN:** If you scroll down a smidge on that page, I think  
6 you'll see that we get to the 77 percent.  
7

8 **DR. CUMMINGS:** This was 7119 in the previous projection  
9 scenario, and so we're above MSST. We're at 1.53, and we're 77  
10 percent, in terms of SSB to the proxy F 30.  
11

12 **MR. GREGORY:** Nancie, I am looking at Table 23, the summary of  
13 reauthorization act benchmarks and reference points, and it has  
14 MSST at let's say 3.6. It has current SSB at 2.4.  
15

16 **DR. CUMMINGS:** What table are you at?  
17

18 **MR. GREGORY:** Table 23, page 78.  
19

20 **DR. CUMMINGS:** Yes, and so this was based on a different BMSY.  
21 It was based on the 7119 MSST being 3559, and so, with the new  
22 code, now searching for SPR 30, we have lower SSB BMSY.  
23

24 **MR. GREGORY:** But SEDAR 70 is our latest stock assessment.  
25

26 **DR. CUMMINGS:** It is, but this is the results in January, and  
27 so what you're looking at now are updated projections based on  
28 the revisions to seeking the correct status.  
29

30 **CHAIRMAN NANCE:** So, really, Nancie, it's more than just  
31 changing projections, isn't it? It has changed some of our  
32 benchmarks in the assessment.  
33

34 **DR. CUMMINGS:** It did change the reference benchmarks. Correct.  
35 That is true, and it has to do with the way we were using SS  
36 strictly to search for FSPR 30, and, as Nathan pointed out, the  
37 model developer really concentrates more on, in all of his  
38 projection code, those Fs in an equilibrium sense, and there's  
39 not many stocks, other than the Southeast, that has these  
40 multiple sector allocations, or multiple fleets.  
41

42 **DR. VAUGHAN:** It's trying to continue that benchmark, like what  
43 we were trying to target to.  
44

45 **DR. CUMMINGS:** Right, and I'm really oversimplifying it here, I  
46 realize. We're truly seeking for the F that will achieve FSPR  
47 30, our proxy, and maintain those sector allocations  
48 simultaneously, and so it's not just a simple single-vector loop

1 search, and it's actually a multiple -- It's a little bit more  
2 complicated than that, and I don't want to oversimplify it  
3 either.

4  
5 **CHAIRMAN NANCE:** Okay. Thank you, Nancie.

6  
7 **DR. CUMMINGS:** You're welcome.

8  
9 **CHAIRMAN NANCE:** Katie, you're next up on the list.

10  
11 **DR. SIEGFRIED:** Thank you, Mr. Chair. So much of what I had  
12 already wanted to say has been said by Nathan and Nancie. I  
13 guess the first reason that I wanted to chime in is, Jim, I  
14 believe, Tolan asked if all of the other projections in the  
15 spreadsheet, or in the document, were conducted using the  
16 updated methodology, and they were. I'm sorry if that's already  
17 been answered.

18  
19 Then Nathan already covered the issues with SPR 30 and the  
20 recruitment, and so, to Sean Powers' point, if we use those  
21 virgin recruitment -- If we use the stock-recruit curve, we're  
22 not really using the most recent recruitment, which shows a much  
23 lower level than in the past. As Nancie noted, there's quite a  
24 few peaks that would increase the average recruitment expected  
25 from the stock-recruit curve, and so I don't think that we're  
26 saying, overall, the stock is less productive, and we're using  
27 more recent estimates of recruitment, but, everything else I  
28 was going to say, I think Nancie or Nathan already said. Thank  
29 you.

30  
31 **CHAIRMAN NANCE:** Okay. Thank you. David.

32  
33 **DR. CHAGARIS:** My question has been addressed. Thank you.

34  
35 **CHAIRMAN NANCE:** Mike Allen.

36  
37 **DR. ALLEN:** Thank you. A lot of my question has been addressed  
38 too, but I had the same question about the productivity  
39 difference, the apparent productivity difference, in the  
40 trajectory of the recovery between those two scenarios.

41  
42 One of the things that struck me, in looking at the assessment,  
43 is that the stock-recruit curve -- Actually, there's one  
44 advantage of having a greatly-depleted stock, and it's that you  
45 have a lot of data points down near the origin, and it seems  
46 like the steepness for this stock should be pretty well defined,  
47 at least by the model prediction, and so I wondered why the  
48 future recruitments were constant, and why not just use the

1 empirical age estimates, the steepness estimates? That was my  
2 question.

3  
4 **DR. CUMMINGS:** I would just direct the slide staff to Slide --  
5 To page 155, just to give the audience a depiction of those  
6 recruits, and you can see those spikes. What we did in the  
7 model was, going back as far as SEDAR 33, we were recommended  
8 to use -- To estimate some of those recruitments far back, to  
9 try to get a better sense of -- A better estimation in the later  
10 part of the time series, and you can see those spikes and the  
11 large deviations. It's in the document, the SAR document. When  
12 you have some time, look at that page 155, and you can see a  
13 really good sense of those recruitments.

14  
15 As I said, we were -- We only had one question, at the SSC  
16 meeting, about restricting those recruitments to the last ten  
17 years, and so now to the next question, and I think it was about  
18 the productivity, and it was also regarding why not use the --  
19 Steepness was -- At first, we tried to estimate it in the model,  
20 and then we found that we had a number of -- The model still  
21 converged, but it gave us poor performance, in terms of  
22 diagnostics, and we tried to estimate steepness, and so we ended  
23 up -- We did use our profiles, and the profiles on steepness  
24 are shown in this report, and I forgot what page, but I can  
25 reference those later for you.

26  
27 We found an area where we thought steepness was reasonably  
28 characterized to be at sort of the lowest of the profile, and  
29 that number was 0.7. We fixed it at 0.7, and we did find some  
30 support for that value, and that number is somewhat different  
31 than the SEDAR 33 and the 33 update. That was 0.85. That  
32 number came off of a literature review, and so I hope that helps  
33 a little bit more about the steepness value.

34  
35 **DR. ALLEN:** It does, and it just seemed like it was better  
36 defined for this stock than it is a lot of the time, which is  
37 encouraging, but, when I saw the difference in trajectory,  
38 recovery trajectory, between those two plots, the only thing I  
39 could rationalize that would cause that is a difference in the  
40 productivity, because the F is constant, and the yield is  
41 increasing at such a different rate between the two that it  
42 would have to be a productivity, which is similar to what Will  
43 brought up.

44  
45 **DR. CUMMINGS:** But the reason that it was ultimately fixed by  
46 the panel was because of the diagnostics, and so they became a  
47 little bit unsettling, in terms of -- I think it was the  
48 retrospective pattern, in a couple of cases, and then some of

1 the residuals in some of the other fits, and it basically  
2 affected some of the other fits, and so, I mean, that's what  
3 happens in SS. You've got so many parameters that you're  
4 estimating, and it just trades off estimating one better than  
5 the other, and it's like a big Ouija board.

6  
7 **CHAIRMAN NANCE:** Thank you, Nancie. We're going to go offline  
8 for just maybe five minutes while we have a discussion with the  
9 council and stuff, and so just everybody hold on, and we'll be  
10 back at 4:40.

11  
12 (Whereupon, a brief recess was taken.)  
13

14 **CHAIRMAN NANCE:** What we're -- I guess we've just been talking  
15 amongst ourselves here, and I'm sorry for the other SSC members  
16 that are not here, but while the model -- I love the -- I think  
17 the new approach seems to be a very good approach, and our only  
18 issue is it has gone back into the assessment itself and changed  
19 the current MSST value, and others, and so now we're starting -  
20 - Instead of just changing the projections out from the end of  
21 the model, we've gone back in and changed some of the assessment  
22 values, and so I guess, as the SSC, we're a little uncomfortable  
23 with those changes that have occurred to the assessment itself.

24  
25 What we would like to recommend is we need to probably have a  
26 presentation from the Southeast Fisheries Science Center at an  
27 SSC meeting where we can look at this new update and what it  
28 does to the assessments, so we can, I think, vet the analysis.  
29 Paul.

30  
31 **DR. MICKLE:** Very quickly, we do have a motion on the board, if  
32 I'm not incorrect, that we most likely have to address before  
33 taking on such conversations. Am I wrong there?

34  
35 **CHAIRMAN NANCE:** Well, I think you're probably right. Doug,  
36 can we maybe retract this motion? Would you be comfortable with  
37 that?

38  
39 **MR. GREGORY:** Throw it away.

40  
41 **CHAIRMAN NANCE:** Okay.

42  
43 **MR. GREGORY:** We know a lot more, and we're confused now. It  
44 seems like Paul was right all along.

45  
46 **CHAIRMAN NANCE:** Katie or Shannon or Nancie, do you have anything  
47 to add, or Nathan?

1 **DR. SIEGFRIED:** Thank you, Mr. Chair. Nathan has said this,  
2 and I think that Nancie alluded to this, but I wanted to just  
3 reiterate what we were presenting to you here, and so, when we  
4 got the council request to do these allocation scenarios, we  
5 had to do some new coding, in order to be able to even process  
6 those requests, because one of them -- As you saw, the fourth  
7 one was fixing the commercial landings and then running it with  
8 allowing the recreational allocation to do what it would, and  
9 so we did need to innovate a little bit.

10  
11 In the process of doing that, we found those two key errors in  
12 the previous projections, which you all have worked through the  
13 thought processes of that, and so I just want to state them for  
14 the record, openly, so that everything is as transparent as  
15 possible.

16  
17 The first one is we were not iterating to SPR 30 percent SSB,  
18 and we were iterating to biomass of basically zero, which is  
19 fine if your steepness is one, which is what the assumption has  
20 often been, but that was an error, and we have corrected that  
21 in these new runs.

22  
23 The other error was that we were pulling from the stock-recruit  
24 curve instead of the recommended last-ten-year timeframe for  
25 the recruitments, and so that estimated that more recruitment  
26 was available for the projections, and so that is also the sort  
27 of deflation of that curve that Nancie has shown and the council  
28 staff has shown, and so those are two key errors that we found  
29 in the previous projections.

30  
31 We have also met the allocation requirements and made the  
32 improvements, but it also covers, potentially, for you all to  
33 consider the use of the proxy, based on just simply the fact  
34 that I think Will and others have stated, and Jim and Paul,  
35 that, if the projections are achieving SPR 30 percent, but  
36 they're not really dropping down below recent landings, which  
37 are said to be overfishing, perhaps the proxy needs to be  
38 revisited, or the recruitment assumption, the last ten years,  
39 and so there are a lot of questions that we're happy to put  
40 together a more complicated and thorough presentation for the  
41 next SSC meeting, but I really wanted to get all of that on the  
42 record and make sure that we were as transparent as possible.  
43 Thank you.

44  
45 **CHAIRMAN NANCE:** Katie, I appreciate that very much. The  
46 methodology looks very promising, and I think it's the way to -  
47 - It's certainly the way to go once we've looked at what it's  
48 doing, because it's taken away the spikes in our projections

1 and things like that, and so I really, really greatly appreciate  
2 what the Center has done in looking at this. Benny.

3  
4 **DR. GALLAWAY:** My hand was up previously, and it was lowered  
5 before, but I do think I need to agree to withdraw the motion  
6 as well, as the second, and I'm not sure if that's correct, but  
7 I think the method also looks extremely promising. I think,  
8 for now, it's representative, will be proven representative,  
9 unless east/west differences are found in stock sizes, which I  
10 anticipate will be the case. Thanks.

11  
12 **CHAIRMAN NANCE:** Thank you. Will.

13  
14 **DR. PATTERSON:** Thanks, Jim. I think the approach that Katie  
15 is advocating here is prudent. It's really rare that we as a  
16 group can't figure out any potential issues and resolve them,  
17 based on work that the Center scientists do, in addressing  
18 council requests and the SSC's then review of those, and so it's  
19 rare, but I think this is a case where it's prudent to maybe  
20 pull back and reexamine some of those things.

21  
22 Getting back to what Roy had mentioned earlier about the fact  
23 that projections in the past never were realized, and perhaps  
24 what we're seeing with the new code by Nathan Vaughan is the  
25 application of that. However, there just seems to be some other  
26 sources of uncertainty here that we haven't completely reviewed,  
27 and so I fully support this approach, and I'm hopeful, at the  
28 next meeting, we can figure our way through this and put it to  
29 bed.

30  
31 **CHAIRMAN NANCE:** Thank you, because it does -- It does seem  
32 reasonable, what's happening. We seem to be comfortable with  
33 it back into the assessment part, and so, from a Center  
34 standpoint, Nancie and Shannon and Katie and Nathan, thank you  
35 very much for that presentation.

36  
37 **DR. CUMMINGS:** Jim, I have a comment.

38  
39 **CHAIRMAN NANCE:** Nancie.

40  
41 **DR. CUMMINGS:** I want to thank Katie for that wonderful succinct  
42 summary, but I do want to address the terms of reference that  
43 were given to us, and it did define the projection scenario,  
44 but it did not define a new recruitment series, and so we did  
45 that at the very end, actually, right after this report was put  
46 out, the SAR report, and then that certainly did not get  
47 implemented, I should say, that ten-year recruitment series,  
48 but SEDAR 33 and the SEDAR 33 update both used that entire time

1 series for recruitment, and so that was just followed through.  
2 Thank you very much.

3

4 **CHAIRMAN NANCE:** Thank you. Nathan.

5

6 **DR. VAUGHAN:** Thank you, Chair. I just wanted to give a heads-  
7 up. As Katie had pointed out, we're working, at the Center, to  
8 try to improve our forecasting approaches and come up with best  
9 practices and get this cleared up for future assessments, but,  
10 based on the discussion that's been going on here, there is --  
11 Like this single request was to simply update the projections  
12 with different allocation fractions, and, in this scenario, they  
13 are fairly large changes.

14

15 I understand that it's creating some concerns, but, from the  
16 comments on the BMSY targets, with those allocation fractions  
17 changing, that will always change your BMSY target, and so  
18 that's something that we're trying to look into how to have that  
19 discussion with the SSC and the council, on how we work on --  
20 Every time we update an allocation, it is going to change all  
21 those benchmarks, to some degree, because those are all  
22 interrelated, and so I just wanted to make that comment, that  
23 it's something that's going to have to be considered, and maybe  
24 we can come up with some best practices, with the SSC, on how  
25 to handle that in the future.

26

27 **CHAIRMAN NANCE:** So, Nathan, I'm just trying to follow what  
28 you're -- So you're saying that, once you do the projections,  
29 the base benchmarks will change every time?

30

31 **DR. VAUGHAN:** Yes, if they're allocations, because the  
32 benchmarks are based on -- Say you've got, for an extreme  
33 example, two very different fleets, and you've got one fleet  
34 that is catching fish at age-two and another fleet that's  
35 catching fish solely at age-twenty, and they have very different  
36 levels that are sustainable from the population, and so, if you  
37 shift the allocations between those two fleets, what constitutes  
38 the sustainable SPR 30 benchmark is going to change, and so  
39 that's something that -- For some fisheries, it's not too big  
40 of a deal, but, for some, it has a more intense effect, which  
41 is why you see those changing allocation quotas from all the  
42 different benchmarks that we pursue. They also have different  
43 benchmarks for each one of them.

44

45 **CHAIRMAN NANCE:** Thank you. Any other comments from the SSC?  
46 Okay. Thank you very much. We'll adjourn, and we'll be back  
47 here at 8:30 tomorrow morning, Eastern Standard Time, or Eastern  
48 Daylight, I guess.

1  
2 (Whereupon, the meeting recessed on August 10, 2021.)  
3

4 - - -

5  
6 August 11, 2021  
7

8 WEDNESDAY MORNING SESSION  
9

10 - - -  
11

12 The Meeting of the Gulf of Mexico Fishery Management Council  
13 Standing and Special Reef Fish, Special Socioeconomic & Special  
14 Ecosystem Scientific and Statistical Committees reconvened on  
15 Wednesday morning, August 11, 2021, and was called to order by  
16 Chairman Jim Nance.  
17

18 **CHAIRMAN NANCE:** We'll go ahead and start. Welcome, everyone,  
19 on the SSC meeting. I'm going to turn it over to Ryan, just  
20 for our next SSC meeting, to go over some of the things that  
21 we'll be covering at that meeting.  
22

23 **MR. RINDONE:** Thank you, Mr. Chair. One of the things, based  
24 on the discussions that were had yesterday regarding greater  
25 amberjack that it seems clear that we're going to need the SSC  
26 to review is this new projection method that was applied for  
27 greater amberjack. Is there anyone from the Science Center  
28 that's on right now that can talk, Katie or Shannon or somebody?  
29

30 **DR. SIEGFRIED:** I'm here.  
31

32 **MR. RINDONE:** Hi, Katie. The SSC is going to need to see a  
33 writeup on this new projection method, along with a presentation  
34 about it, at the September meeting, preferably, if it's possible  
35 to do that, to have a better understanding of how it operates  
36 and how it affects -- How changing those sector allocations can  
37 affect the ultimate stock status for the species to which it's  
38 being applied.  
39

40 We have a few species right now that we have accepted projections  
41 for that we'll need to know whether those are also in error, as  
42 they were for greater amberjack, and what the effect would be  
43 of applying this new method to those, and, off the top of my  
44 head, red grouper, yellowtail snapper, and vermilion snapper  
45 doesn't have sector allocations, and neither does cobia, but  
46 having some understanding of if this method has any effect on  
47 those would also be helpful, in addition to greater amberjack,  
48 and so, really, it's five species then, and so vermilion and

1 cobia that don't have sector allocations, and then red grouper,  
2 yellowtail snapper, and greater amberjack, which do.

3  
4 **DR. SIEGFRIED:** I just have a question. We didn't do yellowtail  
5 snapper, and that's a Florida assessment.

6  
7 **MR. RINDONE:** That's correct, but FWC, as I know you to know,  
8 receives a lot of support from the Science Center about working  
9 through Stock Synthesis, and so, if the projection that was used  
10 for yellowtail snapper needs to be revisited, in light of this  
11 new method, we should probably know about that, because that  
12 affects the Gulf and the South Atlantic Council.

13  
14 **DR. SIEGFRIED:** I see. Yes, you're right, and so Nathan has  
15 helped the Florida analysts do their projections, and the red  
16 grouper assessment is where we did first use this code, but we  
17 will address all of that in the presentation.

18  
19 **MR. RINDONE:** Okay, and so all of that will need to be talked  
20 about as one agenda item, and then we'll need to -- Judging from  
21 the SSC -- It looks like we'll need to go back through the  
22 greater amberjack stock assessment presentation, including this  
23 new method, so that the SSC can see how, under the different  
24 scenarios, how stock status, virgin biomass, et cetera, how all  
25 of those things are affected by this new method.

26  
27 They will have to consider all of that information in its  
28 totality again, as to whether it constitutes best scientific  
29 information available, because, as it stands right now, changing  
30 the projection method, after they have already accepted the old  
31 one as being BSIA, and then seeing the new one, which changes  
32 the stock benchmarks, it seems out of step, since the projection  
33 methods the last time -- Like those were done external to the  
34 model, and so having that all presented again will end up being  
35 necessary, and, if that can also be done in September, then that  
36 would also be ideal.

37  
38 **DR. SIEGFRIED:** Yes, that can happen, and so let me just make  
39 sure that I understand, Ryan, and so the way that status is  
40 calculated, using the equilibrium projections, we need to review  
41 that, because the only difference in the methodology is just  
42 the allocation part, and there is no difference in the way that  
43 we have used long-term equilibrium projections to determine  
44 status, and that's how we calculate F 30, our SPR proxies, and  
45 those calculations haven't changed. The methodology is just  
46 the allocations.

47  
48 The amberjack is the only one that we know that there was an

1 actual error in the implementation of the code, but we will  
2 review the other assessment codes, or the projection codes, to  
3 be sure that any similar errors were not also made.

4  
5 **MR. RINDONE:** That would certainly be helpful and still having  
6 a breakdown for the SSC of how all of this works I think is  
7 certainly going to be to their benefit for moving forward, since  
8 this seems to be the new status quo. John.

9  
10 **DR. FROESCHKE:** Just to jump in, with respect to amberjack, I  
11 do think we're going to need to have some information about  
12 SEDAR 70 and how this information integrates. For example, it  
13 changes dramatically our picture of stock status, going from  
14 overfished to not overfished, but rebuilding, but on a much  
15 better position, although the stock doesn't seem near as  
16 productive, and I don't know how it would affect the rebuilding  
17 time and things like that.

18  
19 I think all of that needs to be placed in context after we have  
20 some information and a presentation and document about the  
21 change in the projection methodology, because, I guess, speaking  
22 for myself, I don't -- It's difficult to understand how all that  
23 fits together, and, given that this is going to be what we're  
24 seeing in the future, I do think the SSC, as a body, would  
25 benefit from a presentation and some information on how to  
26 interpret and provide feedback on this in the future.

27  
28 **DR. SIEGFRIED:** No problem. We can provide that, and I think  
29 that we have a good idea of what needs to be presented, and we  
30 can do that. I don't think that it's something -- We will  
31 present this, but it's not something where the way that SEDAR  
32 70 was put together is an issue, but it was just at the  
33 projection phase, and so we can make that clear in the  
34 presentation.

35  
36 **MR. RINDONE:** I think that it's more than that from the  
37 perspective of determining and recommending what the best  
38 scientific information available is, because, if the projections  
39 change the stock status, then the entire package is what is  
40 being declared to be best scientific information available, and  
41 so it's not that the assessment, by itself, without projections,  
42 is BSIA and then also the projections, secondarily to that, are  
43 BSIA.

44  
45 It's all of it constitutes BSIA and is appropriate or not for  
46 management advice, and so that's where that distinction will  
47 need to be revisited, because it's already been made, based on  
48 the old way of doing things. If that is not true, then it needs

1 to be revisited in its totality, because that's how it has  
2 classically been determined by the SSC. You have several hands  
3 up, Mr. Chair, and I don't know if you want to start working on  
4 the list.

5  
6 **CHAIRMAN NANCE:** Doug Gregory.

7  
8 **MR. GREGORY:** Thank you and good morning. I respectfully request  
9 that we add king mackerel to that list, Ryan. As I noted  
10 yesterday, there must be something strange going on with king  
11 mackerel, if we're catching say approximately two-thirds of the  
12 ACL and you're seeing recruitment has been flatter going down,  
13 and we've had the major change in the geographic extent of the  
14 population, yet the historical estimates of spawning stock  
15 biomass does not change between the early 2000s and after the  
16 geographic extent was changed.

17  
18 I think a lot of this might be due to climate change, and clearly  
19 water temperature is affecting king mackerel movements, but I  
20 think it's worth taking a good look at that, and this list you  
21 have is a good start with that, if we can add king mackerel to  
22 that.

23  
24 **MR. RINDONE:** So noted.

25  
26 **CHAIRMAN NANCE:** Jason.

27  
28 **MR. GREGORY:** Thank you.

29  
30 **MR. ADRIANCE:** Thank you, Mr. Chair. I just wanted to make sure  
31 -- Do we need to revisit anything red grouper because of this?

32  
33 **MR. RINDONE:** We don't know yet. If they have already used this  
34 with red grouper, and that was what was used to recommend best  
35 scientific information available, then it would seem as if that  
36 was already done. However, I don't think that that was -- I  
37 mean, I don't recall this kind of discussion about the red  
38 grouper projections having happened, and so that wasn't  
39 disclosed at the time, but, if that methodology was used, then  
40 you guys have already approved it as such, as BSIA, as a function  
41 of looking at the different allocation scenarios that you  
42 recommended to the council as being in keeping with BSIA for  
43 those scenarios, and then the council, of course, would just  
44 choose the one that best suited management.

45  
46 **DR. SIEGFRIED:** Mr. Chair, may I speak?

47  
48 **CHAIRMAN NANCE:** Absolutely.

1  
2 **DR. SIEGFRIED:** There is -- Red grouper -- There were absolutely  
3 no mistakes or errors made in the red grouper projection  
4 specification, and everything in that report is accurate, in  
5 terms of what was asked for by the SSC and what was provided,  
6 and so the allocations were held constant, and the corresponding  
7 exploitation rates were correct.

8  
9 That work by Skyler and Nathan is what made us consider that,  
10 oh, we need to do this for other species, and so it wasn't a  
11 non-disclosure of new methodology, but it was kind of the first  
12 time that we ever did it right, and then we developed this  
13 methodology that was generalized for other species.

14  
15 **MR. RINDONE:** So, Jason, under that information, it would seem  
16 as if red grouper, at this time, wouldn't need to be revisited,  
17 because you guys have already gone through it for that species.

18  
19 **MR. ADRIANCE:** Thanks. I just wanted to make sure.

20  
21 **CHAIRMAN NANCE:** Thank you, Jason. Thank you, Katie. Mandy.

22  
23 **DR. KARNAUSKAS:** I just wanted to put some of this discussion  
24 in kind of the broader context. I am not directly involved in  
25 the stock assessments, but I am part of a national working group  
26 revisiting forecasting and projection methods, and my  
27 understanding is that projection methods are always -- It's a  
28 developing field, and we spend a lot of time, or we have spent  
29 a lot of time in the past, fitting data to the model, and that  
30 part has been really well fleshed out in the stock assessments,  
31 but the projections aspect of stock assessment is very much a  
32 sort of developing field, and that's not just the case for the  
33 Southeast, but across the regions, and, again, I say that as  
34 participating in this national working group.

35  
36 I think we're probably going to be seeing constant updates and  
37 improvements to the way that we project, and so I just wanted  
38 to add that perspective, that this is an issue that's going to  
39 come up, I would expect, kind of routinely over the coming  
40 years, and it's not that old methods were wrong, or that they  
41 were errors, but that just we're constantly finding ways to  
42 improve, and so that's my two-cents on what we're kind of dealing  
43 with here.

44  
45 **CHAIRMAN NANCE:** Thank you for that perspective. David Griffith  
46 first.

47  
48 **DR. GRIFFITH:** I was just curious about the timeline, and Mandy

1 actually probably addressed this, in that I would -- I am not  
2 that familiar with these methods, and I would actually like some  
3 more background information on the kinds of assumptions that go  
4 into them and things like that, and maybe that working group  
5 that Mandy just talked about will provide that kind of  
6 information, but, if not, I was wondering if we could get some  
7 background information ahead of time, so that, if we had some  
8 questions that we would like to raise, or have included in the  
9 presentation, if we could give some feedback to the Science  
10 Center people before the meeting. Thank you.

11

12 **CHAIRMAN NANCE:** Thank you. Dave Chagaris.

13

14 **DR. CHAGARIS:** Thank you. Katie, I appreciate you all agreeing  
15 to come back and go over this again with us in more detail, and  
16 I just wanted to mention that the big question that I have with  
17 the analysis we saw yesterday was that, in the assessment model,  
18 the spawning stock biomass MSY proxy was like 30 percent of the  
19 unfished biomass, but, in the projections, the new biomass proxy  
20 was like 13 percent, and I think I understood that to be due to  
21 the different allocations and selectivities, but, given the  
22 changes in allocation that were prescribed in the projections,  
23 I was surprised that the change was that much.

24

25 While the projection methodology itself may be sound, there  
26 could be some other things going on a little bit deeper, or just  
27 a decision to switch the MSY proxy calculation, and that is the  
28 big sticking point for me, and so hopefully you can clarify that  
29 in September. Thank you.

30

31 **CHAIRMAN NANCE:** Thank you, David. Benny Gallaway.

32

33 **DR. GALLAWAY:** Thank you, Jim. Would this be the place to  
34 submit new information regarding the studies that I referenced  
35 yesterday concerning western Gulf greater amberjack abundance  
36 estimates, abundance, size, and sex estimates?

37

38 **CHAIRMAN NANCE:** Probably not at this meeting.

39

40 **DR. GALLAWAY:** Okay.

41

42 **CHAIRMAN NANCE:** But that certainly we can do at a later date.

43

44 **MR. RINDONE:** Benny, if you want to plan on January right now,  
45 but the September meeting was full before yesterday, and so  
46 we'll have to add on time for this, but, if you want to plan on  
47 January, you can go ahead and pen that in, because I don't have  
48 that meeting filled up yet. Is that acceptable?

1  
2 **DR. GALLAWAY:** Yes, indeed, and, by that time, I think we will  
3 have additional new information from the Louisiana study.

4  
5 **MR. RINDONE:** Even better.

6  
7 **DR. GALLAWAY:** Thank you.

8  
9 **CHAIRMAN NANCE:** Any other discussion on this item? Thank you.  
10 We'll go ahead and move into our scheduled item, Review of Draft  
11 Options: Generic Essential Fish Habitat Amendment 5.

12  
13 **REVIEW OF DRAFT OPTIONS: GENERIC ESSENTIAL FISH HABITAT**  
14 **AMENDMENT 5**

15  
16 **DR. LISA HOLLENSHAD:** Thank you, Mr. Chair. I will be presenting  
17 this agenda item. Just a little bit of context here. At the  
18 June council meeting, the Habitat Committee was convened, and  
19 they reviewed this initial Draft Generic Essential Fish Habitat,  
20 and I'm going to call it EFH from here on out, Amendment, as  
21 well as a version of this presentation.

22  
23 After reviewing those materials and some discussion, that  
24 committee decided to request that staff bring those materials  
25 before the SSC, in order to get some feedback on some of the  
26 proposed methodologies and just generally looking over the draft  
27 options and providing any input or recommendations.

28  
29 Then what will happen then is the council staff will summarize  
30 those discussions and then bring that summary back to the  
31 Habitat Committee at the August meeting.

32  
33 Before I sort of jump into the amendment or anything, I am going  
34 to give a little bit of background on EFH. What is EFH? It  
35 has a very specific definition that was first brought about with  
36 the reauthorization of Magnuson and the creation of the  
37 Sustainable Fisheries Act in 1996, and that specific legal  
38 definition is those waters and substrate necessary to fish for  
39 spawning, breeding, feeding, or growth to maturity.

40  
41 Now, the Gulf Council does have identifications and descriptions  
42 of EFH that was completed in Amendment 3 back in 2004, and so,  
43 also, within Magnuson, is a stipulation that five-year reviews  
44 should be completed to review the council's policy on EFH, and  
45 so those have been also completed in 2010 and 2016.

46  
47 Those reviews will sort of update the information that may be  
48 available to inform descriptions of EFH, but those five-year

1 reviews don't do anything in terms of formally changing the  
2 FMPs, for example, and so that has to be done through a generic  
3 amendment, which hasn't been done since 2004. Those five-year  
4 reviews are available in the background materials.

5  
6 After those reviews are done, the Habitat Division over at SERO  
7 will also have some recommendation letters in response to those  
8 reviews, and those are also in the background materials, and  
9 they were done in 2010 and 2016, and so one of the things that  
10 I just want to highlight is you will see those letters are very  
11 comprehensive, and they sort of have a ten-bullet-point list of  
12 things that they look through, in terms of considering the  
13 council's EFH policies, and so EFH is certainly important, but  
14 it's one of many things, and it's sort of the tip of the iceberg.

15  
16 Today, in talking about the draft options paper, I am going to  
17 focus on EFH, but keep in mind that there's a lot of other  
18 things to consider that would go into this amendment, like  
19 fishing effects, non-fishing effects, habitat areas of  
20 particular concern, and those sorts of things, and so I just  
21 wanted to make the committee aware of that.

22  
23 Highlighting the latest recommendation letter from the 2015  
24 five-year review, there were a few things that popped out that  
25 were identified by SERO. An update to the habitat protection  
26 policy they recommended, as well as identifying and prioritizing  
27 some research needs, and then one of the emerging themes though  
28 from that letter was the need to amend the council's FMPs with  
29 updated habitat information as soon as possible, in  
30 consideration of other council priorities and timelines.

31  
32 When that original Generic Amendment 3 for EFH was created in  
33 2004, some of the habitat data that was used to inform those  
34 descriptions was from the NOAA Data Atlas, which, at the time,  
35 had data from 1985, and so, back in 2004, it was maybe a little  
36 outdated, and so it's probably very outdated now, and so that  
37 was one of the recommendations from the SERO office, was to go  
38 back and look at this. The council had been doing the five-  
39 year reviews, but, as I mentioned, those don't formally change  
40 the FMPs, and that has to be done through a generic amendment,  
41 which is why this is being tackled here today, and then something  
42 that the council is going to have to address as well.

43  
44 These descriptions are important, because they are needed and  
45 used to inform the consultation process, and so a consultation  
46 would be required when a federal agency has authorized, funded,  
47 or undertaken part or all of a proposed activity that could  
48 potentially adversely affect EFH, and so an adverse effect could

1 include direct or indirect physical, chemical, or biological  
2 alterations.

3  
4 Sometimes the federal agency, in agreement with NOAA, may  
5 determine that no consultation is required, but, more often than  
6 not, it is, and so this is just a way to allow for some  
7 development, but also within conservation goals for habitat in  
8 the Gulf.

9  
10 The Gulf Council has some tasks, and then some upcoming ones as  
11 well, and so the council must identify and describe EFH for all  
12 managed species by the life stages you see there in that first  
13 bullet. If you've been paying attention as we've gone along,  
14 you may say, well, hey, the last five-year review was in 2016,  
15 and that means the next one is up to bat in 2021, this year,  
16 and so that would be correct.

17  
18 Council staff, in speaking with the Habitat Office at SERO,  
19 agreed that probably the best use of resources would be to  
20 combine those two efforts, and so to develop a generic amendment  
21 that would update those EFH descriptions in the FMPs as well as  
22 incorporate what would need to be done in the five-year review.

23  
24 In trying to keep, generally, and adhere to that timeline of  
25 the five-year review, the goal of completion of this amendment  
26 would be by 2022, and so it's a bit of a tight turnaround, given  
27 the amount of work that would be done, but, if it could be  
28 completed, that would actually be a great way to combine those  
29 efforts, and so that's the goal that the council has set up.

30  
31 Since the 2004 amendment was created, there have been certainly  
32 not only advancements in sort of the data sources available,  
33 but also the quantitative and computational techniques that are  
34 available for sort of describing spatial ecologies in the Gulf,  
35 and so, when revisiting this, this was something that we thought  
36 perhaps the council may be interested in considering.

37  
38 The rest of the talk, I'm kind of going to go through and talk  
39 about these methodologies that we could use to describe EFH,  
40 and I'm going to use gag grouper as an example, and so we're  
41 going to use that as kind of the case study, and then so the  
42 three pictures will denote those three approaches that I am  
43 going to consider.

44  
45 That first picture, the top of that picture, just some sea  
46 habitat, is going to be the standard method that we're using  
47 right now, and so what that does, very generally, is it looks  
48 at the available habitat, the benthic habitat, and then looks

1 at some life stage tables, and so some species attribute tables,  
2 and says, okay, let's link those up. That's the current method.  
3 It's already established, and it's a fairly quick process, but  
4 it does lead to some broad generalizations for descriptions of  
5 EFH.

6  
7 A second method that could be proposed would be just look at  
8 species presence, and so it says, hey, I know that the species  
9 is here, and I am not entirely sure why, necessarily, or what  
10 the linkage for the habitat is, but I can at least refine myself  
11 a little bit, and then I know something about the species  
12 presence.

13  
14 Then we can get into some complicated models, and so then we  
15 can say, well, I know actually something about the species  
16 presence and its absence, as well as I have some information on  
17 some environmental covariates that I can try to use to link  
18 those things.

19  
20 For the two, these two, proposed methodologies, we only have  
21 data to do it for a handful of species, and so it would be very  
22 limited, even if we decided that, hey, perhaps we would like to  
23 go with one of these new, more quantitative techniques, but it  
24 will only work for a handful of species, and so the majority of  
25 managed species is probably still going to have to use the  
26 current method, and so just keep that in mind.

27  
28 Then, certainly, the more complex these models get, it takes a  
29 little bit longer to go through these analyses and make sure  
30 that everything is up to snuff, and so it just takes a little  
31 bit more time than the more qualitative techniques that we're  
32 currently using.

33  
34 This is how it's currently done here in the Gulf. Habitat use,  
35 an extensive literature review is done to look at the species  
36 habitat use within the Gulf and attributing those to various  
37 habitat types. These benthic habitat characteristics are mapped  
38 in the NOAA Gulf of Mexico data atlas. Like I said, what we  
39 have on the books now, through Generic Amendment 3, is from  
40 1985. Also, habitat categories are broken down into twelve  
41 distinct categories, and then the Gulf is divided into five  
42 ecoregions and three depth zones as well.

43  
44 This is what these ecoregions look like, by their name, and then  
45 the various bounds to demark them, and they generally follow  
46 the NOAA statistical grids, and those are laid out there in that  
47 last column. Here is a visualization of what those ecoregions  
48 look like, and they are, across the Gulf, just very, very

1 broadly.

2

3 Then these are the twelve habitat types, and so you've got  
4 everything from submerged aquatic vegetation, oyster reefs,  
5 shelf edge, and so these sort of broad descriptions of benthic  
6 habitat, as well as some drifting algae and sargassum as well.

7

8 Here is these other considerations for breaking out the habitat  
9 types by depth, and so you have an estuarine boundary, which is  
10 comprised of barrier islands and estuaries, and then a nearshore  
11 categorization is depths of sixty feet or less, and then the  
12 offshore would be depths of sixty feet or greater, and so that's  
13 just general depth strata there.

14

15 Then we would also, through the literature search, compile all  
16 of that, and so this is an example for gag grouper, broken down  
17 by those life stages, and so what the researcher would do is  
18 look at these various life stages and then try to assign these  
19 life stages to an ecoregion, based on what has been found in  
20 the literature, as well as looking at some of those habitat  
21 zones and the habitat types and those sort of things, and so  
22 this is how that's broken down.

23

24 Then, spatially, you can take your GIS layers and put these all  
25 together, and you will get something that looks like this, and  
26 so this is from the 2016 five-year review for all life stages  
27 of gag grouper, and so this is probably -- This map is probably  
28 different than that's denoted in the 2004 Generic Amendment 3,  
29 because this has been updated through 2016, and so this is  
30 slightly different.

31

32 However, if, for example, we decide to continue with this  
33 method, this is, generally, what this would look like for all  
34 stages of gag grouper, and so sort of expansive areas of the  
35 Gulf would be described as EFH for that species, in this case,  
36 and so that's the methodology we have been using.

37

38 There is some pros and cons associated with this. Some of the  
39 pros are it's already established, and so we wouldn't  
40 necessarily have to reinvent the wheel, and we would just have  
41 to update our data sources. Formally, that's been done up to  
42 2016, with that five-year review, but, in 2020, I did have some  
43 time to go through, and those tables and things have now been  
44 updated to 2020, and so we have that information as well.

45

46 Certainly the cons would be that that data atlas is outdated,  
47 and so, again, we would have to formally implement what we've  
48 been doing in the reviews and here recently into the FMPs through

1 this generic amendment. Again, there are some probably more  
2 refined methods available that we could use that are a little  
3 less qualitative to help refine EFH.

4  
5 In terms of a policy pro, there is some precedent for using  
6 these similar methodologies in the South Atlantic, the  
7 Caribbean, and the Western Pacific. I think, actually, the  
8 South Atlantic mostly uses depth strata as a way to describe  
9 their EFH for their main species.

10  
11 It can be very quickly updated, should it need to be, and it's  
12 going to work for most species. Even for some data-limited  
13 species, we do have a few papers that will let us know something,  
14 so that we can go off of that, even if we don't have a whole  
15 lot of other information for them.

16  
17 A con, like I said, is it's relatively broad, and there's a  
18 little bit of indirect linkage for species and habitat, and so  
19 what this is doing is this is erring a little bit more on the  
20 side of I know that this habitat type seems to be selected based  
21 on some studies in the literature, and so I'm going to assume  
22 that, everywhere that habitat type exists, that the fish could  
23 be there, and that assumption is sort of a big one, because, as  
24 you might imagine, there's probably other things going on, water  
25 temperature or salinity effects, that would also be driving  
26 selectivity to certain places, and so this is going to give you,  
27 like I said, a little bit broader description for EFH, using  
28 this method.

29  
30 This is how these concepts translate into what's in the  
31 document, and so Alternative 1 would be the no action, and so  
32 we would retain that current description and identifications of  
33 EFH as described in Amendment 3.

34  
35 Alternative 2 would say, okay, I'm going to take those same  
36 methodologies that I used to generate those descriptions back  
37 in 2004, but I'm going to update my data sources, and so we're  
38 going to have habitat maps that are much more contemporary, as  
39 well as a literature review through 2020, and so that's what  
40 that would do for Alternative 2.

41  
42 For the two proposed more quantitative methods, the data sources  
43 that we used would be the Gruss et al. 2018 paper that's also  
44 available in your meeting materials. I will go into a little  
45 bit more about what that paper did, but, in terms of Gulf-  
46 managed species, the next two methodologies that I am going to  
47 talk about, these species presented on the tables, this is what  
48 it would be applicable for, and so this is where we have that

1 information and we could use some of this data.

2

3 Now, some of these species, they only have the aggregated life  
4 stage data, and so it would have to be done maybe as an  
5 aggregate, and there is actually even fewer species where we  
6 have this information by species and by life stage, and so, like  
7 I said, it would only be applicable for a handful of species.

8

9 What this paper did is they identified a number of fishery-  
10 independent and dependent datasets, and so these datasets  
11 included presence-absence data for species of interest, as well  
12 as a number of environmental covariate measurements to go along  
13 with those, and this data was collected -- They requested data  
14 from 2000 to 2016 for these datasets, and, again, this is  
15 throughout the Gulf, and generally, for their analyses, they  
16 also selected datasets that had a long time series and good  
17 spatial extent and that sort of thing as well.

18

19 Then it came through for a number of gear types, in terms of  
20 encountering species, for everything from video to trawl seine  
21 and vertical line and so on, and so the two proposed methods to  
22 be considered for this would be a non-parametric kernel density  
23 estimator, using a nearest neighbor approach, and so that would  
24 be sort of that presence only, and so I know the species is  
25 here, and I have identified it in a fishery-independent survey,  
26 but that's all I'm going to use for that.

27

28 The second method would be a boosted regression tree model, and  
29 that says, okay, I know a little something about the presence  
30 and absence as well as some habitat data, and so I'm actually  
31 going to be able to model that together and say a little  
32 something about that.

33

34 The first method I'm going to talk about is this presence only.  
35 If you had your observations of your fish here, and the method  
36 I'm going to bring up draws from two different sort of conceptual  
37 ways of looking at this, and so let's pretend that this is our  
38 population of our gag here, and we want to say something about  
39 like, well, I'm curious as to what area the fish are inhabiting,  
40 and so, back in the day, when they didn't have a whole lot of  
41 computational power, and, actually, most of this comes from the  
42 avian literature back in the day, when people kind of sat around  
43 and watched birds, and, if you had your observations, you could  
44 draw a polygon around those outer observations, and you could  
45 say, okay, here is the area in which I have seen my species.

46

47 It's really quick and easy to do, and it's easy to interpret,  
48 and it's easy to compare across time or other species and that

1 sort of thing. However, it's generally going to give you an  
2 overestimation, because you can imagine that most species aren't  
3 spread out evenly over a spatial plane. There is areas that  
4 they're selecting, and so they may congregate as well, and so,  
5 if you just draw a line around your most -- A polygon about your  
6 most exterior observations, you're going to get an  
7 overestimation of the area.

8

9 There are other ways you can sort of approach this, and so a  
10 more interesting question would be like, well, what is about  
11 the size of my core area, and then what is the size of the  
12 extent of the area, and what would be a better way to perhaps  
13 describe what you're seeing in terms of habitat use, and so  
14 another way that you can approach this is by looking at it in  
15 sort of these little pieces, and, instead of drawing a minimum  
16 convex polygon about all of your observations, you can also do  
17 -- It's very popular, and you may have heard in on some of these  
18 approaches used, but it's called a kernel density estimator.

19

20 What it would do is it would take each one of your individual  
21 points and it would overlay a bivariate normal distribution  
22 overall of those, tabulate those, and you would apply a  
23 smoothing curve and get your isopleths and you could say, okay,  
24 here is more core area of about 50 percent of my occurrence,  
25 and then you can move out from there.

26

27 That works great for a lot of things, and so, for example,  
28 Atlantic HMS uses this approach, because they have pelagic  
29 species that are out in the water column, and so they can sort  
30 of draw these inferences based on those kernel density  
31 estimators.

32

33 For a species that's a little more inland, when you draw those  
34 kernel density estimators, a lot of those times, those tails on  
35 those probability distributions can get fairly long, and,  
36 suddenly -- You're accounting for areas that you know the fish  
37 is there, or they're near land, and, suddenly, you've got some  
38 these considerations where it says your fish is on land, and we  
39 know that's not the case.

40

41 To sort of move around that, instead of using a probability  
42 distribution to say, okay, this is what I'm going to consider  
43 my core area, or this utilization, based on how many occurrences  
44 I have here, you can, instead, draw your polygons being informed  
45 by the nearest neighbor, and so this is an observation that I  
46 know where the fish is, and that will also allow you to account  
47 for any boundaries, and so, if the fish are aggregating  
48 nearshore, you wouldn't include any shore space, or area, in

1 your estimation of your habitat use. That is very conceptually,  
2 broadly, what this is doing.

3  
4 To look under the hood a little bit, what it's doing is that  
5 first expression just says, okay, I have a location of points  
6 on some grid, and I'm going to call it XY, and these are my  
7 locational points. Then the model is going to generate a list  
8 of local convex hulls using a nearest neighbor algorithm, and  
9 so you're going to tell it that I want you, when you draw your  
10 polygons, to consider this many nearest neighbors, and I will  
11 get into how that is selected. Then it draws these areas, and  
12 so it gets an idea of this core use, and so that's great to  
13 know.

14  
15 Then the next step it does is it reorders these areas, smallest  
16 to largest, and then it defines unions and creates -- Where  
17 there is overlaps of those unions, it can give a better idea of  
18 this is what the extent of my area is, and so it's a nice way  
19 to be able to say here's perhaps some core area, where fish seem  
20 to be aggregating, or selecting these certain areas, but then,  
21 also, here is my broader extent, and so that's what it's allowing  
22 it to do.

23  
24 In order to compartmentalize that, such that we can make a  
25 determination about what we're interested in defining as a core  
26 area, you can also assign percentile of points within that  
27 utilization distribution, and so 100 would be all of your  
28 observations, for example, and so you can go from 10 percent  
29 all the way up to 100, and you can construct those corresponding  
30 nested set of regions within each of those areas, and so each  
31 extent has an area that's associated with it.

32  
33 You can pull that out, and you can calculate your utilization  
34 density, and so that's the last expression there, and so you  
35 can take your area, and then you divide it by your percentile  
36 of points, and so, for example, if you kept area constant, and  
37 you increase your percentile of points, that density calculation  
38 is going to get smaller, and so you can say, hey, this is where  
39 I've got my concentrations of points, in this smaller area, and  
40 so that's what I am accounting for.

41  
42 We performed this analysis in R, using the T-LoCoH package, and  
43 we used this package, and then, like I said, in terms of how  
44 you want to draw your convex polygons, or your convex hulls,  
45 you need to tell it how many neighbors, how many neighboring  
46 points, I want to consider, and so that could be a little  
47 arbitrary when you get started out, and three might be enough,  
48 or do I need fifty, and what do I need, and so, fortunately,

1 the package does allow for some diagnostics to help inform that  
2 decision.

3  
4 To do that, you can examine your isopleth area curves and your  
5 isopleth edge area curves for each K value, and so you can check  
6 that out first. To do that, when you do that, it looks something  
7 like this.

8  
9 On the left, we start with the graph on the left here, and K is  
10 those nearest neighbors points that I want to address on the X-  
11 axis, and, on the Y, I have the area. Then the various lines  
12 are your isopleth determinations, and so anything below 0.5 is  
13 going to be considered your core area, and then 75 and 95, and  
14 so those lighter colors, and the larger area are going to be  
15 your larger extent, and what you're looking for here, and this  
16 was the example done for gag, adult gag, what you're looking  
17 for here is, if you see any rapid increase in the area as you  
18 increase your nearest neighbor number, that would let you know  
19 that perhaps there is a few outliers that are causing the extent  
20 to expand.

21  
22 It's only attributable to a few observations, in which case you  
23 might run into creating a -- That would be like a Type II error,  
24 and so you're including area that may not be there, and so that  
25 would be the problem that I ran into right when I was first  
26 talking about how you would just draw a polygon over your larger  
27 extent and then perhaps be including the areas where they're  
28 not really there and overestimating.

29  
30 In the case for gag, we see sort of this just plateau throughout,  
31 and so, as you increase the number of nearest neighbors you want  
32 the model to consider, you don't see a whole lot of difference  
33 between fifty or a hundred, but when things get interesting is  
34 when you start looking at the isopleth edge area, and so, again,  
35 that would be the plot on the right.

36  
37 Again, on your X-axis, you have the number of nearest neighbors  
38 you're considering, and then your ratio on the Y, and, if your  
39 edge-to-area ratio is really high, that would be indicating some  
40 overfitting, and so you would perhaps be higher probability if  
41 you had less nearest neighbors that you were considering of a  
42 committing a Type I error, so that you're actually excluding  
43 areas that perhaps could be important for utilization.

44  
45 Looking at this for gag -- I did a number of these, and this is  
46 just an example, and we settled on using a hundred, and so  
47 that's where you start to see that come down a little bit, and  
48 so you don't get that overfitting, or sort of the Swiss cheese

1 effect, where you sort of get these really high demarcations,  
2 in terms of where it's saying these concentrations are, and so  
3 you don't want to necessarily overfit as well.

4  
5 The results from using a hundred nearest neighbor looks  
6 something like this, and we've drawn our isopleths in and around  
7 this, and so the warmer colors, the reds and the yellows, are  
8 going to be that core area, and then those lighter colors are  
9 going to be more the extent.

10  
11 Generally, in the literature, a core area is considered about  
12 50 percent, and so, in the case of this map for adult gag  
13 grouper, it's going to be those more yellow colors, and then 95  
14 percent would be the darker colors there, and, like I said,  
15 Atlantic HMS uses a 95 percent isopleth for describing their  
16 EFH.

17  
18 This is something that we get using this method, and the next  
19 slide is just to remind you what the method that we would  
20 currently use would look like, and you get a pretty different  
21 description of EFH depending on what method you use. The  
22 presence only, or the non-parametric kernel density, does refine  
23 things a little bit better, because it says something about  
24 like, well, this is where I seem to see and encounter that  
25 species, and, even if perhaps the habitat is available, you just  
26 don't see them there, is basically what that is sort of broadly  
27 telling you.

28  
29 **CHAIRMAN NANCE:** Can you answer just one question I have?

30  
31 **DR. HOLLENSSEAD:** Sure.

32  
33 **CHAIRMAN NANCE:** It's interesting that on that first -- The  
34 other slide, you have very nearshore, and then, on the other  
35 one, that nearshore is totally blank.

36  
37 **DR. HOLLENSSEAD:** Just to let you all know too, the kernel  
38 density, or the non-parametric kernel density that I'm showing  
39 is just considering adult gag, whereas this one is considering  
40 all life stages together, and so it's not quite apples-to-  
41 apples, but, yes, you would think that there would be a little  
42 bit more overlap than there is.

43  
44 **CHAIRMAN NANCE:** Go ahead, John.

45  
46 **DR. FROESCHKE:** Just on this particular one, I think what the  
47 issue is, the way these work, you have maps of the habitat  
48 types, and then you link -- Those are recognized as EFH. For

1 example, gag hardbottom is mapped, and so, to the extent -- On  
2 the West Florida Shelf, if you don't have a good map of the  
3 hardbottom, it's going to be underrepresented. In this case, a  
4 lot of that area -- There probably is a lot of ephemeral, low-  
5 relief hardbottom that really isn't captured in the benthic data  
6 that we have, and so I think, in that particular case, that is  
7 the issue.

8  
9 **CHAIRMAN NANCE:** Thank you.

10  
11 **DR. HOLLENSHAD:** It's likely that would be -- You would see  
12 similar patterns for other species and life stages that we would  
13 be considering, and so that's something to think about.

14  
15 Pros and cons for this method are it's a fairly simple model,  
16 actually, and it's using fishery-independent data. Some cons  
17 though is, again, it's not available for all life stages, and  
18 another policy pro is that there is a little bit of precedent  
19 in New England, Mid-Atlantic, and, again, Atlantic HMS, as I  
20 mentioned before.

21  
22 It does seem to better refine EFH. Potentially, this method  
23 could be something that could be used to describe habitat areas  
24 of particular concern, and so, if we were interested in  
25 protecting an area, for example, we could do something where we  
26 looked at all juvenile life stages across all species and see  
27 if we can get some patterns or if there's these high areas of  
28 concentrations, or hot spots, to sort of inform what might be  
29 going on there, or aggregations of spawning adults across  
30 species, something like that. This would be sort of a good  
31 methodology to sort of look at that.

32  
33 One of the cons is it does add a couple more actions to the  
34 document, to make it a little bit bigger, but that's just more  
35 of timeline thing, and then this does -- One of the cons here  
36 is there is a species habitat linkage tradeoff, and so what it  
37 says is I know that the species is here, but I don't really know  
38 anything about how the habitat links into that, and so, when  
39 you think about your formal definition of EFH, we're missing  
40 that a little bit, but at least it can say, hey, there's probably  
41 something that I may not be measuring, or I don't have the  
42 greatest habitat maps of that area, but I do know that the fish  
43 is there, and so that's a tradeoff there.

44  
45 In terms of the draft paper, Alternative 3, and so, if this  
46 method were to be considered, there would be an Alternative 3  
47 that would say, okay, use this non-parametric kernel density  
48 estimator to describe EFH, and, again, it would only be

1 applicable for those species listed on Slide 14.

2  
3 When sort of looking at this, it's probably a good idea to give  
4 some consideration of what isopleth you would be interesting in  
5 assigning for EFH here, and so, within that third alternative,  
6 there would be a couple of options, either at 50 percent, 75  
7 percent, or 95 percent kernel density estimator, and so this  
8 would allow you to focus on either core areas or be a little  
9 more conservative and say out to 95 percent, and so that larger  
10 extent of the habitat use. That is all I have for the presence  
11 approach.

12  
13 Now I'm going to talk a little bit about the presence/absence  
14 and habitat model, and so, before, it was just looking at I know  
15 the species is here, and this model says, okay, I'm going to  
16 have my sampling event, and I have encountered my species, and  
17 so I'm going to encounter my species, mark it as encountered,  
18 and then also take a suite of habitat measurements associated  
19 with that observation.

20  
21 Potentially, also, you could have a sampling event and the  
22 animal is not there, and so you say, okay, well, now I also want  
23 to measure this habitat so I can say something about where the  
24 animal is not. Of course, you can also sample animals there,  
25 and you don't capture them, but I will get into that in a little  
26 bit, too.

27  
28 In an ideal case, it would look something like this, and then  
29 you could put these together and get your model output, and so  
30 you can say something about the linkages between the species  
31 presence as well as those environmental covariates.

32  
33 To do that, we're going to use a boosted regression tree model,  
34 and so these regression model approach -- It's a regression  
35 model approach, but the objective is not to find the best model,  
36 and I think maybe a frequentist approach, and, instead, we're  
37 going to use recursive bifurcation, or trees, that are  
38 constructed to identify regions within the space that have the  
39 most homogeneous response to our predictors, and so those are  
40 that tree from that figure that you can see up there, those  
41 little demarcations right there.

42  
43 It's a regression model where each term is a tree, and so it's  
44 going to let you know that, hey, this response variable is  
45 significant for explaining why a fish is here, or a fish is not,  
46 and, because of that, it can say something like water  
47 temperature is the most important, and certainly water  
48 temperature above thirty degrees, or something like that, and

1 it allows you to demark exactly where along that variable you  
2 begin to see the difference between why it's there and why it's  
3 not.

4  
5 The model can fit a variety of responses, and so, if you had  
6 count data that worked really well for a Poisson, you could use  
7 it, but, when we investigated our dataset, we found that it was  
8 best suited -- Our presence/absence observations were best  
9 suited for fitting a binomial distribution. We used the GBM  
10 package in R to run this model.

11  
12 As well as constructing the model, one of the things that gives  
13 this approach some of its predictive power is boosting, and so  
14 this uses a stage-wise optimization and is focused on  
15 quantifying the variation in the response. That has not, so  
16 far, been explained by the model, and so, every time it goes  
17 through an iteration, it's looking to fit those residuals a  
18 little bit better.

19  
20 Boosting incorporates some stochasticity in the model, using a  
21 random subset to reduce overfitting and improve that predicted  
22 performance. The sequential model fitting builds from knowledge  
23 of the previously fitted tree to help focus on more convoluted  
24 observations, which can be difficult to predict, and this can  
25 affect the learning rate and tree complexity, but it allows for  
26 a straightforward prediction that still requires considerable  
27 thought and interpretation, and so, with great power comes great  
28 responsibility, right, and so this model can do a lot of things.

29  
30 It can tell you a little something about interaction terms, but  
31 how you interpret that -- You would want to be very careful and  
32 give that a lot of consideration through the output.

33  
34 Again, we used the Gruss paper to run this model. Originally,  
35 there was 209 environmental inputs, and we were able to reduce  
36 that down to thirty-nine, using Spearman correlation analysis,  
37 and so here's what actually we put into the model, and the  
38 years, again, were from 2000 to 2016, and the gears considered  
39 were trawl, seine, longline, and gillnet, and then we had a  
40 variety of environmental inputs that we also examined in the  
41 model.

42  
43 What we got for, again, adult gag grouper is, when we looked at  
44 relative influence, not surprisingly, gear came out, as well as  
45 bottom depth, bottom temperature, year, month, bottom dissolved  
46 oxygen, and surface salinity, and so this is some of the  
47 physiochemical things that also came out as well.

48

1 What the output also gives us is a number of plots looking at  
2 how each variable performed in the model, and so what each one  
3 of these little plots is going to tell you is each one is related  
4 to an input, and so like the top-left one would be here, and  
5 gear was a categorical variable, as was month, and so that's  
6 why you see them denoted as those little dashes, whereas bottom  
7 depth and temperature are going to be continuous variables, and  
8 so that's why you see them marked out as a line.

9  
10 What this is telling you is that anything above -- Certainly  
11 above zero is going to have a positive effect, in terms of  
12 habitat selectivity, or predictive, and then anything around  
13 zero is going to be neutral, or be a non-effect, and anything  
14 well below zero, or below zero, is going to have sort of a  
15 negative effect.

16  
17 Again, it looks like Gear 3 has a strong negative effect, and I  
18 believe that is gillnet, I believe, and so that's what it's  
19 telling you, is that gillnets are very good at catching adult  
20 gag grouper, which I think makes sense.

21  
22 Then you get your bottom depths and things like that, and so  
23 the model can then look at all of these things and say, well,  
24 okay, can we say something then and give sort of a predictive  
25 analysis, based on this model, of where we may encounter gag  
26 grouper, and so, visually, this is what this would look like,  
27 and so this is a Raster expression, and the brighter colors,  
28 and so your yellows and greens, you've got a higher probability  
29 of encountering a gag grouper, and then the darker colors, the  
30 purples and dark blues, would tell you that you have less  
31 probability, and so it's just a different way of getting at  
32 that.

33  
34 The pros here is it's very refined. Like I said, we can get  
35 into looking at some interaction terms, and it can get very  
36 complicated very quickly. Again, it also uses that fishery-  
37 independent dataset. Again, the con is that it's not available  
38 for all species or life stages, and it is quite complex, and  
39 so, even though we were able to get this to work for adult gag  
40 grouper, as we go through some of the others, we think that they  
41 may be good for considering this, but, once we run the model,  
42 we won't really know, and perhaps they're not, in which case we  
43 wouldn't be able to use them.

44  
45 Pros, in terms of policy, the North Pacific and the Pacific have  
46 some not quite boosted regression tree models. They do some  
47 maximum entropy models, but they are really powerful models that  
48 they can use to describe their EFH in those areas, and what's

1 really great is it directly links that species presence and  
2 habitat, which sort of hits the nail more on the head, in terms  
3 of our legal definition for EFH.  
4

5 It can also be used to inform habitat areas of particular concern  
6 as well, and, again, very few species, and, again, adding  
7 another alternative would complicate the document and perhaps  
8 extend the timeline with which it would take to complete it.  
9

10 Looking at our draft options, this would be represented as  
11 Alternative 4, which would use that boosted regression tree  
12 modeling approach, and so this is -- If you were to include the  
13 no action alternative, the alternative for using the same  
14 methodology, but with more contemporary data, that would be  
15 Alternative 2, and then we would have our new proposed  
16 methodology, Alternative 3, being the presence only and  
17 Alternative 4 being the boosted regression tree approach.  
18

19 Similar to what we saw for the presence-only model, a way to  
20 sort of -- You know, how do we consider what we describe as EFH,  
21 and you would have to sort of look at the magnitude of what  
22 you're considering, and so, again, there would have to be  
23 options within that alternative as to what you would define for  
24 your EFH levels.  
25

26 With all of that, and certainly after some discussion and just  
27 maybe some things to kick out as starting discussion for the  
28 group, one of the things that I think the council would be  
29 interested in knowing is, certainly, the SSC's thoughts on the  
30 methodologies, and, to my knowledge, there is no other fishery  
31 management council that sort of piecemeals their descriptions  
32 of EFH, and I believe the methodology they use for one species  
33 and life stage they use for all, and so it's comparable across  
34 all of their managed species, and I don't think they take  
35 considerations into which have more data and do something  
36 different.  
37

38 The council is probably interested in knowing the SSC's thoughts  
39 on, well, maybe we do have some Cadillac models for some of  
40 these, but it would be -- What's the merits of maybe leaving it  
41 the way we have, so that it's standardized and at least we have  
42 comparable descriptions of EFH for all of our managed species.  
43

44 We do have some good data layer sources, and those are also  
45 available in your background materials that we went through,  
46 and so that's sort of what we have in house, but certainly, if  
47 anybody had some suggestions on like, for example, the sargassum  
48 maps, any remote sensing or anything like that we could look at

1 and perhaps incorporate, that would also be really great.

2  
3 Then, during your discussions, if you wouldn't mind just taking  
4 in those timeline considerations. In an ideal world, in order  
5 to still adhere to that five-year review timeline, we would be  
6 completing this by early 2022. Well, 2022 anyway, and so please  
7 just keep that in mind during your discussions, and, at this  
8 point, I would be happy to take any questions that you had.

9  
10 **CHAIRMAN NANCE:** Thank you very much. I have one question on  
11 alternatives. If Alternative 3 was preferred, you would have -  
12 - Because it's only fourteen species, I think, or whatever it  
13 was, but you would have to have another option within it to say  
14 what you were going to do with the other ones.

15  
16 **DR. HOLLENSHAD:** What you could do is you could select  
17 Alternative 2 for everything, and then you could select  
18 Alternative 3 for -- You could select both. You could select  
19 Alternative 2 for those species where you didn't have this data,  
20 and then you could select Alternative 3 for red snapper or  
21 whatever species.

22  
23 **CHAIRMAN NANCE:** Would it be better to have -- It would give  
24 you more alternatives, I guess, but you would have Alternative  
25 3 for the fourteen species, and, if not, then you go to  
26 Alternative 1. The other one would be those fourteen species,  
27 and, if not, then Alternative 2.

28  
29 **DR. HOLLENSHAD:** That's something that we can speak about. I  
30 know we had originally talked about going FMP-by-FMP and doing  
31 this, and, in talks with our interdisciplinary planning team,  
32 it was suggested to do it this way and then allow for Alternative  
33 2 and Alternative 3 to be selected, depending on the species,  
34 and so that is something that we can talk about at that level,  
35 certainly, the best way to organize that.

36  
37 **CHAIRMAN NANCE:** I just didn't know if you needed to have all  
38 the alternatives listed, like typically it is within an  
39 amendment, and you had to have all of the alternatives for  
40 everything listed.

41  
42 **DR. HOLLENSHAD:** I believe, actually, in the 2004, it was just  
43 a single action, and do we update EFH or do we not, but they  
44 were only considering one methodology for that.

45  
46 **CHAIRMAN NANCE:** Okay. Thank you. Mandy.

47  
48 **DR. KARNAUSKAS:** Thanks, Lisa. This was a great presentation,

1 and I had some thoughts on the questions, and maybe we can go  
2 back to the previous slide, so I can see them. I have some  
3 potential resources for you.

4  
5 On the methodology, it's great that -- The Gruss paper, I'm  
6 familiar with that, and that is a really comprehensive  
7 compilation, and he has a follow-up paper on that where, if I  
8 remember, he actually, he and his team, attempted to create  
9 species distribution models, and I'm not sure if you've seen  
10 that paper, but that might be useful as a comparison, or you  
11 might even be able to use those models themselves as another  
12 methodological approach, and that's the only input I have on  
13 the methodology.

14  
15 On the other data layer sources, I think there's a number of  
16 sources that could be useful to you. On the sargassum, there  
17 is the Hernandez sargassum project, and I hope he's in contact  
18 with you. If not, we need to do that, because I think he has a  
19 lot of useful information. That RESTORE project he's been  
20 leading has been looking at specifically the role of sargassum  
21 in habitat for a bunch of managed species, and so that should  
22 be a really useful source, and they have now automated, I think,  
23 weekly maps of sargassum for the Gulf of Mexico.

24  
25 Another RESTORE project that just kicked off is the work by  
26 Tracy Sutton and the DEEPEND Consortium, and we just had their  
27 site visit meeting a couple of weeks ago, and I'm the technical  
28 monitor on that project as well, and they have some emerging  
29 work on characterizing new mesophotic habitats, mesophotic  
30 reefs, that I think were previously under-described, and so that  
31 might be a useful resource for you on the mesophotic reefs.

32  
33 Then the last data layer that I wanted to mention is the  
34 Southeast Center has a recent effort, and we've been using  
35 compositional kriging of the usSEABED database, and this is  
36 something we needed for some of our red snapper work, and looking  
37 at species distributions for other species as well, but we have  
38 a -- We're attempting to put together a really comprehensive  
39 habitat map for the Gulf of Mexico, largely pulling from that  
40 usSEABED database, and trying to get a better sense for that  
41 sort of uncharacterized bottom offshore and what that actually  
42 consists of. I am happy to share further details on any of  
43 that, but I thought those could be useful data sources for this  
44 effort. Thanks.

45  
46 **CHAIRMAN NANCE:** Thank you very much. Ryan, to that point?

47  
48 **MR. RINDONE:** Thank you, Mr. Chair. Mandy, if it's possible,

1 if you could provide those papers, so that we can -- Where you  
2 have access to them, so that they can be sent around to the SSC,  
3 in case anyone else has an interest, and that would be great.

4  
5 **DR. KARNAUSKAS:** Will do.

6  
7 **CHAIRMAN NANCE:** Thank you. Trevor.

8  
9 **DR. MONCRIEF:** I just wanted to briefly discuss Option 3 and  
10 then kind of take it up to a little bit higher level of  
11 conversation, but, if we're relying on a lot of fishery-  
12 independent data, then we also have to take into account the  
13 paucity of some of this fishery-independent data around the Gulf  
14 of Mexico.

15  
16 From a little bit higher level, I was trying to read through,  
17 and forgive my naiveness when it comes to some of this stuff,  
18 but, essentially, if we define essential fish habitat, I kind  
19 of wanted to at least get a brief description of the consultation  
20 process, should some activity be deemed to go through a  
21 consultation process, when we define it.

22  
23 Really, my mind goes, I think, to gray snapper most, but I'm  
24 pretty sure that's on the list, and gray snapper has a pretty  
25 far-reaching distribution, from the estuary all the way out to  
26 the shelf edge, and it's across the entire Gulf of Mexico, and  
27 I just wanted to think about, or at least have a little bit of  
28 a description of if it is defined, and it's something that's a  
29 global species, and what is that consultation process like, and  
30 is it going to create a larger burden on the process?

31  
32 **CHAIRMAN NANCE:** Lisa or John?

33  
34 **DR. FROESCHKE:** That's an interesting comment. I guess the long  
35 answer, regarding the consultation, is David Dale from the  
36 Regional Office is the best expert in the region, and perhaps,  
37 at a future meeting, we could get him in to kind of go over  
38 that.

39  
40 In a nutshell though, I have had a number of conversations with  
41 him, trying to understand the tradeoffs between having a more  
42 refined, if you will, core area of EFH versus a larger area and  
43 how that affects the consultation process. He has explained to  
44 me that the agency can consult regardless of this, but it does  
45 give them some additional authority, but, the way it's done now,  
46 if you look at any particular one -- For example reef fish EFH  
47 is an aggregate of all species and life stages.

1 Essentially, it's the entire inshore area, and it doesn't matter  
2 if an area falls into EFH for one species and life stages or  
3 twenty species across, but it's either yes or no. One of the  
4 potential benefits of this is it would go through more on a  
5 species-by-life-stage basis, and it would allow you to compare  
6 two areas that may both be EFH, but one may be EFH for one  
7 species and life stage, whereas another area might be EFH for  
8 twenty species across five life stages, and so you could compare  
9 them a little bit more and perhaps provide a little more  
10 information to the consultation process, but, again, I think we  
11 could get you some information from him.

12

13 **DR. MONCRIEF:** Thanks, John.

14

15 **CHAIRMAN NANCE:** Thank you. Benny.

16

17 **DR. GALLAWAY:** I want to express my -- That was an excellent  
18 presentation, and I think a real contribution -- Your proposed  
19 changes are a real contribution to refining the EFH, and it's  
20 something that is useful. I think, historically, EFH, as it  
21 has been defined, is so broad that it's almost not useful, but  
22 I see the combination of what you're doing as actually  
23 contributing something that -- To where we can use EFH in the  
24 way it was intended to be used.

25

26 I really like your proposed modifications, and I support some  
27 sort of tiered approach, where they're in the lead, so to speak,  
28 as defining EFH, and you drop back to whatever method you have  
29 to, given data availability. This is a really nice  
30 presentation. Thank you.

31

32 **CHAIRMAN NANCE:** Thank you, Benny. Lee.

33

34 **DR. ANDERSON:** Lisa, I also agree that that was a brilliant  
35 presentation, and I learned so much from that, and what really  
36 got me is that, if I was a council member, and I have been a  
37 council member for eighteen years on another council, and I had  
38 to vote on this, your explanation would have given me a lot of  
39 background, but this is a case where I hope that you and the  
40 other parts of the staff -- Members of the SSC like me, who are  
41 economists, are -- We know a bit about this stuff, but not  
42 enough to make a decision, and, if I remember my days as a  
43 council member, there's a lot of people that are very  
44 intelligent, but don't know much about this at all.

45

46 If they have to go through alternatives, they are going to,  
47 respectfully, need a lot of help, and I hope that, when this  
48 goes up, whatever level the decision is made on, we have staff

1 preferred alternatives.

2

3 Sometimes staff doesn't like to say, well -- They say it's up  
4 to the council, and, with this thing, I would think that we need  
5 a lot more advice on I would do this, for this reason, and stuff  
6 like that, and so I think it's brilliant, and I hope that it  
7 can be -- That you and the rest of the staff on this can stay  
8 and provide ongoing evaluations of it. Thank you very much.

9

10 **CHAIRMAN NANCE:** Thank you very much, Lee. Rich.

11

12 **DR. WOODWARD:** Thanks. I agree with Benny and Lee that this is  
13 a really interesting presentation. Benny said that this was  
14 allowing EFH to be used as it was supposed to be used, and I  
15 would like to know how does this affect fishery management plans  
16 and other things, and, obviously, the consequences of a large  
17 area versus a small area are important to know what are those  
18 consequences. If you define it really broadly, and there is no  
19 consequences, does it really matter?

20

21 The other question is that, in the regression tree approach,  
22 there were -- Well, first, gear was included as one of the  
23 variables, which doesn't strike me as really part of the  
24 habitat, and so that sort of surprised me, but I also -- The  
25 presence of artificial reefs, wrecks, oil and gas platforms,  
26 are also on the list, although lower down, and should those be  
27 included as habitat in analysis such as this?

28

29 **DR. HOLLENSHAD:** To get to your first question, I think you were  
30 asking -- As you were saying, how EFH is supposed to be used,  
31 and what does it mean if it's small or big, and, again, I guess  
32 I would have to revert back to the legal definition, and,  
33 unfortunately, this is where the science melts into the legal  
34 world, in that it's got a legal definition, and it's basically  
35 trying to conserve areas, and it recognizes that they are  
36 potentially areas that may be more, for lack of a better term,  
37 important than others, right, and so those areas where perhaps  
38 spawning aggregations may happen or areas where juveniles need  
39 to be able to grow to contribute to the adult population, and  
40 trying to figure out what that might be.

41

42 Unfortunately, depending on your methodology, you could end up  
43 doing something where you have maybe a pelagic species, and we  
44 have run into this issue, where you don't know a whole heck of  
45 a lot about the habitat, or are not able to use a method that  
46 will help with a little bit more precision, and then end up  
47 determining that the entire EEZ is EFH for that, and so you're  
48 being very conservative, but, again, maybe missing the mark,

1 and I believe that's what Dr. Gallaway was mentioning in terms  
2 of that.

3  
4 It's a little bit of a balancing act between the legal  
5 ramifications and the consultation progress, as well as the  
6 science, and so that's where we're trying to juggle there, and  
7 then your next question of why would we put in gears, one of  
8 the ways that -- Gear did come out, and we put it in mostly to  
9 see how it would interact and what the influence would be.

10  
11 One of the nice things about the boosted regression tree model  
12 is it uses a stage-based approach, rather than a step-wise, and  
13 so it can say -- The model can say, hey, this variable seems to  
14 be very important, and I am now going to investigate the other  
15 residuals in the model, but it leaves that gear component out  
16 of it, as opposed to a step-wise, that would maybe encounter  
17 that as well, and so it's a little bit more compartmentalized  
18 in the way it works.

19  
20 Certainly, at the SSC level, if that was something that you  
21 thought could maybe be left out -- It's something that I believe,  
22 and Dr. Froeschke can correct me if I'm wrong, that we can put  
23 these things into the model and see what it does, and then, when  
24 we use our predictive aspect of it, we could leave it out then,  
25 but it would allow us to interpret, perhaps, what we're seeing  
26 in that prediction output, and he can speak to that maybe a  
27 little bit more than I can, but I think that would be the idea  
28 as well.

29  
30 The artificial reef would be along those same lines, right, and  
31 so gear and artificial reef. If they could be put in the model,  
32 it would help us interpret our output as well.

33  
34 **DR. WOODWARD:** Let me just quickly follow-up, and so if the --  
35 If I found that an artificial reef, or let's say an oil-and-gas  
36 rig, were identified as critical to essential habitat, would  
37 that mean that -- Would that have implications for policy, in  
38 terms of whether that rig is removed from the Gulf, should it  
39 become inactive?

40  
41 **DR. HOLLENSEAD:** As of right now, artificial reefs, rigs, those  
42 things, are not considered EFH, and so I do not believe that it  
43 would have anything to do with that policy, but I will let John  
44 speak to that.

45  
46 **CHAIRMAN NANCE:** John.

47  
48 **DR. FROESCHKE:** In regard to that question, the way that EFH is

1 currently structured, and Lisa had it in the presentation, there  
2 are a number of habitat types, and so, in order to be EFH, there  
3 are, I guess, about a dozen different habitat types, and so  
4 those habitat types are mapped in XY space and then linked to  
5 the species.

6  
7 Right now, artificial reefs are not a recognized habitat type.  
8 However, if you look at maps of the Gulf, they may sit on the  
9 bottom, and so, for example, soft-bottom substrate is EFH for  
10 shrimp, and so many of those reside on EFH. At one point, and  
11 it was probably seven or eight years ago, the council briefly  
12 looked into considering artificial reefs as EFH, and there are  
13 a whole host of issues, and it didn't really seem to address  
14 this, but, right now, the removal of platforms and things is  
15 outside of the council process.

16  
17 However, given that they do occur in EFH, and, even if they  
18 didn't, the National Marine Fisheries Service does have the  
19 ability to comment on this, I believe.

20  
21 Just as a follow-up, one other thing, while I've got the mic.  
22 In regard to using the gear type, you're correct that that's  
23 not a habitat issue, and that's why it's in there, and so, if  
24 you think about the way that gears are used, the gear selectivity  
25 is not equal, and the gears are not placed randomly throughout  
26 all portions of the Gulf, and so that contributes to some  
27 variance, and so the gears are included in there as essentially  
28 a blocking variable to partition the variance of the sampling  
29 that is solely due to what we think is the gear effect, and so  
30 then the model -- Then you can look at that and make your  
31 interpretations of the map and try to remove that effect from  
32 the model.

33  
34 **DR. WOODWARD:** That makes a lot of sense. Thanks.

35  
36 **CHAIRMAN NANCE:** Thank you. Roy.

37  
38 **DR. CRABTREE:** I can comment on that consultation process and  
39 how all of this is used, and a lot of it is stuff that really  
40 the council, or you guys, would not see, but the Regional Office  
41 of the Fisheries Service has an Office of Habitat Conservation  
42 and a whole group of people whose job is to do essential fish  
43 habitat consultations, and so, if you are doing something in  
44 the EEZ that requires a federal permit, you have to consult with  
45 the Fisheries Service on what sort of impact you're going to  
46 have on essential fish habitat, and you have to find ways to  
47 minimize it.

1 Sometimes this involves huge projects, and the most recent  
2 example of big projects have been some of the port expansion  
3 projects that have gone on, the Port of Miami, Port Everglades,  
4 Savannah Harbor, where you're talking huge amounts of dredging  
5 and removal of materials in the Port of Miami and Port  
6 Everglades, and corals, and so it brings in, oftentimes,  
7 endangered species and protected resources.

8  
9 The Fisheries Service will engage in essential fish habitat  
10 consultations on all of those projects, and there will be a long  
11 negotiation that may go on, and this will be the Army Corps  
12 would be the federal agency permitting this and doing it, and  
13 so the Fisheries Service and the Corps might engage in  
14 negotiations literally for years on some of these big projects,  
15 to try to find the best way to do it and how to minimize the  
16 impacts on it.

17  
18 It also -- States have to come in and do essential fish habitat  
19 consultations for their artificial reef projects, because they  
20 are depositing stuff out on what is often essential fish  
21 habitat. If the Department of Interior wants to remove a rig,  
22 they would typically have to come in and do an essential fish  
23 consultation on the impacts of removing the rig, but that often  
24 more focuses on the use of explosives to remove the rigs, and  
25 so it kills animals and those kinds of things.

26  
27 The whole issue of artificial reefs as essential fish habitat,  
28 this has been kicked around for twenty years or more, and I have  
29 always found it to be really a stretch and difficult to accept  
30 that anything that is manmade and not natural to begin with is  
31 essential to the proper functioning of a habitat or a species,  
32 because none of that stuff was there until people started  
33 putting it there, and these species and the ecosystem was  
34 perfectly healthy, and so it changes things.

35  
36 You can argue all you want about how it affects productivity  
37 and some of these things, but a lot of these artificial  
38 structures are on and are in areas that have been designated as  
39 essential fish habitat, but that's really most of the impact of  
40 these designations, is in the consultations that go on between  
41 the Fisheries Service and these other agencies.

42  
43 They do have significant impacts, and they have resulted in a  
44 lot of seagrass being preserved and a lot of good things being  
45 done to prevent destruction of these habitats, but, ultimately,  
46 in the end, it's a negotiation, and the essential fish habitat  
47 recommendations are not binding on the federal agency, and they  
48 don't necessarily have to go along with them, but, if they

1 don't, they have to put down in writing why it is they can't  
2 and why they're not doing it, and so that's kind of, briefly,  
3 how the process goes.

4  
5 **CHAIRMAN NANCE:** Thank you. David Chagaris.

6  
7 **DR. CHAGARIS:** Thank you, Lisa, for the presentation. I thought  
8 it was really clear and informative, and I agree with the other  
9 members that a more refined EFH designation would make sense.  
10 I mean, some of these EFH maps, as others pointed out, are  
11 basically the entire shelf, and I do like some of these modeling  
12 approaches, but there are maybe some pitfalls to those as well.

13  
14 As somebody else pointed out, the data don't always have  
15 comprehensive coverage, spatially, and like, for example, that  
16 last map that you showed for Option 4 for gag grouper, my -- I  
17 suspect that that map is largely informed by the Pascagoula and  
18 Panama City sampling dataset, the camera dataset, but, if you  
19 were to include the more recent FWC data -- Because that's where  
20 they sample, is right where those hotspots are on that map, but,  
21 if you were to include the more recent FWC data, and the combined  
22 dataset, you would probably get a quite a bit different map.

23  
24 I am saying this just that, if it's in your mind that these  
25 models are going to be done in some kind of wholesale approach,  
26 that you could come into some issues there, and I would recommend  
27 thinking carefully about the datasets that you're using in each  
28 of those models. If there is one good dataset, I would recommend  
29 trying that, and this is coming from experience. We have tried  
30 modeling some of these distributions with these same datasets  
31 for some of our ecosystem modeling work, and so that's just a  
32 note of caution there, that the data that you're using are going  
33 to influence those maps.

34  
35 Then the other, I think, major underlying issue with those two  
36 approaches is that we're treating species distribution maps as  
37 essential fish habitat, but those maps are coming from data, as  
38 I said before, that aren't collected comprehensively, but  
39 they're also coming from data derived from a system that has  
40 had local depletion and things like that, and so, just because  
41 this is where the data say the fish are now, it doesn't  
42 necessarily mean that that's the only essential fish habitat,  
43 and so I think that that issue will be there.

44  
45 Like, for example, what we do with our spatial ecosystem models  
46 is we actually -- We use generalized additive models to define  
47 the preference for different habitat types, and then we predict  
48 those over maps of those habitats, and we get these spatial

1 predictions of what we call habitat capacity, and that's like  
2 in the static form, but, as the simulations play out over time,  
3 the actual abundances tend to diverge from that initial habitat  
4 capacity, and that's due to things like exploitation in the  
5 nearshore environment over time, as the nearshore portion of  
6 the population becomes depleted.

7  
8 Just keep in mind that those processes are in place and that  
9 the species distribution maps might not always identify where  
10 the essential fish habitat would be, but thank you.

11  
12 **CHAIRMAN NANCE:** Thank you. Will.

13  
14 **DR. PATTERSON:** Thanks, Jim. Lisa, really nice job here. I  
15 like the direction and the more quantitative approach to trying  
16 to define EFH. Dave's comments had a little bit to do with what  
17 my, I guess, concern here, or not really concern, but just  
18 things to look for.

19  
20 You talk a bit about process error in your presentation, and,  
21 obviously, modeling error, using different approaches, to try  
22 to estimate the distribution of EFH, but I think measurement  
23 error is something that should be, perhaps, more closely  
24 considered here, and Dave mentioned the issue of exploitation  
25 and where species are today, versus where there is capacity for  
26 them to be.

27  
28 The second thing is just our knowledge of the habitats  
29 themselves is pretty incomplete, and so I would think that would  
30 be a challenge to your endeavor here, and, obviously, you have  
31 probably considered this already and have plans for trying to  
32 address it.

33  
34 In one of the early maps you showed on gag, I found it  
35 interesting, where you were mapping EFH based on SAV and hard-  
36 bottom habitat, but there was this big area of the Big Bend,  
37 for example, which is known to have lots of seagrass habitat  
38 and is important for young gag, as they're moving offshore, but  
39 that didn't really show up in your model, and so, when you're  
40 considering these different habitat layers, the question of what  
41 are we missing I think becomes really important.

42  
43 Not only from the species perspective, about what anthropogenic  
44 effects could be affecting where current distributions are, but  
45 just that we've got incomplete knowledge of where the habitat  
46 itself actually is.

47  
48 **CHAIRMAN NANCE:** Thank you, Will. Dave Griffith.

1  
2 **DR. GRIFFITH:** I also wanted to thank Lisa for giving a wonderful  
3 presentation, and then I also wanted to thank John and Roy for  
4 pointing out how they consider -- How this is used in management  
5 circles and also how they are considering things like artificial  
6 reefs and gear.

7  
8 Personally, as a social scientist, and I have always considered  
9 humans as part of the system, and so they really are part --  
10 They have been part of essential fish habitat for thousands of  
11 years, and so these -- I would advocate keeping in things like  
12 platforms and artificial reefs and gear, of course, because they  
13 do affect the reproductive fitness of these species.

14  
15 For submerged aquatic vegetation, one of my students did a study  
16 that showed, in the Albemarle Sound, the human impacts on SAV  
17 was quite substantial, and it really affected the nursery areas  
18 in the Albemarle Sound, and so I think we have been a part of  
19 the system for many generations, and so I would advocate keeping  
20 that kind of stuff in the model and in the mapping. Thank you.

21  
22 **CHAIRMAN NANCE:** Thank you. Thank you for that comment. Trevor.

23  
24 **DR. MONCRIEF:** I just wanted to follow-up on what Roy had, real  
25 quick, and, if I didn't say it before, the presentation was  
26 wonderful, and it was very enlightening to me, and I'm still  
27 just trying to understand it, I think more from a higher level,  
28 but John said that, before, it was bulk species, right,  
29 everything all in one, and what we're talking about now is  
30 establishing EFH for various different species, and this might  
31 not be a question for you, and it might be a question for when  
32 we get some more explanation, but let's say we do something  
33 right in the middle of the Gulf of Mexico, around hardbottom or  
34 anything else, and it lines up with twelve of the fourteen  
35 species.

36  
37 Does that mean that a consultation is going to have to be had  
38 and a response is going to have to be written for every one of  
39 those species that falls within there? I'm just trying to think  
40 that, if it already takes years on end, I would hate to create  
41 an entirely new burden by adding all these different species  
42 consultations across-the-board, when a lot of them are using  
43 this habitat in the same way, and using it for the same reasons,  
44 and that's all.

45  
46 **DR. CRABTREE:** Well, I mean, it would only trigger a consultation  
47 if there was some federal action, and so like the Army Corps  
48 was going to issue a permit to someone to do something, and that

1 is the case -- For example, if an oil company wants to go out  
2 and drill an oil well, there are going to be permits issued,  
3 and there would be a consultation on it, but some of these  
4 consultation are done very quickly.

5  
6 Sometimes we look at it and we don't think there's any effect,  
7 and some projects we just don't consult on, because we think  
8 the impacts are minimal, and we don't have staff to do all of  
9 them, and so it varies. The projects that typically take years  
10 of negotiation are projects where the development of an EIS to  
11 do a major port expansion -- I mean, that takes years to do, to  
12 begin with, and for the whole project. They're huge, and the  
13 engineering companies that come in, and so sometimes you have  
14 to write an environmental impact statement and go through that  
15 whole process.

16  
17 Other things are much quicker and much smaller, and so it just  
18 varies, but there has to be some federal nexus to where there  
19 is a federal action taking place.

20  
21 **CHAIRMAN NANCE:** Paul.

22  
23 **DR. MICKLE:** Thank you, Lisa, and I really enjoyed the  
24 presentation. I am going to kind of echo Dave Chagaris' and  
25 Will Patterson's comments with a couple of examples, but the  
26 EFH is incredibly complex, and hitting the mark dead on is  
27 almost impossible, when you start thinking about habitat  
28 selectivity for basic food resource reproduction, refugia,  
29 predation, and even social interaction with some species.

30  
31 You can get into age classes. Years ago, we tackled it through  
32 occupancy index with acoustic telemetry, and we came up with a  
33 new method, and I can't believe it made it through peer review,  
34 because it was so weird, but it did, but there are a lot of ways  
35 to look at it, but really understanding -- A lot of the work  
36 done with spotted seatrout came out of Florida, and seagrass,  
37 seagrass, seagrass, and nothing else, and it really affected  
38 management decisions in the rest of the Gulf.

39  
40 Yellowtail snapper, the reefs are dying in the Keys, the habitat  
41 reefs, and the reefs are in terrible shape, and yellowtail  
42 snapper are doing pretty good. Really, my point is spatial  
43 sampling, with the presence/absence, and make sure that  
44 everything is sampled, so you have no spatial selectivity with  
45 your presence/absence independent and dependent.

46  
47 My only question is I saw you talked about independent data in  
48 the presence/absence, and what about the dependent data? Did I

1 just miss that in the second model that you presented? How does  
2 the dependent data make its way into the second model type that  
3 you presented? I may have just missed that, Lisa, and thank  
4 you.

5  
6 **DR. HOLLENSEAD:** I will have to double-check which exactly  
7 surveys went into the model, and I believe they were primarily  
8 independent. There are some fishery-independent, and John is  
9 indicating that there are a couple, but I would have to go back  
10 and look at the code, to see what we actually put in.

11  
12 **DR. MICKLE:** I love the second method, and I think it's great.  
13 I love the complexities of it, and I have no issues with it,  
14 and I'm thinking of the science and not the management side of  
15 some of this discussion, but I think most of my reservations is  
16 on the frontend, of taking the peer-reviewed literature that's  
17 out there.

18  
19 In some areas of the Gulf, it's dominated by certain regions of  
20 the Gulf, and that's just -- Once you identify what habitat  
21 types are for each species, you're probably getting that from  
22 the literature, and that can be very dangerous, and, again,  
23 spotted seatrout is a perfect example.

24  
25 It was all done in Florida, and it's seagrass was the most  
26 important thing of spotted seatrout production, and, in  
27 Louisiana, there is virtually none, and, in Louisiana, there is  
28 ten-times more trout than -- You could put Florida ten-times  
29 over, and there is more over in Louisiana.

30  
31 The conditions are higher on the fish, and there is no seagrass  
32 at all, but, when everyone is screaming the literature out  
33 there, and the EFH are set up on state levels -- Even the  
34 restoration process, there was so much money wasted on trying  
35 to restore seagrass when it shouldn't be in an area of the Gulf,  
36 just because the literature was screaming it out, and so a Type  
37 II error can be created even before you start crunching numbers,  
38 because of spatially-biased, I guess, perception of habitat.  
39 Does that make sense?

40  
41 **DR. HOLLENSEAD:** Yes, and I think -- That's what we were actually  
42 trying to get at with sort of like the boosted regression tree  
43 model, where you had that primarily example where some  
44 literature -- The study was only done maybe in one portion of  
45 the Gulf, and now it's like, well, we're going to expand this  
46 out here, which is a potential problem and something we were  
47 trying to address, using these other methodologies.

1 **CHAIRMAN NANCE:** John, to that point?

2  
3 **DR. FROESCHKE:** Yes, and, if you dig into the weeds on how EFH  
4 is done in the Gulf right now, and so there's two -- There's  
5 actually one other layer, and so there is the habitat types,  
6 and then there are ecoregions, and so, essentially, these  
7 portions, and so what that does allow, and you're correct that  
8 it's important that we figure out the linkages, but it does  
9 allow that, for example, a habitat type, say seagrass, that is  
10 recognized as an EFH for spotted seatrout, which we don't  
11 manage, but, as an example, in Florida, an ecoregion, and I  
12 don't know if that's 5 or 1, and I can't remember, but it doesn't  
13 necessarily mean that that is a recognized habitat type and that  
14 linkage is the same in Ecoregion 3 or 2 or 1.

15  
16 It's possible that you could get those sort of interactive  
17 effects of different habitat types that provide different  
18 ecological functions for species in different regions of the  
19 Gulf, and that is possible, through the way that we do that,  
20 but it does require that you have a good -- That your  
21 understanding of the linkages are correct, and I think there is  
22 room for improvement there, and I think, in some cases, there  
23 are some errors in what we have now.

24  
25 **CHAIRMAN NANCE:** Paul, to that point?

26  
27 **DR. MICKLE:** Thank you, John. Exactly, to that point, but an  
28 example of still missing the mark there would be a species in  
29 one part of the Gulf may be opportunistic with habitat. In  
30 other parts of the Gulf, it may be a specialist, or highly  
31 selective, and, if that's missed, then it's just the independent  
32 sampling -- I don't know how to approach it, but there needs to  
33 be caution in the frontend, because species do different things  
34 in different areas of the Gulf, and, when they're categorized  
35 in one area, even within an ecoregion, it can be quite dangerous.  
36 Thank you.

37  
38 **CHAIRMAN NANCE:** Thank you. Lisa.

39  
40 **DR. HOLLENSSEAD:** Just, to that, I mean, these are pretty broad  
41 ecoregions that we're assigning as well, and there's only five,  
42 and so, even within that, I can see your point.

43  
44 **CHAIRMAN NANCE:** Rich.

45  
46 **DR. WOODWARD:** Just a couple of quick follow-ups. First, based  
47 on Roy's comments, it seems like any expansion that heads in  
48 the direction of shore is going to end up being very expensive,

1 potentially, if it leads to a net increase in EFH, and so there's  
2 going to be a lot of pushback, and we need to make sure that  
3 the science is really, really solid as you move closer to shore,  
4 it seems to me.

5  
6 Then, also, on sort of echoing some of David Chagaris' comments,  
7 any of these data-driven approaches are going to be backward-  
8 looking. I mean, if you see habitat declining sort of over  
9 time, and species abundance declining over time, the area of  
10 which that are identified as essential is just going to keep  
11 falling, and, obviously, everybody is very much aware of that,  
12 but that's just a concern that we need to make sure is reflected  
13 in the analysis.

14  
15 **CHAIRMAN NANCE:** Thank you very much. Lisa, we appreciate your  
16 presentation. I think we've provided some very good comments  
17 and recommendations. John.

18  
19 **DR. FROESCHKE:** Sorry. I can't help myself. Just trying to  
20 think about how to move this along, I mean, it definitely seems  
21 like we have some homework to do, as far as digging a little  
22 deeper in the data and things, but, as far as the big picture,  
23 does there -- Is there a consensus about some of these methods?  
24 Should we keep working on all of them, or should some of them  
25 be abandoned? Do you have thoughts on that that we could kind  
26 of put a bow on, and so we would know how to respond to the  
27 feedback?

28  
29 **CHAIRMAN NANCE:** Trevor.

30  
31 **DR. MONCRIEF:** Do you mind pulling up that options list, real  
32 quick, so we can look at it again?

33  
34 **CHAIRMAN NANCE:** Certainly, in my opinion, we want to start  
35 moving away from Alternative 1. I really liked what we were  
36 doing with the kernel density estimates, and I thought that  
37 looked like a very interesting approach that could be tried with  
38 some different species, and, for those species that we can't do  
39 anything with, then I think Alternative 2 would be where we  
40 would like to go, and that's my opinion. Mandy.

41  
42 **DR. KARNAUSKAS:** I am thinking about Dave and Will's comments  
43 and wrapping my head a little bit more around what was done  
44 here, and I just had another thought. Looking at Slide 34, for  
45 example, there is really an impressive number of habitat  
46 variables that have been compiled here, and, I mean, it's really  
47 quite thorough and impressive, and, to get at Dave's and Will's  
48 point regarding the sort of sampling biases, I think there's a

1 fundamental question, or decision point.

2

3 I guess the question is do we create these species distribution  
4 models and then assume that every habitat laying underneath  
5 those models is essential fish habitat, which I think is the  
6 current path that you're going, if I'm not mistaken, or an  
7 alternative would be to look at some of the species response  
8 curves on Slide 35, for example, and we were actually looking  
9 at how the species is reacting to each of these habitat variables  
10 and, if there is a habitat variable that is particularly  
11 influential, in terms of its percent variance that's being  
12 described, those would be the candidates for definition of  
13 essential fish habitat.

14

15 That might get at some of the issues that Dave was talking  
16 about, and so I think the approach, the methodology, is really  
17 valuable, and, again, it's very impressive what's been done,  
18 but I wonder if we need to be looking more at the species  
19 response curves, as opposed to just the distribution maps  
20 themselves.

21

22 **CHAIRMAN NANCE:** Thank you. Sean.

23

24 **DR. POWERS:** Getting back to the kind of consensus I heard, and  
25 I support, is Option 3 for those -- Alternative 3 for those  
26 fourteen species that we could do, and, when we have to fall  
27 back to Alternative 2, then that's the plan.

28

29 **CHAIRMAN NANCE:** Will.

30

31 **DR. PATTERSON:** I support actually using sort of a hierarchical  
32 approach here, because sometimes you're not going to have the  
33 data available for more quantitative methods, but I think, in  
34 the end, I think it's also probably important, and Mandy's  
35 comments kind of touched on this a bit, about presence/absence  
36 versus what it truly means to be essential.

37

38 I mean, if you go back to some of the work that Mike Beck and  
39 others did in the early 2000s, talking about, you know, what is  
40 EFH and that there are different levels of information that can  
41 be used to define what EFH is, and presence/absence is really  
42 the lowest level, and then you get into population demographic  
43 information and then eventually to estimating production,  
44 habitat-specific production.

45

46 There can be some really small habitats that produce a  
47 disproportionate amount of production for a given species, and  
48 so, from a production-based perspective, that would be the

1 essential habitat, or, alternatively, if most of the production  
2 comes from widely-distributed habitat, that doesn't -- It's not  
3 really distinguishable, from a production on a per-unit area  
4 basis, from other habitats, but, just by its expanse, it's  
5 producing most of the biomass for a given species.

6  
7 I think I'm not sure, in the context of this analysis, how to  
8 fold in that other -- The levels of -- From presence/absence  
9 all the way up to production-based estimates of what is EFH,  
10 but I do think that that needs to be considered somewhere in  
11 here, but, as far as the options that are shown here, I don't  
12 necessarily think that you have to pick one or another. It just  
13 seems, to me, that you should have sort of a hierarchical  
14 approach, and you should be as quantitative as you can be, given  
15 the data for a given set of species.

16  
17 **CHAIRMAN NANCE:** Thank you very much. Josh.

18  
19 **DR. KILBORN:** Thank you, Mr. Chair, and thank you, Lisa, for  
20 the presentation. I guess I agree with what Will was saying  
21 about the hierarchical approach, and I do think that it makes  
22 sense to kind of work you way down from the more complex models,  
23 based on the data that you have available.

24  
25 However, I'm a little cautious, because we've already pointed  
26 out some potential biases regarding sampling that could affect  
27 Alternatives 3 and 4, and I don't know that it would be -- I  
28 don't know how smart it would be to jump right on those methods  
29 without first trying to account for some of these other things,  
30 and so I'm a little hesitant to -- As much as I really do like  
31 both of those alternatives, because I think the methodology is  
32 really promising, I just want to make sure that we're being  
33 careful about the application of those methods, because there  
34 is the potential to get a lot wrong, if we don't really, really  
35 pay close attention to the data that we're putting into those  
36 models.

37  
38 All of that being said, I also agree with the chair that we  
39 should probably be moving away from Alternative 1 and moving  
40 into Alternative 2 wherever it is possible, and so those are  
41 kind of my general comments on that stuff, and then I also think  
42 that it's important that we do pay attention to things like  
43 mobile habitat, like sargassum, which is starting to become  
44 important for things like amberjack and king mackerel and things  
45 like that, and we know that they take advantage of that habitat,  
46 but we don't really know the extent to which they take advantage  
47 of it, and so some of the work, like what Frank Hernandez and  
48 his group is working on, is going to be really useful and

1 influential moving forward, but that's not complete yet.

2  
3 Again, I think there's some stuff that we're kind of not paying  
4 attention to fully that is going to be important moving forward  
5 when -- That will allow us to use Alternatives 3 and 4 in a more  
6 efficient and correct way, for lack of a better term, and so,  
7 yes, that's basically what I have to say about that. Thank you.

8  
9 **CHAIRMAN NANCE:** Thank you. Those are very good comments, and  
10 so the Alternative 2 -- It looks like to move towards Alternative  
11 2 with some research being done to see how well Alternative 3  
12 and 4 pick up the different things and any issues with those.  
13 Any other comments from the group? Okay. Thank you again,  
14 Lisa, for that presentation. It was excellent. Let's go ahead  
15 now and move into I guess Number XXV, Topic Leaders, from Ryan.

16  
17 **DISCUSSION OF TOPIC LEADERS FOR AGENDA ITEMS**

18  
19 **MR. RINDONE:** Previously, during the last three-year SSC term,  
20 something that Dr. Joe Powers had introduced, to try to  
21 facilitate more involvement by different members of the SSC,  
22 and also to reduce some of the lift on the Chair position, was  
23 this idea of topic leaders for different agenda items.

24  
25 This wouldn't apply to every agenda item, and some things staff  
26 will just take the lead on, and some things the Chair would take  
27 the lead on, but, if there were items that were keenly suited  
28 to a particular SSC member's area of expertise, then that SSC  
29 member could serve as the topic leader for that agenda item.  
30 Let me pull up the agenda, so I can pick on a few of you and  
31 use you as examples.

32  
33 **CHAIRMAN NANCE:** It did last for one session, and then we didn't  
34 do it anymore.

35  
36 **MR. RINDONE:** It lasted a few, actually. I think some -- I know  
37 that like Kai had served as one, and I think Doug had done it a  
38 couple of times, and I think Will had done it once, and so a  
39 couple of times different -- John had done it once.

40  
41 Things like the discussion document on SSC best practices and  
42 voting procedures, like that's definitely an SSC Chair and  
43 council staff lead thing to lead, a staff lead thing to lead,  
44 but, if we scroll down to something like the discussion of the  
45 research track and operational assessment process, if there was  
46 an SSC member, and I will pick on Will Patterson here, that has  
47 extensive experience participating in the SEDAR process, both  
48 pre and post-genesis of the research track and operational

1 assessment evolution of SEDAR, then that SSC member might be  
2 well equipped to be able to lead the discussion and talk about  
3 the differences and things like that and help provide an SSC  
4 member's perspective on those changes, good, bad, and  
5 indifferent.

6  
7 The same for some of these different species that we might be  
8 talking about. If an SSC member has spent a lot of time working  
9 recently on serranids, then, something associated with grouper  
10 in the Gulf, they might be keen to be able to inform about.

11  
12 We've talked about things -- I will pick on Dr. Scyphers here.  
13 We have talked about the Something's Fishy tool in the past,  
14 and Steven has been a great source of information for giving us  
15 perspective on how to better structure that tool to be more  
16 helpful, and so, if we were talking about that specifically, he  
17 would be a good person to lead a discussion on something like  
18 that.

19  
20 These are just ways to get more of you involved in different  
21 parts of the agenda, and, if this is something that you guys  
22 would like to revisit and get back off the ground, we certainly  
23 can do that, and so I'm just kind of looking for a little bit  
24 of feedback from the group and the Chair on this.

25  
26 **CHAIRMAN NANCE:** I appreciate that. It's one of those things  
27 where, from an expertise standpoint, a lot of you guys really  
28 have great expertise in those, and so, if we're going to go down  
29 this road, we each need to be willing to do that. Will.

30  
31 **DR. PATTERSON:** Thanks, Jim. I agree with that statement, and  
32 so we tried this once, and there were a handful of times when  
33 folks led discussions on a given topic, other than the Chair.  
34 I am not really sure why this didn't take off more when we were  
35 doing it, or why it sort of just kind of trickled away.

36  
37 I do think that Jim Nance's first meeting here in the Chair's  
38 chair has been really effective, and I am not sure we need topic  
39 leaders, and I think, if there were a vote for Chair for Life  
40 today, I think I might cast a positive vote here, and so I think  
41 that has some bearing on whether we approach it this way or go  
42 back to trying to do the leadership thing.

43  
44 **CHAIRMAN NANCE:** Here's what I would suggest, and I appreciate  
45 that comment, but a lot of you guys have real good expertise in  
46 these areas, and I may not, but you all -- On discussions and  
47 things, you always speak up, and that's good, but are there --  
48 I guess, as we look at topic items for the next meeting, I would

1 appreciate maybe, if you have an expertise in that, let me know,  
2 so that you can -- I can say, okay, you can lead the discussion  
3 and things like that, because I'm not going to know, for each  
4 one of you, where your expertise lies.

5  
6 I have a good idea for some, but not all, and I think that would  
7 be a good way to do that, because I know that your input is  
8 invaluable in these discussions, and so maybe that's the way to  
9 go, is, instead of me trying to figure out who to assign to  
10 something, it's that you let me know that you would be willing  
11 to provide some expert discussion in that topic, or lead a  
12 certain portion of that, and that may be the way to go. David.

13  
14 **DR. GRIFFITH:** Actually, I was going to suggest something very  
15 similar along those lines, in that you could still chair the  
16 sessions, Jim, but those of us who have certain areas of  
17 expertise on certain topics and could volunteer to assist in  
18 the discussion, or maybe be listed as somebody who would give a  
19 brief presentation or something like that, as long as we were  
20 provided the agenda ahead of time and could look it over and  
21 say, yes, I know a little bit about this, and I would be willing  
22 to talk about this aspect of it, and so that's all.

23  
24 **CHAIRMAN NANCE:** Thank you. Jim.

25  
26 **DR. TOLAN:** Thank you, Mr. Chairman. First off, I will second  
27 Will's nomination for Chair for Life, but I think this meeting  
28 has gone remarkable well, and, for your very first one, it was  
29 a really good meeting.

30  
31 My perspective of the topic leaders, it's a good idea, but it  
32 came across as a little bit clunky, because of the formality  
33 that we run our meetings at, and I think most of the people that  
34 have a good deal of insight, or expertise, for some of these  
35 different topics -- I think, most of the time, they do speak  
36 up, and so things, from my end, have gone pretty well up to this  
37 point, and so I don't really see the need to institute this  
38 formal topic leader.

39  
40 I like your idea of just reaching out to folks when an agenda  
41 item comes up and say, you know, will you help out with this  
42 topic coming up, but I think this meeting has gone very well,  
43 and so thank you.

44  
45 **CHAIRMAN NANCE:** Thank you, Jim. Sean.

46  
47 **DR. POWERS:** I am just with Will and Jim, and I don't want to  
48 add too much more, because I agree that I don't think that it's

1 essential right now, but I encourage people to reach out to Jim  
2 and to give him a hand.

3  
4 The other thing I would like to say is one of the reasons I  
5 thought this evolved, when Joe was doing it, is we had some  
6 meetings, and maybe it was COVID, and maybe it was a variety of  
7 reasons, that Joe just had a problem getting people to have  
8 conversations and discuss things for a while, and this has  
9 definitely been one of the more interactive SSC meetings that I  
10 remember, and so I think part of the reason was just stimulating  
11 conversation and opinions and getting people to talk, and, based  
12 on this meeting, I don't think that's a problem.

13  
14 **CHAIRMAN NANCE:** Paul.

15  
16 **DR. MICKLE:** I agree with pretty much everybody. Most of the  
17 topics don't have problems getting conversation. Jim, I would  
18 say it's up to you. If you see a -- You know the topics well  
19 enough, and the agenda items well enough, for you to know if  
20 there might be some prodding needed to get some information, or  
21 to get some folks to talk up, or, if we dive into some of the  
22 disciplines that the Standing folks don't have the backgrounds,  
23 the economics and the social parts and those things, obviously,  
24 maybe we want to -- You might want to just politely ask, before  
25 a meeting, for a leadership in that role.

26  
27 I just want to tip my hat to Tom Frazer, and he's so good on  
28 the council level of encouraging conversation, even when folks  
29 don't want to do it, and sometimes he's gotten me to talk, and  
30 I didn't even want to talk, and he got me talking, and I didn't  
31 even realize that he got me talking, and so it's a true talent,  
32 and I just have to say that, but, Jim, you've done that as well  
33 at this meeting, and so I don't think there's a formal need for  
34 it, but, again, I think, just perusing the agenda before each  
35 meeting, and that's your call, as Chairman.

36  
37 If you see something that there hasn't been conversation in the  
38 past on, you may want to reach out, and I would encourage you  
39 to reach out to whoever you wanted to to do that, and that's  
40 the role that you're -- The last thing I will say is leading  
41 conversations at a hybrid meeting seems like a disaster, if you  
42 have someone virtually trying to come in with audio issues and  
43 trying to lead a conversation, and that would kill efficiencies  
44 of what we're always trying to stay on top of.

45  
46 **CHAIRMAN NANCE:** It does make that difficult, for sure. What I  
47 would suggest, and we don't need maybe a formal recommendation,  
48 Ryan, but, as we get the topics for the agenda, I would encourage

1 each one of you to reach out to me and let me know that you have  
2 an expertise that you would like to talk about, that type of  
3 thing, or part of that discussion, and I would love to hear from  
4 you and be able to know that you would be able to do that. I  
5 know most of you pretty well, that I can figure out where your  
6 expertise is in, through the years, but I think you can reach  
7 out to me, also.

8  
9 **MR. RINDONE:** So noted. All right. Next is Public Comment.

10  
11 **CHAIRMAN NANCE:** Public Comments, and I guess we'll go ahead  
12 and turn the time over for public comments. Jim Tolan.

13  
14 **DR. TOLAN:** Actually, this is a follow-up to the last thing you  
15 were talking about, but it could actually be rolled into public  
16 comment, but I really would like to hear some of the brand-new  
17 members, how they thought this went, being their first meeting,  
18 and I haven't heard a whole lot of them speak up, and so I'm  
19 just curious of their initial thoughts on their first SSC  
20 meeting.

21  
22 **CHAIRMAN NANCE:** I think the new members have really spoken up  
23 at this meeting. I have had to keep Paul from talking as much,  
24 but, for that, it wasn't that bad.

25  
26 **MR. RINDONE:** We just walk over to Paul's mic and unplug it  
27 every now and then.

28  
29 **DR. POWERS:** It is hard to get Roy to --

30  
31 **CHAIRMAN NANCE:** It is, but I have been very encouraged, and I  
32 share Sean's comment that I have been very encouraged by this  
33 meeting. It has been very good discussions on all the different  
34 topics, and I truly appreciate that.

35  
36 **DR. TOLAN:** Are there any of the new members joining virtually?

37  
38 **CHAIRMAN NANCE:** Well, for the SSC, I think we have most of the  
39 new members -- We've got four new members that are here on  
40 campus, but I think, for all of the other -- We have a couple  
41 that are not, but we've got four new members that are here in  
42 Tampa, and I think we have most of the Special SSCs, Reef Fish  
43 and Economics, and some of those members are not present here  
44 in Tampa.

45  
46 **MR. RINDONE:** Some of your new members are Luke Fairbanks, Mike  
47 Allen, Steve Saul, Josh Kilborn, and we've heard from just about  
48 everybody, I think, and so we definitely appreciate you guys'

1 active participation.

2

3 **DR. TOLAN:** I guess the whole point of me bringing this up was  
4 just to welcome everybody, and so thanks.

5

6 **CHAIRMAN NANCE:** Thank you, and it does -- Having this hybrid,  
7 there is always pros and cons to that, but I do think having at  
8 least some body here in Tampa has helped in the discussion,  
9 because, when we were all virtual, it was more difficult to prod  
10 people to talk and things.

11

12 **DR. CRABTREE:** I definitely agree with that, and I think the  
13 meeting has gone well, but I think getting back to being here  
14 in person, and particularly getting the Science Center folks in  
15 person to do the presentations, that makes a huge difference.

16

17 **CHAIRMAN NANCE:** Jack.

18

19 **DR. ISAACS:** I agree that this has been a very engaging meeting.  
20 Truth to tell, some of the online meetings were hard for me to  
21 give the proper level of concentration to, but that's just  
22 entirely my fault. I think the SSC, very properly, focuses most  
23 of its attention during these meetings on the biological  
24 modeling and such, but we all agree that economic and  
25 socioeconomic aspects are also very important for informing the  
26 council on its decisions.

27

28 I would like to draw everybody's attention to some of the really  
29 neat stuff in the red grouper report that we had here, and  
30 Assane and Matt and Mike Travis did some really good stuff, just  
31 pulling together all sorts of data that I found most  
32 illustrative, and I really, really liked it.

33

34 One thing that they did that I have started doing with shrimp  
35 and oysters and things over in Louisiana is not just looking at  
36 the landings of those things, but trying to put the landings  
37 for a particular type of seafood into perspective for the total  
38 landings of the people who harvest that type of seafood, and I  
39 think that gives you some idea of the degree of dependence that  
40 the folks have on that particular type, and that's most helpful  
41 to me.

42

43 I also wonder if we might be able to get some input from the  
44 council on how helpful they found that information informing  
45 their own decisions. In the past, that always hasn't been  
46 communicated to me, and, if that were somehow shared with me, I  
47 would be most appreciative. Thank you.

48

1 **CHAIRMAN NANCE:** I guess council staff, or do you want the  
2 council itself?

3

4 **DR. ISAACS:** I will leave that up to you.

5

6 **CHAIRMAN NANCE:** Okay. I think we can maybe -- When I am there  
7 at the council, I can kind of ask that question. Lee.

8

9 **DR. ANDERSON:** I want to follow up on Jack's comment, and I feel  
10 that there's a lot of things going on that the economists --  
11 There is some economic-related topics that the SSC could look  
12 at, but they just haven't, and I think, if I can come in  
13 periodically and talk about stock assessment aspects, my  
14 colleagues of other disciplines can come in and talk  
15 knowledgeable about some of the other things, and one thing I  
16 was -- I don't want to raise any problems here, but I was a  
17 little disappointed that I heard that there's a snapper  
18 reallocation going on, and that was never brought up in any  
19 phase to say we would like the SSC's evaluation of it.

20

21 Something of that big of a biological nature, it certainly would  
22 have been, and I think that may be just because it's never been  
23 done. Maybe they don't want to hear from us, and I don't know,  
24 but I would hope that the council representative here would take  
25 back to the council that the group that we have here can talk  
26 about a lot of things and not just biology. Thank you.

27

28 **CHAIRMAN NANCE:** Red snapper was never one of the topics we had  
29 on reallocation, for sure. Tom.

30

31 **DR. FRAZER:** I just wanted to weigh-in on that last comment,  
32 for sure. I mean, I think it's -- I think everybody recognizes  
33 that the decisions that are made at the council level depend  
34 not only just on the biology, right, but the socioeconomic data  
35 and the interpretation of those data, and it's, admittedly, a  
36 weak part of the process, and so I think every member on the  
37 council would be very, very pleased to have more complete and  
38 informed discussions on that part of the process. I will  
39 certainly -- I know that Jim will raise that point at the council  
40 meeting coming up in San Antonio, and I will work on it a little  
41 bit as well, but I do appreciate the comment.

42

43 **CHAIRMAN NANCE:** Thank you, Tom. Mandy.

44

45 **DR. KARNAUSKAS:** I am wearing my Science Center hat here, but,  
46 since we're on the topic of other sort of areas that the SSC  
47 could discuss and other sort of areas of expertise that could  
48 be presented, I wanted to point out that the Science Center does

1 a lot of work on ecosystem factors impacting the stocks, and a  
2 lot of these issues came up, and Doug talked about the impacts  
3 of water temperature on king mackerel, and we talked about red  
4 tide, and so I just wanted to highlight that the Science Center  
5 does do a lot of work in these areas, and there is other  
6 information that could be presented to the SSC, if that's of  
7 interest.

8  
9 **CHAIRMAN NANCE:** Thank you. Lee and Jack, I greatly appreciate  
10 your comments, for sure. Sometimes it seems like we overlook a  
11 lot of the economics and social and that type of thing. I  
12 remember, way back in the 1980s, Tony Peritus, a sociologist  
13 that I was dealing with on the Texas closure, came to the SSC  
14 meetings, and he was the only sociologist there, and so it was  
15 always, Tony, do we have any comments on sociology, and, in  
16 fact, he wrote a paper on that, and it was kind of a funny  
17 little paper that he had on dealings with the Gulf Council, and  
18 so that is certainly one of those things well taken. Okay. I  
19 think we're done with that discussion. Carrie.

20  
21 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair. Just real  
22 quick, red snapper reallocation, just to clarify I think  
23 something that was requested, or asked, earlier is we are  
24 planning to work on that. That is a council motion, and we  
25 haven't started work on that yet.

26  
27 I think maybe what you're referring to is perhaps the red snapper  
28 calibration, or conversion, document the council may be working  
29 on, and that was reviewed by the SSC, I believe last year, last  
30 spring, and I can't recall, and so I'm not sure what red snapper  
31 reallocation document, or work, you perhaps are referring to,  
32 Dr. Anderson, but just to clarify that.

33  
34 Then I think something Dr. Isaacs asked earlier is, you know,  
35 is the council happy with the advice, and I think this body does  
36 a good job, and we try to do a good job with our presentations,  
37 and we have a council rep on there that is helping us get what  
38 we need, and we have our Chair, or whoever is going to the  
39 council meeting, trying to answer any questions or gaps, and  
40 trust, if they don't understand what you guys are recommending,  
41 it will come back to you, and so you will have a second chance,  
42 or maybe third, and so thanks.

43  
44 **DR. ANDERSON:** Can I jump in again?

45  
46 **CHAIRMAN NANCE:** Go ahead, Lee.

47  
48 **DR. ANDERSON:** Dr. Simmons, I apologize if I said something out

1 of place, and some of you know that I was on the National Academy  
2 of Sciences Committee that studies LAPPs and mixed-used  
3 fisheries, and we finished the report, and it's out, and the  
4 chairman of the report said, if you guys send a letter to the  
5 committee, that I guess has been disbanded, but she still had  
6 the address list, and said you might be interested and that the  
7 Gulf Council is still doing something on red snapper allocation,  
8 and so maybe I was judging on that, and I did go to the council  
9 webpage, and I maybe was not as fully informed as I should have  
10 been, but, Carrie, I do hope that the economists on the SSC can  
11 be of use to you and the council.

12  
13 **CHAIRMAN NANCE:** They are, Lee. Sean, do you --

14  
15 **DR. POWERS:** Yes, and so I was on that committee with Lee, and,  
16 Lee, that email was about red grouper and not red snapper, and  
17 Carrie is shaking her head, and they have, or are, considering  
18 reallocation for red grouper, and you are correct though that  
19 that did not come in front of the SSC.

20  
21 **MR. RINDONE:** That's not entirely true. When we talked about  
22 all the different options for reallocation for red grouper, we  
23 brought those different allocation options in front of you guys,  
24 to look at the different projection scenarios that corresponded  
25 to each of those allocation scenarios.

26  
27 There was not a corresponding comprehensive economic analysis  
28 applied for each of those allocation scenarios presented to you  
29 guys, and such was also not requested, and so perhaps we can  
30 try to plan that out a little bit better in the future, but  
31 certainly I think the opportunity to discuss those different  
32 allocation scenarios was afforded a couple of times to the SSC.

33  
34 If, in the future, when we're looking at these things, you guys  
35 want to have the opportunity to look more closely at the IPT's  
36 analysis, which you can usually find in Chapter 4 of our fishery  
37 management plan amendments, where we break down the physical,  
38 biological, economic, social, and administrative effects of the  
39 different management options that are being considered, we can  
40 certainly do that and try to time that in to have you guys look  
41 at those effects, to the extent that you are interested in doing  
42 so for allocation scenarios prior to final action being taken,  
43 and I'm sure the council would appreciate any additional  
44 information that can be made available to it to assist its  
45 decision-making.

46  
47 **DR. ANDERSON:** I am going to jump in again, if I can. I am  
48 sorry if I started a he-said-she-said fight, because that was

1 not my intent. I just wanted to say that we're willing to do  
2 it, and I'm sure that Carrie and the rest of the gang want to  
3 cooperate with the whole SSC, and that's all I wanted to -- If  
4 I started some unintentional arguments, I deeply apologize.

5  
6 **CHAIRMAN NANCE:** Lee, thank you, and your comments are always  
7 appreciated. Steven.

8  
9 **DR. SCYPHERS:** Ryan, just a follow-up question to you. How  
10 could the SSC best request that type of analysis, or  
11 information? If it's attached to an assessment, I assume that  
12 it could be at the terms of reference stage or something like  
13 that, if we knew that allocation was going to be ultimately part  
14 of a further conversation, but, if it's just a framework or an  
15 amendment, is there a stage where more specific requests like  
16 that could come from the SSC?

17  
18 **MR. RINDONE:** I think this is something that we could probably  
19 plan around a little bit. I mean, we kind of generally know  
20 when we're going to have an allocation discussion. If we're  
21 looking at a new stock assessment for a species, and that species  
22 has migrated from CHTS to FES, and it has sector allocations  
23 now, the presumption should be that those allocations are likely  
24 to be reinvestigated by the council.

25  
26 Then, if the council takes up an amendment to a fishery  
27 management plan, regardless of any data migration to reconsider  
28 allocation, for whatever reason it's thinking that it needs to  
29 do so, then obviously we'll be aware of that as well.

30  
31 Initially, we won't have those analyses to present to you guys,  
32 and those analyses aren't typically completed until later in  
33 the amendment development process, but there is a period between  
34 when those are developed and when the council takes final action  
35 that there's a gap in time that they could be brought to you,  
36 and Dr. Diagne is in the back of the room, and he's one of the  
37 council staff economists, and he can speak a little bit more  
38 about -- At least from the economic side, what those analyses  
39 can look like, and I think that Dr. Lasseter is on as well, and  
40 she can talk about it more from the anthropology side.

41  
42 I think that there is time for you guys to look at those, if  
43 you think it's appropriate, to provide some additional input to  
44 the council, and especially if the council requests it, and  
45 certainly Dr. Frazer can bring these comments back to the  
46 council as a whole later this month, also.

47  
48 **CHAIRMAN NANCE:** Okay. Thank you. Assane.

1  
2 **DR. ASSANE DIAGNE:** Thank you, Mr. Chair. About this topic of  
3 allocation, I mean, if we look at the big picture, the council  
4 has done very few, if you would, reallocations from start to  
5 finish, and, essentially, in some cases, when that was done, it  
6 went through the court, and some people around here know the  
7 outcome of this, and so, as far as the SSC is concerned, we  
8 don't necessarily have to bring any, or all, allocation actions  
9 before you, because, if you are using the same method over and  
10 over to let's say consider reallocation, the SSC has already  
11 spoken about that, but, every time we have a new study, or a  
12 new approach, and let's say to remember -- Let's say, for  
13 example, when the Science Center, Dr. Agar and Dr. Carter,  
14 looked at reallocation in some different way, we asked both of  
15 them to come before this body and present, and then we took the  
16 recommendation, and we also went before the council to discuss  
17 that.

18  
19 The flip side of this is that sometimes we come to the SSC to  
20 start talking about allocation and the feedback that we get is,  
21 well, this is really a policy issue. As an SSC, we are  
22 interested in the science, and the science is not new, and so  
23 we prefer to not get involved, and so, I mean, those are  
24 essentially some of the things that we have heard, over the  
25 years, when it comes to allocation, but absolutely we'll keep  
26 it in mind, and every time we have let's say new approaches, or  
27 new methods, we will definitely make sure to bring it before  
28 you. Thanks.

29  
30 **CHAIRMAN NANCE:** Thank you, Assane. Katie.

31  
32 **DR. SIEGFRIED:** Thank you, Mr. Chair. My comment is more  
33 general, if you want to continue to Doug, if he has an allocation  
34 comment, and I can wait until we're back to more general comment  
35 time.

36  
37 **CHAIRMAN NANCE:** Okay. I will take Doug, and then I will take  
38 you. Thank you. Doug, is yours to that point?

39  
40 **MR. GREGORY:** Yes, and just briefly. What Assane said at the  
41 end is true, and the SSC is dominated by biologists, and that's  
42 the attitude of most of the biologists, is anything that's not  
43 strictly biology is in the council's purview and not ours, but  
44 that's not true, as Jack and Lee are pointing out, and so I am  
45 looking forward to seeing more of this diversity of advice.  
46 Thank you.

47  
48 **CHAIRMAN NANCE:** Thank you, Doug. Okay, Katie.

1  
2 **DR. SIEGFRIED:** Thank you, Mr. Chair. Just back to the general  
3 sort of comments about the hybrid meeting, and this meeting has  
4 gone remarkably well, and I have noticed a lot more  
5 participation, and that definitely makes it a lot more fun.

6  
7 My general comments were just it's important to me, personally,  
8 and to the Center, that we are making effective remote  
9 presentations, and so any feedback about that, until we can get  
10 back in the room, is really helpful, and it's important to me  
11 that you know that many of us very much prefer to be there, and  
12 we wish we could be there, and it's very frustrating that we  
13 can't be there, but we just are not allowed to travel yet, for  
14 the most part, and we really appreciate your willingness to  
15 accommodate our remote participation.

16  
17 I think it would be useful to still allow that into the future,  
18 even when we can get a group of us in the room, just because I  
19 think it helps our staff understand what happens at the SSC  
20 meetings a lot more, and the Gulf, in my experience, has always  
21 been pretty good about that, and so I appreciate your  
22 willingness to accommodate that. That's it. Thanks.

23  
24 **CHAIRMAN NANCE:** Thank you, and the presentations this last  
25 time, Katie, have been excellent, and I appreciate the  
26 willingness of the whole Center to be able to discuss things  
27 and be able to give us your thoughts and impressions.

28  
29 Certainly, any time we can get together face-to-face is always  
30 better, but, since we're in the situation of some of us are  
31 remote, and some of us are here in person, I think we just have  
32 to do our best with that, but I didn't see any issues with  
33 having you do that remotely that affected the presentations or  
34 anything. Will.

35  
36 **DR. PATTERSON:** I will just echo what Jim said there before and  
37 move on to my point about allocation. I think we all appreciate  
38 the challenge of trying to present stuff when you don't see  
39 people's reactions in the room and doing it remotely, but, over  
40 this past year, I think the Science Center has maintained its  
41 high standard of providing information that's digestible and  
42 complete, and I don't -- I am speaking only for myself here,  
43 but I don't think that standard has slipped a bit.

44  
45 To Roy's comment earlier about having everybody in the same  
46 room, I think one of the great benefits of that is the side  
47 conversations, and like, you know, if Nancie Cummings is  
48 presenting something on amberjack, and I didn't quite get it,

1 maybe I can grab her for a couple of minutes at the coffee  
2 break, and she can clarify or explain to me something that I'm  
3 not understanding, or Katie or Matt or whomever.

4  
5 I think that's the real benefit, or the greatest benefit, of  
6 having an in-person meeting, is just the extra time that allows  
7 all the information to kind of soak and allows for follow-up  
8 and discussion, but, as far as the presentations themselves,  
9 the high standard has been maintained through this challenging  
10 year, and I don't think -- I doubt anybody would suggest  
11 otherwise.

12  
13 As far as the allocation issues, Doug said something there at  
14 the end about some of the biologists prefer only to talk biology,  
15 and I think, just kind of remembering back through previous  
16 allocation discussions and what Assane mentioned about let  
17 policy be policy, and the council handles that, and then, if  
18 there's a scientific issue, the SSC is happy to weigh-in and  
19 provide scientific advice, and that's really my perspective as  
20 a biologist, and probably the leading proponent of this idea  
21 of, if it's an allocation issue, and it comes before the SSC,  
22 then let's talk about what the science is.

23  
24 Maybe it's the way to re-estimate what the allocation should  
25 be, going from CHTS to FES, but, if it's an issue of a political  
26 decision about the split between commercial and recreational,  
27 absent some scientific analysis -- By scientific analysis, that  
28 could be an economic analysis, and that can be a sociological  
29 analysis, and I'm not just restricting that to biology.

30  
31 That is the thing that I am cautious of, because I don't like  
32 to see us, as a group, weigh-in on the policy sides of things,  
33 except for how the science is informing it, because I think we  
34 should really be protective of that divide, so that what comes  
35 out of the SSC is always perceived as objective and  
36 scientifically based and not trying to steer something in the  
37 policy arena. I think we should respect that division.

38  
39 **CHAIRMAN NANCE:** I agree, and policy is one thing, and science  
40 is the other and I think we need to do better -- In my opinion,  
41 we need to do better, from the economic standpoint, the  
42 sociological standpoint, to be able to bring those other  
43 disciplines in when we're discussing allocation and things like  
44 that, and so I think that's where we need to maybe step it up a  
45 little bit and do that. Lee.

46  
47 **DR. ANDERSON:** I agree, to a certain extent, with what Will  
48 said, but I also get a little internally upset at this, because

1 what is my science is looking at policy, and so you're saying  
2 my science -- Well, I don't want to say that.

3  
4 I agree that economists, or anthropologists, or anybody, should  
5 not go around and say this is what you should do, you dummies,  
6 and that's not what we do. If I were to look at that, I would  
7 say, all right, here's some alternatives, as an example,  
8 Alternative 1, 2, and 3, and now, if I read these objectives  
9 that you have here, in my opinion, Alternative 2 would best meet  
10 the objectives, for these reasons, and that's what our science  
11 is, but I agree that we don't --

12  
13 I don't think that we should impose our will on the council, or  
14 anybody, and I hope that the other social scientists in the room  
15 agree with me, but we can enter into policy decisions, and I  
16 said earlier that I think my colleagues from other disciplines  
17 can enter in too if they play by those same rules. It seems to  
18 me that, again, these are the alternatives, and these are the  
19 criteria and objectives that the council has set up, and I would  
20 say this alternative best meets the goal. I will stop now.  
21 Thank you.

22  
23 **CHAIRMAN NANCE:** Thank you for that, Lee. I am going to start  
24 cutting it off a little bit here, but Benny and then Mandy.

25  
26 **DR. GALLAWAY:** I just wanted to say that I endorse both the  
27 statements that Will has made as well as what Dr. Anderson has  
28 said. We do have expertise in different areas, and we have the  
29 ability to comment on different areas, but, generally, we need  
30 to, in my opinion, focus on the science and our arena of  
31 expertise and not get involved in policy issues, except for  
32 those on our group, in our group, that are qualified and endorsed  
33 to do so, and that they play by similar rules, and so I guess I  
34 endorse both the statements of Will and Dr. Anderson. Thanks.

35  
36 **CHAIRMAN NANCE:** Thanks, Benny. Mandy.

37  
38 **DR. KARNAUSKAS:** Just to add to this conversation, I agree with  
39 Will and Benny on the independence of science and policy, but I  
40 also think that, as we think more about ecosystem-based  
41 fisheries management and what that means -- Part of ecosystem  
42 science is sort of understanding the unintended consequences,  
43 or potential domino effects, of any particular policy decision,  
44 and so I see it as between getting involved in the policy versus  
45 looking at a policy and helping the council think about what  
46 the downstream effects of any particular policy decision might  
47 be, and that, in my mind, falls squarely in the realm of science.

1 **CHAIRMAN NANCE:** Thank you. Go ahead, Will.

2  
3 **DR. PATTERSON:** I agree with Mandy's comments there, and, to  
4 speak to that, as well as what Lee had said, I think, when a  
5 scientific body like the SSC is using whatever methodologies,  
6 sociological or economic or ecological or population dynamics,  
7 to try to estimate the potential effects of a policy decision -  
8 - Usually, they come to us a range, or a series, of potential  
9 choices that the council is trying to make.

10  
11 If we're using scientific methodology to estimate what the  
12 likely effect of that policy decision is, to me, that's not  
13 entering into the realm of policy, and that's simply using the  
14 science, whatever discipline, to estimate the potential effects  
15 to give feedback to the council.

16  
17 That's not endorsing a policy, but that's just saying, based on  
18 what we know, the assumptions of this approach, the limitations  
19 of the model, this is what we estimate the potential  
20 implications might be. I think that's a perfectly appropriate  
21 way for the SSC to provide information, or guidance, to the  
22 council. I am just leery when it ventures away from that and  
23 try to guard against it.

24  
25 **CHAIRMAN NANCE:** I think that's an excellent point. Paul, and  
26 then we're going to shut the discussion off.

27  
28 **DR. MICKLE:** Okay. Thank you, Jim. I am going to try to keep  
29 it simple, and it's a difficult issue, but there's things that  
30 do need to come in front of this council, in my opinion, and,  
31 as the Magnuson-Stevens Act identifies, not only historical  
32 landings can be used for allocation, and so I think this body,  
33 and everybody in it, has the responsibility of identifying what  
34 is informative and can be quantitatively justified for one --  
35 Quantitative measure to justify an allocation.

36  
37 Just for an example, if the council comes up with a way of  
38 getting into an allocation discussion, and, really, the world  
39 is the limit on what can be thrown in there, as Magnuson-Stevens  
40 says, to justify allocation, and so I would think that, whatever  
41 number comes up, we would have to stamp it as a reliable metric,  
42 or a non-reliable metric, but maybe that's way out of our  
43 purview, and I don't know, but I would think the council would  
44 definitely need guidance from something, or someone, and whether  
45 it's us or not, I don't know, but I see, in the future, within  
46 the next five to ten years, some really zany and different types  
47 of metrics could be potentially justifying an allocation.

1 Whether that falls with us or not, I don't really know, but I  
2 sure hope that somebody is helping them out, because it can get  
3 really quite a circus act, when you start thinking about what  
4 people want to justify allocation on. Thank you.

5  
6 **CHAIRMAN NANCE:** Thank you. Tom, go ahead and have the last  
7 comment.

8  
9 **DR. FRAZER:** Thank you, Mr. Chair, and so I've been really,  
10 really pleased with this discussion, and I think the folks that  
11 are on the call that are participating from Tampa are really in  
12 a good philosophical place to provide the science and the  
13 information that is needed to inform and guide the policy  
14 decisions at the council, and I just, again, would urge you to  
15 continue this level of engagement on all the topical areas, and  
16 so I thought it was a great meeting, and I would agree with all  
17 of the sentiment that's been put forth with regard to your  
18 effectiveness as a chair, and so good job, Jim, and I really  
19 enjoyed listening to this meeting.

20  
21 **CHAIRMAN NANCE:** Thank you. I appreciate that. We are going  
22 to go ahead and end this discussion and go ahead and enter into  
23 the public comment period, and do we have any individuals from  
24 the public that wish to comment?

25  
26 **MR. RINDONE:** Just for members of the public, so everybody knows  
27 how we're doing this, it's pretty much the same way as it's done  
28 for the council meetings, and you will have a few minutes to  
29 address the committee. If they have any questions to ask you,  
30 hang around for just a second, in case they have a question.

31  
32 **CHAIRMAN NANCE:** Thank you, Ryan. Michael Drexler.

33  
34 **PUBLIC COMMENT**

35  
36 **MR. MICHAEL DREXLER:** Thank you, Mr. Chair, and thank you for  
37 running a great meeting. I agree with all the comments being  
38 said so far, and I thought it was a very productive meeting,  
39 and so thank you for that.

40  
41 As some of you may know, I'm Michael Drexler, and I'm with Ocean  
42 Conservancy, and I just wanted to acknowledge the written  
43 comments that we submitted to the agenda, regarding the agenda  
44 item regarding the Great Red Snapper Count, and I would like to  
45 put the red-snapper-specific issues aside in this and just  
46 provide a comment on the process we went through.

47  
48 Just noting that the item was on the agenda, but it was removed,

1 and I think that's great, that the PIs are going through the  
2 revisions to address some of the concerns noted by the CIE  
3 reviewers, but I did want to note, especially for the new SSC  
4 members, that the review of that -- The rollout and review of  
5 that Snapper Count put a real strain on the integrity of the  
6 SSC and the assessment process, and I think the SSC should  
7 really think about a roadmap to incorporate these type of  
8 abundance studies moving forward.

9

10 These studies provide really informative information on the  
11 distribution and habitat utilization of these species, but we  
12 still have big, unanswered questions with respect to how to  
13 appropriately apply an abundance study like the Great Red  
14 Snapper Count into management and what that means for  
15 sustainability with respect to the stock and the fishery.

16

17 It was said several times during the review process that we were  
18 building a plane while we were flying it, and I would just  
19 reemphasize that we really need a plan. There are two more  
20 abundance studies in the process, which I think all provide  
21 invaluable information to improve these stock assessments, but  
22 we need a plan, and start thinking about a plan to incorporate  
23 this.

24

25 The rollout of the study was a bit rushed, and decisions were  
26 made on incomplete products, adding strain to the integrity of  
27 the system, and so, again, we need a plan. I'm not sure what  
28 the timeline on the Snapper Count is, and I'm grateful to the  
29 PIs for reviewing that huge body of work, and it is no small  
30 feat.

31

32 I would just like to point out, when it does come back, there  
33 are some big comments made by the CIE reviewers that need to be  
34 addressed, and I would encourage the SSC to develop a terms of  
35 reference to consider whether those have been addressed and how  
36 to use this in the stock assessment, and I think, for any part  
37 of that plan, I think SEDAR is an appropriate mechanism to  
38 review those types of studies, and so thank you.

39

40 **CHAIRMAN NANCE:** Thank you very much. Any questions for Michael?  
41 Michael, thank you. We appreciate those comments. Will.

42

43 **DR. PATTERSON:** Sorry, Jim. Thanks. Thanks for your paper,  
44 Michael, and for your comments here. You made a statement that  
45 the SSC needs to have a plan for this and that the review of  
46 the Red Snapper Count -- The population estimate study in the  
47 Gulf created a strain on the system.

48

1 You know, this was a unique opportunity, and I don't know of  
2 any other region where Congress has allocated \$10 or \$12 million  
3 to fund an independent estimate of population abundance for any  
4 fish stock prior to the first red snapper project.

5  
6 Since then, there have been a couple of subsequent allocations  
7 of funds, one in the Atlantic for red snapper there and now for  
8 greater amberjack in the Atlantic and Gulf, but the Gulf study  
9 was the first, and I think there are lots of lessons learned  
10 there.

11  
12 Within the team, and I was a member of the red snapper team in  
13 the Gulf, and am a member, and we're not quite done, and there  
14 were discussions about how to reconcile, or utilize, this point  
15 estimate that is produced Gulf-wide from that study, or was to  
16 be produced, and how that would be incorporated, and I think  
17 there was some, maybe, perception of some constituencies within  
18 the Gulf that that would be a stand-alone number, but, you know,  
19 we have all this other information that's collected by  
20 scientists, independent academic scientists, state agency  
21 scientists, for the most part, and then a handful of federal  
22 scientists that go into the assessment process, the SEDAR  
23 process, which is itself a collaborative process, and I've heard  
24 it referred to as the federal assessment, and that's not really  
25 true.

26  
27 It's a collaborative process, where most of the people at the  
28 table aren't federal employees at all, and it's also an  
29 incredibly transparent process, to the point where it can be  
30 slow at times, because of the amount of transparency that's  
31 imparted into it, and so I agree that, if there's going to be  
32 future, and we know of at least two more, estimates that are  
33 going to come, and not before the Gulf necessarily, but in the  
34 region, then we need to think about how to address this and  
35 incorporate these estimates into this process, whether it's  
36 directly through SEDAR or some extra process.

37  
38 We need to put more thought, as a scientific group, and I don't  
39 mean just the SSC here, and I mean everybody who has a stake  
40 here, into how these estimates are incorporated.

41  
42 I do think that there was a problem in the process for the red  
43 snapper rollout, and Joe Powers mentioned this at the last SSC  
44 meeting, or the April SSC meeting, where he mentioned that the  
45 estimate that was being talked about, at least in congressional  
46 meetings, et cetera, that there was a seven-month period between  
47 when that estimate was first discussed by our group and when  
48 there was the peer review that came before the SSC, the external

1 peer review and then the peer review from the SSC.  
2  
3 He questioned why there wasn't some process put in place, at  
4 least in those seven months, and there had been three years  
5 where we knew this was coming, but in those seven months as sort  
6 of a reconciliation process, and I think, in hindsight, that  
7 was a pretty germane statement, important statement.  
8  
9 I am the PI of the project, the red snapper project, in the  
10 Atlantic, and we have a reconciliation process written into that  
11 proposal. I think it's important, and I asked Matt Smith a  
12 question yesterday about what they were doing, trying to  
13 incorporate this estimate into the assessment.  
14  
15 You know, there's a ton of information in these integrated  
16 assessment models, and we have seen, repeatedly, that sometimes  
17 we have to dial down the effective sample size of some of the  
18 information, because it overwhelms the model, and the model only  
19 fits to the age composition, for example.  
20  
21 Now, if you're putting in one data point, will the model even  
22 pay attention to it, and how do you actually force the model to  
23 fit to that? I think it's unrealistic to take one study and  
24 one data point and say, okay, this is where -- That we're going  
25 to manage based on that, because you don't have age composition  
26 information, and you don't have fishing mortality information,  
27 and so there's got to be this reconciliation, and these  
28 estimates are going to be one part of the information that then  
29 informs assessment and management.  
30  
31 These are extraordinary efforts that are going into these  
32 population estimates, and I don't know, again, of any other  
33 region where they've had this type of independent approach, and  
34 only for Congress stepping up have we been allowed this  
35 opportunity to compete for funding, as scientists, to produce  
36 the best scientific information available in these processes.  
37  
38 I do think that we need to stop using the word "count" to  
39 describe these studies, because it's imparting an unfortunate  
40 idea, I think, among constituencies and the fishing public about  
41 what is being produced. This isn't a census, and, in the red  
42 snapper study in the Gulf, we didn't go to all the red snapper  
43 houses and knock on the doors and say how many of you are here,  
44 how many live here, and then go to the next house. We don't  
45 know where the houses are.  
46  
47 We can't see all of the individual red snapper, and it's a  
48 statistical estimate, and statistical estimates have bias and

1 precision issues, and so that, obviously, has to be folded into  
2 how the information is used on the backend.

3  
4 Anyway, I think Mike makes some good points here about what I  
5 would call reconciliation, reconciling these one-off studies  
6 and trying to estimate population size, into the broader context  
7 of information that we have on the stock, and I think, in our  
8 region, as these processes continue to be funded, or at least  
9 funding is being made available, we as a collective scientific  
10 body, NMFS scientists, council staff, academic PIs, SSC members,  
11 we need to think collectively about the best approaches to try  
12 to incorporate that information into assessment and management,  
13 because it just seems unrealistic that that number would just  
14 stand alone by itself and we would somehow utilize that, and we  
15 need to have a better process, I think, the next time such an  
16 estimate is produced, so that we avoid some of the consternation  
17 that I think occurred in April. Thanks.

18  
19 **CHAIRMAN NANCE:** Thank you, Will. Any other comments from the  
20 SSC? Josh Kilborn.

21  
22 **DR. KILBORN:** Thank you, Mr. Chair. I wanted to follow-up on  
23 what Will was saying, and I think that, to my mind, the real  
24 value in these large counts is not so much the point estimate  
25 of the population size, but it's really the process that went  
26 into producing them.

27  
28 I think that they can be really useful to help inform the scope  
29 of work for future research track assessments, because the Great  
30 Red Snapper Count was a research track assessment on steroids,  
31 right, and so I think that the value is a lot more in the process  
32 and it uncovered a lot of new data streams and information that  
33 can be folded into the more formal process moving forward, and  
34 so I think that's an area where we really need to pay attention  
35 to how we could improve what we're doing, moving forward, based  
36 on the work that was done in these large-scale estimates. Thank  
37 you.

38  
39 **CHAIRMAN NANCE:** Thank you. Jay Mullins.

40  
41 **MR. JAY MULLINS:** Good morning, SSC members and all listening.  
42 I'm an eastern Gulf commercial longliner, and I was the  
43 fisherman that collected the water samples for you all to  
44 review.

45  
46 Being that I have a lot of history in the eastern Gulf, I have  
47 very deep concerns about the way the eastern Gulf is being  
48 managed, particularly in the grouper species, seeing that it's

1 such a delicate complex compared to the snapper.

2  
3 Our red grouper -- I heard some questions come up about us not  
4 catching our quota, or our ACLs, and there's a lot of variables  
5 involved in there. The life history of the red grouper fishery  
6 is so complex, and I don't think -- I didn't hear none of Ms.  
7 Skyler, in her presentation, really touch on very much of it.

8  
9 Primarily, red grouper are shallow-water grouper species, which  
10 longliners that produce 80 percent of the quota, or catch 80  
11 percent of the quota, are pushed to twenty fathoms and greater  
12 to fish. Well, since the implementation of a lot of  
13 restrictions, the turtle closure, which is the twenty-fathom  
14 closure out to thirty-five fathoms, and that's a three-month-  
15 long closure of June, July, and August.

16  
17 Furthermore, what restricts red grouper harvest, with the  
18 longline industry, is that also runs into the hurricane season,  
19 which is natural, completely natural, September and October and  
20 into November, which restricts us even further.

21  
22 Furthermore, what we have going on in the eastern Gulf is market  
23 manipulation and the consolidation issues, where we cannot get  
24 no access to allocation. I was allocated, originally, somewhere  
25 near 70,000 pounds of red grouper when the IFQ program was put  
26 into place. Since then, 60 percent has been taken away, and  
27 I'm down to I think 29,000 pounds of red grouper to catch for  
28 the year.

29  
30 I stay away from red grouper like the plague, to land them,  
31 because we pretty much can't get no access to lease from outside  
32 the industry any longer, and so that definitely restricts our  
33 access to harvest these fish, not to mention, when NOAA said  
34 the longline industry was overcapitalized, prior to 2010, I  
35 think you guys eliminated nearly 100 longline vessels and  
36 restricted us down to sixty-two.

37  
38 Last year, I think we only had forty longline boats that actually  
39 had landings on their permits. Why -- My questions are has the  
40 SSC looked at any of this and put that in any of their equations?  
41 You know, there's been a lot of assumptions over the last few  
42 days that I have listened to, and predictions and projections  
43 and whatnot, but there is very grave concerns, in the eastern  
44 Gulf, about which way our management is headed and the science  
45 that's not being reported.

46  
47 I think Mr. Strelcheck had this information down in the Key West  
48 meeting, at the Gulf Council meeting, about the market

1 manipulation that's going on, and has the SSC received any  
2 information about this? That's a question I have for the SSC.

3  
4 Then, on top of that, if you looked at the three overfished  
5 stocks that we're going to have, and I don't -- Gags haven't  
6 been considered overfished yet, although I know, at the last  
7 stock assessment meeting, they will be classified as overfished,  
8 and you have three fish stocks that are really overfished, and  
9 the recreational sector of those three fish stocks had the  
10 majority of allocations allocated to it, at sixty-some percent,  
11 almost 70 percent, each, your amberjack, your cobia, and your  
12 gags, and them fish are being overfished.

13  
14 The commercial sector is completely accountable. When NOAA says  
15 to jump, we say how high. I would like to know, has anybody  
16 laid population density maps on their dashboard, to look at the  
17 population increases in the State of Florida to account for  
18 this?

19  
20 Moving forward, we need to start looking at the population  
21 increasing at an incredible, alarming rate, and maybe put the  
22 brakes on it before this fishery in the eastern Gulf is getting  
23 wiped out, and it's getting hurt.

24  
25 Furthermore, these are not natural occurrences with this red  
26 tide. The verbiage "red tide" really kind of disturbs me. These  
27 are manmade fish kills, which the State of Florida is  
28 responsible for, but yet, at the end of the day, the commercial  
29 sector is the whipping post, and has anybody taken these, and  
30 these are black-and-white facts, into account to make wiser, or  
31 more intuitive, scientific ideas to create a better path  
32 forward for the future? Thank you.

33  
34 **CHAIRMAN NANCE:** You're very welcome. Thank you very much for  
35 those comments. As you look and see what we discuss here at  
36 the SSC meeting, you see all the information that we have, and  
37 our discussions are based on that information. Any other  
38 comments from the public? Thank you. We appreciate all of that  
39 input.

40  
41 We will now go into Other Business. We do have one item of  
42 Other Business that I am aware of. I will take Ryan's other  
43 business first, and then, from Dr. Sean Powers, we have another  
44 item of business.

45  
46 **OTHER BUSINESS**

47  
48 **MR. RINDONE:** Thank you, Mr. Chair. Just for all of the SSC

1 members and members of the public and presenters' edification,  
2 in the past, we have had a rule for materials being submitted  
3 to the SSC that nothing could be submitted inside of a week of  
4 the meeting, and we have certainly been far more flexible, to  
5 the point of almost ignoring that rule, in the last couple of  
6 meetings.

7  
8 I just wanted to say that we are going to get back to it in a  
9 hard and fast way, and so, if you are to be presenting any  
10 materials to the body in any future meeting, please expect to  
11 have those materials submitted by one of the briefing book  
12 deadlines that I will provide. If I know that you're presenting,  
13 I will be hitting you up about that at least a few times prior  
14 to the meeting, to let you know about those deadlines, and you  
15 will see those in the draft agenda as well.

16  
17 If there are any changes, edits, additions, or what have you  
18 that, that need to be made to your materials inside of a week,  
19 those -- We're going to be severely limiting whether those  
20 changes can happen or not, and the only circumstances, at  
21 present, that would allow any changes to be made to materials  
22 would be either to pull it down and move it to a subsequent SSC  
23 meeting or if the council is going to be taking final action on  
24 something directly related to that topic that you are presenting  
25 on at the following council meeting, and so just an FYI there.

26  
27 Obviously, we'll take things on a bit of a case-by-case basis,  
28 and there is always extenuating circumstances, but just to try  
29 to make sure that we're providing things to you guys with more  
30 than forty-eight hours to review complex material prior to the  
31 start of the meeting. We realize how inconvenient those  
32 materials updates can be.

33  
34 **CHAIRMAN NANCE:** Thank you. Katie.

35  
36 **DR. SIEGFRIED:** I didn't actually raise my hand, but I do have  
37 a comment. I totally understand this, and the council staff  
38 have to be running around like chickens with their heads cut  
39 off trying to keep up with all of the stuff that's flying at  
40 them during the SSC meeting, and so I completely understand  
41 this.

42  
43 The Center has put forward a memo sort of outlining the  
44 communication about requests that are to be delivered either to  
45 the council or the SSC and other cooperators, and that includes  
46 a timeline, and we'll just have to be really careful about  
47 making sure this one-week hard deadline, which we understand,  
48 is included in that timeline.

1  
2 If we receive a request for projections three weeks before the  
3 SSC meeting, that's just -- That's going to be really difficult  
4 to fulfill, if we basically have two weeks to complete them and  
5 review them and get the document to the SSC, and so we'll just  
6 have to be more aware of all of these timelines and make sure  
7 that everybody is adhering to the needed lead time for requests.

8  
9 **CHAIRMAN NANCE:** Thank you. Ryan, to that point?

10  
11 **MR. RINDONE:** Yes, of course, Katie, and I will work very closely  
12 with you and folks in your shop to make sure that we're pacing  
13 things out at a reasonable -- In a reasonable way, so that you  
14 guys aren't stumbling over each other trying to meet a deadline  
15 that's unreasonable, and we'll do our best to work together on  
16 that.

17  
18 **CHAIRMAN NANCE:** Okay. Thank you. Sean has a motion that he  
19 would like to present to the SSC.

20  
21 **DR. POWERS:** The background for this is, since we've talked  
22 about the research track red snapper issues at this meeting,  
23 and we've had some sidebar conversations amongst SSC members,  
24 and I've had some email communications with those on virtual,  
25 and so we've gotten to a point where I think it's important that  
26 the SSC comes on record and advises the council what we would  
27 like, as the SSC.

28  
29 Now, we've heard Katie and SEDAR talk about workloads and what  
30 they can and cannot do, and I think that's important for  
31 everybody to hear, but I think it's also important that the  
32 council hear from us what we would like. Then, if it can be  
33 done, it can be done, and, if it can't, it's -- You know, we  
34 have established it.

35  
36 The background, a little bit, as Julie Neer mentioned in her  
37 comment that the group of fifty-some-odd scientists -- That  
38 there was consensus for an option, but it wasn't overwhelming  
39 consensus, I would characterize it as, and I got concerned that  
40 most of the SSC members, and I won't speak for all of them, but  
41 most of the SSC members were the ones that had, ultimately, the  
42 concerns, and so that kind of stimulated some email exchanges  
43 and the conversation.

44  
45 This motion is purely to hopefully get support from the SSC to  
46 tell the council exactly what we would prefer. That is, during  
47 the assessment modeling phase, for them to explore the different  
48 stock area options that we've had.

1  
2 There is three, and so it's not a huge number, and I know it's  
3 not a trivial amount of work, and Katie has talked about the  
4 expectations for that workload, but this is a key consideration  
5 and a key point, and we won't be able to get another shot at  
6 this for at least a decade, probably, and so, anyway, this is  
7 the motion. I guess I will get a second before I read it?

8  
9 **CHAIRMAN NANCE:** Why don't you go ahead and read the motion,  
10 and then we'll ask for a second.

11  
12 **DR. POWERS:** Okay. The SSC recommends that the current SEDAR  
13 research track assessment for Gulf of Mexico red snapper  
14 investigate alternative scenarios for stock areas, and,  
15 specifically, this refers to the document Options a, b, and c,  
16 during the assessment modeling phase. Given that the  
17 information reviewed by the life history and genetic working  
18 groups of the stock ID workshop supports several possible  
19 alternative boundaries, with no definitive boundary evident,  
20 and the use of different stock areas (number of regions and  
21 exact location of boundaries) has remained a key concern of the  
22 SSC, the SSC feels that this must be explored during the  
23 assessment model phase.

24  
25 **CHAIRMAN NANCE:** Thank you. Do we have a second for that?

26  
27 **DR. SCYPHERS:** I will second.

28  
29 **CHAIRMAN NANCE:** Steven Scyphers has seconded that. Now we'll  
30 go on to discussion. Doug Gregory, please.

31  
32 **MR. GREGORY:** Thank you. Unfortunately, I really don't know  
33 what this motion refers to, because the SSC has not seen any of  
34 the background information, and we have not had a discussion  
35 about this.

36  
37 Those of us that were not part of those working groups, or part  
38 of the research topical working groups, or whatever it was, are  
39 completely unaware of this, and so it seems to me that this is  
40 really something that we can't do at this time. Thank you.

41  
42 **CHAIRMAN NANCE:** Sean, to that point?

43  
44 **DR. POWERS:** I understand, Doug, and that's one of the things  
45 that I struggled with, and this was part of Katie's concern,  
46 that we -- Do we need to bring it and discuss it at the SSC,  
47 but that's really not the SEDAR process, and my issue is that,  
48 if we do wait until the end, when everybody can be informed,

1 then that might be too late. The decision has already been  
2 made.

3  
4 **CHAIRMAN NANCE:** Okay. Thank you. Roy.

5  
6 **DR. CRABTREE:** I have to agree with Doug. I mean, this is kind  
7 of coming out of nowhere, Sean, and I haven't seen any of the  
8 document or anything with it. I just feel like it would be  
9 inappropriate for the SSC to weigh-in on something like this,  
10 when we haven't had any preparation for it or seen any of the  
11 documents, and the SEDAR process is what it is, and I think that  
12 process has to run, but I just can't support this, because I am  
13 not sure what any of it even means or what is really going on,  
14 because we haven't seen any of that.

15  
16 **CHAIRMAN NANCE:** Will.

17  
18 **DR. PATTERSON:** I think Doug and Roy bring up some really  
19 important procedural points here. My concern with this process  
20 is just that the current research track, we've been told, just  
21 can't handle examining multiple stock structure scenarios.

22  
23 Personally, I don't think the Options a, b, and c that are in  
24 the document, that, obviously, many of you have not seen, are  
25 all equally plausible. I think the one that was chosen is the  
26 best approach as a default, but I do think that, if that doesn't  
27 work out, then it will fall back to the current status quo.

28  
29 My whole point, in the conversation the other day, was why not  
30 just move forward with both and test to see whether that's --  
31 Make that as objective as possible, and which is the better  
32 approach, given the data and the fits, et cetera, and so, while  
33 this particular motion I wouldn't support, if the motion was to  
34 encourage the SEDAR process to permit the examination of  
35 multiple stock structure scenarios, then I think that's a more  
36 general and better approach and would be a path forward.

37  
38 **DR. POWERS:** I am happy to change that, Will. That's a good  
39 point. I mean, I struggled with how prescriptive to be, but  
40 you're right that the issue is just to expand what we can explore  
41 in the research track, specifically that, and so I'm fine with  
42 that edit, and it's shortening it considerably and keeping it  
43 just to letting the -- Allowing that exploration of the stock  
44 areas in the research track.

45  
46 **CHAIRMAN NANCE:** We can either do it with a substitute motion  
47 or, Sean, we can edit this one. Steven would need to agree to  
48 that, obviously.

1  
2 **DR. SCYPHERS:** I am happy to agree to that, and that's actually  
3 close to what I had raised my hand for anyway, and so I would  
4 agree to the changes that Sean suggests, and you can take my  
5 name off the list. Thank you.

6  
7 **CHAIRMAN NANCE:** So go ahead, Sean, and make -- I won't say a  
8 quick edit, but edit.

9  
10 **DR. POWERS:** Go to "The SSC recommends that the current research  
11 track assessment for the Gulf of Mexico red snapper investigate  
12 alternative scenarios for stock structure, period. Essentially  
13 delete the rest.

14  
15 **CHAIRMAN NANCE:** Steven, are you okay with that?

16  
17 **DR. SCYPHERS:** Yes.

18  
19 **CHAIRMAN NANCE:** Okay. Katie.

20  
21 **DR. SIEGFRIED:** Thank you, Mr. Chair. Can I please defer to  
22 the end of other SSC members' comments? I can provide my  
23 comments after the SSC has weighed-in.

24  
25 **CHAIRMAN NANCE:** Absolutely. I will make sure you're on there,  
26 for sure. Luiz.

27  
28 **DR. BARBIERI:** Thank you, Mr. Chairman. By the way, my apologies  
29 that my participation this week has been completely erratic. I  
30 am having major computer problems, and my computer crashed, and  
31 I am trying to use different loaners to participate, to the  
32 extent possible, but at times without success, and I missed most  
33 of today's conversation, and so I apologize for that. Anyway,  
34 it looks like things are working now.

35  
36 Sean, relative to this motion, I think a lot of my thoughts on  
37 this, my concerns, have already been expressed by Doug and by  
38 Roy and Will. Basically, it's we don't really know -- We don't  
39 have any information on any of this, and we haven't participated  
40 in the meeting that made these decisions, and we haven't seen a  
41 report, and we're completely uninformed about what this leads  
42 into, and I don't know how, or why, the SSC would weigh-in on  
43 this right now.

44  
45 I mean, the SEDAR process, with the research track, involves  
46 the use of the assessment development team, and so we have  
47 several of us that are members of that assessment development  
48 team, and our role is explicitly to weigh-in on these types of

1 issues and follow along throughout the data assessment  
2 development and, finally, review continuity in SSC participation  
3 in this process.

4  
5 Sure, we can discuss this at some other time, when the report  
6 and the documents are available, but, at this point, to have a  
7 motion of this nature, weigh-in so explicitly on the content of  
8 a SEDAR assessment, I am uncomfortable, and, at this point,  
9 unfortunately, I am inclined to vote against the motion.

10  
11 **CHAIRMAN NANCE:** Sean, to that point.

12  
13 **DR. POWERS:** I understand the concerns, Luiz, and, ideally, this  
14 is not how I would have preferred it to happen, but it's just a  
15 lot of us, or I will just speak for me, but, when I came into  
16 what a research track would be, I thought that, just like that,  
17 the SSC members on the ADT would have a large say in what to  
18 explore and what the priorities are.

19  
20 This process revealed that it's more SEDAR staff and the  
21 analysts that are limiting what we can explore, and so that give  
22 and take -- I understand that this motion is way out of the  
23 sequence of things, but I do think, for red snapper, it is such  
24 a critical thing that we explore that waiting until the end  
25 doesn't give us an option to go back, but I understand your  
26 points.

27  
28 **CHAIRMAN NANCE:** Thank you. Jason.

29  
30 **MR. ADRIANCE:** Thank you, Mr. Chair. Having been one of those  
31 members in this stock ID, I understand the concerns. There was  
32 a lot of information presented, and I get that a lot of folks  
33 here were not privy to that, but what bothers me is some of  
34 those same concerns that Sean has mentioned, that this idea of  
35 a research track allowing us to explore some of these things,  
36 especially one that has been pretty important to the SSC --

37  
38 As Sean mentions, obviously, there is a time crunch, and, to  
39 me, it appeared -- The group was asked to reach consensus, but  
40 there was this underlying notion that, if someone spoke out and  
41 mentioned that, well, they did not agree with what the ultimate  
42 choice was, that, well, that just blows up the stock assessment  
43 timeline, and then we're going to have to shift the red snapper  
44 assessment, and things aren't going to get done, and there goes  
45 the SEDAR schedule.

46  
47 From my perspective, I had a lot of hesitation to really speak  
48 how I truly felt about my concerns with the ideas being explored,

1 and so that is my big point, and I think hopefully some of the  
2 discussion that we had earlier this week on managing  
3 expectations helps that in the future, and we can better this  
4 process, but I do feel that, here, this is one where we should  
5 explore these things, and there should be a little more freedom  
6 for the analysts to do that. Thank you.

7  
8 **CHAIRMAN NANCE:** Thank you, Jason. Jim.

9  
10 **DR. TOLAN:** Thank you, Mr. Chairman.

11  
12 **DR. BARBIERI:** Mr. Chairman, my apologies, but just another  
13 point of clarification, because -- I apologize for jumping in,  
14 but just on what Jason just mentioned, and I think this is  
15 important for us to understand as this discussion progresses,  
16 is there a consensus report that is being produced that was the  
17 result of an outcome of these workshops or the working group  
18 products that was put together, because I feel that, for us as  
19 an SSC to make a recommendation that conflicts with  
20 recommendations for consensus decisions that are in that report,  
21 it creates a process problem here that is difficult for me to  
22 understand how we would be able to handle through the SEDAR  
23 process. Thank you, Mr. Chairman, and apologies for jumping in  
24 like that.

25  
26 **CHAIRMAN NANCE:** Thank you, Luiz. Jim Tolan, please.

27  
28 **DR. TOLAN:** Thank you, Mr. Chairman, and no worries, Luiz. That  
29 was just fine, and I think Julie is going to address that point  
30 directly, and I will address that a little bit, as one of the  
31 workgroup leaders, but, Sean, as much as I love the fact that  
32 you brought this motion up, and I totally support it, I think  
33 some of the formatting issues and the timing issues that have  
34 been brought up earlier have me a little bit concerned, with  
35 all the rest of you, but I know, from the landings CPUE group  
36 that I led, in our recommendation, we put forward that we think  
37 that there needs to be a different one of the options taken,  
38 and so we're going to take that to the data scoping on Friday.  
39 I'm going to still push really hard for that, but I think this  
40 motion is ill-timed, and so it's going to be tough to get this  
41 one passed, but I certainly appreciate you doing it. Thank you.

42  
43 **CHAIRMAN NANCE:** Thank you, Jim. Mandy.

44  
45 **DR. KARNAUSKAS:** Thanks, Mr. Chair. I agree with Luiz and  
46 others on some of the procedural concerns, and so I won't repeat  
47 those, and I will also disclose that I was part of the stock ID  
48 process, and I contributed some work to that.

1  
2 I also appreciate Sean's desire to investigate these different  
3 possibilities in the research track stock assessment process,  
4 but I have to say, having been involved in kind of opening the  
5 hood on this assessment in the past, and, for example, looking  
6 at some of the research done with larval connectivity and trying  
7 to look at spatial structure in the stock assessment and how we  
8 could better account for some of the movement dynamics, it's  
9 really not a trivial exercise.

10  
11 It's not just a matter of divvying up the data and slicing and  
12 dicing in a different way and popping it in the model, and it  
13 really -- Each time you add model complexity, it really opens  
14 up a whole new can of worms, and so I really have to question  
15 whether these kinds of explorations are the best use of the  
16 analysts' time.

17  
18 Again, I appreciate the willingness and the concern and wanting  
19 to explore these alternatives, but I really have a hard time,  
20 with my experience in this assessment, trying to figure out how  
21 this could be feasibly done.

22  
23 **CHAIRMAN NANCE:** Thank you, Mandy. Julie.

24  
25 **DR. NEER:** I will speak after Katie. I want the SSC to make  
26 their case first. You can stick me after Katie. Thank you.

27  
28 **CHAIRMAN NANCE:** I may put you right before Katie.

29  
30 **DR. NEER:** That would be fine as well.

31  
32 **CHAIRMAN NANCE:** Okay. Katie can have the last word, I guess,  
33 but we'll see. You guys can duel it out. Will and then Roy.

34  
35 **DR. PATTERSON:** I am sorry. I left my hand up the last time,  
36 and I don't have anything.

37  
38 **CHAIRMAN NANCE:** Okay. Thank you, Will. Roy.

39  
40 **DR. CRABTREE:** I will just be quick. I mean, I appreciate your  
41 willingness to modify the motion, Sean, but I just don't think  
42 this is the appropriate way, time, or place for the SSC to  
43 weigh-in on this. I mean, I'm hearing a lot of things said,  
44 but we don't have anything -- I don't know what happened, and  
45 we don't have a report, and it's just not the proper time, I  
46 don't believe, for a way for us to weigh-in, procedurally.

47  
48 **CHAIRMAN NANCE:** Trevor.

1  
2 **DR. MONCRIEF:** I certainly understand all of the concerns and  
3 everything else, and, being a part of the stock ID process, and  
4 listening in on it, this is one those things, when it comes down  
5 to a stock like this, that you have a lot of folks that have a  
6 lot of expertise, and you have a lot of information out there,  
7 and you're not always going to have 100 percent agreement, and,  
8 while consensus was reached, there was a lot of questions on  
9 which one to choose.

10  
11 My question here, and I want to be able to balance the desire  
12 of the motion, and also the concerns about the data and  
13 everything else, and I was wondering -- Is there a spot for this  
14 at the next meeting? Will a report come out before then? Is  
15 there any chance for the SSC to review the document, review the  
16 information that's there, and kind of have this discussion and  
17 come to some sort of consensus of the group?

18  
19 **CHAIRMAN NANCE:** Sean and then Ryan.

20  
21 **DR. POWERS:** That is definitely my preference. I mean, I would  
22 love to table this motion, or withdraw it, for now, and have  
23 the SSC come up to speed, but we still have the issue that,  
24 procedurally, that's not what we usually do, but I am -- I just  
25 don't want procedure in the way of trying to get this stock  
26 assessment to where the SSC can examine it and not send it back  
27 at the end, and that's my concern, but I am perfectly willing  
28 to withdraw it for now, if we can put it in the next meeting  
29 and let everybody read the report and see a more informed  
30 decision.

31  
32 **CHAIRMAN NANCE:** Ryan.

33  
34 **MR. RINDONE:** Thank you, Mr. Chair. The way that the research  
35 track process is designed to work is not to have consistent SSC,  
36 as a body, intervention in between each of the steps of the  
37 process, and Dr. Neer had talked about, in her presentation a  
38 couple of days ago, that there is some main components.

39  
40 There is the stock ID process, and then there is the data  
41 preparation and evaluation phase, and then there's the  
42 assessment process, and then there's the peer review, which  
43 includes SSC members and the CIE.

44  
45 Then, after that, the research track is done, and then we begin  
46 the operational assessment component of it, which is where we  
47 update all the data that were used in the research track to  
48 their most current year available and then, using the newly-

1 rebuilt car from the research track assessment, and then the  
2 SSC serves as the review body for all operational assessments.

3  
4 It would seem, based on the way that -- Obviously, we have  
5 started this research track process for red snapper now, and it  
6 would seem that interrupting that process in a way that could  
7 result in having to repeat the stock ID process, at least in  
8 part, or perhaps in its entirety, would certainly create  
9 substantial delays in the development of any sort of management  
10 advice down the road for red snapper.

11  
12 If that is what the SSC is recommending, I would just ask you  
13 to think about the downstream effects of what that means, not  
14 just for the SSC and its review, but also the workloads for the  
15 Center, when the council anticipates receiving the catch advice  
16 down the road, and there's a lot of players, obviously, as was  
17 spoken to as part of Julie's presentation, and then as Will  
18 spoke about earlier.

19  
20 It's not just federal, and it's academics, and it's state  
21 people, and it's everybody, and then, for red snapper, it's more  
22 than any other species. There are hundreds upon hundreds of  
23 people that are involved, and going to be involved, in this  
24 assessment, and so any changes to pace, et cetera, affects many,  
25 many people, and not insignificantly, and so that's all I have  
26 on that.

27  
28 **CHAIRMAN NANCE:** Doug Gregory.

29  
30 **MR. GREGORY:** It's hard to follow that one. Sean, this is  
31 surprising, and I had the impression that a research track was  
32 to investigate everything, and no matter how long it took, and  
33 you do it. In fact, I think, within National Marine Fisheries  
34 Service, there was some discussion about that.

35  
36 I also understand how SEDAR likes its schedules, and so this  
37 will mess up their schedule, and I am really sympathetic to  
38 this, because of my concern about king mackerel.

39  
40 If you remember, back in the day, we would refer to king mackerel  
41 as having a western Gulf migratory group and an eastern Gulf  
42 migratory group, and somehow that has been lost, but, in  
43 essence, for all intents and purposes, those migratory groups  
44 were separate genetic populations, and so I would like to see  
45 that re-emerge and us look at the western Gulf and the eastern  
46 Gulf as separate populations, because something is going strange  
47 with king mackerel, and we need to look into this, and so I am  
48 sympathetic, but I don't support the motion, and I see it

1 probably being withdrawn, but this is not what we thought the  
2 research track process would be. Thank you.

3

4 **CHAIRMAN NANCE:** Thank you, Doug. Katie.

5

6 **DR. SIEGFRIED:** Thank you, Mr. Chair. There's a lot of things  
7 to potentially respond to, and I think Julie will probably  
8 comment on procedure. I guess I will just weigh-in on that a  
9 little bit, and it's not SEDAR that is limiting -- We're not  
10 shackled by SEDAR to only produce one stock structure, and I  
11 wouldn't say that the SEDAR process is the problem.

12

13 As I explained in my presentation, and Julie explained in hers,  
14 we had a stock ID process that was supposed to be when we  
15 considered these alternative stock structures, and it doesn't  
16 sound like it's satisfactory to folks, and I understand that,  
17 but I hope that it can also be understood that all of the  
18 analysts are not focused on just providing data for red snapper,  
19 or modeling for red snapper, and so we have to provide some  
20 feasible limits of what we can provide at the Science Center,  
21 given all of our other operational workload.

22

23 For instance, if this is something that the SSC wants to change  
24 procedure and circumvent the stock ID process and decide on  
25 stock ID themselves, which I haven't heard that exactly, but,  
26 if you want to revisit it next time, that's really ignoring the  
27 consensus that was reached during the SEDAR stock ID process,  
28 and we would have to stop data provision.

29

30 At this point, we wouldn't need to have data scoping, and we  
31 wouldn't want to have the data providers pull the data multiple  
32 times. Like the Florida folks have to recalculate their indices  
33 of abundance that are key, and, like Ryan said, there's lots of  
34 other people that have to get their data together multiple ways,  
35 and so it's a trickle-down effect, and it's a trickle-out  
36 effect, that we just -- We have to put some feasible limits on  
37 workload.

38

39 Also, we just don't know an objective, quantitative way to  
40 decide between these models. If we run the status quo, and then  
41 we run Option c side-by-side, it's, at that point, at least  
42 double the work, and potentially more, because we don't really  
43 know which indices will be used in Option c.

44

45 Then the final comment is I agree with all of the folks that  
46 have raised the issue, and they haven't even looked at the  
47 options, and they don't know what they're evaluating, which was  
48 a comment that I made before, but I think that touches on

1 everything that I had written down, and I'm happy to elaborate  
2 on anything, and I know that I commented on quite a number of  
3 things there all at one time, but hopefully Julie can get at  
4 the procedural and process part. Thank you.

5  
6 **CHAIRMAN NANCE:** Thank you, Katie. Sean, to that point?

7  
8 **DR. POWERS:** Katie, and I don't disagree, and I don't think any  
9 of us would, that there was a consensus option, and I guess what  
10 I go back to is that consensus somewhat was forced, because we  
11 were told we could only have one option, and I guess that's the  
12 heart of it, and not which option is the best or anything like  
13 that, but just, as many of us said, going into this research  
14 track, we thought we could explore more things than we can, and  
15 so I am not debating that, or arguing that, the option that was  
16 chosen was the consensus among the large group, but it's just  
17 we were restricted to choosing one option, and that's all.

18  
19 **CHAIRMAN NANCE:** Mandy.

20  
21 **DR. KARNAUSKAS:** Thanks. I just wanted to point out what's  
22 going on with the research track also isn't happening in a  
23 vacuum. There are a lot of lines of research that we're  
24 undertaking at the Southeast Center, and we had, before the  
25 research track, been exploring some spatial modeling approaches  
26 and alternative spatial areas for red snapper, and that line of  
27 research is still ongoing, and so it's independent from the  
28 research track assessment.

29  
30 We also have an effort looking at trying to divvy up sort of  
31 artificial versus natural red snapper populations, trying to  
32 divvy up the data by those separate habitat types, so we could  
33 look at the impact of productivity on artificial versus natural  
34 reefs, different growth and those sorts of things, and so that  
35 research is ongoing, and potentially those sorts of complexities  
36 added into the stock assessment might even have more bearing  
37 than two a two-region versus three-region model, and so I just  
38 wanted to point that out, that, if it doesn't get included in  
39 the research track assessment, it's not that all is lost. A  
40 lot of these things can make great PhD dissertations and  
41 projects and gradually get included and incorporated into the  
42 management. Thank you.

43  
44 **CHAIRMAN NANCE:** Thank you, Mandy. Jim.

45  
46 **DR. TOLAN:** Thank you, Mr. Chairman. I will just back-up what  
47 Sean was saying about, at the very end of that stock ID, we were  
48 kind of forced into coming up with some consensus, and I made a

1 point of putting some language into our report that was almost  
2 like a minority report status that says, even though the  
3 consensus is this, our group preferred this option, and so,  
4 again, a lot of people haven't seen these, and so I'm not going  
5 to talk much about them, but I still think we were sort of  
6 shepherded by the staff to say you get to pick one and go do  
7 it, and so, again, it gets away from what a research track ought  
8 to be. Thank you.

9  
10 **CHAIRMAN NANCE:** Thank you for that comment, Jim. Julie.

11  
12 **DR. NEER:** Thank you, Mr. Chair. It seems that the understanding  
13 of what a research track can and cannot do is an outstanding  
14 question, with regard to the scope of what can truly be done.  
15 I am sorry that groups felt that you were kind of forced into  
16 consensus, and that was certainly not my intent during the  
17 process, but I do agree that the guidance we were provided was  
18 that, as anything with a research track, versus a benchmark,  
19 versus any of the processes that SEDAR has done, they are  
20 sequential decision-making processes.

21  
22 You have to make decisions to move on to the next step, and so  
23 the Science Center made a compelling argument, during the stock  
24 ID process, which I believe they have tried to reiterate here  
25 with regard to, one, workload issues, but, two, the bigger issue  
26 with regard to how would you choose which model is, quote,  
27 unquote, best, if we could even run these things in multiple  
28 iterations moving forward?

29  
30 I would suggest that, if that is something that the group feels  
31 needs to be done, then perhaps that's a recommendation that  
32 should come out, that says, well, if we think we want to do  
33 these things, we need to come up with an objective way to choose  
34 between multiple models, and that's a whole other process that  
35 can be conducted via the Science Center, the Science Center and  
36 the council, and the Science Center and the council and SEDAR,  
37 or whatever.

38  
39 It sounds, to me, like that is one of the underlying issues,  
40 is, unfortunately, what we feel -- What the Science Center feels  
41 can be accomplished, and what the SSC would have liked to have  
42 been accomplished are not in step right now, and so we're going  
43 to have to deal with that.

44  
45 My other comment I just want to make is the current process --  
46 We do not have, as Ryan mentioned, reviews at each step of the  
47 process during a SEDAR process, and we never have, and this is  
48 not the current structure of how these things work.

1  
2 If that is something that you also feel needs to be changed,  
3 that the SSC should actually weigh-in at each step of when we  
4 finish stock ID, when we finish data, when we finish the  
5 assessment, before it goes to review, that is something that  
6 you need to give some thought to and come up with a proposal  
7 and have your council reps present that to the SEDAR Steering  
8 Committee, because that is a fundamental change to how we  
9 operate, and have operated since SEDAR was put in place in 2002.

10  
11 SEDAR changes all the time, as we all seem to make a joke about,  
12 but it's true, and we are constantly trying to change and adapt  
13 to make things happen, to meet the needs of our cooperators,  
14 and, if that's a step that we need to suddenly need to  
15 incorporate and make changes to, then think about that. Think  
16 about how you would like to see that happen, and it can be  
17 discussed at the Steering Committee level, and that's certainly  
18 not something that is just decided by any individual cooperator  
19 or any individual SSC, and it's a bigger programmatic issue.

20  
21 Finally, I just wanted to say that, with regard to timing of  
22 getting stuff done, we also have received -- SEDAR also receives  
23 pressure from outside influences, such as cooperators, saying  
24 we need this management advice. SEDAR is happy to make this  
25 project five years long, if that is what it's going to require,  
26 but it's not my choice to make that. These schedules are defined  
27 and set up with cooperation with regard, and consideration with  
28 regard, to when the councils need these products, how much time  
29 the Science Center needs to make these things happen, how much  
30 involvement we need from a variety of people.

31  
32 As Ryan said, this is one of the largest things we've done in a  
33 long time, since the first SEDAR red snapper that was held in  
34 the Gulf, and there was fifty-some people on the participants  
35 list, and that is kind of where we're at again already, not  
36 counting the public just showing up, and we think there will  
37 be.

38  
39 We set schedules, but I don't want anyone to think that SEDAR  
40 sets the schedules. In reality, SEDAR sets very little. We  
41 operate and act under the guidance we are provided from people  
42 doing the work and people who need the product at the end, and  
43 then I take all of that information, and I come up with a project  
44 schedule to try and make everyone happy, and there is always  
45 people who are not happy along those lines, but, if we need to  
46 make changes to any of these processes, the mechanism is you  
47 make your recommendations to your council, and they can bring  
48 it up at the Steering Committee level. Thanks.

1  
2 **CHAIRMAN NANCE:** Thank you. Trevor.  
3

4 **DR. MONCRIEF:** Thanks, Katie and Julie, for all that information  
5 and everything else. I wanted to go down kind of the same route  
6 that you were talking about, Julie, but just a little bit  
7 different direction, really trying to look at, down the road,  
8 should this kind of thing happen more, and you can only imagine  
9 that we're going to continue to get more and more data on all  
10 these species, and the assessments are going to become more and  
11 more complex, is what you would think, down the road.  
12

13 I know, at one point, at the end of the meeting, essentially,  
14 when we were struggling to come to some sort of consensus, and  
15 folks coming down to it, the comment was made that, if we can't  
16 make a decision here, then the decision would have to go to the  
17 powers-that-be to make it, and I was wondering, at least in our  
18 group, if the discussion would be worth having, and, in the  
19 future, if a stock ID group cannot come to a consensus, would  
20 this be an applicable venue to then receive that information  
21 and help guide the process to a consensus? That's just something  
22 I wanted to bring up.  
23

24 **DR. NEER:** Jim, may I respond to that, quickly?  
25

26 **CHAIRMAN NANCE:** Yes, Julie.  
27

28 **DR. NEER:** In a previous SEDAR, and it was a benchmark at the  
29 time, and it was cobia, Atlantic and Gulf cobia, and we also  
30 had these issues within blueline tilefish. In both of those  
31 terms of reference, they had an additional process to -- They  
32 had steps built into the process, as part of sort of the -- Not  
33 the terms of reference, but the operational guidelines, with  
34 regard to what if this group can't make a consensus.  
35

36 In the case of blueline, we had a review panel review it, and  
37 we had stuff like that, and then it went up to sort of council  
38 leadership, because there were multiple agencies, or councils,  
39 that might have had to deal with the management issues, and  
40 there was a technical review body that could also step in, if  
41 we had additional questions, and so I think that having that  
42 discussion of what do we do if we can't reach consensus, how we  
43 move forward, we need to revisit and make sure that those steps  
44 are outlined, and I think that is useful.  
45

46 Whether it would be the SSC who would weigh-in on it, or council  
47 leadership, other technical experts, I don't know, but I agree  
48 that, given all the consternation that has come out of this one,

1 we should revisit that process, and it has existed in the past  
2 for pieces, and we didn't -- It had sort of fallen by the  
3 wayside, because we haven't had any extremely controversial --  
4 We didn't envision any of these being extremely controversial  
5 or difficult decisions for the recent ones that we have done,  
6 but it's certainly a mechanism that could be looked at.

7  
8 **CHAIRMAN NANCE:** Thank you. Will Patterson, please.

9  
10 **DR. PATTERSON:** Thanks, Jim. I think this issue with the stock  
11 structure questions, with respect to the research track  
12 assessment for red snapper, really comes down to expectations,  
13 and I don't remember going through the TORs ahead of this  
14 assessment, and I guess we should pay close attention in the  
15 future.

16  
17 If there's something that SSC members think really needs to be  
18 a focus, or at least potentially examined within one of these  
19 research track assessments, that we be sure to get it into the  
20 terms of reference, because, going back to -- Following 2010,  
21 when we started to see a plateau of stock biomass in the east -  
22 - After 2007 or 2008, the trajectory was going upward quite  
23 substantially, and a similar trajectory in the east and the  
24 west.

25  
26 The west continued to climb, and the east kind of plateaued,  
27 and then we started seeing, through the various assessments and  
28 updates, the decline in indices in the north-central Gulf of  
29 Mexico, but an increase in values in the eastern Gulf of Mexico,  
30 south of San Blas.

31  
32 Now, there was -- I should say just in the data that were  
33 collected from various programs, because the indices themselves  
34 were being fit to the entire eastern Gulf of Mexico, versus  
35 western Gulf of Mexico, and that's when folks that have been  
36 involved in the red snapper assessment processes and SSC members  
37 started to really get an interest in, well, perhaps we have  
38 different dynamics that are occurring south of San Blas, versus  
39 from the Mississippi River over to San Blas, and we were told,  
40 well, we can't do that in this type of assessment, but there's  
41 a research track coming down the road.

42  
43 I guess I just didn't really pay close enough attention to what  
44 the realm of possibility was there, because I was surprised, in  
45 one of the earlier stock ID workshops, when I brought up the -  
46 - I naively said, what do you mean we have to choose, and we  
47 can do both, and then it will just be this, and then I was told  
48 that, no, we can't do that, and so my ignorance there shown

1 through.

2

3 I do think that this is possible. I understand that the data  
4 requirements and the amount of finesse that will be required to  
5 examine two different population structure assumptions is not  
6 insignificant, but, really, what it comes down to is motivation  
7 and choice, and time, obviously, right?

8

9 There's a lot of analytical time that's involved here, and so I  
10 guess, if the SSC had said this is our number-one priority in a  
11 research track assessment, to examine this issue early on, then  
12 it seems to me that that would at least have been considered,  
13 if not incorporated into the process. We just have to do a  
14 better job, I guess, of communicating that as we go.

15

16 I disagree a bit with Katie about this idea of an objective  
17 evaluation, because, even though we may not be able to look at  
18 AIC or some other Bayesian criterion, there is expert judgment  
19 here. We can look at how the model is fitting and how the two  
20 different models would be fitting under different population  
21 structure assumptions and, from that, draw some inference as to  
22 which we think is more plausible, and then the other, which does  
23 a better job of capturing stock dynamics.

24

25 It seems like an area for research, especially as spatial models  
26 become more in vogue and are utilized, to examine that, when  
27 you're not handling the data exactly the same way, so you can  
28 use some type of information criterion to evaluate between the  
29 two, but I still think that it could be done in a somewhat  
30 objective manner, even if we couldn't use the typical types of  
31 approaches. Thanks.

32

33 **MR. RINDONE:** Jim stepped out for a second, and so we'll go to  
34 Tom.

35

36 **DR. FRAZER:** Again, there is a lot of discussion here that is  
37 valuable to hear. I think it will be important, and a lot of  
38 it centers around expectations regarding the research track  
39 assessment, and I think we can certainly have a discussion again  
40 at the council meeting with Science Center leadership, and I  
41 will call Clay again to try to clarify what the bounds might be  
42 on a research track, and they certainly can't be unlimited, but  
43 they should be as flexible as they can be to pursue any number  
44 of things, but, again, there are some realities that we have to  
45 pay attention to, and so I think some clarity coming from the  
46 Science Center with regard to the scope of the research track  
47 assessment is in order.

48

1 We can certainly -- I will talk to Clay personally about it,  
2 and then we'll have some discussion at the council meeting in  
3 Texas in these coming weeks.

4  
5 Depending on where that discussion goes, and based on this  
6 discussion, we'll have -- Some of it will bear on process and  
7 what's appropriate and what's not, and how we might intervene  
8 or have some checkpoints, and, if it's doable and the right  
9 thing to do, perhaps we can have a one-day SSC meeting to deal  
10 specifically with this topic before we get too far down the  
11 road, and so that's all I have to say for right now.

12  
13 **MR. RINDONE:** All right. Mike.

14  
15 **DR. ALLEN:** Thank you. I just wanted to mention that, as a new  
16 SSC member on the Reef Fish SSC, I haven't seen any of this yet,  
17 and so I wouldn't be in a position to comment or vote either  
18 way on any of the motion, and I realize that this is something  
19 that the group has been tackling for a long time, and that it's  
20 almost irresistible to talk about it, but I'm not in a position  
21 to weigh-in either way at this stage, and so thank you.

22  
23 **MR. RINDONE:** All right. Is there anyone else that would like  
24 to speak to this issue? Seeing none, are there any other members  
25 of the SSC that have anything to bring up for other business?  
26 I think this was all that we had prior to the meeting.

27  
28 Seeing none, thank you, all. You guys have done a great job,  
29 especially for your first meeting, and it certainly wasn't dull,  
30 and so I will be working on an updated agenda with the Chair  
31 and Vice Chair and council staff, and we will float that to the  
32 Science Center and the other people from whom we need to receive  
33 materials for the September meeting.

34  
35 I will send out a doodle poll later today for dates for that  
36 last full week of September, and so go ahead and draw a circle  
37 around that with a pencil and flag that, and that's definitely  
38 when this is going to be, and, right now, it's looking like  
39 probably a three-and-a-half-day meeting. If we go forward with  
40 having a one-day meeting to resolve this stock ID issue with  
41 red snapper, we'll plot something out on the calendar and try  
42 and figure a time to discuss that with you guys, and so any  
43 questions?

44  
45 **DR. NEER:** Ryan, when you say the last full week of September,  
46 you're talking the week of September 20, the last full week of  
47 September, or are you talking --

1 **MR. RINDONE:** Sorry, Julie. You're right. I am looking at the  
2 week of the 27<sup>th</sup> to October 1.

3  
4 **DR. NEER:** Okay. Thank you. I am just penciling in the right  
5 week.

6  
7 **MR. RINDONE:** Yes. The 27<sup>th</sup> to October 1, that week.

8  
9 **CHAIRMAN NANCE:** I greatly appreciate all of your input, and  
10 this has been a great meeting. I guess we will go ahead and  
11 end.

12  
13 **MR. RINDONE:** All right. Safe travels, everyone. Thank you.

14  
15 (Whereupon, the meeting adjourned on August 11, 2021.)

16  
17 - - -  
18