

1 GULF OF MEXICO FISHERY MANAGEMENT COUNCIL

2
3 MEETING OF THE STANDING & SPECIAL REEF FISH, SOCIOECONOMIC &
4 ECOSYSTEM SCIENTIFIC AND STATISTICAL COMMITTEES

5
6 GMFMC Office

Tampa, Florida

7
8 JANUARY 10-12, 2023
9

10 **STANDING SSC VOTING MEMBERS**

- 11 James Nance.....
- 12 Luiz Barbieri.....
- 13 Harry Blanchet.....
- 14 David Chagaris.....
- 15 Roy Crabtree.....
- 16 Benny Gallaway.....
- 17 Douglas Gregory.....
- 18 David Griffith.....
- 19 Paul Mickle.....
- 20 Will Patterson.....
- 21 Sean Powers.....
- 22 Steven Scyphers.....
- 23 Jim Tolan.....
- 24 Richard Woodward.....

25
26 **SPECIAL ECOSYSTEM SSC VOTING MEMBERS**

- 27 Mandy Karnauskas.....
- 28 Josh Kilborn.....
- 29 Steven Saul.....

30
31 **SPECIAL REEF FISH SSC VOTING MEMBERS**

- 32 Jason Adriance.....
- 33 Michael Allen.....
- 34 John Mareska.....

35
36 **SPECIAL SOCIOECONOMIC SSC VOTING MEMBERS**

- 37 Luke Fairbanks.....
- 38 Cynthia Grace-McCaskey.....
- 39 Jack Isaacs.....

40
41 **STAFF**

- 42 John Froeschke.....Deputy Director
- 43 Lisa Hollensead.....Fishery Biologist
- 44 Jessica Matos.....Administrative and Accounting Technician
- 45 Ryan Rindone.....Lead Fisheries Biologist/SEDAR Liaison
- 46 Bernadine Roy.....Office Manager
- 47 Carrie Simmons.....Executive Director

1 **OTHER PARTICIPANTS**
2 Richard Cody.....NOAA OST
3 Tiffany Cross.....FWC, FL
4 Francesca Forrestal.....SEFSC
5 Tom Frazer.....GMFMC
6 Peter Hood.....NMFS
7 Mike Larkin.....NMFS
8 Rich Malinowski.....NMFS
9 Jack McGovern.....NMFS
10 Bev Sauls.....FWC, FL
11 Eric Schmidt.....Fort Myers, FL
12 Katie Siegfried.....SEFSC, NC
13 Thomas Sminkey.....St. Petersburg, FL
14 Molly Stevens.....NOAA, FL
15 Andy Strelcheck.....NMFS
16 Bob Zales.....Panama City, FL

17
18
19

- - -

TABLE OF CONTENTS

1
2
3 Table of Contents.....3
4
5 Table of Motions.....4
6
7 Introductions and Adoption of Agenda.....5
8
9 Approval of Verbatim Minutes and Meeting Summary: September 21-23,
10 2022, Meeting.....5
11
12 Scope of Work.....5
13
14 Selection of SSC Representative for the January 30-February 2, 2023
15 Gulf Council Meeting in Baton Rouge, LA.....5
16
17 Review of SEDAR 75: Gulf of Mexico Gray Snapper.....8
18
19 Discussion of Acceptable Biological Catch Control Rule Modifications
2092
21
22 Review of Gulf Red Grouper Interim Analysis and Projections.....116
23
24 Public Comment.....141
25
26 Evaluation of Updated Red Snapper Calibration Ratios for Gulf State
27 Surveys to MRIP.....143
28 Florida.....144
29 Alabama.....174
30 Mississippi.....203
31 SSC Discussion.....230
32
33 Review of SEDAR 75: Gulf of Mexico Gray Snapper (continued).....291
34
35 Other Business.....308
36 Discussion of Interim Assessments and SEDAR Processes.....308
37
38 Public Comment.....325
39
40 Adjournment.....328
41

- - -

TABLE OF MOTIONS

PAGE 140: Motion that the SSC recommends not modifying the current catch limits for Gulf red grouper based on the 2023 interim analysis. [The motion carried on page 140.](#)

PAGE 248: Motion that the SSC recommends that the proposed Florida's calibration from SRFs to MRIP-CHTS for the private angling component of red snapper use data from 2018, 2019, and 2021 to determine the updated calibration ratio of 1.29 in numbers of fish and 1.34 in pounds whole weight. [The motion carried on page 256.](#)

PAGE 269: Motion that the SSC recommends that the proposed Alabama's calibration from Snapper Check to MRIP-CHTS (Snapper Check/MRIP-CHTS) for the private angling and state charter for-hire component of red snapper use data from 2018, 2019, 2020, and 2021, to determine the updated calibration ratio of 0.548 in pounds whole weight. [The motion carried on page 273.](#)

PAGE 283: Motion that the SSC recommends that the proposed Mississippi's calibration from Tails 'n Scales to MRIP-CHTS (Tails 'n Scales/MRIP-CHTS) for the private recreational sector of red snapper use data from 2018 - 2020, as the base years and restricts the harvest comparison to just Waves 3 and 4. The updated calibration ratio is 0.503 in pounds whole weight. [The motion carried on page 290.](#)

PAGE 298: Motion that the SSC moves to accept the SEDAR 75 Gulf of Mexico Gray Snapper Operational Assessment as consistent with the best scientific information available. Under the current FMSY proxy of F 26 percent SPR, the model derived estimates indicate the stock is not overfished and is not undergoing overfishing. [The motion carried on page 301.](#)

PAGE 301: Motion that, based on the projection settings accepted by the SSC for the SEDAR 75 Operational Assessment, the SSC recommends the following catch levels for Gulf of Mexico Gray Snapper, OFL be set as the yield (million pounds whole weight) at F 26 percent SPR and ABC as the yield at 75 percent of F 26 percent SPR for the period 2024 through 2028. The SSC also supports the constant catch scenario (which is a mean of the five-year period) that results in an OFL of 7.547 million pounds whole weight and an ABC of 6.226 million pounds whole weight. [The motion carried on page 307.](#)

- - -

1 The Meeting of the Gulf of Mexico Fishery Management Council
2 Standing and Special Reef Fish, Special Socioeconomic & Special
3 Ecosystem Scientific and Statistical Committees convened on
4 Tuesday, January 10, 2023, and was called to order by Chairman Jim
5 Nance.

6
7 **INTRODUCTIONS**

8 **ADOPTION OF AGENDA**

9 **APPROVAL OF VERBATIM MINUTES AND MEETING SUMMARY: SEPTEMBER 21-**
10 **23, 2022 MEETING**

11 **SCOPE OF WORK**

12 **SELECTION OF SSC REPRESENTATIVE FOR THE JANUARY 30-FEBRUARY 3,**
13 **2023 GULF COUNCIL MEETING IN BATON ROUGE, LOUISIANA**

14
15 **CHAIRMAN JIM NANCE:** Good morning. My name is Jim Nance, and I am
16 the chair of the Scientific and Statistical Committee for the Gulf
17 of Mexico Fishery Management Council. We appreciate your
18 attendance on this webinar and input in this meeting.
19 Representing the council is Dr. Tom Frazer.

20
21 Council Staff in attendance include Carrie Simmons, John
22 Froeschke, Ryan Rindone, Lisa Hollensead, Jessica Matos, and
23 Bernie Roy. Notice of this meeting was provided to the Federal
24 Register, sent via email to subscribers of the council's press
25 release email list, and was posted on the council's website.

26
27 This week's meeting will include some the following topics: Review
28 of SEDAR 75, Gulf of Mexico gray snapper; discussion of the ABC
29 Control Rule modifications; evaluation of updated red snapper
30 calibration ratios for Gulf state surveys to MRIP; review of the
31 red grouper interim analysis and projections; and also public
32 comment.

33
34 This webinar is open to the public and is being streamed live and
35 recorded. A summary of the meeting and verbatim minutes will be
36 provided and made available to the public via the council's
37 website. For the purpose of voice identification, and to ensure
38 that you are able to mute and unmute your line, please identify
39 yourself by stating your full name when your name is called for
40 attendance.

41
42 Once you have identified yourself, please re-mute your mic or line.
43 To signal you wish to speak during the meeting, either raise your
44 hand, if you're at the meeting, or use the raise-hand function,
45 and the staff will display your name, and I will be able to see
46 that. Please remember to identify yourself before speaking and
47 also to re-mute your mic each time you finish speaking. We'll go
48 ahead and take attendance now, Jessica.

1
2 **MS. JESSICA MATOS:** Lee Anderson. Luiz Barbieri.
3
4 **DR. LUIZ BARBIERI:** Luiz Barbieri.
5
6 **MS. MATOS:** Harry Blanchet.
7
8 **MR. HARRY BLANCHET:** Harry Blanchet.
9
10 **MS. MATOS:** David Chagaris.
11
12 **DR. DAVID CHAGARIS:** David Chagaris.
13
14 **MS. MATOS:** Roy Crabtree.
15
16 **DR. ROY CRABTREE:** Roy Crabtree.
17
18 **MS. MATOS:** Benny Gallaway.
19
20 **DR. BENNY GALLAWAY:** Benny Gallaway.
21
22 **MS. MATOS:** Doug Gregory.
23
24 **MR. DOUG GREGORY:** Doug Gregory.
25
26 **MS. MATOS:** David Griffith.
27
28 **DR. DAVID GRIFFITH:** David Griffith.
29
30 **MS. MATOS:** Paul Mickle.
31
32 **DR. PAUL MICKLE:** Paul Mickle.
33
34 **MS. MATOS:** Trevor Moncrief.
35
36 **MR. TREVOR MONCRIEF:** Trevor Moncrief.
37
38 **MS. MATOS:** Jim Nance.
39
40 **CHAIRMAN NANCE:** Jim Nance.
41
42 **MS. MATOS:** Will Patterson.
43
44 **DR. WILL PATTERSON:** Will Patterson.
45
46 **MS. MATOS:** Sean Powers.
47
48 **DR. SEAN POWERS:** Sean Powers.

1
2 **MS. MATOS:** Steven Scyphers.
3
4 **DR. STEVEN SCYPHERS:** Steven Scyphers.
5
6 **MS. MATOS:** Jim Tolan.
7
8 **DR. JIM TOLAN:** Jim Tolan.
9
10 **MS. MATOS:** Rich Woodward. Jason Adriance.
11
12 **MR. JASON ADRIANCE:** Jason Adriance.
13
14 **MS. MATOS:** Michael Allen.
15
16 **DR. MICHAEL ALLEN:** Mike Allen.
17
18 **MS. MATOS:** John Mareska.
19
20 **MR. JOHN MARESKA:** John Mareska.
21
22 **MS. MATOS:** Luke Fairbanks. Cynthia Grace-McCaskey.
23
24 **DR. CYNTHIA GRACE-MCCASKEY:** Cindy Grace-McCaskey.
25
26 **MS. MATOS:** Jack Isaacs.
27
28 **DR. JACK ISAACS:** Jack Isaacs, wishing everybody a happy new year.
29
30 **MS. MATOS:** Mandy Karnauskas. Josh Kilborn.
31
32 **DR. JOSH KILBORN:** Josh Kilborn.
33
34 **MS. MATOS:** Steven Saul.
35
36 **DR. STEVEN SAUL:** Steve Saul.
37
38 **MS. MATOS:** Tom Frazer.
39
40 **DR. TOM FRAZER:** Tom Frazer.
41
42 **CHAIRMAN NANCE:** Thank you, Jessica. We'll go ahead and move into
43 the meeting now, and you've each seen the agenda, and we have three
44 days of the agenda. Is there any modifications or changes to the
45 agenda that anybody would like to have occur? Seeing none, is
46 there any opposition to adoption of the agenda? Okay, and so the
47 agenda is adopted.
48

1 You've all had the opportunity to look over the minutes and the
2 meeting summary from last time, our September 21 through 23
3 meeting. Any changes or modifications to either the minutes or
4 the meeting summary? Hearing or seeing none, is there any
5 opposition to adoption, or approval, of the minutes and the meeting
6 summary from last time? Okay, and so, without opposition, those
7 are approved.

8
9 Item Number IV, Selection of an SSC Representative, I will be happy
10 to go to the Gulf Council meeting in Baton Rouge at the end of
11 this month, and so I will be going to that meeting and representing
12 the SSC there. We'll go ahead and move into Item Number V, Review
13 of SEDAR 75: Gulf of Mexico Gray Snapper, and Dr. Forrestal is
14 with us, and I'm going to have Ryan go over the scope of work for
15 that agenda item, and then, Dr. Forrestal, we'll go ahead and turn
16 the time over to you for your presentation, and thanks for being
17 here in-person. It's nice to have the Center here and be able to
18 present that.

19
20 **REVIEW OF SEDAR 75: GULF OF MEXICO GRAY SNAPPER**

21
22 **MR. RYAN RINDONE:** She knew we had empanadas. Dr. Forrestal, from
23 the Southeast Fisheries Science Center, will present the findings
24 from the SEDAR 75 assessment of the gray snapper. SEDAR 75
25 resolved several concerns from the previous model, which was SEDAR
26 51, which was completed in 2018, and incorporates updated
27 recreational landings data calibrated to the Marine Recreational
28 Information Program's Fishing Effort Survey.

29
30 Dr. Forrestal will review the model's construction and development
31 and included indices of relative abundance, base model estimations
32 and results, diagnostics and yield projections, based on the
33 council's status determination criteria. You guys should consider
34 the information presented and make any appropriate recommendations
35 about whether the assessment is consistent with the best scientific
36 information available. You should also evaluate the projections
37 and consider whether to recommend modifications to the catch limits
38 to the council. Mr. Chair.

39
40 **CHAIRMAN NANCE:** Thank you, Ryan. Dr. Forrestal, we'll go ahead
41 and have your presentation.

42
43 **DR. FRANCESCA FORRESTAL:** Thank you very much. Good morning,
44 everybody. Thank you for having me. I'm going to be presenting
45 the results of SEDAR 75, which is the operational assessment for
46 the Gulf gray snapper.

47
48 To give just an overall of what I'll be speaking about this morning

1 and this afternoon, I'm going to go into the assessment history
2 and any data review or updates, and I will then discuss the model-
3 building process and configuration, as well as the assessment
4 results and associated diagnostics. I will then, finally, present
5 the benchmark stock status and the projections, and then we have
6 several research recommendations. The final assessment report is
7 on the SEDAR website, and so it is available for review.

8
9 This species was last assessed in 2018, under the SEDAR process,
10 and this was the first time the species was formally assessed. It
11 was a benchmark assessment, and is referred to as SEDAR 51
12 throughout this presentation. The data workshop was held in 2017,
13 and then the assessment process took place between June and October
14 of 2017. The terminal year for all the data was 2015, and the
15 final results of the assessment were that it was not overfished,
16 if MSST was defined as 50 percent of spawning stock biomass at the
17 MSY proxy of SPR 30 percent.

18
19 However, after -- I think, during the SSC review, and during the
20 review process, the SSC noted that the Reef Fish Amendment 44 was
21 only appropriate for seven reef species, and gray snapper was not
22 included in that amendment, and so, therefore, the MSST definition
23 should have been one minus the natural mortality times the SPR 30
24 proxy, and so, in that case, using that definition, the stock was
25 overfished. Then there was a review workshop that took place in
26 2018.

27
28 The stock ID for the species, as this was an operational
29 assessment, we did not have a data workshop or any of the
30 associated things that went along with that, and so we used the
31 stock ID from SEDAR 51, and it has a working paper from the data
32 workshop, and it showed that there are limited adult movement,
33 from tagging studies, and the recommendation from the stock ID was
34 that all Monroe County should be included in the Gulf. This
35 differs a little bit from other species assessed in the Gulf of
36 Mexico, as usually there is that cutoff at U.S. 1, and so some of
37 Monroe County is not included in the Gulf, but, for gray snapper,
38 all of Monroe County is included in the data.

39
40 There are differences between the Gulf of Mexico and South
41 Atlantic, as seen in the genetics, but it's very difficult to
42 proportion the data between the two regions, and so all of the
43 MRIP data places Monroe County within the Gulf, and then there's
44 no support for an east-west split in the Gulf of Mexico, as of
45 now. Then, in terms of the statistical landings, all of Grid 748
46 was assigned to Monroe County, and then some of Grid 744, and so
47 Florida Bay, Card Sound, and Barnes Sound are included.

1 The assessment process for SEDAR 75 included two topical working
2 groups, and this was included in the TORs, and so we had a life
3 history topical working group from December of 2020 through June
4 of 2022, and that consisted of some internal calls and data scoping
5 and then a recommendation call, in June, and then we also had a
6 shore mode topical working group, in June and July, and that
7 consisted of internal calls and a recommendation call, and then
8 the table to the right shows all the attendees and participants in
9 those topical working groups.

10
11 Regulations that apply to the Gulf gray snapper, for the
12 assessment, are, in 1990, there was a minimum size limit enacted,
13 or put in place, for twelve inches total length in federal waters,
14 and then, also, in 1990, there was a ten-inch total length within
15 the Florida waters. Gray snapper is also included in the
16 recreational bag limit, and so it is included in the ten-snapper
17 aggregate limit.

18
19 Focusing on the specific TORs for the topical working groups, they
20 were to consider the SEDAR 51 recommendations for natural
21 mortality. They set a maximum age of twenty-eight years and to
22 apply a Lorenzen age-specific M vector and then consider bounding
23 M between a target mortality of 0.13 and 0.17. It was also
24 recommended to consider all SEDAR 51 recommendations for growth,
25 to use all the data, regardless of sex, and then determine whether
26 it is possible to predict growth within the model, and then,
27 finally, consider any new recommendations from SEDAR 51.

28
29 The natural mortality, we used an age-specific M vector, estimated
30 using Lorenzen, and we used a target M of 0.15, and this is
31 calculated from Hoenig with a teleost maximum age of twenty-eight.
32 The sensitivity runs used a maximum age of twenty-five as a lower
33 bound and a max age of thirty-two as an upper bound. We did
34 attempt to estimate M directly within the Stock Synthesis process,
35 and so this replicates how M is calculated under the SEDAR
36 approach, but it is explicitly done within the model, and this
37 does account for using an estimated growth curve within the model.

38
39 We were able to estimate growth in Stock Synthesis, but, when we
40 ran the diagnostics, it had very poor retrospective patterns, and
41 so we decided that we were not going to estimate growth within SS,
42 and we used the provided growth estimates from the topical working
43 group, and so, because of that, we used the provided -- The same
44 M vector as SEDAR 51, with the population age of twenty-eight.

45
46 Moving on to growth, there were two scenarios that examined the
47 size-adjusted growth models. Scenario A used all fishery-
48 dependent samples and assigned them a twelve-inch total length

1 size limit, and then Scenario B treated recreational samples
2 differently, and so recreational samples caught within the Florida
3 state jurisdictional waters after 1990 were assigned the ten-inch
4 total length size limit, and then all the other fishery-dependent
5 samples were assigned a twelve-inch limit, and so Scenario B is
6 the one with the arrow associated with it, and you can see the
7 values from that run.

8
9 The topical working group recommended Scenario B, and you can see
10 the shift from SEDAR 51 to SEDAR 75 with the new growth model, and
11 L infinity increased from just under fifty-five to just under
12 sixty-one, and then there's some small shifts seen in the K and T₀
13 values.

14
15 Because we had the time, and the personnel, with the topical
16 working group, we allowed for an exploration of differences in the
17 growth curve between Monroe and non-Monroe County, and so that is
18 what you see on the right-hand side. The Monroe County samples
19 are in red, and then all other counties are in black or blue, and
20 they're unknown. There was a change in how the commercial fleets
21 were distributed between SEDAR 51 and SEDAR 75, and so this
22 examination was very helpful when we were making the designations
23 between the fleets, and so this will -- We'll come back to this
24 when I present how the commercial fleets are structured.

25
26 Moving on to reproduction, there was not a lot of new data, and
27 so, for fecundity, SEDAR 51 recommended a -- SEDAR 51 looked at
28 batch fecundity, but the samples -- There were only six samples,
29 and so they recommended that weight be used as a proxy for
30 fecundity. While the sample size did double for SEDAR 75, this
31 still was not sufficient to use weight as a proxy for fecundity.
32 The sex ratio remains the same, and so 0.48 females is the most
33 recent estimate of the sex ratio, and so we did a 50-50 split.

34
35 In terms of age at maturity, the age and size at 50 percent maturity
36 for SEDAR 51 was 2.3 years, or 253 millimeters fork length,
37 respectively. It was estimated that about 90 percent maturity
38 occurred at 5.2 years, or 362 millimeters fork length. It was
39 evident that a significant contribution to the spawning stock
40 biomass, or spawning stock, was not really achieved until 300
41 millimeters, and so there was a lot of discussion about this during
42 the data workshop for SEDAR 51 and throughout the assessment
43 process.

44
45 For SEDAR 75, we did have an increase in sample size, and so the
46 figure on the top-left is the number of samples available for SEDAR
47 51. SEDAR 75, the new data available, is shown in the top-right,
48 and then all the combined data for all females is the bottom

1 figure, and so it did increase, for samples under 300 millimeters,
2 to 126 females, from fifty-nine, and so more data was available.

3
4 There were two different ways to think about maturity, and, for
5 SEDAR 51, individuals were considered mature at physiological
6 maturity, and so these -- Using the new data, these are the results
7 for physiological maturity, and that is two years, or 259
8 millimeters. Physiological maturity is individuals are considered
9 mature for all secondary growth oocyte stages, including cortical
10 alveolar, or CA, and so that is defined as physiological maturity.

11
12 However, if you look at it in terms of functional maturity, it's
13 difficult to determine if females that had CA were spawning for
14 the first time or had spawned in the previous season, and so, for
15 SEDAR 75, the topical working group recommended that we consider
16 functional maturity, and so that is a little bit older, of 2.5
17 years, or 269 millimeters fork length.

18
19 Moving on to the shore mode topical working group, this was done
20 to reevaluate the gear selectivity, retention, and discards for
21 the recreational shore mode. The rationale behind the TOR was
22 that, early on, when the initial FES-converted estimates were
23 coming in, they looked about nine-times higher than what was
24 observed.

25
26 However, when the final numbers were in, the converted landings
27 were only about two to three-times higher, and the majority of
28 work needed on the shore mode was more on the modeling side, which
29 was past the topical working group timeline, but this shows the
30 changes in numbers of fish from SEDAR 51 for shore mode and SEDAR
31 75, and so SEDAR 75 is the darker-blue line, and it is higher, but
32 it is not as much higher as was initially thought when these TORs
33 were written.

34
35 To put this all in context, the model has three recreational
36 fleets, and it also has a charter and headboat fleet, which is the
37 charter mode from MRIP and then the headboat fleet, and they are
38 combined, and then we also have the private mode fleet. Having
39 the TWG allowed us to explore the peak that was observed in 1984
40 for the private mode, and so this 1984 landings estimate is about
41 nine-million fish, and it comes from a single stratum in western
42 Florida, in Wave 6, and in ocean less than ten miles. Looking
43 deeper at the intercept records, there was a total of angler trips
44 that resulted in a landings estimate of five-million fish from
45 that single stratum.

46
47 From the topical working group, they recommended using a geometric
48 mean among the nearby years' strata to smooth that 1984 private

1 fleet landings peak and then use that as an input for the estimated
2 historical catches. The group also recommended using the Dirichlet
3 multinomial error structure for length comps and then explore
4 adding in age composition data, which is included in the assessment
5 model.

6
7 They also recommended to explore using the provided CV, provided
8 landings CVs, and then include discard composition data.
9 Unfortunately, this data is very sparse, and there is none
10 available for the shore mode, and so that is the end of the topical
11 working groups and the data process, and so now I'm going to shift
12 into the data review.

13
14 **CHAIRMAN NANCE:** Let me just ask. Is there any questions on that
15 first part? Sean, please.

16
17 **DR. POWERS:** For that 1984 point, did you all consider just
18 eliminating it, as opposed to smoothing it or using the geometric
19 mean?

20
21 **DR. FORRESTAL:** Yes, we did, and we actually -- I am going to
22 discuss that a little bit more in a few more slides, because using
23 the geometric mean was not possible, as there were no data from
24 the surrounding years in that stratum.

25
26 **DR. POWERS:** Okay, but you did explore just eliminating that point?

27
28 **DR. FORRESTAL:** I think the discussion is we didn't want to
29 eliminate any data, but we did -- We looked at different modes of
30 maybe smoothing it down, because it does occur in other species,
31 and so it has been a common problem, how to treat those estimates.

32
33 **CHAIRMAN NANCE:** I am trying to remember the species, and I think
34 it was gag maybe, that we had that same point. Anyway, and so
35 we've tried to do the same thing here that we did with that one.
36 Katie, please.

37
38 **DR. KATIE SIEGFRIED:** The reason that we didn't eliminate this
39 one, the way we did with gag, where we just took the surrounding
40 years and ignored that years, is because this was based on fourteen
41 intercepts, and it wasn't a single intercept, and so we had a group
42 discussion about that, and we had the MRIP data providers show all
43 of the data around it, and so it wasn't as clear-cut of an
44 elimination case as it has been for other species.

45
46 **CHAIRMAN NANCE:** Thank you. Any other questions on this first
47 part? Paul, please.

48

1 **DR. MICKLE:** Thank you, Mr. Chair. In Slide 16, the recreational
2 fleets, with this species, I would say it's more important than
3 any, and maybe included in that statement would be yellowtail, but
4 to look at the private fleet mode and to parse out public access,
5 and so shore mode, right, and so, with this species alone, I would
6 say that's definitely something that needs to be looked at very
7 closely.

8
9 Then there's another red herring, where there is no data from the
10 private shore mode, where there's private homes that you can't
11 even do shore mode on, and this species is probably the most
12 susceptible to that data gap than any, but, again, it makes folks
13 feel better if you at least parse those out a little bit within
14 the private mode fleet, just because I think it's encapsulated in
15 private mode, which is shore and ramp, I'm assuming, and that's my
16 question. Is the private mode encapsulating, within the MRIP data,
17 both shore and ramp?

18
19 **DR. FORRESTAL:** No, the private mode does not include shore, and
20 shore is split out specifically for gray snapper, and so it's a
21 separate mode. It's a separate fleet entirely.

22
23 **DR. MICKLE:** But it's recreational?

24
25 **DR. FORRESTAL:** Yes.

26
27 **MR. RINDONE:** There's recreational shore, recreational private
28 vessel, and then combined charter/headboat, and so shore is
29 everything caught recreationally not on a boat, standing on the
30 ground or a dock or something like that.

31
32 **DR. FORRESTAL:** Yes, and I was just putting this in context with
33 the other two recreational fleets, and it will be clearer further
34 on, and I have them all together.

35
36 **CHAIRMAN NANCE:** Jason.

37
38 **MR. ADRIANCE:** Thanks, Mr. Chair. A question about that, while we
39 have this graphic up, and I noticed, around 2011 and 2012, there's
40 this downshift in charter and this uptick in private mode, and I
41 know we had BP in 2010, but is there any other explanation in that
42 switch in the landings?

43
44 **DR. FORRESTAL:** None that I'm aware of, but perhaps someone who is
45 more familiar with the MRIP or recreational fleet.

46
47 **MR. RINDONE:** I can't think of anything specifically that would
48 have caused that, and so, I mean, the 2010 -- Obviously, the

1 closures were pretty widespread, but this is a species that has a
2 considerable amount of effort nearshore, which would have been
3 outside of a lot of those closed fishery areas, and so even then
4 it shouldn't have been as much of an issue for -- Like that closure
5 shouldn't have been much of an issue for gray snapper. Perhaps
6 commercially, but not recreationally.

7
8 **MR. ADRIANCE:** I couldn't remember all the MRIP changes that were
9 going on and whether that led to anything.

10
11 **MR. RINDONE:** So 2013 was when the new APAIS changes went into
12 effect, and I don't know, Mr. Chair.

13
14 **CHAIRMAN NANCE:** Thank you. Doug Gregory, please.

15
16 **MR. GREGORY:** Thank you, Mr. Chair. It may also be a reflection
17 of how Monroe County was treated in the two assessments, and I
18 don't recall, you know, how Monroe County was included in the SEDAR
19 51 assessment, but a lot of our recreational harvest is coming
20 from the reef area, and I doubt very little is coming from west of
21 the Tortugas, which would be Gulf of Mexico, or northeast, and so,
22 if Monroe County wasn't included as much in the previous
23 assessment, that could account for some of that.

24
25 **CHAIRMAN NANCE:** Thank you. Okay, Francesca.

26
27 **DR. FORRESTAL:** Okay, and so this -- The table provides an overview
28 of the data inputs, but I wanted to highlight some of the major
29 changes that were done with the data for SEDAR 75. The commercial
30 fleet structure has changed, and the SEDAR 51 data workshop
31 recommended that fleets be split by gear type.

32
33 However, the assessment split the commercial by region and gear
34 type, and so the SEDAR 75 commercial fleets are split by just gear
35 type, and so, in SEDAR 51, we had the Monroe County vertical line,
36 non-Monroe County vertical line, and longline. In SEDAR 75, we
37 have vertical line, longline, and nets and traps, and I'm going to
38 go into this in more detail, but I just wanted to give an overview
39 first.

40
41 The recreational fleets are the same, and so we have the private
42 mode, and so anything caught on a private vessel, then anything
43 caught on shore, and so shore mode, and then the headboat and
44 charter boat combined. There is -- We did not use a vertical line
45 index in SEDAR 75, and it could not be extended past the IFQ
46 period, and, also, the vertical line fleets are treated differently
47 in SEDAR 75 than they were in SEDAR 51, and we're also using
48 fishery-independent length compositions, and age compositions were

1 used for vertical line, longline, private mode, and the headboat
2 and charter boat fleets.

3
4 These are all the data used in the assessment. Anything updated
5 is in red, and so the vertical line fleet includes anything caught
6 by vertical line plus spear and diving. Longline is anything that
7 is not caught using vertical lines or nets and traps, and then
8 there's nets and traps is the third fleet. We have private mode,
9 shore mode, and the charter and headboat fleets, in numbers, and
10 we have discards from the vertical line, longline, for the
11 commercial, and then, for the recreational, we have private, shore,
12 and charter and headboat.

13
14 There are two fishery-dependent indices, the private mode and the
15 shore mode, and then the FWRI age-zero, which we modeled as a
16 recruitment index, and the FWRI age-one, and we also have the
17 SEAMAP trawl survey, and then the video survey is a change, as it
18 is the updated combined video survey that has been used in recent
19 assessments. There also is the reef fish visual survey, and there
20 is only two more additional years for that survey, as it was not
21 conducted in 2019 or 2020.

22
23 We have the length composition of the retained catch for all the
24 fishing fleets and then the age composition of the retained catch.
25 The vertical line ages are weighted, and the longline is nominal
26 ages, and nets and traps are nominal ages. These were
27 insufficient. They did not have a sufficient sample size to be
28 included in the assessment, but the data is available. Private
29 ages were weighted, and shore ages were nominal, and also of
30 insufficient sample size, but the data is there, and then the
31 charter and headboat ages were weighted.

32
33 The length composition of survey data was included, and it includes
34 the SEAMAP trawl, the video survey, and then the reef fish visual
35 survey. This is just a visual schematic of data sources and then
36 the years used in the assessment for the data.

37
38 Shifting into the life history data, this was updated during the
39 life history topical working group, and there were changes observed
40 in the mean weight to fork length and then the age-and-fork-length
41 relationship. As discussed, the natural mortality vector was not
42 changed, and so that figure is the same.

43
44 Moving on to the commercial fleets, SEDAR 51 data workshop
45 recommended these three fleets to be used in the assessment.
46 During the assessment process, the fleets shifted to Monroe County
47 vertical line, non-Monroe-County vertical line, and longline. The
48 reason for this change occurred during the modeling process, due

1 to concerns with length composition weighting, because a lot of
2 the data was coming from Monroe County, but best practices for
3 data weighting has been updated, and so SEDAR 75 is using -- We
4 used the recommended fleets from the data workshop.

5
6 During -- Because the fleet structure changed during the assessment
7 process, this led to an error in the total landings used in SEDAR
8 51, and so the green line shows the data entered into the
9 assessment model, while the purple line is the data presented at
10 the data workshop, and then SEDAR 75 is in orange, and so it shows
11 the updated data available.

12
13 Splitting this out into fleets, you can see that the longline
14 landings, for SEDAR 75, differ in about -- Beginning in about the
15 mid-1990s, and then the Monroe County fleet has the largest
16 discrepancy and so SEDAR 75 is in orange, and SEDAR 51 is in green.
17 There was very little differences seen for the not Monroe County
18 landings.

19
20 Putting this into context, the recreational fleets are the major
21 components of the landings, and so the gray is recreational
22 landings, and the orange are the commercial landings for gray
23 snapper, and then the private mode is the largest component of the
24 recreational, in gray as well, and so, when we discovered this, we
25 did a sensitivity run with SEDAR 51, the assessment model, with
26 the corrected commercial landings, and so you can see the
27 differences between the model results. SEDAR 51, the base model,
28 is in blue, and then with the updated commercial landings is in
29 red. Then there is very little differences, some in the spawning
30 stock biomass, but, overall, they're very similar.

31
32 Moving on to the recreational fleets, these are all the fleets,
33 and this includes private shore and charter boat, and so this is
34 after the calibration, and the SEDAR 51 is pre-calibration, and
35 then SEDAR 75 represents post-calibration, and then the figure on
36 the left is AB1, and so anything caught, or anything landed, or
37 reported to the interviewer, and then the figure on the right is
38 B2, and so the discards, and you can see the differences mainly
39 show up in the discards, post-calibration.

40
41 **CHAIRMAN NANCE:** Trevor, you had a question?

42
43 **MR. MONCRIEF:** I mean, that spike on discards kind of caught my
44 eye for the terminal year, 2020, and did you all look into that at
45 all?

46
47 **DR. FORRESTAL:** We did not specifically look into that, no.

48

1 **MR. MONCRIEF:** Okay. It looks like it's a Wave 1 estimate from
2 Florida of about six-million pounds, which is two-million pounds
3 higher than the highest record wave in Wave 3, and higher than any
4 other thing in the time series. It seems like it might be something
5 to look at, because it looks like that's what is driving that large
6 increase for the terminal year.

7
8 **DR. FORRESTAL:** I will dig into what that is further. I also
9 wanted to show how the recreational fleet landings changed,
10 proportionally, pre-calibration and post-calibration, and so this
11 is the breakdown, by fleet, between the two assessment models, and
12 so there are some shifts in the proportion seen, and, for example,
13 the headboat and charter boat fleet is a smaller proportion, as
14 compared to SEDAR 51, and the shore mode is a larger component of
15 the recreational landings, as compared to SEDAR 51.

16
17 Going into the individual fleets for recreational, we have private
18 mode, again looking at that 1984 landing estimates, and it does
19 come from a single stratum, but is, as Katie mentioned, from
20 fourteen angler trips, and so it is not an isolated incident. When
21 we tried to smooth the 1984 landings, there was no data in the
22 surrounding years from that stratum, and so there was nothing in
23 1981, 1982, or 1985, and so we used the landings from 1986, and so
24 this was a replacement value of 2,500,000 fish, roughly, and so
25 the figures on the bottom have differences in how this peak
26 influenced the historical landings, and this is just for private
27 mode.

28
29 You can see that 1984 peak has a lot higher historical landings
30 when you back-calculate, and so the figure on the right is what
31 was used in the model.

32
33 **CHAIRMAN NANCE:** Sean, you have a question?

34
35 **DR. POWERS:** I think what I'm just not following -- So you said
36 there was no landings in that stratum on the surrounding years,
37 and so is there an estimate for 1983 and 1985, if there is no data?

38
39 **DR. FORRESTAL:** We were able to do the geometric mean, because
40 there was no data, and so we used the value from 1986.

41
42 **DR. POWERS:** But how did the estimate get derived from 1983 and
43 1985 if there was no data?

44
45 **DR. FORRESTAL:** It was just in that one specific stratum. There
46 was data in all the other stratum, but, just for that, and it was
47 west Florida private, Wave 6, that ocean. When you broke it down
48 to that finite scale, that's when we saw no data.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29
30
31
32
33
34
35
36
37
38
39
40
41
42
43
44
45
46
47
48

CHAIRMAN NANCE: Thanks, Sean.

DR. FORRESTAL: Then these are the other two fleets for recreational, the shore mode and then the charter and headboat, and this is AB1. These are the historical recreational landings, with the 1984 peak in for private, and then that 1984 stratum replaced with the stratum data from 1986, and these were estimated using the FHWAR method.

We did a run using the updated recreational landings, up until the terminal year of the model, 2015, and so this shows how the model would have changed with the converted recreational landings.

For discards, SEDAR 51 modeled them as an annual proportion of discards, rather than the absolute magnitude, and the rationale behind this was due to the change in fleet structure, but, for this, for SEDAR 75, we were modeling them in absolute magnitude, but I wanted to show the differences in discards after the calibration, and so these are the proportional discards to total, all landings, for private, shore, and charter/headboat.

While the absolute magnitude of the discards have changed, the proportion to landings does not really appear to have changed, except for perhaps the early years of the charter/headboat fleet.

These are the total discards for the commercial fleets on the left, and then the recreational fleets on the right. There was no data available for the commercial nets and traps, and so that's why this is not reflected there. The commercial discards are very, very small. If you look at the commercial vertical line, it's about 1.5 thousand fish, and then the longline is very small, until you get to about 2012 or so, and the figure at the bottom shows the proportion of discards for each fleet.

Looking at the three recreational fleets, the majority of discards, over time, do come from private, but shore also is a significant contributor, and then the charter/headboat fleet have very minimal discards, it appears, proportionally to the other fleets.

The discard mortality rates remained the same from SEDAR 51, as there was no new data available, and so the commercial discard mortality rate is at 14 percent, and then the recreational discard mortality rate is 6.9 percent. There is insufficient sample size available for discard length compositions, and the discard mortality rate is the same.

DR. TOLAN: It's not so much of a question, but just an observation,

1 and I may point this towards either Ryan or Doug, but, on Slide
2 33, the shore mode, and I will preface this by saying we don't
3 have a minimum size in Texas, and so it just seems -- That's a big
4 number, that nine out of ten fish are discards, for shore mode,
5 and it just seems like a really, really big number, and I'm in the
6 back of my head, thinking about catching gray snapper along the
7 Texas coast, and, even with a ten-inch minimum size, it might be
8 50 percent, but I just -- Is that what you see here in Florida,
9 that 90 percent are discards?

10

11 **MR. RINDONE:** This is a tricky question to answer, because I'm not
12 going to fish where I'm going to discard 90 percent of the fish
13 that I could be catching, but, when I think about places like the
14 Keys, and Doug can add in on this, but you've got guys that are
15 fishing on bridges in the Keys, and I've dove under some of those
16 bridges, and there are swarms of just tiny little mangos swimming
17 around under there, and so it's very reasonable that there could
18 be a large number of eight or nine-inch mangos that are biting on
19 these tiny little hooks.

20

21 I am not comfortable saying that 90 percent is -- It is high, and
22 I'm uncomfortable saying it's too high, because I see a lot of
23 small fish get brought up in those areas, and Luiz can speak to
24 this, too.

25

26 As soon as you set foot on a boat though, your odds improve, just
27 by getting in a little bit deeper water, but, underneath those
28 bridges and stuff, there's a lot of consistent pressure that is
29 applied on those bridges, especially in places like the Keys and
30 southwest Florida.

31

32 **DR. TOLAN:** We see the same thing on the jetties in Texas, and any
33 of our fish structure, where these things are really, really
34 common, but that 90 percent number just -- It struck me as that's
35 got to be way too high, and so thank you.

36

37 **CHAIRMAN NANCE:** Luiz, to that point?

38

39 **DR. BARBIERI:** Jim, to that point, I think it's a matter of scale,
40 right? I mean, what you're saying makes perfect sense for Texas,
41 but because, here, the abundance is so much larger, right, and the
42 fishing pressure is also so much larger, right, and so the two I
43 think compound each other, and, to me, it's high, but I'm not sure
44 it makes my head explode, for that reason.

45

46 **CHAIRMAN NANCE:** Doug Gregory, please.

47

48 **MR. GREGORY:** Good morning. Thank you. I agree with Ryan and

1 Luiz. The interesting thing -- You know, we have forty-five
2 bridges, and we have a lot of people from Miami who come down and
3 fish the bridges who don't -- They're either not cognizant, or
4 they don't care about what the rules are, and there's always some
5 arrests going on for undersized fish from the bridge fishermen,
6 but an interesting thing is, in Florida -- Back in the early 1990s,
7 when we were first considering size limits, *The Florida Sportsman*
8 *Magazine* had an opinion article about how devastating the ten-inch
9 size limit was going to be, because it was going to wipe out the
10 recreational fishing industry.

11
12 I saves it for many years, but I recently discarded it, but it was
13 so alarming that they were alarmed about a ten-inch size limit,
14 but you've got to remember that, back then, there -- Those were
15 the very first regulations, and people were, you know, worried
16 about how impacted they would be, and so, all together, I think
17 there is a lot of undersized fish being caught in the shallow
18 waters off the bridges.

19
20 **CHAIRMAN NANCE:** Thank you. Carrie.

21
22 **EXECUTIVE DIRECTOR CARRIE SIMMONS:** Thank you, Mr. Chair. Good
23 morning, everyone. Yes, and so we've caught them in the Chas in
24 the wintertime in fresh water, and they're very euryhaline, and
25 they're small fish, and they're voracious, I mean, and they're all
26 less than ten inches. They will hit the bobber, and the kids love
27 it.

28
29 **MR. RINDONE:** The Chassahowitzka River is in the Big Bend area,
30 for those not native to that area.

31
32 **CHAIRMAN NANCE:** Paul.

33
34 **DR. MICKLE:** I think everybody has said what I was about to say,
35 but, with public access points, you obviously -- I think it's easy
36 to understand that local depletion occurs at public access points,
37 and, again, I will bring up the other point of, when you talk about
38 private homes, I would most likely think that there would be a
39 higher retention rate there, because the pressures are so much
40 lower, and so this data is only representative of public access
41 points, and it's not truly representing private shore landings.
42 Thank you.

43
44 **CHAIRMAN NANCE:** Thank you. Trevor.

45
46 **MR. MONCRIEF:** I mean, with folks fishing from shore, and, I mean,
47 obviously, they're not really impacting the harvest rate that much,
48 and they're mainly releasing a lot of their catch, and a lot of it

1 is undersized, and so I can understand the argument here, but the
2 concern I've always had, based on observations from our state, and
3 essentially how large in magnitude the shore effort is, it seems
4 like, given what I'm looking at, and how the peak waves shift
5 across year-by-year, I wonder if it's worth looking at the
6 discards, to see how much is truly impacting the end result of the
7 assessment.

8
9 I just feel like, anytime you involve the shore fleet, that
10 overexpansion happens quickly, because of the amount of effort
11 that comes out of the shore fleet, and, if those discard rates are
12 just anywhere -- If they're existent, then they automatically get
13 blown up. I think it would be -- You know, it's something to think
14 about. You know, are we just arguing to -- Or are we just having
15 a discussion that really doesn't amount to anything, or, if there
16 is a change in discards, does that actually shift the results of
17 the assessment at all?

18

19 **CHAIRMAN NANCE:** Thank you, Trevor. Jack.

20

21 **DR. ISAACS:** I was struck by the difference between the discard
22 mortality rate between the commercial and recreational, and is
23 there any speculation what that might arise from?

24

25 **DR. FORRESTAL:** I might give that to Ryan, in terms of --

26

27 **MR. RINDONE:** Sure, and so there were a couple of studies that we
28 looked at that were hosted by FWC that examined discard mortality,
29 as well as some feedback from the fishermen on this, and so one of
30 the things that we talk about, with a lot of reef fish, is
31 barotrauma, which isn't as much of an issue for gray snapper, for
32 a couple of reasons. For the recreational fishery, a lot of these
33 fish are being caught in waters where barotrauma is not much of an
34 issue, and so waters twenty meters and shallower, and then
35 especially when you're up against shore, and it's not a
36 consideration.

37

38 A ten-inch minimum size limit, in Florida state waters, is pretty
39 generous, all things considered. Twelve inches, for federal
40 waters, is also pretty generous, and then, in state waters, there's
41 a five-fish recreational bag limit, I believe, and then up to ten
42 fish in federal waters, and so the regulatory environment on it,
43 from the recreational side, is such that there's not a lot of cause
44 to discard these fish, and, from the commercial side, there's no
45 commercial trip limit, and, with a twelve-inch minimum size limit,
46 commercial fishermen don't fish for small fish, and it's just not
47 an economically-responsible practice, and so the number of fish
48 that they would be discarding would be pretty low, and where those

1 fish would be that they would be discarding them is going to trend
2 towards those shallower waters, you know less than twenty meters,
3 where barotrauma is not as much of an issue.

4
5 When you combine that with circle hook requirements, most of those
6 fish are being hooked in such a manner that terminal hooking
7 injuries should also be low, and so this combination of generous
8 harvest practices, and where the majority of these fish are caught,
9 just puts them in a situation where release mortality is inherently
10 going to be low, and so across-the-board.

11
12 **CHAIRMAN NANCE:** Katie, please.

13
14 **DR. SIEGFRIED:** Thank you, and I'm just trying to keep track of
15 sources of uncertainty, right, because that's what we'll come down
16 to at the end, when we're talking about what sensitivities are
17 needed and what we project.

18
19 Two questions, or maybe one comment first, on Trevor and other
20 people's points about discards, and we've had a lot of feedback
21 about the level of discards, particularly in the recreational
22 fleets, and you will see the model fits in a little bit, and I
23 don't want to steal Francesca's thunder, but we do allow quite a
24 bit of uncertainty around those discards, and we can discuss more
25 the individual year intercepts, if we want to look at that working
26 paper, and so we can take a look at that uncertainty a little bit
27 later, but I had a specific question for Paul, if I may.

28
29 You mentioned the private or -- Sorry. The shore mode and the
30 private home component of shore, and you saying that the shore
31 mode might be a floor of what the real estimate should be? I am
32 thinking of uncertainties, and so you're saying there's quite a
33 bit of effort, or catch, discards, that we're not accounting for,
34 because it happens on people's private docks, and so would you say
35 that -- I think of floors and ceilings, and are you saying that
36 this is a floor and that we're not getting a lot more above this
37 floor, or how would you phrase that for an uncertainty analysis?

38
39 **DR. MICKLE:** Katie, I guess, to your question, I would say I think
40 we all need to have a discussion about this. I'm just one of the
41 scientists here, and, if it's not a concern of others, then maybe
42 it's not a floor, and there is no data to actually estimate, right,
43 of the uncertainty, and so you kind of have to look at it from
44 holistic view and then a view of maybe some other efforts around
45 the Gulf looking at private landings and how they've been acquired,
46 to try to estimate uncertainty, to understand that.

47
48 One thing you said with your question was -- In my opinion, I would

1 say it's missing a floor, in the sense of discards and landings,
2 because you just -- Nobody knows, but, I mean, you can do surveys,
3 internet-based surveys, and then the GIS folks have a ball with
4 this stuff, because then they start pulling up all the private
5 homes and doing estimations like that, and extrapolating out, to
6 provide some sort of estimation, in some sense, but it's a great
7 way for a research track to dive into something like this, but,
8 again, you all know, better than I do, there is very few species
9 that this is as much of an issue as this one, and so that's why I
10 brought it up this morning, and so maybe, if we do have a discussion
11 about it, maybe we can help with some estimations or strategies of
12 such estimation, and so I don't know if I answered your question,
13 Katie, but I tried.

14
15 **CHAIRMAN NANCE:** Paul, thank you, and I think, Trevor, to that
16 point?

17
18 **MR. MONCRIEF:** To that point, since the FES send-outs are sent out
19 to not only license holders, but also just general households
20 across the entire state, it covers what would be considered private
21 home effort. The difference will be the catch rates, or anything
22 else, are different across those two fleets, and so, you know,
23 I've got a different mindset on it, just because of the magnitude
24 of the shore effort, and the prevalence of it, and how that
25 estimate just gets huge quick, but, no, it should be considered a
26 ceiling, to my point, because I think the effort side is covered,
27 but it's just the other variables are different, and that's what
28 is going to make the difference.

29
30 **CHAIRMAN NANCE:** Katie, please.

31
32 **DR. SIEGFRIED:** Thanks, Trevor, and thanks, Paul. I am not going
33 to hold you to anything where you're just thinking, and it's okay,
34 and I don't think that it's a true floor, but it's just one of the
35 sources of uncertainty that we have to think about when we're
36 figuring out the uncertainty around that estimate.

37
38 There could be overestimates of something else that goes into the
39 calculation, as Trevor is concerned with, and so there's also
40 something that other folks have been communicating to Francesca
41 and I about, repeated discarding, which, again, I have no idea how
42 to calculate, for this or any other species, but I think it's worth
43 thinking about when we're discussing uncertainty about either
44 discards or landings.

45
46 **CHAIRMAN NANCE:** Perfect. Paul.

47
48 **DR. MICKLE:** Sure, Katie, and I'm glad to hear that, and that's a

1 difficult, repeated landings, and Mississippi had a former
2 commissioner that kept bringing that up with spotted seatrout, and
3 survivorship with repeated landings and things, and we were just
4 totally stumped of how do you -- A pilot study? I don't know,
5 but, as these stock assessments become more and more complex, and
6 research tracks become -- Are there for these types of interesting
7 avenues to go down, and so, anyway, I appreciate the conversation.
8 Thank you.

9
10 **CHAIRMAN NANCE:** Thank you. As we talk about the data inputs, and
11 that's what we're doing right now, and then try to think about how
12 that impacts the assessment. Francesca, go ahead and continue,
13 please.

14
15 **DR. FORRESTAL:** Okay. Thank you.

16
17 **CHAIRMAN NANCE:** I'm sorry. Doug, please.

18
19 **MR. GREGORY:** Well, I took my hand down, but thank you anyway,
20 because Trevor said what I was going to say. For a number of years
21 now, since we, you know, started talking about FES and how we're
22 changing the surveys, I've been concerned about the difference
23 between the private boat fleets that leave from houses on canals
24 and rivers, versus the boats that are intercepted at the public
25 access points.

26
27 Clearly, the private -- The ones leaving from shore, from their
28 houses, are probably better fishermen, and they fish longer days,
29 and they're answering their FES surveys, but their samples -- But
30 their catches are not being sampled, and I would be curious to try
31 to figure out how that influences the final estimates. Thank you.

32
33 **CHAIRMAN NANCE:** Thank you, Doug. Josh, please.

34
35 **DR. KILBORN:** Thank you. Yes, and I just wanted to follow-up on
36 that point, because this is not the first species that we've had
37 this conversation about the private anglers, with their own access
38 points, and so I'm not sure if this is the case, but it feels like
39 it has the potential to be a fleet that we're missing, right, and
40 like they could have their own dynamics, and their own activity,
41 that we're lumping in with some other fleets that, you know, maybe
42 we shouldn't, and so I don't know if we have the data to actually
43 do anything with that, but I do think that's it's right that we're
44 having a conversation about it and that we keep an eye on this
45 sort of thing, moving forward, with other species as well, because
46 I do think that we might be missing a big piece of the puzzle here.
47 Thank you.

48

1 **CHAIRMAN NANCE:** Thank you. Harry.

2
3 **MR. BLANCHET:** Thank you, Mr. Chairman. In this discussion of
4 discards, I heard two possible issues with discarding, one being
5 an abundance of small fish due to localized depletion and the
6 second one being an abundance of small fish due to it being nursery
7 habitat, or sub-juvenile habitat.

8
9 At least in Louisiana, that second is the more relevant point, and
10 it's not a localized depletion that leads to a lot of undersized
11 releases, but it's the fact that this is just -- Those shore areas
12 are not habitat where you would ever see twelve-inch gray snapper.
13 However, I can't speak to what might be going on in that area of
14 the Florida Keys, where you've got all of those pier fishermen, or
15 bridge fishermen, and so that may be a different issue in that
16 part, but, at least for our area, I see it more as a habitat.

17
18 Where this goes is it does matter, when you're talking about --
19 Whether you're talking about local depletion or whether you're
20 talking about habitat, when we talk about what effects changes in
21 regulations may have. Thank you, sir.

22
23 **CHAIRMAN NANCE:** Thank you, Harry. Jack.

24
25 **DR. ISAACS:** You mentioned the private anglers thing, and this is
26 just a foggy memory of mine, but I can remember, after the oil
27 spill in 2010, that somebody did do some surveys on private anglers
28 and whatnot, as part of the whole damage assessment process, and
29 I don't know if those data are available, or even what they look
30 like, but there might be some data on that, at least for that time
31 period, in case somebody is curious.

32
33 **CHAIRMAN NANCE:** Thanks, Jack. Certainly the recreational
34 component is a very diverse one. As we get into these different
35 fish, it's harder and harder to partition out all these separate
36 groups. You're sampling for a large group, and yet there's all
37 these sub-components that are taking place. Ryan.

38
39 **MR. RINDONE:** Thank you, Mr. Chair, and so I was battling back
40 there with John and Carrie a little bit about this, and so I wonder
41 the degree to which the estimate being too high, or too low, with
42 respect to the private access points that Dr. Mickle was talking
43 about -- Whether that's accounted for in the effort side of the
44 survey, because the people that live at this private access points
45 are equally susceptible to being surveyed, from the FES side of
46 things, as anybody else is, and so, at that point, it becomes, I
47 guess, a concern about the composition of catch, and so is the
48 composition of catch at a dock at Davis Island, right over here,

1 any different from the same composition of catch that you might
2 see at the Gandy Boat Ramp?

3
4 I don't have any reason to believe that they would be that
5 different, because those private access points are equally
6 accessible by any boating angler, and so I don't know that I would
7 think that they would be that different, for any particular reason,
8 and so the composition of catch should be somewhat consistent.
9 The amount of effort by area certainly would vary, but that effort
10 environment should be captured by the survey.

11
12 **CHAIRMAN NANCE:** Jason.

13
14 **MR. ADRIANCE:** Thank you, Mr. Chair. I mean, I tend to agree that
15 the chance of capturing folks in that effort survey -- You're
16 likely getting that component of the private effort, and, the
17 composition, I think you may be right, but I think it's the catch
18 rates that's probably the biggest source of uncertainty, and are
19 those catch rates similar, given the potential avidity and skill
20 of those private anglers.

21
22 **CHAIRMAN NANCE:** Thank you, Jason. Will.

23
24 **DR. PATTERSON:** You know, the two issues of proportion of catch
25 that's discarded, there are data that inform that, you know, and
26 it doesn't change between the two assessments. The other issue,
27 about whether a private recreational catch is the same as, you
28 know, leaving from a private dock, versus a public access point,
29 we've talked about this in other situations, and we don't have any
30 data to inform it, and so our discussion here is all speculative,
31 and we're going to be left with what's here, and so I don't know
32 how to fix that at this stage.

33
34 **CHAIRMAN NANCE:** It was a good discussion, but there's not data,
35 for sure. Steven.

36
37 **DR. SCYPHERS:** Thank you, Mr. Chair. Yes, I agree with Will, and
38 I think some of these things are important to talk about, but we're
39 not going to have, you know, clear answers. Overall, I do think
40 the 90 percent from the shore mode is a reasonable number. We've
41 done a lot of field work, interviewing shore-based fishers
42 throughout the Keys, and there are a lot of undersized fish.

43
44 One of the areas that uncertainty comes in though, on the private
45 residents versus the public access points, that hasn't come up yet
46 is a lot of the public points of piers and, you know, easy access
47 to shore are some of the more artificial-built environments, and
48 they're more seawalls, and there is less natural habitat, to where

1 the private residences have better access to mangrove, and so you
2 could have different size structures of the fish in those different
3 areas, pretty predictably.

4
5 When we do visual surveys along the mangroves, you do get some of
6 the larger fish there, and so you could have different things going
7 on, and I don't think we have the data to really talk about it,
8 but it's something that, you know, could be looked at further
9 ahead, but, from the shore, where most people are fishing, it's
10 pretty small fish, where most of them are getting tossed back.

11
12 **CHAIRMAN NANCE:** Thank you. Francesca. Trevor.

13
14 **MR. MONCRIEF:** Just real quick, and, I mean, I hate to keep spinning
15 around on this one, and it seems like we've done it for, you know,
16 a lot of different species, and has there ever been a sensitivity
17 analysis, or some analysis, to look at, you know, if you drop
18 discards by a third, or if you increase discards by a third, how
19 that actually affects results, because, if it truly doesn't have
20 much of an effect, we can spin our wheels all we want to on it,
21 and come up with the best way to do it, and, at the end of the
22 day, it's not going to have any effect.

23
24 **DR. FORRESTAL:** That is captured in how we model the discards, is
25 we have a very high uncertainty associated with them, to kind of
26 cover all this discussion and the nuances around it.

27
28 **CHAIRMAN NANCE:** Thank you. Francesca, go ahead with the
29 presentation, please.

30
31 **DR. FORRESTAL:** All right, and so I am now going to shift into the
32 indices. For this assessment, we have two fishery-dependent ones,
33 one for the private mode and one for the shore mode, and this data
34 is just from Florida west coast, and is the same trip selection
35 process used for SEDAR 51, and so SEDAR 51 is in gray, while the
36 updated is in blue, and, in the figures below, you can look at the
37 number of proportion positive trips and then the number of trips
38 that were selected, using the Stephens and McCall approach for the
39 private mode, and then, for the shore mode, we had to use Guild,
40 because there weren't enough trips for a Stephens and McCall.
41 There are some differences, but, overall, the trends are similar
42 between the two assessments.

43
44 Shifting into the fishery-independent ones, we have FWRI age-zero
45 and age-one. The age-zeroes were entered into the model as a
46 recruitment index, and there are very few differences between the
47 two models, the data inputs, and then, for the age-ones, SEDAR 51
48 has slightly higher values, as compared to SEDAR 75, and then there

1 is a working paper associated with this dataset, and it shows where
2 these surveys were conducted along the west coast of Florida.

3
4 **DR. PATTERSON:** Mr. Chair, I have a question.

5
6 **CHAIRMAN NANCE:** Yes, please.

7
8 **DR. PATTERSON:** Thank you. Francesca, can you go back one, to the
9 previous, the age-zero and age-one, and so, not to steal your
10 thunder, but, you know, skipping ahead to what might be driving
11 the estimated upturn in biomass in recent years, recruitment is a
12 strong signal here, but I'm curious if, in the data analysis
13 component of this assessment, if you guys looked at if the catch
14 is moving up the west coast, and if they have changed over time,
15 if this recruitment uptick is an expansion of nursery grounds, due
16 to potentially climate issues, or did you examine any of that, or
17 is this just in the historic area, where recruitment typically has
18 occurred, that it's now higher, or it has been higher over the
19 past ten years?

20
21 **DR. FORRESTAL:** Unfortunately, we did not have time to really delve
22 into that level of detail, and this was just an operational, and
23 so it was looking at what data sources were available, but that is
24 really -- It's a very interesting point, and it would be a good
25 research recommendation, to dig deeper into that.

26
27 This is the SEAMAP trawl index, and there are very few differences
28 seen in the available data, and it ran from 2010 to 2015, and so
29 this is a shorter time series, and so, for SEDAR 75, we have more
30 data. Length compositions were not used in SEDAR 51, but we used
31 them in this assessment model, and so you see the frequency
32 distribution of the length, and then the figure below shows the
33 sampling, and all the blue dots are where there were zero gray
34 snapper observed, and the red is where the magnitude of the gray
35 snapper were observed, and there is also a working paper associated
36 with this dataset.

37
38 This is the combined video index, and this includes the NMFS SEAMAP
39 reef fish video survey, the NMFS Panama City Lab survey, and then
40 the Florida Fish and Wildlife Research Institute video survey, and
41 then we have associated length compositions for this survey as
42 well.

43
44 The biggest changes between the fishery-independent index is from
45 the reef fish visual census, and it is a little patchy, because it
46 wasn't conducted in 2013, 2015, and 2017, or 2019 or 2020, but we
47 do have available length compositions for this survey, and there
48 is a working paper associated with this, and you can see where all

1 of these surveys were conducted in the Florida Keys.

2
3 Putting all the available fishery-independent length compositions
4 together, this is the distribution between the surveys, and so the
5 smallest fish were observed on the reef fish visual census, and
6 then the SEAMAP trawl, and then the combined video index has the
7 largest fish observed.

8
9 These are all of the length compositions used within the assessment
10 model, and it is sparser than what is available, because some of
11 the years that are available, in terms of length compositions,
12 were removed, because there are years that have available age
13 compositions, and so, to avoid double-counting, we pulled out the
14 years with length compositions to use the age data.

15
16 This is the breakdown of the available age composition data. On
17 the top-left panel, we have the commercial vertical line, and then
18 the commercial longline in the middle, and then the bottom is the
19 recreational private. The recreational shore mode is at the top,
20 and then the recreational headboat/charter is this figure right
21 there, and we did explore including the shore ages. However, we
22 omitted them, to keep the years with length compositions.

23
24 As shore is an important component of the fleet, it's quite sparse,
25 when it comes to the available composition data, including length
26 and ages, and so we wanted to use all the available data we had
27 for the lengths for that one. You can see the distribution of
28 available ages across the time series, as well as the age
29 estimates, along the Y-axis.

30
31 An ageing error matrix was used, and this assumes error within
32 expert agers, and so this is the associated ageing error matrix,
33 and so that is all that I have in terms of the data update, and I
34 don't know if we want to -- If there's any more questions or
35 discussion.

36
37 **CHAIRMAN NANCE:** Okay. If there's any questions on what we've
38 gone over for data, essentially the data inputs into the model,
39 let's go ahead and take those. John, please.

40
41 **MR. MARESKA:** I want to go back to Slide 36, where I think Will
42 brought up a point, but I was just curious, and was there any
43 discussion about why these indexes are counterintuitive, and so
44 the zeroes are going up, over the past four years, but the ones
45 are going down, and so I would think those would follow similar
46 trends, and there seems to be something fundamentally different,
47 you know, with the age-zeroes through the time series. There's a
48 lot of variability there, and so why, in the most recent time

1 series, does it seem to be more stable?

2

3 **DR. FORRESTAL:** I would have to look more deeply at the working
4 paper, but I also think it has to do with the timing of when these
5 surveys are conducted, and I don't know if they are at the same
6 time every year or -- That is something that I can look into
7 further and get back to you on.

8

9 **CHAIRMAN NANCE:** Okay. Any other questions? Katie.

10

11 **DR. SIEGFRIED:** I don't have a question, but I just have a
12 clarification for John, because I was looking at this working
13 paper, and it says that the age-zero survey collected -- They're
14 saying samples during the recruitment window of July to December,
15 and the age-one survey collected with larger seine over all months,
16 and so, depending on the targeting, depending on the discarding,
17 depending on environmental conditions, the age-one index could
18 potentially have a different trend, because of the longer sampling
19 period, but that's just from a quick read of the working paper.

20

21 **CHAIRMAN NANCE:** Thank you. David, please.

22

23 **DR. CHAGARIS:** Since you have the working paper open, is this an
24 age-one or an age-one-plus index, because you said it came from
25 the large seine.

26

27 **DR. SIEGFRIED:** Yes, and it's age-one-plus, from my reading, and
28 I don't know if Luiz is familiar, off the top of his head, and
29 like all Florida things are just always in his brain, but that's
30 what I can see from the paper, and that's why we treated age-zero
31 as a strict recruitment index and didn't apply only an age-one
32 selectivity to the age-one index. We gave it age-one-plus.

33

34 **DR. CHAGARIS:** Age-one-plus, and so it has selectivity across
35 multiple ages. Okay. Thank you.

36

37 **CHAIRMAN NANCE:** That's a good clarification, and it's more than
38 just the age-one group. Doug.

39

40 **MR. GREGORY:** Thank you, Mr. Chair. Just a curiosity. With the
41 exception of the last three years, and two of the previous years,
42 these age-zeroes sawtooth pattern is from one year to the next,
43 which suggests some sort of density dependence going on, and I
44 wonder if the age-one, or age-one-plus, might be a better index of
45 recruitment than the age-zero, because, as someone pointed out
46 earlier, if you look at the age-zero throughout the years, there
47 essentially is no difference in the average, or the moving average,
48 of that year class. Thank you.

1
2 **CHAIRMAN NANCE:** Thank you, Doug. Will.
3

4 **DR. PATTERSON:** There could also be some density-independent things
5 going on here with the age-zeroes. As Carrie pointed out earlier,
6 you know, these small, young fish occur way up into fresh water,
7 and, as they get older, some fish stick around, but a lot of fish
8 leave and go out into the estuary, or offshore, and so where the
9 FIM sampling is occurring -- You know, in a given year, the fish
10 could be farther up in the fresh water than where they're seeing
11 them, and so a lot of that variance in recruitment at age-zero can
12 be driven by things outside of abundance.
13

14 **CHAIRMAN NANCE:** Thank you, Will. Okay. Francesca, let's go ahead
15 and go on to the next topic.
16

17 **DR. FORRESTAL:** Okay, and so this the base model development phase,
18 and these are the steps undertaken to update the SEDAR 51
19 assessment model, and so we started with the base model, which was
20 built in Stock Synthesis Version 3.24, and this was converted to
21 3.3.17, and this is a more updated version of Stock Synthesis, and
22 there was very little change in that transition.
23

24 Then we did the corrected commercial data and then extended the
25 recreational data through to 2020, and then all commercial and
26 recreational data were updated through 2020, with the updated
27 commercial fleet structure. Step 5 added in the fishery-
28 independent length composition, and so there's a lot more data
29 into the model, and then, in Step 6, again, more data was added
30 with the age compositions.
31

32 Then we have a run with the maximum age of twenty-one, which was
33 what was in SEDAR 51, and then this final one has a maximum age of
34 twenty-eight, including the bias ramp correction, and there were
35 many, many, many steps between each one of these, but this just
36 gives an overview of the main changes. Looking at how this affects
37 the spawning biomass and the recruits, the SEDAR 51 base model is
38 in the dark-blue color, and then the final model is in the red,
39 the Run 8, maximum age twenty-eight.
40

41 Shifting now into how this base model was configured, any changes
42 from SEDAR 51 appear in the darker-blue color, and we have a
43 maximum population age of twenty-eight. In SEDAR 51, it was a
44 maximum population age of twenty-one. We used twenty-one-plus as
45 a plus-group for the age compositions. We estimated A min within
46 the model. In SEDAR 51, the A min was fixed at 15.01.
47

48 For recruitment deviations, the main recruitment deviations were

1 estimated from 1981 to 2020, and 1981 is when the data becomes
2 available, all the length composition data is available, and then
3 the early recruitment deviations began in 1951. The SEDAR 51
4 estimated recruitment deviations from 1970 to 2015.

5
6 There is time-varying retention to account for changes in the size
7 limit regulations, and so the most recent block was extended
8 through 2020. We used a Dirichlet multinomial likelihood for all
9 the composition data, and this is an updated best practice. The
10 previous assessment used a Francis reweighting process for all the
11 length composition data.

12
13 The changes in selectivity, all of the fleets have the same
14 selectivity patterns as used in SEDAR 51, and so it was dome
15 selectivity, a double normal, for 51 and 75, and the private --
16 Sorry. The age-zero is modeled as a recruitment index, and then
17 age-one, for this model, for SEDAR 75, has a one-plus group, as
18 discussed.

19
20 SEDAR 51 treated the SEAMAP trawl as a recruitment index, and, as
21 we had composition data, this was a dome-shaped selectivity. In
22 SEDAR 75, we have a logistic and the combined video index, and
23 then the reef fish visual survey is dome-shaped. The other major
24 changes come into how these fleets were mirrored, and so, for the
25 private index, the SEDAR 75 mirrors the age selectivity, and then
26 SEDAR 51 mirrored the private length selectivity, and then there
27 are -- This might differ from what you have, because I noticed a
28 few errors on this slide, and so I just wanted to point out that
29 this is perhaps different from what was in the briefing book, but
30 the short index, for both models, mirrored the shore length
31 selectivity.

32
33 For SEDAR 51, the age-one index mirrored the shore length
34 selectivity, and then the video index mirrored the private length
35 selectivity, and then, also, the visual survey also mirrored the
36 private length selectivity, but, since we have length compositions
37 for these surveys, mirroring was not necessary, and so that's why
38 it's not in SEDAR 75.

39
40 **CHAIRMAN NANCE:** Dave.

41
42 **DR. CHAGARIS:** I have some questions about how selectivity is
43 handled in here, with the length and the age comps, and so, if I
44 looked at the report correctly, it appears that you're estimating
45 both a length selectivity vector and an age-selectivity vector for
46 the same fleet, and how does that actually work out in the model,
47 because your catch-at-age is your selectivity-at-age times a
48 number at-age times the fishing mortality rate, and so, if you

1 estimated a length-based selectivity, you have -- SS converts that
2 to an age-based selectivity.

3
4 Now, if you also are estimating another age-based selectivity, and
5 so you basically have two vectors of age-based selectivity, and
6 how is that put into one selectivity-at-age?

7
8 **DR. FORRESTAL:** I think, in previous models, a lot of people model
9 it just full selectivity for ages, because fishermen aren't
10 selecting the age of the fish, and it's, you know, the size of a
11 fish, and that is -- The model did not fit those very well, and so
12 that is why there are selectivity curves on the ages, and retention
13 is modeled based off of length and not ages, but I think Katie
14 might have further insight on how it actually works within SS.

15
16 **DR. SIEGFRIED:** I don't know how insightful I am about that part,
17 but that's why we didn't want to use the years that had lengths
18 and ages in them, partially because they're usually the same fish
19 we've determined, and so it's entering that data twice, but, as
20 far as I understand, the model uses those two pieces of
21 information, and one is the length converted to age, along with
22 the other age curve, to create, you know, those estimates of
23 numbers-at-age.

24
25 I mean, it uses them both simultaneously, and, I mean, I would be
26 interested to talk with you about that offline, but, I mean, it
27 doesn't cause any problems in the other models that we have that
28 estimate both length-based selectivity and age-based selectivity,
29 and so, without looking at the source code, that's what I think is
30 happening, but we can certainly dig into that.

31
32 **DR. PATTERSON:** I don't recall seeing any other models where both
33 a length-based and an age-based selectivity were estimated. I've
34 seen where both the data types are included, so you can estimate
35 a length -- You can have a length-based selectivity and fit to the
36 age data, because it gets converted through the growth function,
37 but to have both length and age selectivity estimated -- I don't
38 understand how it works.

39
40 **DR. SIEGFRIED:** It causes problems if they differ, right, and, if
41 the age-length key that's created in the model differs from the
42 way that the ages are calculated, before they're turned into
43 compositions, it can cause problems. We saw that, a little bit,
44 for scamp, when we were trying to use both.

45
46 **DR. PATTERSON:** So does the age vector, converted from the length
47 selectivity -- Is that averaged with the direct age estimation?

48

1 **DR. SIEGFRIED:** As far as I understand, yes.
2
3 **DR. PATTERSON:** So it's like an average of the two?
4
5 **DR. SIEGFRIED:** They're different years, and so we're okay with
6 that. If they're the same years, we have a problem with that, and
7 that's where the double-counting would happen. It's something
8 that -- Part of the problem that is one of my big frustrations
9 about this assessment is that it's an operational, and there's so
10 much that needed to be fixed.
11
12 One of them is all of this age data that was just not included,
13 but it was a TOR that said that we needed to try to include it,
14 and so there is -- I think we could probably have spent another
15 month figuring out more about how these selectivities could have
16 been configured, and so I wish we would have had more time with
17 that. It's possible that we would have just stayed with length-
18 based, because our ages, particularly for recreational, are so
19 sparse, but we didn't delve into more of what the proportion of
20 the influence of the length versus the age selectivity was.
21 Obviously, our retention is just in length, and that's important
22 for our discarding, but, I mean, that's the best I can --
23
24 **DR. PATTERSON:** Did you say that you only estimated -- You
25 estimated age selectivity, but that's only for -- Is it like parsed
26 out by blocks, so that you aren't estimating a length and age
27 selectivity in the same year? I am curious, and maybe we can chat
28 offline and try to look into the code and see how these two
29 selectivity vectors are averaged, because there can only be one
30 selectivity-at-age vector that goes into the numbers-at-age
31 equation.
32
33 **DR. SIEGFRIED:** Yes, but you can take an average of the multiple
34 selectivities, which is what I think SS is doing. It has to be
35 doing that. There's no way it's doing two different things for
36 the same time block.
37
38 **DR. PATTERSON:** Or it's just overriding one.
39
40 **DR. SIEGFRIED:** Well, I don't think that it can override it if it
41 offers the selectivity option, and like this is part of the
42 frustration with SS, and I don't think it can ignore it, if you
43 enter it as a selectivity in that input file, and I don't want to
44 -- I hate discussing something offline that then we don't discuss
45 with the group again, but I believe that that's precisely what has
46 to happen.
47
48 **DR. PATTERSON:** Okay.

1
2 **DR. SIEGFRIED:** I am trying to think of where in the code that
3 would happen, and we can talk about that part offline.
4
5 **DR. PATTERSON:** Okay. Thank you.
6
7 **DR. FORRESTAL:** Moving on with the configuration, the age
8 selectivities that were estimated had loose symmetric data priors,
9 and there was a continuous F method that was used, and this is
10 recommended where catch is known imprecisely, and then it was
11 assumed -- The stock was assumed to be at the unexploited
12 equilibrium level at the start of the time series, as it was in
13 SEDAR 51, and there are catches available before 1945, but they're
14 very small, and it was discussed, at the data workshop for SEDAR
15 51, that they were negligible, and an unexploited equilibrium level
16 was done, and so there was no initial fishing mortality estimated.
17
18 The fishery-dependent indices CVs were scaled to a common mean of
19 0.2, and this was also done in SEDAR 51, and then I mentioned we
20 modeled the time-varying retention, length retention, to account
21 for changes in the management regulations. We assume that all
22 fish caught before the size limits were retained, and then we
23 estimated the inflection points and width parameters for the first
24 time block for these retention parameters, and then, after the
25 size limit went into place, the commercial was assumed at full
26 retention above the federal size limit, and recreational was
27 assumed at full retention above the Florida waters size limit.
28 Okay, and so are there any more questions on --
29
30 **CHAIRMAN NANCE:** I was going to say that, before we get into the
31 results, any more questions on data and the inputs? Will.
32
33 **DR. PATTERSON:** I am a little bit confused on page 49, Slide 49,
34 and so what's the difference between the two age-ones and then the
35 SEAMAP trawl here?
36
37 **DR. FORRESTAL:** In terms of -- The SEAMAP trawl has length
38 compositions that show that it's not a true recruitment index.
39 Because the length compositions were not used for SEDAR 51, I think
40 the decision was that this could be used as a recruitment index,
41 but I'm not entirely sure about the rationale behind that one.
42
43 **DR. PATTERSON:** So then the age-one index is to the FIM data?
44
45 **DR. FORRESTAL:** Yes.
46
47 **DR. PATTERSON:** You have two listed here for what reason?
48

1 **DR. FORRESTAL:** Two listed? I'm sorry. I'm confused by the
2 question.

3
4 **DR. PATTERSON:** You have two age-ones.
5

6 **DR. FORRESTAL:** That is -- I'm so sorry. That is one of the errors
7 in the slide.

8
9 **DR. PATTERSON:** Sorry. You may have pointed that out, and I missed
10 it.
11

12 **DR. FORRESTAL:** I had two age-ones, and that was a typo that I
13 noticed, and so it should have been charter/headboat, age-zero,
14 age-one, SEAMAP trawl.
15

16 **CHAIRMAN NANCE:** Thank you. Let's go ahead and -- Before we get
17 into the data results, we're going to take a fifteen-minute break,
18 and so we'll come back at 10:20, Eastern Time, and resume the
19 presentation.
20

21 (Whereupon, a brief recess was taken.)
22

23 **CHAIRMAN NANCE:** We'll go ahead and reconvene, and we'll start
24 with the model result, which it looks like Slide 51.
25

26 **DR. FORRESTAL:** Okay. Hello, everybody. First, with the
27 assessment model results are the landings, and so these are the
28 fits to the landings for the commercial on the left and then
29 recreational on the right, and the two different columns show the
30 differences between SEDAR 75 and SEDAR 51, and the fits for the
31 commercial landings are quite good, and the SE is very small, and
32 so it's set at 0.05, and so there's not a lot of wiggle room for
33 the model.
34

35 The top two fleets are not completely analogous, because the
36 commercial vertical line for SEDAR 51 is the Monroe County fleet,
37 and then the non-Monroe County fleet is the second panel down, and
38 then longline for SEDAR 75, and it's the final panel for SEDAR 51,
39 and so that's a little complicated, when we're trying to compare
40 them directly, but, for recreational, the standard error is fixed
41 at 0.1, and so there is a little bit more flexibility in the model,
42 but, overall, the fits are quite good. There is some difference
43 seen in the recreational shore mode in the late 1980s, and that
44 was also observed in SEDAR 51 for the landing fits.
45

46 Looking at the fits to discards, discards are modeled as the total
47 magnitude removed and not the discard fraction, as in SEDAR 51,
48 and so you can see differences in the Y-axis there, but we have

1 the fits for SEDAR 75 on the left and SEDAR 51 on the right.
2 Overall, the model is underestimating the discards for the
3 commercial vertical line, up until about 2010, and then it's just
4 overestimating them, and then, again, these are very wide -- The
5 confidence values are 0.3, and so this allows the model a lot of
6 variability for fitting these, and then the total discards for
7 commercial longline, this discard is very, very small, and it's
8 almost at zero, for the majority of the time series, and then it
9 ticks up in about 2014, and then the model is underestimating these
10 discards, but it is, I think, probably difficult for the model to
11 truly capture it, given the magnitude of these discards.

12
13 Shifting to recreational, we have SEDAR 75 in the top panels and
14 SEDAR 51 in the bottom panels, and, again, 75 is modeling the total
15 magnitude removed, versus the discard fraction.

16
17 For the private fleet, the model is generally underestimating the
18 discard level, but it is within the confidence intervals. For the
19 shore mode, the discards do fit a little bit better, with the
20 exception of 1991, where the model greatly overestimates the level
21 of discards observed, and then, for the recreational
22 headboat/charter fleet, the discards are fitting relatively well
23 until about the mid -- To about 2010 or so, and then it
24 underestimates them.

25
26 Looking at the overall selectivity, this is a little -- It's messy,
27 because it has all the fleets and surveys included, but I will go
28 into these individually, but this just shows how the different --
29 The different lengths and ages that are being selected for the
30 fleet, as compared to SEDAR 51.

31
32 The fleet retention, the first time block for both of the models
33 are the gray line, and so that goes from 1945 until 1989. The
34 top-two panels are vertical line, or Monroe County vertical line
35 for SEDAR 51, and the model is selecting smaller-sized fish up
36 until the time block, and then the bottom panels are the longline
37 fleet and then the not-Monroe-County vertical line fleet for SEDAR
38 51. You see smaller fish being retained for the longline in the
39 first time block for SEDAR 75.

40
41 Then the next slide is for the fleet retention for the recreational
42 fleets, and, again, private, shore, and the charter/headboats are
43 selecting smaller fish, until the time limit comes into place.
44 I'm sorry. The size limits comes into effect in 1990.

45
46 These are the selectivity curves for the commercial fleets, for
47 the commercial lengths, and we have the vertical line, longline,
48 and then nets and traps. There is no retention associated with

1 nets and traps, as there was no discard data for that, but these
2 all have the double-normal selectivity, and so that is the six
3 parameters. Any parameters that had a parameter CV above one are
4 highlighted in red, and so, for the vertical line, we have the
5 ascending width and then the top logit, and then the longline is
6 also the top logit.

7
8 For nets and traps, this selectivity was difficult, and so we had
9 to fix the peak, and so the beginning size of selectivity had to
10 be fixed, because it was -- It was not estimating it well.

11
12 For the commercial ages, we have -- This is also double-normal
13 selectivity, and then the CVs -- The parameters with the higher
14 CVs, above one, are the top logit for the vertical line, and then
15 the descending width, and then, for the longline, we have the top
16 logit, the ending logit, and the descending width parameter, with
17 the more uncertain the value.

18
19 These are the residuals for the lengths and ages, and so the plot
20 on the left is for the length residuals, and the plot on the right
21 is for the age residuals, and we have the federal size limit, and
22 then the Florida size limit, in the red and teal bar, and then --
23 I just realize that these are transposed, and so the Florida should
24 be the smaller one, which is the red one, and so that is confusing,
25 visually, and I'm sorry about that.

26
27 You also notice that the lengths have -- There are only six years
28 available for lengths when the age data is used, but, overall, the
29 model does appear to be -- If it's a closed circle, and so a gray
30 circle, it means that the observed is greater than the expected,
31 and so then -- This is negative, and so it's less than -- The model
32 is estimating less.

33
34 For the commercial longline, these are the residuals, and, again,
35 these colors are transposed, and I think that's going to carry
36 through for all of these slides, and there are some patterns seen
37 with the commercial longline lengths, but the residuals for the
38 ages do appear to have a good -- There is no patterns observed
39 with that.

40
41 The commercial nets and traps, this is how the data fits throughout
42 all the years, beginning in 1986, and you see some residuals before
43 the size limit, prior to 1990, and then, once the size limit goes
44 into place, but there are no -- There is no discard data available
45 for this.

46
47 Moving on to the recreational lengths, we have private, shore, and
48 then the charter/headboat fleet. Anything with a CV above one is

1 highlighted, and so all of these have the top logit, which is
2 uncertain, and then you have the retention parameters for the time
3 blocks below. Then the recreational ages, and this is for the
4 private and then the charter and the headboat, and these are the
5 final ages.

6
7 Looking at the recreational, the private, fleet closer, again, we
8 have the years removed between -- In the early 1980s, and there
9 are some -- The model is overestimating the -- It's underestimating
10 the smaller ages.

11
12 Then these are the fits to the recreational shore mode. If you
13 look at the sample sizes for shore, it is -- They're quite low,
14 and there's not a lot of information on the size composition for
15 this fleet, and it is very -- It's an important component of the
16 gray snapper landings, and so this is just something to keep in
17 mind, moving forward, and so the lack of sample size is observed
18 with the residuals that some years -- With the Dirichlet adjusted,
19 and there are just about twenty-two samples, or thirteen samples,
20 for the lengths, in some of the earlier years.

21
22 Then, for the charter and headboat, we have both lengths and ages.
23 The length data comes from the earlier part of the time series,
24 and then the ages are all in the latter part of the time series,
25 from 1991 onwards, and so there is a tradeoff between using length
26 composition with the age composition data, because you do lose
27 years with length, and so you lose -- If you have years with ages,
28 then you lose those years with the length data, because you don't
29 have to avoid double-counting.

30
31 However, ages are a very important component of the data, and it
32 was in the TORs to include these, and so the fits to the ages are
33 actually quite good, with the available fleets, and then, with the
34 remaining data for the length, it's also quite reasonable,
35 particularly for the private and the shore mode.

36
37 Then, shifting into the fishery-independent data, and so this shows
38 the final selectivity curve for these three fleets, the SEAMAP
39 trawl, the combined video, and then the reef fish visual census.
40 There are some residual patterns seen, particularly with the
41 combined video, and it does look like, in the earlier part of the
42 time series, we see some larger fish, and then, later on this,
43 pattern shifts to smaller fish, and then there's no comparison for
44 this for SEDAR 51.

45
46 Looking at how all the surveys and fleets break down between the
47 two models, you have SEDAR 75 in red and then the SEDAR 51 in blue,
48 and age-zeros and age-ones have -- They're either recruitment or

1 they're fully-selected, age-one-plus. SEAMAP trawl was a
2 recruitment index in SEDAR 51, and so that is that pattern, and
3 then the combined video survey and the reef fish visual survey
4 were mirroring fleets, and so they didn't have an associated
5 selectivity.

6
7 The SEDAR 75 vertical line selectivities, compared to the Monroe
8 County and then not Monroe County, and then the commercial nets
9 and traps, and the blue line is for the longline in SEDAR 51. You
10 can definitely see some changes in the selectivity with the
11 recreational private fleet, as with -- The dome has shifted. for
12 the recreational shore fleet, to smaller fish.

13
14 All the length composition data in SEDAR 51 was -- We did using
15 Francis reweighting, and they had a cap on the sample size. There
16 was no cap in SEDAR 75, and we used the Dirichlet multinomial, and
17 so -- They used fish, and I used trips, and so it is not quite
18 comparable, in terms of the sample sizes, and so the Dirichlet
19 parameters are the lowest for the nets and trap length, and the
20 reef fish visual surveys, and so the model is essentially putting
21 less emphasis on this data, and then it's the highest for the
22 longline length and ages, and then the shore lengths.

23
24 This is just an overview, and I'm going to go into these each
25 individually, but, as I mentioned, the commercial vertical line
26 index was not used for SEDAR 75, due to IFQ issues and how the
27 fleet compositions are, but, overall, you can see how the fits
28 compared between SEDAR 75 and SEDAR 51.

29
30 Going into the individual indices for private, the model is not
31 really capturing the dip in the earliest part of the time series,
32 from 1981 to 1986, but it's the time period of highest uncertainty,
33 and those early years are often excluded from other species, MRIP
34 indices for these, but they are included for gray snapper. It is
35 capturing the trend after 2014, but it is missing that dip, again,
36 in about the mid-2010s.

37
38 Looking at the shore mode, the index is tracking it relatively
39 well, with the exception of the beginning part of the time series
40 and in the mid-2000s. The fit to the age-one index is not good,
41 and it's just showing a flat line, and so it's not really capturing
42 that uptick with the age-ones, and it is also -- The model does
43 not really capture the combined video index.

44
45 Looking at the SEAMAP trawl, it does also appear to be relatively
46 flat, and then the reef fish visual survey does miss the 2011, but
47 it does capture the last time point.

48

1 These are the recruitment results, and the data begins in 1981,
2 and so the early recruitment deviations are from 1951 to 1981, and
3 the first figure is the age-zero recruits, and then the middle is
4 the recruitment deviations, and then the stock-recruitment
5 relationship, and the CVs are high for the early rec devs, and
6 then for 1981, 1983, and 1985, and then a couple of years later on
7 in the time series.

8
9 Comparing the recruitment between SEDAR 51, and so we have the
10 estimated -- You can see, in this top panel, those are the
11 recruitment deviations, and then for SEDAR 75 in the bottom panel,
12 and there is a large difference seen in the mid-1980s, and there
13 was a large dip in the recruitment devs that was not observed in
14 SEDAR 75.

15
16 The estimated $\ln(R_0)$ is higher for SEDAR 75, as compared to 51,
17 and then that is reflected in the R_0 . Steepness is fixed at 0.99,
18 for both models, and then the σ_R also does differ between.

19
20 These figures have the spawning stock biomass and then the total
21 biomass for SEDAR 75, and then the numbers-at-age compared between
22 the two models, and the red line shows the average age seen, and
23 so the average is three to five years, and that doesn't really
24 change between the two models, but there's a lot less variability
25 in the 1980s, when the data kicks in in the model.

26
27 Then, looking at the fishing mortality, this is the overall trend,
28 and then broken down by fleets, and the overall pattern is the
29 same between SEDAR 75 and 51, and the mortality is dominated by
30 the recreational private fleet, followed by the shore mode,
31 particularly in the ending years of the time series, from 2015
32 onwards, and then followed by recreational headboat and charter
33 boat.

34
35 Looking at the two base models, and so SEDAR 51 is in blue, and
36 SEDAR 751 is in red, and there is a difference between the spawning
37 stock biomass and then in the total biomass, and so the model does
38 appear to be estimating more younger fish than was observed in
39 SEDAR 51, and that's all I have for the results, and I think this
40 would be a good time to ask questions.

41
42 **CHAIRMAN NANCE:** Any discussion on the results section? Will,
43 please.

44
45 **DR. PATTERSON:** Francesca, can you go to Slide 54, please? I just
46 wanted to point out, in this slide, at the bottom-middle panel,
47 the model didn't believe a proportion of 0.9 for shore mode
48 discards either, Jim. Then I have a question on 56.

1
2 **CHAIRMAN NANCE:** Ryan, to that point?
3

4 **MR. RINDONE:** Well, there's a difference here in what's being
5 presented though between SEDAR 51 and SEDAR 75, as far as what the
6 model is fitting to. In the bottom-middle panel there, that's the
7 discard fraction for the recreational shore mode from SEDAR 51,
8 which the model underfit considerably, and the top-middle panel,
9 which would be, I guess, the comparison that probably shouldn't be
10 drawn, is the total number of discards, and so the model is fit to
11 the total number of discards and not the discard fraction.
12

13 Then it's discard fraction for everything that was in SEDAR 51,
14 and, for those of you that remember that review, we had a lot of
15 discussion, especially about the commercial side, for the discard
16 fractions that were estimated for SEDAR 51, and the fraction of
17 those didn't seem reasonable for the commercial side, but I think
18 that's pretty well resolved for this model. The recreational
19 discard fraction, we talked a little bit about that today, and
20 there were good research recommendations that came out of that, I
21 think.
22

23 **CHAIRMAN NANCE:** Thank you, Ryan. Will.
24

25 **DR. PATTERSON:** Then 56, please. Between SEDAR 51 and 75, for
26 both of these commercial fleets, for the early time period, there's
27 a pretty significant change in the retention, and is that imposed,
28 or is that estimated? What's going on there?
29

30 **DR. FORRESTAL:** For the early time period, these are estimated,
31 and this, I think, was one of the comments in the review, that the
32 retention seemed counterintuitive, that they were not -- That it
33 was flipped from what you would expect, and so this was definitely,
34 I think, a point during the review workshop with stakeholders,
35 that it did not seem right that they were catching smaller fish
36 after the size limit went into effect.
37

38 **DR. PATTERSON:** That they're retaining smaller fish.
39

40 **DR. FORRESTAL:** Yes.
41

42 **DR. PATTERSON:** So was there any kind of a resolution to that
43 discussion?
44

45 **DR. FORRESTAL:** I think it was in the TORs to examine the retention,
46 and then we -- None of the retention parameters for the first time
47 block, if I remember correctly, are fixed, and they're all
48 estimated, and so this is just what the model is estimating with

1 the data.
2
3 **DR. PATTERSON:** Okay. On Slide 70, and so on the bottom-left,
4 where you have the visual, the reef fish survey, and this declining
5 selectivity with length, what drives that? You know, I'm trying
6 to think like of an ecological and behavioral process, and this is
7 fisheries-independent, and like what would be driving a decline in
8 selectivity for gray snapper on the video gear?
9
10 **DR. FORRESTAL:** This is the reef fish visual census, and so it's
11 just in the Keys, and I think it's structure, and so maybe the
12 largest fish aren't around those reefs.
13
14 **DR. PATTERSON:** That it's site-attached, and is that the idea?
15
16 **DR. FORRESTAL:** Yes, I think so.
17
18 **DR. PATTERSON:** Okay. Then, lastly, on Slide 76 --
19
20 **DR. BARBIERI:** If I may jump in here, real quickly, just one other
21 note on the reef fish -- I mean, the RVC, the visual census, is
22 the depth range that that survey is conducted, right, and, I mean,
23 it doesn't cover all the depth range of the reef tract, really,
24 and it's just the inner, and not the outer, reefs, and so that's
25 why that selectivity would be impacted.
26
27 **DR. FORRESTAL:** That's a good clarification. Thank you.
28
29 **DR. PATTERSON:** Thanks, Luiz. Here, I was a little confused,
30 because the recruitment deviations from SEDAR 75 are higher, sigmaR
31 is estimated to be lower.
32
33 **DR. FORRESTAL:** I think sigmaR is higher in SEDAR 51, and there's
34 a lot more -- That's reflected in the variability, mostly in the
35 1980s, I think.
36
37 **DR. PATTERSON:** Okay. I see, and so across the time series.
38
39 **DR. FORRESTAL:** Yes.
40
41 **DR. PATTERSON:** Not just within years.
42
43 **DR. FORRESTAL:** Yes.
44
45 **DR. PATTERSON:** All right. That makes sense. Thanks.
46
47 **CHAIRMAN NANCE:** Thank you, Will. Harry, please.
48

1 **MR. BLANCHET:** Thank you, Mr. Chairman. There were several
2 graphics in there where you were comparing the residuals of the
3 ages and the lengths, both on the commercial and the recreational
4 side, and so, if you had ages, you did not consider the lengths in
5 those years for that particular fishery, and my question is was
6 there any comparison of the length structure compared to the age
7 -- Compared to the lengths of aged fish? In other words, you have
8 -- For a given year, where you have both lengths and ages, you
9 dropped the lengths, but did you compare the length structure of
10 the aged, versus the non-aged, fish, or would it be worth going
11 back and trying to age those un-aged fish, from an annual age-
12 length key, of the aged fish?

13
14 **DR. FORRESTAL:** I think I'm going to pass that one to Katie.

15
16 **DR. SIEGFRIED:** Well, that's a great point, Harry. When we were
17 looking at these data, and as we've been looking at all of our
18 data sources for all of our assessments, to better understand if
19 we have a length and an age for a fish, we realized that it's
20 actually pretty hard to find those paired data, and then it's
21 especially hard, with our workload, to go back and age the data,
22 or the otoliths for which we have lengths, and so I think that's
23 an ideal situation, and we would like to do that, but, right now,
24 we can't.

25
26 **MR. BLANCHET:** I was not asking that you go back and do that. I
27 was just asking if there was any comparison between the aged and
28 the unaged data, to see whether the age information was
29 representative of the total lengths that were captured for that
30 same year, or whether there should be some consideration of
31 evaluation of possible ways to adjust that, and that's all.

32
33 **DR. SIEGFRIED:** I see. Sorry about that. We have not, for this
34 species, gone back to look at how the age data were pulled from
35 each length bin, and I think that would be a good thing to do, as
36 time permits, for each species, and we were not able to do that
37 here. I think we're going to have to do that for red snapper,
38 but, no, we didn't do that, Harry.

39
40 **MR. BLANCHET:** Okay. That's all I had. Thank you.

41
42 **CHAIRMAN NANCE:** Thank you, Harry. Katie, please.

43
44 **DR. SIEGFRIED:** Sorry. The other thing I wanted to mention is,
45 when we're pulling in the age data, which are always fewer than
46 the length data, we think about the representativeness of them a
47 lot, but we haven't looked at the representativeness within each
48 length bin. Right now, in the Southeast, our first cut is just

1 trying to see if it's representative of the fleet, which oftentimes
2 is a challenge, but I do think that that is something that we
3 should continue later.

4
5 **CHAIRMAN NANCE:** Thank you. Any other questions from the SSC?
6 Doug, please.

7
8 **MR. GREGORY:** Well, I took my hand down. I will wait until we get
9 to the sensitivity part of the analysis, and I had some questions
10 there.

11
12 **CHAIRMAN NANCE:** Okay. Thank you, Doug. Any other questions on
13 this part, on the results? Okay, Francesca. Let's go ahead and
14 move on.

15
16 **DR. FORRESTAL:** All right, and so now I'm going to go into
17 diagnostics. This slide has the results of the jitter analysis
18 and then the profile that was run on the lnR0 parameter, and the
19 jitter didn't have -- There were no runs that had a lower negative
20 loglikelihood than the base, and so the figure has 100 jitter runs
21 that the starting parameters were changed by 10 percent, and then
22 the orange line is the base model run, or is the base model negative
23 loglikelihood, and so there were some that were close, but nothing
24 that was lower than the base model.

25
26 The likelihood profile for R0 is on the right, and so we have the
27 overall profile run and then the zoomed-in one, and so we can look
28 at the change in loglikelihood on the Y-axis, and that's how that
29 differs. The total loglikelihood is in black, and then where it
30 appears to be pulling up that profile is coming from the length
31 data, and I am trying to dig into this further, to parse this out,
32 but, if I had to guess, I think it might be the nets and traps
33 fleet, because that has just been a little unstable, and so I
34 think, across the different parameters that is R0, that is what is
35 causing that pattern.

36
37 Shifting into retrospective bias, we have the spawning biomass in
38 the top panels, along with the entire time series, and then it's
39 zoomed-in on the right, and then the fishing mortality is on the
40 bottom, and this is where the data is subsequently peeled back by
41 a single year, and so the base model is the one in blue, the
42 reference run, and the retrospective bias falls within the
43 acceptable threshold limits, and there are no directional
44 retrospective patterns observed, and so some years are above the
45 base model, the reference model, and some are below, with the
46 spawning biomass particularly.

47
48 We did a runs test on all of the data inputs, and this looks at if

1 there are any non-random patterns in residuals, and there are some.
2 It does give a very nice graphic of where the data is showing non-
3 random patterns, and so, because these are very small text on it,
4 the length data, the shore length and then the combined video
5 lengths, are showing non-random patterns, and then, also, in the
6 recreational private lengths, you do see some years that are
7 outliers there.

8
9 Then, for the indices, the age-one had some non-random patterns in
10 it, and you can even see that looking at the residuals, and there
11 does appear to be some cyclical nature to them, and then, for the
12 age data, it is the charter and headboat.

13
14 This are the joint residual plots, and so this assesses the
15 goodness of model fit, and so it identifies any potentially
16 conflicting time series or if there's any autocorrelation in the
17 residual patterns. A root mean square error above 30 percent is
18 undesirable, and we have that with the indices. The thick, dark
19 line is the smoothed trend, and so you can kind of see the overall
20 pattern with the ages, and then, with the lengths, there's a
21 pattern at the beginning and the end of the time series. Then the
22 report also has the individual RMSE values for these, so you can
23 see where the greatest conflicts are coming in.

24
25 Several sensitivities were run, and I'm just going to be presenting
26 the sensitivity to natural mortality, as some of the sensitivities
27 didn't have good convergence, but, for the natural mortality one,
28 we have a pattern that is to be expected in recent years, and so
29 you have the base natural mortality in red. Sorry. The base
30 natural mortality is in blue, and then the high natural mortality
31 vector is red, and the low is in green. The low natural mortality
32 model run did not converge, and so the model does not support --
33 The data does not really seem to be supporting that lower M value.
34 That is what I have for the diagnostics section.

35
36 **CHAIRMAN NANCE:** Okay. Thank you. Doug, did you have a question
37 on this one?

38
39 **MR. GREGORY:** Yes. Thank you, Mr. Chair. In reading the report,
40 it mentioned that some sensitivity runs were made, but not included
41 in the report, because they weren't major, and my concern here is
42 not a major concern either, and I don't think it would affect the
43 assessment, but it goes back to size at maturity.

44
45 In the topical working group, we were first presented with the
46 idea of using functional size at maturity, instead of the
47 physiological, and we requested that a sensitivity run be made.
48 If it hasn't been done, that might be okay, because it's only like

1 a ten-millimeter difference in the size, and it was told to us
2 that the same approach was being used with red snapper.

3
4 My concern is that, historically, size at maturities are estimated
5 based on the physiological evidence and not the functional, and,
6 even then, the estimates are sensitive to where you take the
7 sample, and when you take the sample, whether you're targeting the
8 reproductive season or not, and so it could be very sensitive to
9 the functional versus physiological.

10
11 Now, recently, I ran across a paper, out of Mississippi, that
12 looked at this among a number of different species, and, in some
13 species, the size at maturity was the same between the two
14 criteria, and, for other species, it was not the same, and,
15 invariably, when it's not the same, the functional maturity shows
16 a larger size limit.

17
18 Given that, I would be more comfortable if we had a what you might
19 call best practices consensus paper, among the reproductive
20 biologists in the Gulf of Mexico, that concurred that the
21 functional maturity was better than physiological maturity, or
22 more appropriate, more accurate.

23
24 Until we have some kind of consensus like that, I am concerned
25 that the assessments are automatically doing that, because it
26 doesn't include a bias in the assessment. If the sensitivity run
27 was done, it would be good to hear about it. Otherwise, going
28 forward, I would like to see more thought put into this, rather
29 than just jumping on that bandwagon. Thank you.

30
31 **DR. FORRESTAL:** Thank you. Unfortunately, we ran out of time on
32 running that sensitivity analysis, but I do agree that it would be
33 very nice to have consensus on the best practice, moving forward,
34 just for clarity in modeling, and, also, the sensitivity analysis
35 could be done during this week, if the panel would like.

36
37 **CHAIRMAN NANCE:** Yes. Luiz, please.

38
39 **DR. BARBIERI:** To Doug's point, Doug, just to clarify, the best
40 practices study, or development of those criteria between the two,
41 is in development right now, and so there are people, within the
42 Center, actually working with a variety of other folks and trying
43 to address, right now, and trying to put together something that
44 would bring those criteria into development of best practices.

45
46 Regarding -- I don't disagree with you, and your points, I thought,
47 were spot-on, because I was also thinking about that, but, when I
48 looked at the estimates between the functional and the

1 physiological, the difference was so small that I think it would
2 be inconsequential, in this case.

3
4 **CHAIRMAN NANCE:** Yes, but I do think that having a routine thing
5 would be good though, yes.

6
7 **MR. GREGORY:** I don't think that it will dramatically, or
8 significantly, affect this assessment, but it's just the
9 principle, the concept, and it was -- The people in Mississippi
10 should be included in this best practices, because they've done
11 quite a bit of work on that, and I think it was Nancy Peterson-
12 Brown and one of her students, or a colleague.

13
14 **CHAIRMAN NANCE:** Thank you. Katie.

15
16 **DR. SIEGFRIED:** Thanks, Doug, for that point. One thing that I
17 think is important, when developing that best practice, is it's
18 not so much whether it's a huge difference in the model, but it's
19 also how reproduction is being modeled in the assessment, whether
20 it's spawning stock biomass or whether it's fecundity, and so I
21 think that it can make a bigger difference whether you use
22 functional or physiological maturity, and this is what we discussed
23 with Sue and her group with red snapper.

24
25 If you're using fecundity, because it ripples through all of those
26 components, you know, starting with maturity, you know, proportion
27 female batch fecundity, or proportion mature batch fecundity, all
28 of those, you know, spawning frequency, that all -- All that
29 uncertainty cascades through to the estimate of fecundity, but not
30 as much with SSB. That's just something for that group that is
31 putting together those best practices.

32
33 **CHAIRMAN NANCE:** Thank you.

34
35 **MR. GREGORY:** Yes, thank you.

36
37 **CHAIRMAN NANCE:** Any other -- Doug, thanks for bringing that up.
38 Any other questions as part of this? Okay. Let's go ahead and
39 move on.

40
41 **DR. FORRESTAL:** Okay, and so, next up, we have the benchmarks,
42 stock status, and projections. These are the terms of reference
43 that we used to set the benchmarks and for the projections, and so
44 I'll just go into the actual details of how these were applied.

45
46 For the projection settings, we have a relative F, which is the
47 average relative apical fishing mortality for the last three years
48 of the model, and so 2018, 2019, and 2020. Selectivity is based

1 off of the final year of the model, which is the 2020, and this is
2 the same for retention, and that includes that size limit block.

3
4 The recruitment is a Beverton-Holt stock-recruitment relationship,
5 and those use the estimated parameters, and then the interim
6 landings -- We had the use the three-year average of 2021, 2022,
7 and 2023, as we don't have the interim landings available for 2021.

8
9 **CHAIRMAN NANCE:** For 2021, what was happening there?

10
11 **DR. SIEGFRIED:** We just have a backlog of data provision at this
12 point, and so it's coming, but it's not ready yet.

13
14 **CHAIRMAN NANCE:** Okay.

15
16 **DR. FORRESTAL:** So these are the parameter values that were used
17 to develop the benchmarks and the reference points. Steepness is
18 fixed at 0.99, and we have an R0 of 23,000 fish, in thousands, and
19 then generation time, spawning stock biomass is at unfished, and
20 then we have the mortality rate criteria. We used -- Because MSY
21 is not estimated, we have the FMSY proxy of SPR 30 percent, and
22 then the fishing optimum yield is 0.75 times the directed F at the
23 FMSY proxy. F current is the geometric mean of the last three
24 years of the assessment, and then the F current ratio to MFMT is
25 0.659.

26
27 Going into the biomass criteria, the SSB MSY proxy is the
28 equilibrium SSB at a fishing mortality of 30 percent SPR, and then
29 MSST is defined as 0.5 of that SSB. The SSB in 2020 is 10,000
30 fish, and then the current stock -- The SSB ratio, or SSB current
31 to SSB FMSY proxy, is above one, and so --

32
33 **DR. SIEGFRIED:** That's metric tons.

34
35 **DR. FORRESTAL:** Thank you. Metric tons, and then the SSB ratio,
36 the F current to SSB virgin, is 0.48. Looking at this --

37
38 **CHAIRMAN NANCE:** John, you had a question?

39
40 **DR. JOHN FROESCHKE:** Yes, and, actually, I had two questions. One,
41 I guess I'm still confused about the not having the 2021 landings
42 data available, at least preliminary or something, and we,
43 obviously, used them for quota monitoring, to see if there was an
44 ACL overage and all that stuff, and so it just seemed like there
45 should be a number that we could use that was better than -- The
46 average just seems highly problematic to me, if something else can
47 be used, given that that's pretty influential in the projections.

1 Then the other question, on just that previous slide, and maybe I
2 missed it, but all the metrics were at SPR 30, and this one is at
3 SPR 26, and so I'm just curious about that.

4

5 **DR. FORRESTAL:** Let me check the TORs.

6

7 **DR. SIEGFRIED:** As far as the data availability, I mean, our final
8 numbers aren't ready. If you want a different number for that
9 interim, for those interim landings, that's fine, but, when we
10 requested it from our data group, and, when we've gone through the
11 schedule, it just wasn't a high-priority item at this point,
12 compared to all of the other data requests, and so we can look at
13 the numbers you have for quota monitoring, but they wouldn't be
14 the exact same numbers that normally are provided for SEDAR, and
15 so we approximated with the average, but we can certainly re-run
16 them, this week, and give you new numbers, new MSRA tables, and
17 new projections. That's not a problem.

18

19 I thought that we checked carefully about F 30 versus -- Also what
20 P* was, because we don't have the P* projections, because there
21 will be some discussion about the control rule at this -- During
22 this session, but we can also make that modification pretty easily.

23

24 **DR. FROESCHKE:** I'm pretty sure we set the SPR MSY proxy, in
25 Amendment 51, based off SEDAR 51, and I can double-check that,
26 and, as far as the landings, I mean, I don't necessarily have a
27 strong preference, but it just seems like we must have that in
28 some of our operational -- Because we do monitor for overages and
29 that other stuff, and so just -- It would seem better, and I don't
30 have the data at my fingers, and so I can't give you a different
31 number, but it seems like it must exist.

32

33 **DR. SIEGFRIED:** We're just having a lot of trouble with our SEDAR
34 schedule and getting, again, data provisions squeezed in at the
35 end of each different assessment to add a new year of data on, and
36 it's something that we need to talk about during a Steering
37 Committee meeting too, but that's part of the problem, is the
38 prioritization of requests and then when the people are available
39 to produce those estimates.

40

41 **CHAIRMAN NANCE:** Thank you. Go ahead, Francesca.

42

43 **DR. FORRESTAL:** We will double-check that, but, looking at the
44 stock status, the results of this model show that gray snapper is
45 not overfished, nor is it undergoing overfishing, and so you see
46 the progression, over the time series, for the relationship between
47 the F to FSPR 30, and then the spawning stock biomass is on the X-
48 axis.

1
2 Then, on the figures to the right, these are the projections, and
3 they do go out 100 years, and so the main area to look at is right
4 here, but we ran it for 100 years, to get the reference points
5 inputted. Then, moving into the current projections for the
6 overfishing limit, and then the acceptable biological catch, the
7 OFL is in red, and then the ABC is in green, and that is defined
8 as -- As of now, it's 0.75 times fishing mortality at SPR 30
9 percent. These are in pounds gutted weight.

10
11 **CHAIRMAN NANCE:** Thank you. Katie.

12
13 **DR. SIEGFRIED:** Just a question about the F 26, and is that because
14 of red snapper? Was that analysis done for gray snapper last time?

15
16 **CHAIRMAN NANCE:** John, I think that question was to you.

17
18 **DR. SIEGFRIED:** We can have Tom answer if you want instead, John.

19
20 **DR. FROESCHKE:** Okay. One more time. I'm ready.

21
22 **DR. SIEGFRIED:** No problem. Was the 26 percent, the F 26 percent
23 SPR, was that -- That was for red snapper, and I remember the
24 analysis, and I know that you're saying it's for gray snapper, but
25 was it chosen for gray snapper because of the analysis done for
26 red snapper? Can you point me to --

27
28 **DR. FROESCHKE:** So, yes, and I'll try, and I think the genesis of
29 the discussion of the 26 percent for gray snapper was based on
30 that global -- There was a global MSY analysis, at one point, that
31 was done for both -- Originally, it was for red snapper. When we
32 were reviewing SEDAR 51, a similar request was made to do that,
33 and I think that analysis was completed at some point during that,
34 and the SSC recommended an SPR of 26 percent for gray snapper.
35 That was subsequently adopted in Amendment 51, along with the other
36 status determination criteria.

37
38 **DR. SIEGFRIED:** Okay, and so there should be, in all of the SSC
39 documentation for SEDAR 51 -- There's an analysis that says that
40 it just happens to be the same as for red snapper? I will look
41 back into it, but I just wanted to make sure.

42
43 **DR. FROESCHKE:** Yes, and I believe there was a global MSY done for
44 gray snapper, and I don't recall -- It would have been around that
45 timeframe, but the actual MSY and things is documented in Reef
46 Fish Amendment 51, and that states the SPR 26 is the MSY proxy.

47
48 **DR. SIEGFRIED:** Thank you.

1
2 **CHAIRMAN NANCE:** Okay. Questions or discussion on the model
3 itself? Doug, please.
4

5 **MR. GREGORY:** Thank you, Mr. Chair. I have a similar question, or
6 concern, that I raised at an earlier stock assessment, and it's
7 getting more confusing, to me, and it seems like we don't have
8 consistency from one assessment to the next, but, here, we're using
9 the Beverton-Holt stock-recruitment curve, and you look at the
10 graph, and it looks like there is no relationship between spawning
11 stock and recruitment, and the model is assuming a steepness of
12 0.99, which basically says the same thing, that there is no
13 relationship between stock and recruitment, yet we're using the
14 Beverton-Holt projection for projections, and not average
15 recruitment, like we've used in the past for other species.
16

17 Then there's the question that, if you have a Beverton-Holt model,
18 why are you using percent SPR and not going straight to MSY, and
19 they're two different issues, and so let's forget the second part
20 that I said about MSY, because we hashed that out at the last
21 meeting, and Katie said that that's being looked into for the
22 future, but what's the role of the Beverton-Holt, when we have a
23 steepness of 0.99, and using Beverton-Holt for projections,
24 instead of average recruitment, and that's the part that I would
25 like to address. Thank you.
26

27 **CHAIRMAN NANCE:** Thank you, Doug. Katie, please.
28

29 **DR. SIEGFRIED:** Yes, we are looking into that still, Doug, and I
30 see your point, and we can either take recent average estimated
31 recruitment or, in a way, it is taking average recruitment, but
32 it's just from, you know, this flat stock-recruit relationship,
33 and those are modifications that we can make that we fully expected
34 to discuss those specs of the projections when we got to the
35 meeting, and so, again, because we didn't have a panel, and we
36 didn't ask everybody how we should put all the specs together
37 before we got here, we did it in a similar way to previous
38 assessments, but there are these differences, like the fixed
39 steepness at 0.99, the issue with the proxy, and then, if you want
40 to look --
41

42 We've talked a lot about recruitment stanzas too, and, I mean, I
43 suppose you could look at the recruitment devs and have some
44 thoughts about whether it's high or low, and how much of that time
45 period of estimated recruitment you would like to assume.
46

47 If we're assuming average recruitment over the entire timeframe,
48 then it would be a lot flatter, or lower, I should say, than if

1 you assume the last ten years, and so I think that should be, you
2 know, a larger discussion that we have here.

3
4 **MR. GREGORY:** Thank you. I agree, and there needs to be, I think,
5 some consistency, so that we're not tempted to choose one approach
6 over the other, based on what the data looks like, the recruitment
7 estimates look like. Thank you.

8
9 **CHAIRMAN NANCE:** Yes. Any discussion on the model itself? Luiz.

10
11 **DR. BARBIERI:** Thank you, Mr. Chairman, and, to Doug's point, and
12 Katie's comment there, I think, you know, you're waiting on some
13 kind of recommendation, right, on these very points, on how to
14 basically develop the criteria, right, for the projections, and I
15 tend to agree with Doug here that, yes, going with average
16 recruitment would be best, given the outcome of the stock-
17 recruitment relationship and that we are using a proxy for MSY.

18
19 I mean, other than that, I mean, I think this is just a matter of
20 deciding how to structure, I guess, that average recent
21 recruitment, but we have discussed this in the past, several times,
22 and so we have different ways to do this that we could, you know,
23 look into.

24
25 **CHAIRMAN NANCE:** Katie.

26
27 **DR. SIEGFRIED:** Just to state it again, if you have a stock-recruit
28 curve, or it's not really a curve, but a line that has a steepness
29 of 0.99, when we pull the recruitment from that, that is basically
30 average recruitment, and so it's not -- What I was asking, and
31 maybe I'm overcomplicating it, is if Doug was asking about the
32 average estimated recruitment, which probably, based on what you
33 see there, and the fact that SS requires devs to average out to
34 zero, they might be almost the same, but we can calculate that, if
35 it's of interest, but that's why we started with the Beverton-Holt
36 curve, even though it's a line, is because it's the average
37 recruitment.

38
39 **CHAIRMAN NANCE:** Luiz.

40
41 **DR. BARBIERI:** Well, and thank you for that, Katie, because I was
42 going to actually bring that up before, right, but I guess, not
43 keeping up with the latest-and-greatest developments in SS, you
44 know, it's difficult to know, with all the updates and the changes
45 in the way -- I mean, way back when, this is the way it would turn
46 out, and you would set, you know, steepness to 0.99, and you end
47 up producing a vector of recruitment that is equivalent to the
48 mean.

1
2 If that's still the case, you know, this is fine, and I think
3 Doug's point is more the nomenclature, right, in that table, that
4 basically says, more explicitly, that average recruitment is being
5 used. How it's being derived I guess is another discussion, right,
6 but I think that helps clarify the issue, in terms of the
7 projections that we have in front of us.

8
9 **CHAIRMAN NANCE:** As far as -- Go ahead.

10
11 **MR. GREGORY:** I see to remember, Luiz, in the back of my mind,
12 discussions about whether to use the Beverton-Holt curve or some
13 average of estimated recruitment, in the past, and I don't know
14 what assessment, what species, and I know it has varied, but it
15 would be nice if we could come down, even as just an SSC, on a
16 consistent way of interpreting this and using these in projections.

17
18 I think, in one instance, we've used the last ten years of
19 recruitment estimates, and, in another instance, we've used the
20 average of the entire team series. I mean, this is just getting
21 to be all over the place, in my mind, and so I'm just looking for
22 some consistent thread. Thank you. I think it's more than
23 nomenclature.

24
25 **CHAIRMAN NANCE:** I think that's a good point, Doug. From the
26 standpoint of the model though, we need to have -- Is the model -
27 - Without looking at the projections and so forth, is the model
28 something we feel that we can use to be able to manage the stock
29 and move forward with how we want to do the projections? Will.

30
31 **DR. PATTERSON:** You know, as I look at this, I'm still trying to
32 wrap my brain around what signal is the model picking up that is
33 increasing estimates of recent recruitment, and where does it cause
34 a misfit in other data sources, and so, you know, it looks like
35 the CPU index for the shore is really driving all of that, but
36 then you don't see, and I'm looking at Slide 72 -- Then, oddly,
37 you don't actually see a good fit to the FWRI age-one time series,
38 and so there's a disconnect there.

39
40 For the other fishery-independent time series, the model is
41 predicting a flatter line, in many cases, than what the data are
42 actually showing, and so I don't understand. I mean, it seems
43 apparent that the shore CPUE is really driving this, and the model
44 fits it pretty closely, but it's not picking up on the signal from
45 other indices that it seems like it would, and the other thing is
46 that, when you look at the age comps, the residuals, you know, for
47 the younger age classes and those compositions, especially on the
48 recreational side, the model appears to be overestimating what the

1 data show.

2

3 **CHAIRMAN NANCE:** Was that happening also with 51?

4

5 **DR. FORRESTAL:** It's unfortunate that there's such -- There aren't
6 any -- There is not sufficient ages for the recreational shore
7 fleet, and the available sample sizes are so low, and so it could
8 -- While it's fitting the index quite well, I think it's just
9 missing some information for this large fleet.

10

11 **CHAIRMAN NANCE:** Okay. Katie.

12

13 **DR. SIEGFRIED:** When we included the age compositions, we did get
14 more information about cohorts, which is one of the things that I
15 think that is informing some of what we see in the uptick in the
16 last ten years, but also the fact that all of the indices, except
17 for the age-one-plus, are going up, it looks like, and so it seems
18 like the model, in order to produce enough fish to match that
19 trend, are going to create the recruits that are needed to support
20 that level of landings.

21

22 Then, also, we have new discard information, which I was just
23 looking at, and I don't want to make a statement about that yet,
24 until I understand better what my point is, but, as far as the
25 cohorts and the last ten years of all the indices increasing, I
26 could see why, you know, we're getting an increasing recruitment
27 trend at the end of the time series.

28

29 It doesn't fit the video survey as well, or the -- Is it the trawl
30 as well, in the terminal year, but it is such a big increase that
31 I'm not sure that the population could actually increase the much
32 in a terminal year. Also, if we had more time, the combined video
33 survey -- For other species, we've looked at a limited spatial
34 scale, because 2020 had a lower sampling, and so I'm not entirely
35 sure that those big increases for SEAMAP, or the combined video
36 survey, are something we should be chasing. Just some ideas.

37

38 **CHAIRMAN NANCE:** Thank you, Katie. Harry.

39

40 **MR. BLANCHET:** Thank you, Mr. Chairman. To the point of whether
41 -- When you use the last ten years, or we use average recruitment
42 over a longer time series, the times when we have used the last
43 ten years has typically been times when that last ten years of
44 recruitment has been below the long-term, and we're looking at an
45 overfished situation, and so that we would end up being more
46 optimistic, in terms of our projections, if we were to use the
47 long-term, rather than the last ten years, or we have some
48 information that would explain why we have changed recruitment.

1
2 We don't have such an explanation, in terms of why we are seeing
3 more gray snapper in recent years, and we don't know whether that
4 is one of these ten or fifteen or twenty-year oceanographic cycles,
5 or whether it's just random chance, and so I don't feel as
6 comfortable about recommending using a shorter time average than
7 the long time series in this case, because we do not have any
8 explanation that could explain why we have more critters out there
9 now, and we do not have a situation where we need to be more
10 conservative than the long-term estimate of recruitment would
11 provide us, and so that was -- You were asking for an explanation
12 of why we would -- Doug maybe was asking for an explanation of why
13 we would use short-term versus long-term recruitment, and that was
14 my perception of the situation. Thank you.

15
16 **CHAIRMAN NANCE:** Thank you, Harry. Luiz.

17
18 **DR. BARBIERI:** Thank you, Mr. Chairman. Harry, I agree with your
19 point there for this one, and I think this is exactly what we
20 should be discussing, right, and so how we're going to be having
21 to develop ways to input recruitment here for the projections, and
22 that's the type of discussion that we need to have, and I'm in
23 agreement with using the long-term R, given all the issues that
24 Doug brought up, but I have another question for Katie and
25 Francesca about, you know, the reference points and the yield
26 streams of OFL and ABC that we have in front of us right now.

27
28 I mean, obviously, if we're going to use a reference point of 26
29 percent SPR, the stock will, you know, continue not being
30 overfished and not undergoing overfishing, even when you use the
31 new -- I mean, the 26 percent, versus the 30, but it's just not as
32 easy, clean, to provide -- I had a motion ready here that, based
33 on the reference points that we have in front of us, we consider
34 this to be consistent with BSIA and everything else that we usually
35 put in our motions.

36
37 I am just wondering, you know, when you think, Katie and Francesca,
38 that you could generate, you know, new outputs, using the
39 difference reference points, in terms of yield streams, for us to
40 have in front of us to make those OFL and ABC recommendations.

41
42 **DR. FORRESTAL:** It would be possible to do that overnight, I think,
43 and have the results for you to look at this week.

44
45 **CHAIRMAN NANCE:** Okay. Roy, to that point?

46
47 **DR. CRABTREE:** Yes, and, just so I'm clear, I mean, 26 percent is
48 the reference point on the books now?

1
2 **MR. RINDONE:** Yes, and I think what happened was, when we wrote
3 the terms of reference, and you guys reviewed them, it was still
4 -- The default for reef fish was still 30 percent SPR, and so SEDAR
5 51 was completed in 2018, and Amendment 51 went into effect on
6 December 17, 2020, and, by that point, we would have already
7 submitted the terms of reference.

8
9 **DR. CRABTREE:** Yes, and I think I remember the discussion, at a
10 council meeting, which had to do with 26 percent is the reference
11 point for red snapper, and so are we saying that we think mangrove,
12 gray, snapper is less productive than red snapper, and we need to
13 be at 30, and people didn't buy-into that, and so the council put
14 it at 26 percent.

15
16 Just remind us, and so, if we recommend 30 percent, does that mean
17 that it has to go back to the council for a plan amendment, or
18 there's something in there that allows them to accept -- I don't
19 remember how that worked.

20
21 **MR. RINDONE:** I know the answer to this, but John is so excited to
22 share his knowledge that I will let Dr. Froeschke take it.

23
24 **CHAIRMAN NANCE:** Go ahead, John.

25
26 **DR. CRABTREE:** I've heard him share it many times, but I forget
27 the --

28
29 **DR. FROESCHKE:** My favorite story. Based on Reef Fish Amendment
30 48, the SSC could make a recommendation for whatever SPR they felt
31 like they wanted to, and the council, if they chose to do that,
32 they could just note that in some other plan amendment and then go
33 forward. If the SSC wants to provide ABCs and OFLs across a range
34 of SPR levels, then we're going to have to do an amendment.

35
36 **CHAIRMAN NANCE:** Thank you. Will.

37
38 **DR. PATTERSON:** So we're talking about projections, and we have
39 been for a little while, but we haven't actually passed a motion
40 about the actual assessment, and I'm still trying to figure out
41 this recruitment issue, and maybe everybody else already figured
42 it out and feel content with what they've figured out, but, in
43 looking at Slide 75, in the top-right there -- Well, actually, all
44 of these trends, recent recruitment is being estimated to be twice
45 any historical value, and, even if you look in the data-rich
46 period, you know, the recent trend is upward.

47
48 That's a pretty substantial increase, and the estimates of stock

1 productivity don't seem to be entirely related to the
2 recalibration, and so I'm still trying to kind of wrap my mind
3 around what's going on here. Maybe it is all shore, and young
4 fish, and that's what is driving this, but we're getting a very
5 different perception of stock productivity in the recent years
6 than historically.

7

8 **CHAIRMAN NANCE:** Ryan.

9

10 **MR. RINDONE:** Thanks. Francesca, can you go back to the
11 proportional landings from the recreational fleets? I think it's
12 probably in the earlier half of the presentation. I wish we had
13 a way to look at the plot on the right side against some of the
14 recruitment information, just kind of thinking about what Will was
15 saying and how much of this is actually being driven by the shore
16 mode and the degree to which any of that is really showing up here,
17 and, also, bearing in mind that we would expect, you know, an
18 increasing amount of recreational effort over time, and so
19 proportion alone wouldn't necessarily explain everything, but, you
20 know, if there's more fishing effort happening nearshore, and
21 there's more of these small fish that are being landed, and
22 observed, what kind of relationship that has with thoughts on
23 recruitment.

24

25 **CHAIRMAN NANCE:** Luiz.

26

27 **DR. BARBIERI:** To that point, and, Katie and Francesca, correct me
28 if I'm wrong here, but, you know, the model is probably also
29 seeing, right, that the magnitude of discards seems to be
30 increasing over time, recently, and that is sending some signal to
31 the recruitment as well, right?

32

33 **DR. FORRESTAL:** I think so, and then I also think where the model
34 is getting more small fish is in the fishery-independent length
35 compositions, because they were not included in the previous model,
36 and they are overall -- Let me see if I can find that slide.

37

38 We have this information here, and so the majority of them are in
39 the smaller size classes, and then, if you look at them in terms
40 of what's available in the later years, we are getting more small
41 fish in the data from these surveys, which began in about 2010, or
42 a little bit earlier.

43

44 **CHAIRMAN NANCE:** Thank you. Roy.

45

46 **DR. CRABTREE:** Well, so, if we're looking at the changes in
47 recruitment, and they seem to be higher in the last decade or so,
48 which it does seem to show, I mean, you could argue the stock has

1 become more productive in recent years, but I wonder if it's just
2 because our estimates of stock productivity, in the older
3 sequences, are much poorer, and, you know, the magnitude of the
4 catches is, to some extent, scaling our perception of productivity.
5

6 I think I saw, in here, that this fishery is predominantly
7 recreational landings, and always has been, and didn't we fix the
8 CVs, on the recreational catches, at 0.1, or some low level, and
9 so we know the older time series, recreationally -- The variances
10 in them were much higher than they are now, and, yet, we're losing
11 that, and so probably these old estimates of productivity, from
12 early in the cycle time series, are much poorer than they are now,
13 and I just wonder if that's kind of distorting our perspectives of
14 how stock productivity may have changed over time, because we've
15 removed that -- We're masking some of the variability of an
16 important signal, and does that make any sense?
17

18 **DR. SIEGFRIED:** Yes, I think -- If you go to Slide 76 again, it is
19 all in the way we show it, and so not only what Roy said, but also
20 what Francesca said. If you look at the top-right plot, and you
21 look at the scale, you match the scale to negative-one to one,
22 which is what the bottom plot is, and the pattern, the residual,
23 or the deviations on the top, are actually all positive after 2010
24 as well, and so the previous model didn't say that it was not
25 productive, but it's that we've just continued on with this, you
26 know, positive deviation trend that we had in the last model, and
27 we've added on all of the independent time series composition,
28 which happens to capture those smaller fish better than some of
29 our fishery-dependent composition data.
30

31 Shore is really key here as well, because we're not mirroring that
32 selectivity to private. We have its own selectivity function in
33 this model, and so I think combining all those, as well as the
34 just fundamental magnitude of those landings, has gone up. It's
35 not nine-times, like we thought shore mode would, but is two to
36 three-times, and all of that is scaled, the model and then the
37 recruitment up.
38

39 **CHAIRMAN NANCE:** Thank you. Luiz.
40

41 **DR. BARBIERI:** Then, with all of that, which I agree with, you
42 know, this brings us back to Harry's previous point that, you know,
43 given the uncertainty, right, that exists, because there's
44 multiple factors that we cannot wrap our arms around, right,
45 influencing how this recruitment time series is panning out the
46 way it is, you know, using the full time series, right, at least
47 of the observed, would be wiser, because then we account for it.
48

1 **CHAIRMAN NANCE:** Roy, to that point, please?

2
3 **DR. CRABTREE:** It might be wiser, in the sense that it's more
4 conservative, and I grant you that, but, if you ask me what's the
5 likely productivity of the stock, looking ahead for the next five
6 or six years, I would say, well, it's probably going to be
7 something close to what it's been for the last ten to twelve years,
8 and more likely to resemble that than it is to resemble the long
9 time series, and we're setting an ABC that usually the council
10 would put in place for three to five years, and so I'm not sure
11 the more recent time series of ten to fifteen years might not be
12 actually a better guide to productivity than -- I guess you're
13 talking about using the full series, but you're only talking about
14 in the data-rich years, which goes back to, what, 1980 something,
15 and so I think that's how I'm thinking about it, is using that
16 entire time series.

17
18 It's more conservative, but that's really the council's call. What
19 is our best guide to what we think productivity would be, over the
20 next three to five years, and I'm not sure that a more recent,
21 albeit shorter, time series might not be a better guide to that.

22
23 **CHAIRMAN NANCE:** Luiz.

24
25 **DR. BARBIERI:** Right, and I don't disagree with that, other than,
26 you know, we are trying to untangle, right, what the uncertainties
27 are and what may be differences in how the data are reported now,
28 or the estimates are being produced, how that is influencing the
29 estimates of recruitment, versus these true pulses of population
30 productivity, and so that's the question right now.

31
32 That signal in the data is coming from -- There's a biological
33 process, or there may be some artifacts of data issues there that
34 are generating that, and so this is why I thought that the other
35 one might average over time, right, in a way that might be helpful,
36 but I can see your point.

37
38 **CHAIRMAN NANCE:** Doug.

39
40 **MR. GREGORY:** Thank you. This is not something we can do this
41 week, or for this assessment, but I would like to see some regional
42 estimates of catches over time, and I think Florida, being the
43 peninsula that it is, and it stretches from the southern Gulf to
44 the northern Gulf, and these Florida estimates, regionally, over
45 time, could be some -- They could give us some insight as to what's
46 happening with the population.

47
48 Now, I know that -- The biologists from the other states can be

1 looking at their data, and are they seeing more gray snapper in
2 the last five years or so? I mean, I think my impression is,
3 anecdotally, that the range is expanding, the population is
4 expanding, and we know the same thing is happening say with snook
5 in Florida, and we've got snook up in the Cedar Key area, where
6 they didn't used to be abundant.

7
8 In the future, I think we need to start looking at regional and
9 temporal changes, and not just Gulf-wide, to get an idea of the
10 dynamics of what's going on, because climate change is having an
11 effect.

12
13 Most dramatically, we saw that, years ago, with king mackerel,
14 where the Gulf king mackerel stock migratory pattern changed
15 dramatically, to where we changed the boundaries of the management,
16 and migratory fish are going to be the first ones we see, but these
17 other fish are going to make changes as well, and so I think we
18 need to start trying to figure that one out.

19
20 I'm not surprised that productivity could be higher, but I just
21 don't know, like Luiz said, what's driving it, but it could be
22 real, and we probably have some data to give us some insight as to
23 if the abundance of gray snapper has been increasing in other parts
24 of the Gulf of Mexico, rather than just south Florida. Thank you.

25
26 **CHAIRMAN NANCE:** Thank you, Doug. Harry.

27
28 **MR. BLANCHET:** Thank you, Mr. Chair. To Doug's point, we have
29 always had an abundance of gray snapper off the coast of Louisiana,
30 at least at oil rigs and in very specific shore locations, and my
31 point, in terms of talking about this uncertainty, is one of the
32 issues that has been brought up earlier, especially by Trevor, but
33 not in relation to this, is that 90 percent of the shore mode is
34 being released, and so we had, earlier, that graphic of the
35 proportion of the harvest that was coming from shore, and that's
36 the harvest.

37
38 That stock assessment is seeing, also, that large number of
39 released fish in that shore mode in the most recent few years, and
40 so that may have some influence as well, in terms of looking at
41 stock productivity, and so any questions that you have regarding
42 the accuracy of that 90 percent release will have some
43 implications, in terms of what you think of in terms of
44 productivity of the stock here.

45
46 **CHAIRMAN NANCE:** Thank you, Harry. All right. We're supposed to
47 have lunch around now. Katie, we'll go ahead and -- We're going
48 to break after Katie's remark here. We're going to break for

1 lunch, and we'll come back at 12:35.

2
3 **DR. SIEGFRIED:** Just to give you something to think about, we do
4 need to discuss, also, the different recruitment assumptions when
5 setting -- When we recommend, and if you all accept it or not,
6 versus ABC, and so Francesca has provided the average recruitment,
7 using the stock-recruit relationship, a steepness of 0.99, but
8 that is averaged across the whole time period for OFL.

9
10 ABC, we've just given you the 75 percent Restrepo assumption, and
11 that's kind of where, in the past, like for amberjack, and what
12 we're going to follow-up with scamp, and the ABC is where we
13 consider something different for recruitment, and so maybe
14 consider, you know, what you all think, as far as OFL versus ABC,
15 and how we set recruitment for each of those.

16
17 **CHAIRMAN NANCE:** Thank you. We'll go ahead and break for lunch,
18 and, at 12:35 Eastern Time, we'll come back.

19
20 (Whereupon, the meeting recessed for lunch on January 10, 2023.)

21
22 - - -

23
24 January 10, 2023

25
26 TUESDAY AFTERNOON SESSION

27
28 - - -

29
30 The Meeting of the Gulf of Mexico Fishery Management Council
31 Standing and Special Reef Fish, Special Socioeconomic & Special
32 Ecosystem Scientific and Statistical Committees reconvened on
33 Tuesday afternoon, January 10, 2023, and was called to order by
34 Chairman Jim Nance.

35
36 **CHAIRMAN NANCE:** Welcome back, everybody. We'll go ahead and get
37 started with the meeting. We need to further our discussions on
38 the SEDAR 75 model and discuss whether the model, in its current
39 state, is usable for developing any type of projections, and that's
40 what I would like to have discussions on now, is the model itself.
41 Ryan.

42
43 **MR. RINDONE:** Thank you, Mr. Chair, and so, when you guys are
44 thinking about this -- Right now, the model is projecting forward
45 using F 30 percent SPR, for the reasons that we had mentioned
46 before, about just the timing of the terms of reference in
47 Amendment 51, and so, if you guys want to have recommendations
48 considered under 26 percent SPR, then, obviously, the Science

1 Center folks will need to run those and provide those later on in
2 the meeting.

3
4 Another thing to remember is that the projections code is necessary
5 to be run and looked at prior to making final determinations about
6 stock status, and so, if you're going to stick with 30 percent
7 SPR, then what run with what you've run. If you're going to look
8 at something that uses the current proxy for MSY, then you'll need
9 to see that updated run before you make that determination.

10
11 **CHAIRMAN NANCE:** I guess my question is, is the model itself --
12 Are there any issues with data input, data within the model? If
13 we start running projections, then we're dealing with those. If
14 there are things we need to change in the model, or if the model
15 itself is not going to be accepted, I would like to hear that,
16 also. Hearing none on that, I think what we want to do then is
17 move forward with, I think, making the projections using FMSY --
18 Is it 26 percent? Luiz.

19
20 **DR. BARBIERI:** Mr. Chairman, thank you. This is the reason that
21 I was asking Katie and Francesca earlier, right, and I have some
22 motions here that I have put together, to try and speed up this
23 process, but having the yield streams -- I mean, having the stock
24 determination, right, using F 26 percent SPR, and then having the
25 yield streams for OFL and ABC, it would just make it easier to do
26 them as back-to-back motions, and we could do them tomorrow
27 morning, if you think that would be acceptable.

28
29 **CHAIRMAN NANCE:** I think that's the way to go. Roy.

30
31 **DR. CRABTREE:** I think that's fine, but, if the stock is not
32 overfished, or undergoing overfishing, at 30 percent, it would
33 have to be not undergoing overfishing or overfished at 26 percent.

34
35 **MR. RINDONE:** Intuitively, yes. It's just a matter of -- Like,
36 when you guys are making the recommendations though about what's
37 considered consistent with BSIA, it's the completed product that's
38 being determined as consistent with BSIA, and that completed
39 product is reliant upon defining that MSY proxy as whatever it's
40 going to be defined as, and so, if you guys are going to -- If you
41 guys want to see 26 percent SPR, then that determination of whether
42 it's consistent with BSIA needs to wait until you've seen that.

43
44 **DR. CRABTREE:** Given then, that, before we go into the motions, do
45 we need to make that decision, as to whether we are going to go
46 with 26 or go to 30? How many of your motions that you're getting
47 ready to make are dependent upon that?

48

1 **DR. BARBIERI:** Well, both, and it could go either way, right, and,
2 I mean, one is we're acceptable the model as consistent with BSIA
3 and --
4

5 **DR. CRABTREE:** Well, Ryan, didn't you just tell us that we
6 shouldn't make that motion until we see it with the 26 percent?
7

8 **DR. BARBIERI:** Right, and those will be tomorrow. I think the
9 discussion today, right, would be how we want to structure the
10 recruitment, right, and whatever -- If there are other decisions
11 there in the way that the projections are structured, right?
12

13 **DR. CRABTREE:** Right but are we just -- Is it just going then that
14 we do want to see the 26 percent SPR value, the reference point on
15 the books, and I, for one, don't see a strong reason to change it
16 at this point.
17

18 **CHAIRMAN NANCE:** That's the reference point that's on
19 consideration, from the council standpoint, and so I think we want
20 to see that. We want to see that as our projection, but are there
21 other things that we need to consider, the recruitment and things
22 like that, that we want to see in this new run?
23

24 **MR. RINDONE:** Please ask for whatever you want to ask for of the
25 Science Center in one shot, if possible, since we do have to send
26 them on their way at some point.
27

28 **DR. CRABTREE:** Just a question, and so the projections you've done
29 now were done at 30 percent, and using the average recruitment
30 over the entire time series, or --
31

32 **MR. RINDONE:** It's the model-derived recruitment from the Beverton-
33 Holt.
34

35 **DR. CRABTREE:** So we're using the Beverton-Holt. Got you.
36

37 **CHAIRMAN NANCE:** So, from the standpoint of the SSC, any issue
38 with going to 26 percent? John, please.
39

40 **MR. MARESKA:** Thank you. I have no objections with the 26 percent
41 SPR, and then, as far as the projections go, what was presented
42 this morning was in gutted weight, and I believe, historically,
43 we've always done it in whole weight.
44

45 **CHAIRMAN NANCE:** Okay. Good. So, in the first part, 26 percent.
46

47 **DR. CRABTREE:** One comment to that.
48

1 **CHAIRMAN NANCE:** Okay. Go ahead, Roy.
2
3 **DR. CRABTREE:** I don't have any problem with staying at 26 percent,
4 and I think it is appropriate, for now. I think we should recognize
5 though that it is the linkage with comparing to red snapper that
6 is part of that. Given the Great Red Snapper Count, and all the
7 new information that's come in on red snapper, we had a number of
8 discussions that we may have to rethink the reference points for
9 red snapper, and I think that would then force us to come back to
10 this one, since we're sort of deriving it as a comparison to red
11 snapper, and so all of this could change, I guess, later this year,
12 Ryan, when we get the research assessment for red snapper, or early
13 next year sometime.
14
15 **MR. RINDONE:** Not this year, and next year is questionable, and so
16 the review workshop is currently scheduled for that for August,
17 but we'll see.
18
19 **DR. CRABTREE:** (Dr. Crabtree's comment is not audible on the
20 recording.)
21
22 **MR. RINDONE:** We'll see.
23
24 **CHAIRMAN NANCE:** Make it until August, Roy. Luiz.
25
26 **DR. BARBIERI:** One of the things that I was just thinking about
27 is, also, you know, the ABC, our choice, right, of how we're going
28 to set the buffer between OFL and ABC, and the projections that
29 the Center provided are at that yield at 75 percent of FMSY, or
30 its proxy, which I personally feel is appropriate, given a number
31 of uncertainties here that we cannot really properly account for,
32 and we're having issues, you know, with the P* approach anyway,
33 but I think this would be the time to let them know, you know, if
34 we're going to recommend something different, so they can provide
35 those projections.
36
37 **CHAIRMAN NANCE:** Jim.
38
39 **DR. TOLAN:** Thank you, Mr. Chairman. Personally, I am not pulled
40 either way, 26 or 30, and I think that some of the hiccups that
41 the original SEDAR 51 encountered -- I think they've done a good
42 job of addressing those, and I think the other question you had is
43 is the data good enough for this assessment, and I would say yes.
44 The 26 or 30, we had discussed this a little bit earlier, and have
45 we gone back to the original terms of reference, that two pages,
46 and find out what that number is? I think it would clear up a lot
47 of which way we go, because I was going through my folder for this
48 particular SEDAR, and I can't find the original two-pager that

1 Julie always sends out, and so, I mean, I think it should be listed
2 there, explicitly. Thank you.

3

4 **CHAIRMAN NANCE:** Luiz.

5

6 **DR. BARBIERI:** Well, quickly, just to that point, Jim, the terms
7 of reference were not specific about a proxy value for FMSY,
8 because, at that time, the council was still having Amendment 51
9 going through a review and approval process, and so it was -- It
10 left it open there, and it just said to FMSY or its proxy, and
11 they just, not thinking about --

12

13 **DR. TOLAN:** That's probably why I couldn't find it.

14

15 **CHAIRMAN NANCE:** Katie.

16

17 **DR. SIEGFRIED:** I don't want to get on a soapbox with you all, but
18 it would be helpful, and I know we're working with council staff
19 on this, to get all of the SSC recommendations in one place,
20 because the SSC documentation does say F 30, which we went through,
21 and Ryan was doing his best to tell us what was happening, but
22 everything is dynamic, and so, I mean, it's not a big deal for us
23 to rerun right now, and so it's not a big problem, but we do need
24 -- It would be nice if those things were easy to find, and
25 consistent, and kept up-to-date, but, considering how many things
26 people have to keep up-to-date, I am happy to forgive at this
27 point, and, I mean, I don't know how all of that documentation for
28 all of these things is kept up as well as it is.

29

30 Our suggestion, and I was talking to Peter about this a little
31 bit, is maybe we could put it in the management history document,
32 and maybe it's something -- I'm sure that Ryan and I will work on
33 this together, but something where we don't have this happening in
34 an SSC meeting.

35

36 **CHAIRMAN NANCE:** Ryan, to that point?

37

38 **MR. RINDONE:** So the SSC reviews of every stock assessment -- I
39 collate and package them and have Julie post them to the SEDAR
40 website for every SEDAR project, and so, if you go on there for an
41 assessment, you will see, at the bottom, Gulf SSC review of
42 whatever it was, and that's basically we just cut-and-paste chunks
43 from whatever the meeting summary was, so that, whoever comes along
44 next, because sometimes there are turnovers in analysts, they can
45 see what the SSC decided the last time.

46

47 This was an interesting case, just because of the timing between
48 when the amendment was being developed and the terms of reference

1 and then now, but, you know, this particular case is not that
2 common, but we can certainly work with the Science Center to try
3 to come up with a cohesive list, and we only have so many species
4 that we have completed assessments for.

5
6 **CHAIRMAN NANCE:** Thank you, Katie, and thank you, Ryan. Will.

7
8 **DR. PATTERSON:** Thank you, Mr. Chair. I don't remember really the
9 discussions about 26 or 30, but, you know, the 26 for red snapper
10 was a pragmatic solution, given the different selectivities and
11 trying to reduce the fisheries proportionally to get to the
12 management criteria at the time, and so F 30 percent makes sense
13 to me, and that's what we recommend for species with a similar
14 life history to gray snapper, and F 26 seems kind of odd.

15
16 **CHAIRMAN NANCE:** I guess, for my own edification, I'm hearing that
17 we need to go to 26, or can we use 30, and is there something
18 that's being -- Does Amendment 51 specify that 26 percent be used
19 for all the snappers?

20
21 **MR. RINDONE:** No, it does not specify that 26 percent be used for
22 all the snappers, but it just specifies that it be used for gray
23 snapper, because, at the time, the reproductive potential of gray
24 snapper, the productivity of that stock, was not assumed to be
25 dissimilar from what assumed for red snapper at the time. You
26 know, like Dr. Crabtree noted, we have some different musings now,
27 perhaps, about red snapper, but what the proxy for gray snapper
28 should be is certainly something that you guys can debate, and, if
29 you're going to recommend something other than 26 percent SPR,
30 which is what's on the books, then we just need to provide
31 justification for why.

32
33 **CHAIRMAN NANCE:** Thank you, Ryan. Roy.

34
35 **DR. CRABTREE:** Yes, and that's the part that gives me a little
36 difficulty, is, I mean, 26 percent is a little odd, I will agree,
37 only I think because it's not a nice, round number, like 30, and
38 there's really not that much difference between the two. In
39 previous discussions, talking about 26 percent had to do, well, do
40 you believe that gray snapper is likely to be more productive, or
41 is there a reason to think it's less productive than red snapper,
42 because it seems to be that you would be saying, if we need to
43 have a more conservative reference point for gray snapper than red
44 snapper, we're arguing that it's less productive.

45
46 Most of the discussions that I've been involved in that, if
47 anything, it was thought that gray snapper might be a little more
48 productive than red snapper, and I don't know if that's the case

1 or not, but it does seem, to me, at any rate, that we ought to get
2 to some better resolution with red snapper, and where we are there,
3 before we come back and redo it, but, if we can make a solid
4 argument for why 30 percent is a logical place where we ought to
5 be with gray snapper, then so be it, and I wouldn't have any
6 heartburn with that, but I'm just not sure -- I'm not really sure
7 what that argument is, at this point.

8
9 **CHAIRMAN NANCE:** Will, please.

10
11 **DR. PATTERSON:** With red snapper, when we were setting the proxy
12 at F 30 percent, we reviewed a series of papers that looked at
13 life history and what the recommended criteria, or benchmark, would
14 be if we didn't have -- If we couldn't estimate MSY directly, but
15 then -- F 30 percent was what was recommended for red snapper,
16 but, in the process of going through, you know, and Clay Porch did
17 an analysis, fifteen years ago, when looking at reducing the red
18 snapper fisheries proportionally, so that you could get down to
19 the threshold value, and it turned out that you couldn't quite get
20 to F 30 percent and that 26 percent was the answer, and so it was
21 a pragmatic solution.

22
23 Solving for F 30 percent and reducing the fisheries proportionally,
24 given their different selectivities, got us to 26 percent, and we
25 said close enough, and it makes sense, and let's use it, but the
26 rationale was 30 percent, in that case, and that's how the analysis
27 worked out.

28
29 **CHAIRMAN NANCE:** Okay. 26 percent is what is being on the books,
30 and so, unless we want to have a discussion on do you think 30
31 percent is better, or do we go with 26 percent, as what is proposed
32 in Amendment 51, and do we have things, at this meeting, that we
33 can move towards recommending 30 percent, or do we stay with 26
34 percent and recommend that for our projection runs?

35
36 **DR. KILBORN:** Mr. Chair?

37
38 **CHAIRMAN NANCE:** Josh, yes.

39
40 **DR. KILBORN:** I was looking at Amendment 51, and the discussion
41 around it, and it looks like we had this conversation once before,
42 and we asked the Science Center to come up with new projections,
43 ranging from 23 percent to 30 percent, and we did not come to a
44 consensus. We agreed that it was scientifically valid at 26
45 percent, but that we would maintain our previous recommendation of
46 30 percent, and that's how it's written up in Chapter 2, on page
47 8 and 9 of the amendment, and so I think we should stick with F
48 30, 30 percent.

1
2 **CHAIRMAN NANCE:** Josh, is that discussing gray snapper?
3
4 **DR. KILBORN:** That's correct.
5
6 **CHAIRMAN NANCE:** Okay. Katie.
7
8 **DR. SIEGFRIED:** I am just looking through the global MSY document,
9 and Dan Goethel and Matt Smith and others worked on that, and what
10 Josh said is correct, as far as I can tell, the range that they
11 went over, and the discussion is basically that 26 percent SPR is
12 the lowest reasonable value that should be considered for red
13 snapper, and maybe that's the same as what Will is saying, that
14 that was what was really practical, a pragmatic decision, but
15 that's the lowest possible SPR allowed in that analysis.
16
17 I'm not sure that that's necessary for gray snapper, to go to the
18 lowest necessary, and it's a range, and it depends on the amount
19 of discarding, or bycatch, in this multispecies fishery, and that's
20 what the global MSY was about, and so I don't -- Again, we don't
21 have like a Center position, right at this moment, but I'm just
22 looking back at the global MSY that was put forward by the Center,
23 and it certainly wasn't gray-snapper-specific.
24
25 **CHAIRMAN NANCE:** Thank you. Luiz. Ryan and then Luiz.
26
27 **MR. RINDONE:** Thank you, Mr. Chair. Directly from the amendment,
28 it says, ultimately, the SSC recognized that 26 percent SPR is
29 scientifically acceptable as a proxy for MSY, but maintained its
30 previous recommendation of the more risk-averse proxy, using 30
31 percent SPR, because of uncertainty in the SEDAR 51 assessment.
32 SEDAR 75 has made a lot of corrections and improvements upon SEDAR
33 51's base model, and so that's worth considering in that
34 discussion.
35
36 Regardless, whether you guys want to move forward with 26 percent
37 or not, you're going to need to see it, to be able to make the
38 determination that either 26 percent -- The model using 26 percent
39 represents, or is consistent with BSIA, or 30 percent is consistent
40 with BSIA, and so the Science Center should take that direction,
41 that a run using 26 percent is going to be necessary for the SSC
42 to make that National Standard 2 determination, and so that's going
43 to be necessary, no matter what.
44
45 Now, what you ultimately recommend as consistent with BSIA, and
46 put towards the council, you can discuss and make that
47 determination for yourselves, but you will need to look at both.
48

1 **CHAIRMAN NANCE:** Tom.

2
3 **DR. FRAZER:** I'm just -- I'm interested in a comment that Will
4 made, you know, and the reason that we got to 26 percent for red
5 snapper, you know, and there are many, right, but, ultimately, the
6 more recent data collection efforts would suggest that that
7 population is less productive than we thought it was when we
8 established the 26 percent, right, and so, for that reason, I would
9 think that you would think long and hard about going to 26 percent
10 for gray snapper, if that was your kind of bottom-line, you know,
11 example.

12
13 **CHAIRMAN NANCE:** Will, please.

14
15 **DR. PATTERSON:** I just sent a paper to the meetings email that is
16 a recent Jiao et al. meta-analysis that uses the RAM database and
17 a series of assessments done on a range of stocks, and the median
18 estimate for SPR at MSY, for perciform fishes, is 0.463, and so 47
19 percent.

20
21 **CHAIRMAN NANCE:** Luiz.

22
23 **DR. BARBIERI:** Right, and my thought is that -- You know, I know
24 that the committee has changed membership somewhat, right, over
25 the last few years, and so that's understandable that there might
26 be some differences of opinion on how this is being handled, but
27 we were asked to make a recommendation to the council based on
28 scientific criteria, and we did, right, and the council, given our
29 recommendation, decided to --

30
31 Seeing latitude in our recommendation, it decided to make some
32 decision on the SPR level that was within what we thought was
33 acceptable, and so regulatory amendment went through, and the
34 agency, through the Secretary of Commerce, gets final approval,
35 you know, and now -- I mean, I think, unless we have very specific
36 justification for gray snapper, to change this, and we have made
37 recommendations to the council, fairly recently, about changes in
38 reference points, and we provided justification to the council,
39 you know, for the council to evaluate those recommendations.

40
41 I mean, here, you know, if we feel that there are specific points,
42 right, that would prevent 26 percent from being a reasonable and
43 acceptable proxy for MSY for gray snapper -- I just wouldn't go
44 there, because it's just difficult to justify us not staying
45 consistent with a previous review and recommendation that was put
46 in place specifically because the regulatory amendment was to be
47 focused on stock status determination and be better defined for
48 proxy, you know, MSY choices, and so I just wanted to put this

1 there on the table.

2

3 **CHAIRMAN NANCE:** Roy.

4

5 **DR. CRABTREE:** So, one, I agree with Ryan that we're going to need
6 to see 26 percent, either way, but it seems, to me, that I come
7 back to, if we want to stay consistent with our last
8 recommendation, and we said that the SSC recognized 26 percent SPR
9 as scientifically acceptable as a proxy, but recommended the
10 council be more risk averse and go with 30 percent, we could
11 essentially make that same statement. I suspect the council will
12 then stay at 26 percent, but who knows, but I think we could just
13 stay with that, yet again, because we really don't have any
14 information to base changing it.

15

16 **CHAIRMAN NANCE:** I think that was said in that is certainly
17 pertinent, and I don't see, at this meeting, anything that we've
18 discussed that would move it up past 30, up to 40 and those types
19 of things. John, please.

20

21 **DR. FROESCHKE:** Just a question. Do you recall, in SEDAR 51, if
22 steepness was also at 0.99? I mean, one thing to think about is
23 we know, in reality, it must be less than that, and it couldn't be
24 more, and so that's really the most optimistic possible situation,
25 and so, if you're mixing and matching, for example, and if you set
26 steepness at say 0.8, and SPR at 26 might be equivalent to SPR 30
27 at 0.99 and things, and so just -- But it seems like we're
28 consistent in that, and so okay.

29

30 **CHAIRMAN NANCE:** Okay. Right now, we'll recommend that the Center
31 run it at SPR 26 percent. Are there any other -- Then we have
32 recruitment a certain way that it's being run, and do we have a
33 change in that or leave it for the run? Luiz.

34

35 **DR. BARBIERI:** Well, Roy had made comments, right, about
36 recruitment that I thought -- I mean, I was thinking of using the
37 long-term, based on what Harry had pointed out, but I think that
38 Roy's argument convinced me that, you know, perhaps using a
39 shorter-term recruitment would be applicable in this case. You
40 know, either or, but I thought that those points were valid.

41

42 **CHAIRMAN NANCE:** Roy.

43

44 **DR. CRABTREE:** Is it burdensome, to you guys, if we were to ask
45 you to give us a set of projections based on average recruitment
46 over say the last fifteen or twenty-year time period, or is that
47 a relatively simple thing to do?

48

1 **DR. SIEGFRIED:** No, especially because we estimated recruitment
2 devs to the terminal year, and so that would be an easy setting.
3 However, are you recommending that for the OFL or for the ABC?
4 We're recommending that the OFL be based on -- Again, I know this
5 is annoying, but we're not saying steepness is one, or 0.99, and
6 we're ignoring the stock-recruit relationships and assuming
7 average -- You know, basically, average deviations around a flat
8 line. For the OFL, we're just using those average deviations
9 around a flat line to calculate the flat line, and using that as
10 our recruitment for OFL.

11
12 For ABC, we could use the last ten years of estimated recruitment,
13 which is higher than that long-term average, and we've never done
14 that before, right, and we've always had the lower, and so I'm not
15 even sure if it would be over OFL.

16
17 **DR. CRABTREE:** What I was thinking is that we would use this for
18 the OFL, and then the ABC would be reduced by some amount below
19 that, and so, if we use short-term recruitment, say the average
20 over the past fifteen years, that would be used to derive the OFL,
21 and then I think that we looked at had the ABC set at fishing at
22 75 percent of the OFL level, and so we could just do that again
23 with it, because, yes, I think, if we look at the last fifteen
24 years, that's going to give you a higher OFL, and we don't want to
25 make a mess for them all if we set the ABC above the OFL somehow,
26 and we can't do that, and so I think, Luiz, if that's something we
27 want to look at, and what I'm hearing is that's not difficult to
28 do, I think looking at something along the lines of the last
29 fifteen years would be reasonable.

30
31 **DR. BARBIERI:** This is not in a rebuilding, right, scenario, this
32 stock, but the issue is the long-term productivity of the stock,
33 right, for setting reference points, versus short-term projections
34 for catch advice in the short-term, right, and so I kind of tend
35 to agree with -- I think you made that point, Katie, that using
36 the long-term, for developing the actual reference points, which
37 equate to OFL, would be aligned with OFL, and then, short-term,
38 for the short-term catch advice, the last three to five years, and
39 that would make the most sense.

40
41 **DR. SIEGFRIED:** And if it's close, but we can't have any that is
42 higher than OFL, and so, if that recent recruitment causes the
43 catch advice higher than OFL, then you have to discuss how to
44 decrement the OFL, or whether to.

45
46 **MR. RINDONE:** (Mr. Rindone's comment is not audible.)
47

48 **DR. SIEGFRIED:** Decrement the OFL to get the ABC is what I was

1 thinking, yes.

2

3 **DR. CRABTREE:** But you are talking about estimating a new OFL based
4 on the more recent recruitment series, right?

5

6 **DR. SIEGFRIED:** No, and I'm suggesting what we provided is a long
7 -- So the average recruitment we put in there will give you OFL,
8 and so that's using long-term recruitment, and then what we've
9 done, but this is for other species with lower recruitment in the
10 recent time period, using ABC with that recent recruitment.

11

12 **DR. CRABTREE:** But why couldn't you use the long time series, that
13 you've done now, and that generates your MSY estimates and things,
14 and then redo the OFL, based on the more recent catches, and so
15 you would have a kind of more long-term average OFL, and then you
16 would have based on the more recent recruitment, and so that gets
17 a little confusing.

18

19 **DR. SIEGFRIED:** We can do both, to show you, and those are both
20 possible, but I'm just saying what we're proposing, and what we've
21 had sort of as a standard best practice recently, is to use long-
22 term recruitment for the OFL, and then the ABC is some sort of
23 subset of whatever that OFL is, but we haven't had it where we've
24 had high recruitment in the last ten years.

25

26 **DR. CRABTREE:** I know. That's where it gets squirrely, and I don't
27 know how you -- It seems to that, whatever the OFL is -- If it's
28 an indicator of overfishing, it has to reflect the more recent
29 recruitments that we're basing the catches off of, right?

30

31 **DR. SIEGFRIED:** If we think that will continue into the future for
32 long enough, then I would agree with that.

33

34 **DR. CRABTREE:** Well, we're, in terms of future, talking three to
35 five years, and I would say, if we don't think it's likely to
36 persist for that long, we shouldn't even use it, and we ought to
37 stick with the whole time series.

38

39 **CHAIRMAN NANCE:** I think the issue is using one set to determine
40 status of the stocks and using a different one to determine short-
41 term projections. I think we're mixing those two things up. Will.

42

43 **DR. PATTERSON:** I agree with the last sentence that Roy said about,
44 if we don't believe that recruitment is going to stay at that high
45 level in the near future, then we should not use that approach,
46 and instead take the long-term average, and, in fact, recruitment
47 hasn't stayed at that high level, and it's gone back down to the
48 mean of the time series over the last four years, and so already

1 the stock has shown that it's not staying at that spot.

2
3 **CHAIRMAN NANCE:** Will, would you propose an issue with -- If we
4 used the long-term average for our OFL, to determine status of the
5 stock, and also used the long-term recruitment for our projections,
6 realizing that this last part of the recruitment is higher than it
7 should be, and it's not going to stay at that level.

8
9 **DR. PATTERSON:** I haven't come to a conclusion, myself, or a
10 decision, about where I would vote on this. However, we're talking
11 about equilibrium scenarios, and the stock, over the long-term of
12 its evolutionary history, has evolved to have these fluctuations
13 in recruitment.

14
15 We're coming out of a cycle of higher recruitment, at least for
16 the time series of data for which we can actually estimate it, and
17 now it looks like the recent trend has been to go back toward the
18 median, and it could drop below it, and who knows, and we're not
19 there yet, but, when you're setting OFL and ABC, it's not just to
20 fish down the biomass that's there now, but it's the resiliency of
21 the stock long-term.

22
23 **CHAIRMAN NANCE:** Thank you. Doug.

24
25 **MR. GREGORY:** Thank you, Mr. Chair. There is variability in
26 recruitment, but it's been an increasing trend for twenty years,
27 with a lot of variability, and my question, my concern, is, given
28 what Katie was saying about to calculate OFL and ABC projections,
29 it seems, to me, that, if we use two different -- Well, first, I
30 think the fact that we're dealing with a higher level of recent
31 recruitment than a lower level calls into play how subjective our
32 decision was previously to use a different number of years for
33 projecting ABC versus OFL, because we don't want to do the same
34 thing we did before, only because recruitment is higher than the
35 long-term average, and so I think we should get away from that.

36
37 Then my question is why do that anyway, and aren't we -- If we
38 choose one timeframe for OFL, and another timeframe for ABC, isn't
39 that the measure of our uncertainty, and that means -- If so, then
40 that means we shouldn't be having to go through the control rule
41 on top of that, because we're adding one conservative measure on
42 top of another conservative measure.

43
44 So, for me, it seems that we should be using the same timeframe of
45 projections for OFL and ABC, if we're going to use the control
46 rule, or if we're going to use 75 percent of F of MSY, because, if
47 we're applying that, in addition to a different timeframe for
48 projections, it's like double-jeopardy, and please explain where

1 I'm wrong with this. Thank you.

2

3 **CHAIRMAN NANCE:** Thank you, Doug. Luiz.

4

5 **DR. BARBIERI:** Doug, I'm not sure that I can explain even whether
6 you're wrong, but just a reminder that MSY is really thought of,
7 you know, typically, as a long-term value, right, and so, by
8 definition, you're not talking about, you know, short-term MSY,
9 right, and so I think that coming up with something that really
10 reflects a long-term pattern of stock productivity for MSY is
11 really the most appropriate, and so, based on that, I don't think
12 that our decision for greater amberjack, and perhaps some of the
13 other most recent stocks, was subjective.

14

15 I mean, we actually discussed this quite a bit, and we made that
16 decision based on what we felt the reference points that would
17 best reflect the long-term productivity of the stock and not
18 necessarily the lower level of recruitments that have been observed
19 recently, right, but we used the short-term lower recruitment,
20 because that reflects what is happening right now, and the catches
21 that are going to be happening over the next couple of years, and
22 so, to me, that was appropriate, and, here, I see it the same way,
23 that, over time, and Will brought this up, our long-term
24 perspective of the stock, with ups and downs in recruitment, right,
25 and so MSY, as we look at this as a long-term average, would be,
26 you know, something that integrates all the potential variability
27 in recruitment of the stock.

28

29 Then, for short-term advice, if the stock is now in a state that
30 is highly productive, for the next several years, we can have
31 higher catches, right, but, eventually, that's going to be
32 readjusted, if the productivity of the stock changes again over
33 time.

34

35 **CHAIRMAN NANCE:** I think one of the differences, also, is that,
36 for some of the stocks, we've seen a decrease in recruitment that
37 has stayed there. With gray snapper, we've seen an increase, but
38 now we see a downward trend also, and so it seems to be it was up,
39 and it's coming down, and so there's a difference in dynamics
40 between the two. Roy.

41

42 **DR. CRABTREE:** Yes, and the way I'm thinking about this is so the
43 long time series that you guys used in your current estimates --
44 That's the basis for the stock status determination, and so you
45 have FMSY, on which the determination of overfishing is based, and
46 then BMSY and MSST, and that's the basis for the determination of
47 overfished status.

48

1 The OFL is then the FMSY estimate times our best estimate of the
2 current biomass, and I think what we're saying now is that we think
3 the better estimate of what the current biomass is is to use the
4 shorter recruitment time series, which is going to give you a
5 higher biomass, and that's going to produce a higher OFL, and an
6 OFL that's higher than the estimate of MSY, because, really, if we
7 believe that recruitment has been higher, then the biomass in the
8 water is higher than the average biomass, or the average measure
9 of BMSY, and so, with that, you would end up then with a higher
10 OFL that reflects the shorter time series, and you would then
11 decrease that, based on your measure of uncertainty.

12
13 Now, that's setting aside the issue that Will raises, that the
14 recruitment seemed to be falling back off, and maybe we shouldn't
15 use the shorter time series at all, but, at least in terms of how
16 the quantities calculate, that's kind of how I'm thinking about
17 it, and does that make sense?

18
19 **DR. SIEGFRIED:** So we haven't done it in a three-parter, the way
20 you're talking about. We've combined the first two steps of
21 setting -- Or doing equilibrium projections to get status, and
22 that's also the OFL projection. We haven't decoupled the status
23 and the OFL projection at this point.

24
25 **DR. CRABTREE:** It seems, to me, if the OFL really is meaningful,
26 in terms of allowing you to use the catch level to indicate whether
27 you're overfishing or not, then it has to then reflect the long-
28 term equilibrium FMSY estimate, but it has to reflect what you
29 think the biomass in the water is at this time, or it's just not
30 going to give you a meaningful determination.

31
32 **CHAIRMAN NANCE:** I am more at the point where I'm looking at the
33 long-term average for OFL, but I think it's also a good indicator
34 for ABC, and that that seems to be where we're at. Everybody sees
35 fluctuations, high and low, around that, but the long-term average
36 seems to be where gray snapper are sitting at, and that's my --
37 Will.

38
39 **DR. PATTERSON:** I mean, we're so used to thinking, or dealing,
40 with situations where the stock is in a rebuilding mode, or is
41 near-depleted status, near-overfished status, and so, here, we
42 have an estimate where the stock is above that, but we're still -
43 - You know, we still should be managing it at that equilibrium
44 level, and so you get to a point where the catch is here, and, if
45 recruitment goes down, and recruitment goes up, the catch, you
46 know, stays at that level, and, to guard against poor-recruitment
47 years, high-recruitment years --

48

1 I mean, this trend is interesting, because of the time series,
2 and, although there's some wiggle to it, you know, generally
3 increasing over the past fifteen years, and then, the last four
4 years, this decline back to the median, but, I mean, that's the
5 way the system is set up to work, but it's just we're never on
6 that side of things, or we're rarely on that side of things.

7

8 **CHAIRMAN NANCE:** Luiz.

9

10 **DR. BARBIERI:** Thank you, Mr. Chairman, and, to add to Will's point
11 there, I mean, right now, we have an ABC Control Rule, right, that
12 the council -- A generic amendment that includes the ABC Control
13 Rule, and, at least as we have it right now, it's codified how
14 we're going to define OFL, and that aligns with MSY, right, and so
15 changing that I think would be a big deal, in changing those
16 criteria, and so I will draw the stick with that, which is more in
17 line, I think, with the National Standard Guidelines, right, and
18 I think it's the best approach, to stick with an MSY value that
19 aligns with OFL and then provide an ABC that's focused on, you
20 know, shorter-term catch advice.

21

22 **CHAIRMAN NANCE:** Katie.

23

24 **DR. SIEGFRIED:** I don't know if I'm just causing more problems or
25 what, but so, thinking more about what Roy said, I mean, just
26 because it's not decoupled here, it doesn't mean that it's not
27 easy to accomplish, and so we can just -- We've done this before,
28 with our current projection code, and we can provide benchmarks
29 that can give the status with the stock-recruit curve. If there
30 is discomfort with continuing using the stock-recruit curve,
31 because it's a flat line, we can use recent mean estimated, the
32 whole time period, you know, whatever configuration of recruits we
33 need to.

34

35 I just wanted to point out that, if we have an MSY proxy that's 26
36 percent SPR, that's already sort of the lowest practical value
37 that's been recommended by this global MSY paper, and then, if
38 we're assuming high recruitment, that's a sort of optimistic
39 scenario. We do have high uncertainty in this model in general,
40 and so I'm not sure we should -- That we would propose to be super
41 confident in those, to assume they're going to continue at the
42 same value for five to ten years. I mean, I don't know if anybody
43 has that crystal ball.

44

45 Then, just to -- I am seeing OFL and ABC being very close if we
46 use recent estimated recruitment for the ABC, but longer-term
47 average recruitment for the OFL, because it's higher in recent
48 years, and so it's three optimistic scenarios, all in line with a

1 very uncertain set of data feeding this model. I don't have a
2 quantitative way to discuss that with you right now, but it seems
3 like it's high risk for uncertainty, high risk for uncertainty,
4 followed by high risk for uncertainty.

5
6 **CHAIRMAN NANCE:** I hear what you're saying. To me, we've got maybe
7 four different things here. We've got 26 percent versus 30, and
8 we've seen 30, and we need to see 26, and so that's what we need
9 to ask for. The OFL being run at -- With long-term average
10 recruitment, and now we're talking about -- I think the last thing,
11 and I think it seems like everybody is in agreement with those
12 three, and this last one is do we want to see the ABC run with the
13 long-term average, or do we have something where we want to see a
14 short-term thing, and I'm -- My position is, just me, is I would
15 just the long-term average.

16
17 Katie brings up some good points. We've got a model that's got a
18 lot of uncertainty in it, and how confident are we in those last
19 values, and are we willing to project those out, using those
20 projection times, or do we simply -- Do we have more confidence in
21 the long-term average, and that's what were being used for our
22 projections for catch advice, and so -- Roy.

23
24 **DR. CRABTREE:** I don't have any problem if the level of comfort
25 with using the long-term time series for catch advice is greater,
26 and then that's fine, but I still have an issue with how we're
27 talking about OFL. The OFL, according to the guidelines, is not
28 a long-term average. The OFL means, and I am reading from the
29 guidelines, and it means the annual amount of catch that
30 corresponds to the estimate of MFMT applied to the stock abundance.
31 It's an annual number that, if you had perfect data, would change
32 every year. It reflects the current biomass and not a long-term
33 equilibrium kind of average of it.

34
35 **CHAIRMAN NANCE:** But it still has a recruitment value that's being
36 used to calculate that.

37
38 **DR. CRABTREE:** Yes.

39
40 **CHAIRMAN NANCE:** Where does that come from? Are you saying it's
41 this one, or is it that we're basing it on a long-term trend, and
42 are we more comfortable with that long-term trend, calculating the
43 OFL, which is, I know, right there.

44
45 **DR. CRABTREE:** Jim, in theory, the OFL should be calculated based
46 on the most current annual measure of biomass that you have. Now,
47 we can say that we're not comfortable using the more -- Just a
48 shorter, abbreviated time series for it, and we don't think we can

1 reliably calculate it that way, but, typically, the way the
2 guidelines envision it, the OFL is not a long-term average. We do
3 it that way, a lot of times, because we don't have the ability to
4 do it any differently, but that's not the way it's envisioned in
5 the guidelines.

6
7 **CHAIRMAN NANCE:** Luiz.

8
9 **DR. BARBIERI:** Well, maybe not. If that's the case -- I mean, I
10 hate to say this, but I think that we're going to need to request
11 the agency to come and give a presentation that clarifies those
12 issues, because our definition of MFMT seems to be tied to MSY,
13 right, and there is also how we consider OFL during rebuilding
14 plans, right, and what --

15
16 The agency has provided us guidance for what we consider ABC and
17 OFL in a rebuilding plan and how that OFL is estimated, and so I
18 think those are excellent points, and I think we would benefit
19 from having that discussion, right, and clarification, I mean, the
20 same way that we had folks from OST come over and give us a
21 presentation on best scientific information available, and I think
22 it helped us understand some of the intricacies with that, and I
23 would like to see a presentation, from the agency, that basically
24 discusses, you know, from their national perspective, looking at
25 different regions and different management plans and different
26 councils, you know, how they perceive those quantities, so we can
27 have just better clarity on those things.

28
29 **CHAIRMAN NANCE:** Katie, do you --

30
31 **DR. SIEGFRIED:** Just quickly on that?

32
33 **CHAIRMAN NANCE:** Just on that, yes.

34
35 **DR. SIEGFRIED:** The MFMT, you're kind of discussing it -- What you
36 want it to be now. I mean, it's the FMSY proxy, and so this has
37 been a long-term discussion between the Center and the councils
38 about who sets that, when they set it, and so I don't know if
39 that's actually from an agency point of view, as much as -- I mean,
40 from the agency point of view, we talked to you about the biology
41 of the fish, and what you're risking, or gaining, by using
42 different FMSY proxies, but MFMT seems to be something we're
43 talking about right now, and so I'm not sure how much -- I would
44 like clarity too with whose job it is to pick it, and I don't know
45 what more I can provide about it, but it's simple, but complicated,
46 at the same time.

47
48 **CHAIRMAN NANCE:** Thank you. Dave.

1
2 **DR. CHAGARIS:** Just following-up on a comment that Roy made, I
3 mean, it's true that OFL is not a long-term average value, and
4 it's the annual catch that will get you to a long-term SSB at MSY,
5 and so, depending on where you're at stock-status-wise, your OFL
6 will change, as it should, and I think what you're suggesting, by
7 using a higher recruitment and equilibrium analysis to get at MSY,
8 is basically like another regime shift, you know, on the positive
9 side, which I'm not very comfortable with.

10
11 I think what Luiz has described, we can do it both ways, and we
12 still maintain our long-term MSY estimate, and the OFLs to get you
13 there, but you can have short-term recruitment in the ABC
14 projections, to allow for a little bit more catch when the stock
15 is higher.

16
17 Now, there is risk for that, because the terminal year in the
18 assessment is three years ago, and it's already showing the decline
19 in recruitment coming up to that terminal year, and so I wouldn't
20 be supportive of, you know, changing the reference point
21 calculation, but, in the projections, I think we have liberty to
22 increase, or decrease, recruitment, as we've done for other
23 species.

24
25 **CHAIRMAN NANCE:** Thank you. Will.

26
27 **DR. PATTERSON:** Part of what you just said -- The first part was
28 the first thing that I was going to add, but then, the second part,
29 I disagree, because, if we're using two different time series of
30 recruitment, one to estimate the equilibrium situation and the
31 other to set catch advice in the near term, as they go through the
32 model, they're going to produce different FMSY estimates,
33 different MFMTs, and, you know, the MFMT is based on long-term
34 equilibrium stock productivity, and the reason that OFL goes up or
35 down is because that F value is being applied to a larger or
36 smaller stock. I think we have to use a recruitment scenario, and
37 utilize that both for the MSY, you know, equilibrium estimation as
38 well as the OFL in the current year, or in near-term.

39
40 **CHAIRMAN NANCE:** Thank you, Will. Mike.

41
42 **DR. ALLEN:** Thank you, Mr. Chairman, and I agree with what Will
43 just said. It seems, to me, that we don't have the evidence that
44 the last ten-year upswing in recruitment is anything other than
45 noise, and I don't hear anyone making an argument that it's a
46 regime shift, or something like the argument that we had with
47 amberjack, which had stayed low recruitment, despite a lot of
48 changes in management, and, if this is just noise in the recent

1 recruitment time series, then I don't think we should use it for
2 long-term or short-term predictions. Thanks.

3

4 **CHAIRMAN NANCE:** Doug.

5

6 **MR. GREGORY:** Thank you. Well, it's been a ten-year increase,
7 until the last couple of years, and so I started to say that I'm
8 getting -- Well, I have two or three comments. One is we cannot
9 use the short-term recruitment time period for ABC, shorter than
10 the OFL, because that would put ABC above OFL, which doesn't make
11 sense, and so, again, we need to use the same time period for both
12 OFL and ABC.

13

14 I may be naïve here, but it seems, to me, that part of our problem
15 with long-term MSY management, and short-term OFL management, is
16 the fact that we're using proxy, instead of actual MSY. If we had
17 an MSY estimate of ten-million pounds, let's say, we know where we
18 are today, and we set F based on what it would take for us to get
19 to that MSY, or OY, and it would be straightforward, but, here, it
20 seems, to me, that our MFMT for OFL is the same as our MSY, and so
21 it's the same F, and so, to me, that's part of the conundrum.

22

23 The main point that I want to make is we need to use the same time
24 period of recruitment for OFL and ABC, and be consistent with it,
25 because, again, it's subjective, if we use a shorter time period
26 when recruitment is low and we ignore it when recruitment is high,
27 and so, to avoid that problem, where ABC potentially could be
28 higher than OFL, just use the same years for projections and then
29 apply our F of 75 percent, or our control rule, to reduce ABC from
30 OFL. Thank you.

31

32 **CHAIRMAN NANCE:** Thank you, Doug. Go ahead, Roy.

33

34 **DR. CRABTREE:** If my sense of where we're coming to though is that
35 most people don't seem comfortable with relying on the most recent
36 time period, and they want to go with the whole time series, which
37 is where the Center calculated this to begin with, then we can put
38 these other discussions off until another day, because everything
39 is going to be based on that longer time series, and then, in that
40 case, all we need the Center to do is give us the 26 percent SPR
41 numbers, and we're done, and so, unless there is still people who
42 really want to see a shorter time period used for ABC, and, in my
43 opinion, it would have to be OFL as well, I think we can go with
44 the longer time series and move on.

45

46 **CHAIRMAN NANCE:** Okay, and I think this discussion, remember, is
47 gray snapper. This is not the overall, every time we see a fish,
48 discussion, and so I'm comfortable with, for gray snapper, using

1 the long-term average for both OFL and ABC. Harry and then Will.
2
3 **MR. BLANCHET:** I will pass.
4
5 **CHAIRMAN NANCE:** Will.
6
7 **DR. PATTERSON:** Dr. Barbieri had mentioned, right after lunch,
8 that he had a list of motions that he had crafted, and I think it
9 would be useful if we accepted the assessment first and then moved
10 into our, or his, motions about the projections.
11
12 **CHAIRMAN NANCE:** I think the problem, Will, is that the motion for
13 the model is made up of two components. It's accepting the model
14 and what the status of the stock is. Since we haven't seen 26
15 percent, and we haven't recommended 26 percent, I don't think we
16 can make that motion yet.
17
18 **DR. BARBIERI:** Without making the assumption.
19
20 **CHAIRMAN NANCE:** Without making the assumption. Now, it's got to
21 be below, but anyway, but until we see it, and so the motion first
22 needs to be accepting the model and then accepting that it produces
23 not overfished and not overfishing, and so I'm not sure that we're
24 able to make any motions, at this point, until we see the 26
25 percent run, and, unless I hear a cry from the group, using the
26 long-term average. Jim has got a cry about the -- So let me hear
27 Jim first and then Tom.
28
29 **DR. TOLAN:** No, I'm not going to cry, but I wanted to -- I am
30 agreeing with the long-term average, and I think that's the way to
31 go. I don't want to be viewed as -- This is coming not as an SSC
32 member, but it's coming from the outside, and I don't want to be
33 viewed as us cherry-picking data for this part and this part to
34 make it convenient.
35
36 I want to return to something that Ryan said earlier, and, once we
37 get these new numbers, from the BSIA, how do we objectively
38 determine which one is best? That, I am struggling with.
39
40 **CHAIRMAN NANCE:** That's a problem for me too, because we usually
41 get one projection, and, right now, then we're coming back -- Now
42 we're going to see 26 and 30 percent, and I have the same -- Ryan.
43
44 **MR. RINDONE:** I will bail you out on that one, and so the issue of
45 using 30 percent, like we had discussed, is a clerical issue, just
46 the timing of when the terms of reference were submitted and the
47 development and implementation phase for Amendment 51, and so,
48 normally, these things are spaced far enough apart such that the

1 MSY proxy isn't something that changes, for a stock, between when
2 the terms of reference for an assessment are finalized and the
3 assessment itself is finalized, and that is what happened here.

4
5 By seeing 26 percent SPR, if you guys are comfortable moving
6 forward with 26 percent SPR, then you can just say we're going to
7 do that, and you would need some sort of justification for going
8 forward with 30 percent SPR though, because it is different from
9 what is currently codified on the books, and so, if you see 26
10 percent -- You know, once you guys see 26 percent SPR, early
11 tomorrow morning, or Thursday, or whenever the Chair decides to
12 fit it in there, that decision can be made then, quite simply and
13 straightforward, especially if the selection is just 26 percent.
14 If it's going to be 30 percent, then, yes, you need some defensible
15 discussion about why it should be increased.

16
17 **DR. TOLAN:** To Ryan's point, Mr. Chairman?

18
19 **CHAIRMAN NANCE:** Yes.

20
21 **DR. TOLAN:** I think, as a body, we have that right now, because
22 we're on record as saying, even though the 26 percent for the
23 Amendment 51, this body thinks these reef fish ought to be handled
24 under 30 percent, and I think we've stated that now, and so I think
25 we have a leg to stand on there.

26
27 **CHAIRMAN NANCE:** Mike, is yours a comment to that point?

28
29 **DR. ALLEN:** Well, I was just going to make the point that the 26
30 percent projections, the model results, are just going to be
31 further away from overfished than it is right now, and they're not
32 going to be that informative to what we have in front of us,
33 really.

34
35 **MR. RINDONE:** But, because it's what's on the books, you still
36 have to look at it.

37
38 **DR. BARBIERI:** By the way, and sorry for interrupting, but this is
39 my point, Jim, is it's just a matter of convenience, right, that
40 we're going to have to see them anyway, right, and we're going to
41 have to get the new yield streams, right, which we haven't seen
42 yet, and we don't have those new yield streams, and so it's just
43 a matter of convenience that they come and present that part, and
44 we have the motions ready, and boom.

45
46 **CHAIRMAN NANCE:** Doug, to that point, please?

47
48 **MR. GREGORY:** Ryan covered most of it, but I think we have to send

1 both to the council, and if we're recommending 30 percent, and our
2 ABC is going to be less than what they would be with 26 percent,
3 I presume, and so the council will either have to go through a
4 plan amendment process, or some other process that's more lengthy
5 than just changing the quotas, to adopt the 30 percent, and so
6 there's no urgency in this fishery, and so I see no problem with
7 that, but it's a more involved effort, administrative effort, to
8 go back to 30 percent than it is to stay with 26 percent, and we've
9 got to give both sets of data to the council and give them the
10 opportunity to send it back to us and tell us that they prefer 26
11 percent, because that is their decision, and then we just have to
12 change our ABC at the next meeting, in March, and so that's the
13 way I see it, going forward, and it can be done, and it's not that
14 difficult. We've had more difficult situations in the past. Thank
15 you.

16

17 **CHAIRMAN NANCE:** Thank you, Doug. Ryan.

18

19 **MR. RINDONE:** Thank you, Mr. Chair. We went through this already
20 with gag, and you guys had determined that Fmax for gag was not
21 defensible, and you provided a justification for why, and, for the
22 FES version of gag, you recommended 30 percent SPR. For the SRFs
23 version of gag, you recommended 40 percent SPR, but you didn't
24 provide competing yield streams for those, and you just recommended
25 what you recommended, and then that's the -- Those are the catch
26 recommendations that you put forward.

27

28 As John had talked about with Reef Fish Amendment 48, all we would
29 need to do for respecifying the MSY proxy for gray snapper is just
30 to specify it as whatever it's being updated to be in a plan
31 amendment, and, well, we've always got one of those going on, and
32 so we can find one to plug it into, and it's just a quick blurb in
33 there, and so it would be easy to do on that, and so, if you guys
34 decided that 30 percent SPR was the way to go, then that's what
35 you could put forward, and along with your justification for that.

36

37 Again, like you mentioned, the stock is healthy, and an estimate
38 under 26 percent SPR is going to be marginally -- An estimate of
39 it being marginally more healthy, but, like Dr. Siegfried had
40 mentioned, you know, 26 percent represents the lower bound of what
41 you guys determined to be acceptable and plausible, and recruitment
42 information is already uncertain as it is, and, I mean, it competes
43 with discards, as far as what's more uncertain in an assessment,
44 and so you're flirting with aspects of the model that -- You know,
45 some of the things that we know less about than compared to other
46 parts, and so I think that's where I've heard the discussion going
47 anyway.

48

1 **CHAIRMAN NANCE:** Sean.

2
3 **DR. POWERS:** So a couple of people have said we're on the record
4 as saying SPR 30 percent, and I don't think we are. I mean, I
5 don't think we've had that conversation for gray snapper.

6
7 **CHAIRMAN NANCE:** I think that's what they were reading, Sean, is
8 that was the SSC's determination, and it was proposed in Amendment
9 51.

10
11 **MR. RINDONE:** You guys had discussed a review by the Science Center
12 at the January 2019 meeting, where they looked at 26 percent, 30
13 percent, and 40 percent, and, basically, what was determined by
14 the SSC, at the time, was that 26 percent represented the lower
15 bound of plausibility, and that you thought that 30 percent was
16 really more appropriate, given the uncertainty that was expressed
17 in the SEDAR 51 stock assessment.

18
19 Now, SEDAR 75 makes many notable improvements upon SEDAR 51, but
20 you're still in a situation where you're dealing with recruitment
21 information, which we've had a lengthy discussion here so far about
22 where this signal is really being generated from, and is it coming
23 from the age-zero, or the age-one, FWRI survey, and does it have
24 something to do with CPUE from the shore mode, and where is it
25 really coming from, and, without a firm finger placement on it,
26 and maybe it's D, all of the above, or, you know, it's kind of
27 hard to say.

28
29 The functional difference in what the projections will look like
30 between the 26 and 30 percent I certainly wouldn't expect to be
31 dramatic, and so, either way, both should yield a not overfished
32 and not undergoing overfishing stock status determination, and so
33 there shouldn't be any expectation of deviance there.

34
35 **CHAIRMAN NANCE:** Tom.

36
37 **DR. FRAZER:** All right. Thanks, guys, and so I'm expecting to see
38 two scenarios, right, 26 percent and 30 percent, right, and I don't
39 know if this is the appropriate time, actually, to ask for this,
40 and the council will be interested, and, I mean, the way that the
41 catch levels are set in these current OFL and ABCs for a five-year
42 period are declining catches, but they would probably like to see
43 a constant catch scenario over that same timeframe, because we're
44 very interested in promoting stability in the fishery, and I
45 figured that I would ask now, rather than wait until the very end
46 and say, oh yeah, let's do that, too.

47
48 **CHAIRMAN NANCE:** I'm glad you're bringing it up now, and that's

1 perfect, because we would hate to have two runs. Katie.

2
3 **DR. SIEGFRIED:** Thank you, Mr. Chair. Great, and so this is an
4 unusual situation, where we're fishing it down to get to MSY,
5 instead of relieving pressure, fishing pressure, to get back up to
6 MSY, and so the year-by-year allowable catch at OFL -- It changes,
7 as Roy mentioned, and so it's going to go down. Giving you a
8 constant, over all those years, will be the minimum of those years,
9 in order to not -- In order to not, like in the third or fourth
10 year, or fifth year, be higher than OFL, and do you see what's in
11 my brain? I don't know how you would, but --

12
13 **DR. FRAZER:** No, I saw that, right, and I guess what I was trying
14 to figure out is, is there a scenario where you can maximize the
15 constant catch, and that's what they would be looking at, right,
16 is what's the maximum constant catch that you can accommodate in
17 this five-year period, and it looks like John has something he
18 wants to say.

19
20 **CHAIRMAN NANCE:** John, please.

21
22 **DR. FROESCHKE:** I thought we went all through this before, and
23 Clay -- You know, there was a fairly complicated analysis, and
24 what the end result was was that dealing with this, and taking the
25 average, was close enough for government work, and that would be
26 fine, even on a declining yield stream. We would have to look and
27 see where that was done, but I know we had that discussion.

28
29 **MR. RINDONE:** Yes, and it was essentially that, you know, you were
30 accepting some amount of overfishing in the early years and some
31 amount of -- Sorry. Some amount of underfishing in the early years
32 and overfishing in the later years, with the understanding that
33 you're still in a portion of the projections where you're fishing
34 down to MSY, and so there's a -- Not to say an overabundance, but
35 there's more fish than are projected that are supposed to be out
36 there.

37
38 **DR. SIEGFRIED:** If it's legally acceptable, than an average is
39 super easy to calculate for you, to give you the constant catch,
40 but that means, to me, that Mara, or somebody, would have to be
41 consulted, to verify that those last two years, where there would
42 be overfishing, based on what the OFL was projected to be, and
43 underfishing is not illegal, but not optimal, in those first two
44 years.

45
46 **CHAIRMAN NANCE:** Luiz, go ahead.

47
48 **DR. BARBIERI:** To that point, Katie, we actually had a meeting

1 that Rick Methot was at, right, and, at the time, he was
2 representing OST, and he was talking about a bunch of criteria,
3 remember, and he brought this up, and we asked this question
4 explicitly, because we felt that we needed to know how to get this
5 resolved when we were trying to calculate average catch, or
6 constant catch, and he said, yes, just a simple --

7
8 There are so many uncertainties associated with those quantities,
9 and to actually calculate an average is much better than coming up
10 with any other way of estimating that, and so I'm pretty confident
11 that it is acceptable, and we've been using that for a while.

12
13 **CHAIRMAN NANCE:** Doug.

14
15 **MR. GREGORY:** NOAA General Counsel has informed us that we can
16 recommend an average over a five-year period, or a three-year
17 period, or we could recommend the annual, and we just have to
18 recommend the same method for OFL and ABC, and so that -- We've
19 been doing that for years, and there is no problem with that, and
20 it's not like -- I mean, if you think about it, the deviations
21 around that mean, for the five-year period -- They average out,
22 right? You've got the positives and the negatives are all the
23 same, and so it's not an issue, as far as what Katie was asking,
24 and so we can put that to rest.

25
26 **CHAIRMAN NANCE:** Okay. Thank you. So it sounds like, if you have
27 the -- You were suggesting that the lower limit be used as the
28 constant catch, but, if the average is used, that's -- Both of
29 those are very easy to calculate. If we pull out the five-year
30 catches, then simply the constant catch scenario is just taking -
31 - Finding the average of that and using that.

32
33 **DR. FRAZER:** There's a number of different ways, and I can, you
34 know, certainly talk with Katie afterwards, and I think she
35 understands where we need to go.

36
37 **DR. SIEGFRIED:** Yes. I'm good. Thank you.

38
39 **CHAIRMAN NANCE:** Well, I think the key is, as long as we get the
40 table that we got for the 30 percent -- I think we're looking for
41 that exact same thing with the 26 percent, and let's ask this now.
42 Is there any issue with the 75 percent being used for the
43 difference between OFL and ABC? Okay, and so, Katie -- Harry, go
44 ahead.

45
46 **MR. BLANCHET:** Thank you, Mr. Chair. For the five-year average,
47 I have no problem. The problem that I do have is, if we are
48 looking at a declining catch stream and we go beyond the five

1 years.

2

3 We, at that point, are going beyond what we would estimate to be
4 the ABC for those particular years, and we can't make it up, like
5 we can over the five-year period, and, over the five-year period,
6 we had some underfishing, in the first couple of years, and we
7 make up for it with overfishing, in the last couple of years, but
8 then, if you go past that five years, you're now getting into your
9 -- You've finished with your interest, and you're now getting into
10 your principal, and so, if you do something like a five-year
11 average, we probably should be considering something about what is
12 year-number-six, and that probably should not be the same ABC as
13 years-one through five, and that's all I had. Thank you.

14

15 **CHAIRMAN NANCE:** Perfect. I agree totally. Ryan.

16

17 **MR. RINDONE:** Kind of an on-air discussion about interim analyses
18 then, and you knew that was coming, because I immediately go to
19 model fits to fishery-independent indices and start looking at
20 length comps, and I don't like the age-one, and I don't like the
21 reef visual census, and I'm not wild about the SEAMAP trawl, but
22 maybe combined video?

23

24 **CHAIRMAN NANCE:** Or we can just do an operational. Go ahead,
25 Katie.

26

27 **DR. SIEGFRIED:** You want to do another operational for gray?
28 There's other things that we can look at. We've got a diagnostic
29 test that can look at the predicted value of each index that we
30 didn't show, but we have that in the SS diagnostics, and we can
31 take a closer look, and maybe take some of Harry's comments and
32 take a closer look, at the representativeness of the comps by each
33 of those surveys, if there is some issue in 2020, but we can
34 investigate that and come up with the best index for that.

35

36 I do very much agree with Harry's comment that, if we are fishing
37 down the principal, then it makes sense to check on that, you know,
38 at the end of that time period, and the Center can take care of
39 that, for sure.

40

41 **CHAIRMAN NANCE:** Perfect. Ryan.

42

43 **MR. RINDONE:** Every time I breathe on this cable, this monitor
44 turns off. So maybe some combination of that and tracking what's
45 going on with the shore mode, as its performance as an index of
46 relative abundance, to keep some pulse on what we think might be
47 going on with recruitment to the fishery, and maybe some
48 Frankenstein analysis there might be informative.

1
2 **DR. SIEGFRIED:** We also have the jackknife analysis that we did,
3 just because we enjoy that sort of thing, because we wanted to
4 look at how each index affected the assessment, and we would use
5 that as well, and there is some tradeoff between the age-zero and
6 trawl, and then there was a runs test issue for combined video,
7 and we want to reevaluate 2020, and check with Kevin and the other
8 folks who work on that, to make sure that that index is tight in
9 the last couple of years, if we were using it for an interim
10 especially.

11
12 **CHAIRMAN NANCE:** Any other discussion on gray snapper at this time?
13 I think we have a way forward, and, Katie, any -- I think you've
14 got what we would like to see, but go ahead and reiterate.

15
16 **DR. SIEGFRIED:** There's only one other question that I have, and
17 then I can reiterate, because it's always a great idea, right, but
18 the interim landings that I was discussing with some folks during
19 the break, what to use for those interim landings, and this would
20 be a good time to nail those down, this afternoon, and I can do it
21 offline. We don't have anything new from the Center, but, if
22 there's different things from the monitoring -- I think I was
23 talking to John, or Peter, and, if there's new interim landings,
24 we would need to put those in.

25
26 **CHAIRMAN NANCE:** Go ahead.

27
28 **MR. RINDONE:** So I think we could use the preliminary landings for
29 2021, at this point, from the SERO ACL monitoring database. 2022,
30 we wouldn't have the finalized Wave 6 landings for that, until the
31 middle of next month, and so 2022 and 2023 could be estimated using
32 2019 to 2021, under the same general principles that we've used in
33 the past.

34
35 I just think that, you know, given that we're in 2023 right now,
36 and we're projecting from 2024 forward, we have, at a minimum, the
37 preliminary landings that can be pulled off the SERO website for
38 gray snapper, and so we should be able to use that for 2021.

39
40 **CHAIRMAN NANCE:** Trevor.

41
42 **MR. MONCRIEF:** If we've already got 2022 through Wave 5, how much
43 do those landings fluctuate from one source to the next to the
44 next, because, if they don't, then the only thing you're doing is
45 just trying to adjust for Wave 6 in 2022, and you've got the most
46 up-to-date information.

47
48 **CHAIRMAN NANCE:** Ryan, please.

1
2 **MR. RINDONE:** I think, just from a practices standpoint --
3 Typically, if we're going to use preliminary landings, we have
4 generally stuck to complete years, even if we didn't think there
5 was going to be much activity on the backend, or regardless of
6 what activity we thought there might be on the backend, for like
7 the last wave or two, and we've generally just stuck to complete
8 years, and so, maybe for the sake of tradition, you know, we could
9 certainly continue with that, and that would be an easy enough
10 data pull, with help from the SERO folks, to the Science Center,
11 to be able to plug that in.

12
13 **CHAIRMAN NANCE:** Okay, and so it sounds like, instead of the
14 average, use 2021 as the preliminary value, and that's only used
15 in the projection, right, and not in the model? Okay, and so that
16 will change the 30 percent also, and we'll see a slight change in
17 that, and then, obviously, the 26 percent would be using that new
18 value. Katie.

19
20 **DR. SIEGFRIED:** So the reiteration that you requested is using
21 what we've presented as the long-term average, for both OFL and
22 ABC, with F 30 and F 26, with the updated interim landings from
23 the website, but not commercial. Commercial is -- For 2021, but
24 commercial is still acceptable to use the average that we've been
25 using.

26
27 **MR. RINDONE:** Was that a question for me?

28
29 **CHAIRMAN NANCE:** Yes.

30
31 **DR. SIEGFRIED:** I just said from the website, because you had
32 mentioned that we get the recreational landings from the website,
33 but we don't need to update commercial landings for 2021.

34
35 **MR. RINDONE:** No, and you should have those already, don't you?

36
37 **DR. SIEGFRIED:** We don't have any interim landings for 2021.

38
39 **MR. RINDONE:** Well, so -- I guess the ACL website is going to have
40 it for the stock, but it will have commercial and recreational
41 broken out there, and I was actually in the process of pulling
42 that up right now. Let's see.

43
44 **DR. SIEGFRIED:** I can just work with Ryan to get those.

45
46 **MR. RINDONE:** They have it marked as 2021 final in-season landings,
47 and so, for recreational, it has 1.96 million pounds, and
48 commercial is ninety-three-thousand-pounds-and-change, and, I

1 mean, I can send you the -- You can pull it up just as easy as I
2 can, but --

3
4 **CHAIRMAN NANCE:** So it sounds like, for 2021, using what's online
5 for both recreational and commercial, and so you would update both
6 of those values.

7
8 **DR. SIEGFRIED:** Okay. We'll check our numbers with Ryan, if Ryan
9 is good with that.

10
11 **CHAIRMAN NANCE:** Okay. Perfect. Any other changes to that from
12 the committee? Okay. Katie and Francesca, thank you. We
13 appreciate that, and we'll go ahead and take a fifteen-minute
14 break. When we come back, we'll have a presentation by Dr.
15 Siegfried on our Acceptable Biological Catch Control Rule
16 modification. We'll go ahead and, at 2:15, have that.

17
18 (Whereupon, a brief recess was taken.)

19
20 **CHAIRMAN NANCE:** Okay. We will go ahead and reconvene, and I
21 appreciate everybody still staying on the line, and we'll go ahead,
22 and, with Item Number V, the SEDAR 75 review, we're going to put
23 that off until tomorrow, and we'll be able to look at those other
24 yield streams. We'll go ahead and move into Item Number VI, which
25 is discussion of the Acceptable Biological Control Rule
26 modifications, and Dr. Siegfried is here to be able to present,
27 and I think Shannon is on the line, if I'm not mistaken, if we
28 have any specific questions for her. Katie, I will go ahead and
29 turn the time over to you.

30
31 **DISCUSSION OF ACCEPTABLE BIOLOGICAL CONTROL RULE MODIFICATIONS**

32
33 **DR. SIEGFRIED:** Thank you, Mr. Chair. Yes, Shannon is on the line.

34
35 **MS. MATOS:** (Ms. Matos' comment is not audible on the recording.)

36
37 **DR. SIEGFRIED:** Sorry.

38
39 **CHAIRMAN NANCE:** Jessica, thank you. I'm glad you're on track,
40 and we'll go ahead and have Ryan do the scope of work for this
41 item.

42
43 **MR. RINDONE:** Sure, and so Katie is going to regale you guys with
44 some alternative approaches for the ABC Control Rule, which is
45 used to determine the scientific uncertainty between the OFL and
46 the ABC. You guys looked at this in May of 2021 and 2022, and
47 this has been kind of continuing project for the SSC. Following
48 the May 2022 meeting, you guys requested alternatives using the

1 Ralston approach, the Restrepo approach, and the Privitera-Johnson
2 and Punt modifications to the Ralston approach.

3
4 The current ABC Control Rule has been around since 2011, but SSC
5 members, and members from the Science Center, have expressed a
6 desire to revisit it, especially due to its propensity for
7 producing buffers, using the P* approach, that are pretty narrow
8 between the OFL and ABC, and likely not representative of the
9 uncertainty in the stock assessment, and so you guys will be
10 reviewing the presentations and background materials provided, and
11 there's been some new stuff that's put up also, and so, if you've
12 been working off a version of the webpage, make sure to refresh
13 that, so you can see the Free paper on there, and focus your
14 efforts on how to revise Tier 1 of the ABC Control Rule, and you
15 should make any revisions and recommendations to the council, as
16 appropriate. Mr. Chair.

17
18 **CHAIRMAN NANCE:** Thank you. Katie.

19
20 **DR. SIEGFRIED:** Thank you, Mr. Chair, and thank you, Ryan. I do
21 plan to rely heavily on Shannon's input about the previous
22 conversations about your control rule, that I understand you've
23 been discussing long before I was in my current position, but I am
24 going to present to you now my initial stab at the council request,
25 which is incomplete, if you took a look at the presentation, and
26 it was my Christmas project, and it's a lot harder than we thought
27 it was going to be.

28
29 I will show you a way to quantify uncertainty between and among
30 assessments for use in setting ABC, and this is taking a look at
31 basically, you know, the sigma min value or some alternative for
32 P*.

33
34 This is just to show you the council request, in case you don't
35 have it pulled up on your desktop, and Ryan just went through this,
36 pretty much, but I just wanted to reiterate that the request was
37 to develop the sigma min, following the Ralston approach, focusing
38 on our data-rich stocks, and we wanted to take a look at the update
39 to the Ralston approach that Privitera-Johnson and Punt put forward
40 in 2020, and it does actually suggest that looking at projections,
41 through their probability-based harvest control rules, might be a
42 better way to incorporate scientific uncertainty, and that will be
43 coming.

44
45 Like I said, this is incomplete for what the council was
46 requesting, but the work, to-date, that we have accomplished is to
47 take a look at the SS models that we have done in the Gulf, to-
48 date, and it was an adventure to go through our servers and find

1 all of our files and look at the evolution of our SS models from
2 it looks like the early 2010s to now.

3
4 Although other models could still be mined for data, the Center,
5 in the Gulf, did actually use different modeling frameworks before
6 they started using SS, and so we could potentially look and pull
7 spawning stock biomass time series from those as well, but we
8 haven't started to do that mining.

9
10 We do have an issue with the units for our biomass metric, our
11 SSB. Whether it's in metric tons or fecundity depends on the
12 assessment, and we need to convert any fecundity estimates to
13 weight, in order to have an apples-to-apples comparison for our
14 PJ-Punt method. That's not as -- Well, I don't know if it sounds
15 easy anyway, but it's not actually easy to do across all species.

16
17 We have something from the west coast that the PJ-Punt method used,
18 and we haven't yet determined if we just blindly use that or if we
19 would want to alter that a little bit, but that's a step that we
20 haven't yet taken, and we also have one assessment that uses eggs
21 per recruit, and so metrics tons, or fecundity directly, and we're
22 still considering how to incorporate assessments with structural
23 changes, and gag is an example where we had total versus female-
24 only SSB, and whether that's a reasonable level of uncertainty to
25 include, or if structural changes in the model enter different
26 types of uncertainty than we're trying to calculate.

27
28 The methods used, we didn't think that we needed to present the
29 Restrepo et al. paper, because that is commonly seen by this SSC,
30 and we've used the 75 percent FMSY, or its proxy, to set the ABC
31 repeatedly, and we showed you some today, and so we didn't provide
32 those in a table. We will provide those in a table when the full
33 document is completed.

34
35 We started with the Ralston analysis, and we're in consultation
36 with Kristin for the projection-based estimates, and so we'll get
37 some expert help on that, and my team is all busy, and I'm busy,
38 and she's the expert on it, and so I think that will help a lot,
39 getting her help, and then, just to reiterate, we view this as a
40 priority, but our workload right now -- You know, we had some folks
41 out, and it was over the holidays and all, and so it was a difficult
42 time to make more progress on this, but we will continue to work
43 and present the upcoming results at a future SSC meeting.

44
45 The Stock Synthesis assessments that we used were -- I will go
46 through coastal pelagics, and the cobia, greater amberjack, and
47 vermilion snapper, and then, in our snapper grouper complex, we
48 had gray snapper, red grouper, and red snapper. We covered the

1 seven species through thirteen assessments, and so we don't have
2 that many repeat assessments, compared to what the Ralston analysis
3 -- I think one of his -- I think he had fourteen repeat assessments,
4 and so it's a limited number of repeat assessments. Three species
5 are measured in spawning stock biomass, which is weight, one in
6 eggs per recruit, and two in eggs. It must be four species.
7 Sorry.

8
9 **CHAIRMAN NANCE:** Katie, I only see six species.

10
11 **DR. SIEGFRIED:** Yes, and it's four species is SSB. Sorry about
12 that.

13
14 **CHAIRMAN NANCE:** But I see only six, instead of seven. Am I
15 missing something?

16
17 **DR. SIEGFRIED:** Well, those are the species that I've covered, and
18 so that should be six species then, and the numbers in the last
19 bullet is three, one, and two.

20
21 **CHAIRMAN NANCE:** So it's six species, as opposed to seven?

22
23 **DR. SIEGFRIED:** Yes.

24
25 **CHAIRMAN NANCE:** Okay.

26
27 **DR. SIEGFRIED:** Ryan.

28
29 **MR. RINDONE:** So vermilion snapper would be in the snapper grouper
30 species and not pelagic.

31
32 **DR. SIEGFRIED:** We had -- I looked through the sort of research,
33 to discuss like what the life history of that would be, looking at
34 things like schooling, how far they went, and I can change it,
35 based on management, if you would like, but I was looking more on
36 some of the other, you know, life history characteristics.

37
38 **MR. RINDONE:** So like I guess that becomes a conversation, about
39 are we going to classify it based on that or based on its harvest,
40 because it's not something that is typically harvested as part of
41 a directed coastal migratory pelagic trip, and I don't know if the
42 Stephens and McCall stuff could quantitatively describe that, but
43 just thinking about general practices, and like, if people are out
44 fishing for cobia or Spanish or kingfish, they're not also coming
45 back with much in the way of vermilion snapper, but, if they're
46 fishing for mangos, red grouper, red snapper, amberjack, then they
47 very well could come back with vermilion snapper, and so I think
48 it's probably -- From how this is going to be applied, from a

1 management standpoint, I think it is probably better grouped in
2 snapper grouper.

3
4 **DR. SIEGFRIED:** Okay, and so the -- We should discuss whether we
5 want to group them as far as the uncertainty we see in the
6 assessments, which is what the analysis is supposed to be, or
7 whether you want to take a look at management groupings, or
8 biology, which is the thing that I was initially looking at, and
9 I think all three of those could be discussed.

10
11 **CHAIRMAN NANCE:** Thank you. Harry.

12
13 **MR. BLANCHET:** Thank you, Mr. Chair, and so the species that I
14 don't see up here is king mackerel, and is that because of the
15 lack of repeated SS assessments or what?

16
17 **DR. SIEGFRIED:** Thanks, Harry. Honestly, I didn't get to king
18 mackerel, and there were issues with trying to pull the data from
19 those SS files on the server, and this really is a quick update,
20 or a starting point, for this, and I did actually start with gag,
21 because we had -- Like I said in the earlier slide, we had total
22 versus female, and I thought, well, maybe we could compare. When
23 I tried to do the analysis, it was kind of nonsensical, and so
24 king mackerel should be done, and it will just have to be done
25 after this particular presentation.

26
27 **MR. BLANCHET:** Okay. Thank you.

28
29 **DR. SIEGFRIED:** Sure.

30
31 **CHAIRMAN NANCE:** Thank you, Katie.

32
33 **DR. SIEGFRIED:** Then the first thing that made sense to show is
34 just sort of what time series we pulled from the SS files, and I
35 know you have this in your briefing book materials, and you might
36 want to pull it up on your screen, so you can see the small legend,
37 but we have two cobia assessments to show here, and this is because
38 -- I grouped these by whether they were reported in SSB or whether
39 they were reported in fecundity or eggs per recruit, and so these
40 six assessments for these three species were using SSB, and so
41 we've got the cobia first assessment and second assessment, the
42 greater amberjack first and second, and then the gray snapper first
43 and second.

44
45 You know, I talked with Kristin a little bit about this, because
46 the gray snapper is the highest value there, in the green, that
47 goes out to 2020, and one of the things that we discussed is most
48 of the second, versus first, assessments that I plotted here are

1 in CHTS, versus FES, right, and so we would expect all of them to
2 have a magnitude adjustment, and I was concerned that we would be
3 putting in -- Accounting for uncertainty if it's really just a
4 shift in magnitude, due to the different way of accounting for
5 effort, or calculating effort.

6
7 She said that, you know, that's part of what this method should,
8 and her method, should -- It should account for the variability in
9 the landings streams as well, but I just think it's something this
10 group needs to keep in mind, that the first and second versions of
11 each of these assessments incorporate -- They change by using
12 different MRIP values.

13
14 This one covers the historic fecundity estimates, and this is two
15 vermilion snapper assessments and three red snapper assessments.
16 There are more red snapper assessments, but they are -- They were
17 -- I need to sort of distill the server down, to be able to get
18 the final versions of each, which is something we've talked about,
19 and it's difficult to know what was recommended for each management
20 action and so that's just why there is some of those missing, but
21 I was able to find three final versions.

22
23 **CHAIRMAN NANCE:** Dave, please.

24
25 **DR. CHAGARIS:** Just a quick question on this figure, and so is the
26 plan to convert these to a common biomass metric, because that's
27 what was done in the Privitera and Punt.

28
29 **DR. SIEGFRIED:** Yes, that's the plan. For Ralston, I went ahead
30 and just used their native units, and only compared them with each
31 other, and then I was able -- I will show you in the methodology
32 section, but it didn't seem like it was as much of a problem, but,
33 yes, that's the plan for Privitera and Punt, and they used E.J.
34 Dick's method from the west coast, but, again, I haven't looked at
35 the conversion ratio of what -- Because rockfish -- It's E.J. Dick
36 et al., and there's a paper that E.J. Dick put together that helped
37 them convert eggs to biomass, and I just need to take a look at it
38 and be confident that it's a good way to go for our species.

39
40 I'm not really sure if the rockfish were heavy in that analysis,
41 which is going to be different from what we have on the east coast,
42 and so this really is like a snapshot in my progress of this
43 project.

44
45 **DR. CHAGARIS:** I thought they just calculated it as the numbers
46 times weighted age.

47
48 **DR. SIEGFRIED:** Did they limit the age to when they were mature,

1 or did they --
2
3 **DR. CHAGARIS:** Like numbers times weighted age times maturity data.
4
5 **DR. SIEGFRIED:** It didn't matter what species it was or across --
6
7 **DR. CHAGARIS:** I was going to look at the paper now, and see if
8 there was an oversight there, but it seemed like it was just a
9 simple calculation of spawning biomass.
10
11 **DR. SIEGFRIED:** If that's what they used in the report -- She and
12 I have a meeting, next week, or I'm messaging with her next week,
13 to talk more about this, because, again, the holidays sort of
14 interrupted collaboration, but that's -- I mean, if it's a simple
15 ratio, we can definitely take care of that quickly, but I don't
16 want to just blindly apply it, but understanding it.
17
18 **DR. CHAGARIS:** It's just the weight times the number at age.
19
20 **DR. SIEGFRIED:** Okay, and so then I would also have to add a little
21 bit to pull the numbers -- To pull more time series out of the SS
22 files than I have done now, and so I've only pulled out SSB and
23 eggs, and so I just have to go back and do all of that too, and I
24 will present that next time. Okay. Let's see.
25
26 Then this is the red grouper, one assessment versus -- The first
27 assessment versus the second, and I think there were issues with
28 equilibrium, initial equilibrium, if it was recruits or spawning
29 stock biomass that Skyler found when she took over the assessment,
30 but these are the two time series of eggs per recruit for red
31 grouper.
32
33 Shannon has shown you this exact slide before, and I thought it
34 would be useful to go through it again, to show you what our goal
35 is, and so, on the left, it's all of the repeat assessments for
36 Pacific whiting, and it would be glorious to have something like
37 that for a species in the Southeast, but he did -- He was able to
38 take a look at the uncertainty across all of those assessments,
39 and there is quite a bit variability in the magnitude there, which
40 is why I agree with Kristin that we could look at our assessments,
41 even though there is the insertion of MRIP data that changed
42 magnitude.
43
44 On the right, we have this aggregate distribution of our deviations
45 pooled over all the stocks, and so this is more the shape of the
46 uncertainty from which Ralston calculated the sigma.
47
48 There is three methods that he put in his paper that we would have

1 to discuss in more detail, once we have the PJ and Punt method,
2 but I wanted to just lay them out for you here, and so the first
3 method is that, for each estimate of biomass for your T, from
4 assessments I and J, we would calculate this equation here, and so
5 it's basically, you know, the measure that we're calculating for
6 assessment I, given J and T, and so given the other assessment and
7 the year, and we would look at the ratio of the biomass in each
8 assessment, by year, and so this is the proportional deviation of
9 assessment I, using assessment J as a standard, and so this is
10 looking at the ratio of the biomass in the different assessments,
11 each year.

12
13 Based on the symmetry argument that Ralston makes, we could also
14 calculate the ratio for the other assessments, and so the first
15 one is the ratio for assessment I, and the second one is the ratio
16 for assessment J. All of the ratios are log transformed, and so
17 we have these perfectly symmetrical ratios that would come out.

18
19 Then, for each stock under consideration, the standard deviation
20 of the ratios is calculated, and that statistic is positively
21 biased. However, because it is based on the ratio of two lognormal
22 random variables, the appropriate bias correction term was derived
23 and applied so that the corrected estimator is sigma divided by
24 the square root of two.

25
26 We didn't have a lot of repeat assessments, and so this is actually
27 a pretty simple calculation. It's usually just I and J, and we
28 didn't have a lot of -- We just had red snapper with a third
29 assessment.

30
31 The second method basically says that the mean of biomass estimates
32 in a year is treated as the best estimate of central tendency, and
33 then we calculate the deviation from that mean, and so, before, we
34 were looking at biomass ratios, and now we're looking at deviations
35 from a mean. In this approach, the variation in our biomass was
36 measured as the square deviations from the annual mean in log
37 space, so that we would get this mean in log space, which is just
38 looking at the deviations from that mean of those biomass
39 estimates.

40
41 I have the calculation for the standard deviation there, if you
42 would like to see, but it's just a standard mean of log transformed
43 data and then a standard deviation calculated from that mean, and
44 it's -- The standard deviation and the means are going to be summed
45 over the number of assessments.

46
47 The next slide for Method 3, and this is only used for red snapper.
48 This method says that the most recent stock assessment is

1 considered the best estimate, and so, since I only have this one
2 species with three, I could say, okay, the last assessment is the
3 best one, and that should be the central tendency, and we're going
4 to look at the deviations from that central tendency of the
5 previous two assessments.

6
7 Then the CV that we calculate, the calculation is given for you
8 there, and so, for those lognormally distributed random variables,
9 the CV, on the arithmetic scale, is equal to what you see here,
10 and so, to reiterate, because I know this is dry, the first one is
11 biomass ratios, the second one is deviations from a central mean
12 across the assessments, and then the third is assuming the recent
13 assessment is the right one.

14
15 Okay, and then the last thing that we needed to do is look at
16 between-assessment uncertainty, and so, following Ralston again,
17 we considered two methods to do this. You either take the average
18 of the stock-specific uncertainty across all of the assessments
19 you have or you aggregate all of the residuals and calculate the
20 standard deviation of the pooled set, and so you take the CVs of
21 the sigma of everything, and we average them, or you look at the
22 residuals, or not the actual sigma, or CV, calculations, and we
23 calculate the standard deviations of those residuals.

24
25 The first method will give each species equal weight, and it
26 doesn't overemphasize stocks that have been assessed more, which
27 is not a big problem for us, because we only have species assessed
28 twice, or three times. Conversely, the second method treats each
29 data point as an independent observation. Neither approach is
30 ideal, as Ralston states himself, given the lack of independence
31 of the data. We don't -- We're not trying to say that this is
32 perfect statistically, because each assessment depends on the
33 other, because it's using similar data streams.

34
35 There is a little bit of difference in what each method provides,
36 whether it's a sigma or it's a CV, and so Method 1 provides a sigma
37 value, and Method 2 and 3 are provided as CV, because of the weight
38 versus fecundity issue, which is -- We would convert everything to
39 weight, and then we could have everything in the same units.

40
41 Two estimates are provided, where possible, and this is just
42 something that I thought we might need to consider, or have you
43 all consider, as an SSC. One of them is 1981 on, and it didn't
44 make a lot of sense to go pre-1981, because I didn't have the same
45 start year in all the assessments, and so I chose the 1981, which
46 is where our recreational data come in, and we have a lot of time
47 series come in in 1981. 1993, however, is where a lot of data got
48 better, where we started having discards, and a lot of our data

1 streams became more reliable, and so I calculated the uncertainties
2 either from 1981 to the terminal year or 1993 to the terminal year,
3 to take a look at whether the uncertainty reduced when our data
4 improved.

5
6 In this table, I've got Method 1 for each start year, Method 2 for
7 each start year, and I only had one, Method 3, there for red
8 snapper, and, in the red box, I have the totals, which we can
9 compare with Method 1 that Ralston reports in his paper, and I
10 broke it into coastal pelagics, which we can argue about which
11 species are in those, and snapper grouper, and you will notice the
12 coastal pelagics are lower -- The uncertainty is lower than the
13 snapper grouper that we took a look at.

14
15 Between assessment uncertainty, and this is using pooled residuals
16 to calculate the CV for our weight-only assessments. From 1981
17 on, the CV was 0.41, and, from 1993 on, it got a little tighter,
18 and it's 0.39.

19
20 Then the next slide will show -- There's an update to the Ralston
21 analysis that Privitera-Johnson and Punt provided that shows the
22 sigma value when those data that Ralston used were extended to
23 2019, I believe, and it went from 0.36 to 0.403, which, if you go
24 back to the red box, you will see our totals, for 1981 on, is 0.44,
25 and from 1993 on is 0.48, and so it's in the same ballpark.

26
27 We're looking forward to doing the PJ and Punt method, because,
28 from the paper, and from other discussions, we anticipate that
29 approach will account for more uncertainty than the historical
30 biomass approach, and then PJ and Punt approach will require more
31 work, due to the detailed data required for the analysis, and we
32 also may need to slightly modify the approach, due to our region's
33 use of allocations in the projections, and that's not needed, or
34 done, on the west coast.

35
36 Also, something that Kristin and I were working on is that some of
37 our SS report files don't contain some necessary information, and
38 so we may have to rerun an assessment or two to get some time
39 series for her code.

40
41 The next slide is just asking if there's questions and letting you
42 know that our plan is to complete our datamining exercise and then
43 carry out the PJ and Punt projection-based method, but I'm happy
44 to go over any questions of the Ralston method that we have
45 provided so far.

46
47 **CHAIRMAN NANCE:** Thank you. That was a great summary, and a lot
48 of work went into that, and it's greatly appreciated. We're kind

1 of in a quandary with MRIP. While it's giving us very different
2 signals for biomass, I guess that is part of the uncertainty.
3 Will.

4
5 **DR. PATTERSON:** Thank you, Mr. Chair. Thanks, Katie, for walking
6 us through the analysis, and for performing the analysis, and this
7 is something that the SSC had talked about for, you know, many
8 years, and I'm glad that you guys were able to carve out a little
9 bit of time to start down this road.

10
11 It's really interesting, to me, that, if you look at the Privitera-
12 Johnson results, and especially -- So looking at spawning stock
13 biomass, which is what we're talking about here, and there are
14 long-term, you know, equilibrium projections, or long-term
15 projections, twenty-five years, they have a sigma estimate of 0.36,
16 which matches the Ralston estimate of 0.36 from their analysis of
17 basically modeling error among their assessments.

18
19 Your preliminary overall estimate is like 0.40, here, and so
20 they're all kind of in that same ballpark, and I wonder if you've
21 thought about -- Like what is it that is -- So now you have three
22 independent estimates that are all kind of converging on that same
23 number, and like what's magic about point-fourish?

24
25 **DR. SIEGFRIED:** I would have to think about that a little bit more.
26 I was thinking about it when I was doing this analysis, and I was
27 thinking, what could I do to the assessment to make it closer to
28 0.5, and I was just curious, and like how -- That could be something
29 that I do, where I take an assessment, apply a huge amount of
30 uncertainty and throw it in the mix, to see if it gets higher, or
31 if there is something inherent in these statistics that limits it.
32 I am not entirely sure, and I haven't tried.

33
34 **CHAIRMAN NANCE:** Will, please.

35
36 **DR. PATTERSON:** Among the Gulf assessments you've looked at, or
37 species, there's a pretty broad range, from 0.07 to 0.7, basically,
38 and, you know, which is vermilion so low? That doesn't seem to be
39 a highly-uncertain assessment, to me, especially given the
40 variability in size-at-age.

41
42 **DR. SIEGFRIED:** I totally agree with that intuition, because I
43 checked it so many times, thinking how did they get the same SSB
44 estimates back in time, and I looked at the F init values, trying
45 to see if there was something that was anchoring the assessment,
46 and I haven't given myself an answer yet, but that struck me as
47 well, and I think that might have been tamping it down just a bit,
48 because those are not variable.

1
2 I mean, if you go back three slides, it's 0.07, 0.09, and 0.05,
3 and it's a tiny amount of uncertainty, but we're also talking in
4 the trillions of eggs, and so, once I convert that to weight, I'm
5 wondering if maybe there will be more uncertainty.

6
7 **CHAIRMAN NANCE:** Harry.

8
9 **MR. BLANCHET:** Thank you, Mr. Chairman. This goes back to the
10 comment regarding that using the two different data streams from
11 MRIP is just part of the uncertainty, and we've also heard, from
12 NOAA, that what we have is just two different currencies, and it
13 seems that this is trying to take it on both sides, and you can't
14 have it both as two different currencies and as an uncertainty,
15 and it's either convertible and the same or it's not convertible
16 and different, and we've been taking it as that it's convertible,
17 all along.

18
19 My point is that, rather than looking at biomass, if we look at
20 some relative changes, either per recruit or Fs, or something like
21 changes in F over time, or per recruit over time, those slides
22 that did have a comparison of two per-recruit metrics, and that's
23 the kind of an approach, to me, that talks about what is intrinsic
24 in the assessment process, versus what is an external change, and
25 I would really think that that's where we want to be focusing, is
26 on what is happening within the guts of the assessment to change
27 our perception of the historic changes in the stock and not the
28 perception of a point in a given year from two different
29 assessments, but looking across Stock Assessment A, Species A, and
30 Stock Assessment B, Species A, and are the slopes the same? Is
31 the relative -- Is our current status relative to biomass
32 benchmarks similar? What is the variance in your final estimate
33 of SPR, versus what is the estimate of biomass?

34
35 If you change from MRIP-CHTS to FES, that's going to change all of
36 the absolute numbers, but it should not change the relative
37 numbers, and so that's a bit of a different approach, but that's
38 just my suggestion. Thanks.

39
40 **CHAIRMAN NANCE:** Harry, thank you. Katie.

41
42 **DR. SIEGFRIED:** I have to absorb your comment a little bit, for a
43 little while, Harry, but the -- We're looking at -- So the way
44 that MRIP translates is in the scale of the assessment, which we
45 see in productivity and which we see in SSB, but, if you look at
46 the -- I think it's Slide 9, on the left-hand plot for Pacific
47 whiting -- You know, when the historic data are configured -- I
48 would have to look at why those assessments had such a different

1 magnitude to -- Some way to convince myself that the change in the
2 magnitude of landings that was caused by MRIP-FES is not as
3 legitimate as what they're considering there.

4
5 I think that it translates into all of the different parts of the
6 assessment when you change the magnitude of the landings, and one
7 of the things that we have to do is understand, if we are able to
8 fit all of those parameters with the change in MRIP landings, you
9 know, what is the fundamental change, and, if it's just scaling,
10 then, yes, that level of uncertainty isn't what we actually want
11 to see, but there is some difference in trend, and there is some
12 change in things like selectivities that translates to those SSB,
13 or fecundity, time series, but I think I would have to think a
14 little bit more about whether something like exploitation would be
15 any different, because that's also going to reflect the same time
16 series that we're plotting here, but just in a different equation,
17 and it would be relative to the numbers, instead of relative to
18 the spawning stock biomass.

19
20 **MR. BLANCHET:** Absolutely, and I happen to agree with you on that,
21 because there are differences, other than scaling, between the FES
22 and the CHTS, and those absolutely should be incorporated, and
23 should be considered, as part of the differences that we are seeing
24 between assessments. I'm just saying the scaling of it, and we've
25 seen these -- Yes, there is differences in year-to-year, but,
26 overall, it's like a doubling of the recreational harvest, and
27 that doubling of itself is not, to me, a part of that, but the
28 differences in slope and the annual differences from the mean,
29 absolutely.

30
31 Those changes are real changes in those assessments, and that's
32 why I'm thinking that, if we're doing something on a per-recruit
33 basis, that you're going to end up capturing that, without having
34 to worry as much about that scalar. Thank you.

35
36 **CHAIRMAN NANCE:** Thank you, Harry. Steven Saul, please.

37
38 **DR. SAUL:** Thank you, Mr. Chair, and thank you, Katie, for the
39 presentation. A couple of -- One, I really like this methodology,
40 and it's sort of like a multi-model, or a model ensemble, type of
41 approach towards estimating uncertainty, and that's also an area
42 of research that I'm interested in, and pursuing at the moment,
43 and I think that this is a really useful way of sort of trying to
44 understand, and possibly characterize, uncertainty.

45
46 Two questions that I have, and one is would this -- Would this
47 replace kind of the current way that we calculate uncertainty at
48 the end of an assessment, and then translate that uncertainty to,

1 you know, figuring out the OFL and the ABC, et cetera, and then my
2 second question is would it make sense to -- So it's interesting
3 that you've applied it to kind of an entourage of past assessments
4 modeled.

5
6 Would it make sense, in the course of an assessment, like during
7 a SEDAR, or could you even apply this approach to the ensemble
8 models that are put together during a given assessment, like the
9 base model plus all the twelve, or however many sensitivity models
10 that are developed, and would that be sort of a useful way to
11 capture uncertainty?

12
13 **DR. SIEGFRIED:** That's an interesting thought. My first response
14 to that would be that each of these assessments that Ralston used
15 in the analysis were what was used for management, or was put
16 forward as the final model, and I think, if you looked at the
17 uncertainty across sensitivities, it would be giving equal weight
18 to all of the sensitivities, when some of them may just be model
19 exploration.

20
21 I mean, that set aside though, I think that one of the big questions
22 that I had about this analysis is, okay, if we're going to get
23 numbers, totals, or we get them based on pelagics, or snapper
24 grouper, are we okay using some sort of global mean, or would it
25 be something that we would want to do by species, if we had the
26 information?

27
28 If we didn't have the information, then the global mean would be
29 what we would have, but, I mean, you're sort of talking about a
30 model-averaging thought, or going down a model-averaging thought
31 process there, and I think that's great, but I think that's
32 separate from what we're looking at here.

33
34 I do think we're trying to replace -- Hopefully Shannon will weigh-
35 in if I'm mistaken, but replace the P* approach that doesn't tend
36 to give us enough buffer, based on uncertainty, between ABC and
37 OFL, and we've looked at the Ralston analysis before and said,
38 well, what would it be for the Southeast, and so this is the first
39 step of what it would be for the Southeast, and so I do think we
40 would like to replace that sort of P* approach, but there's
41 something that I wasn't able to reflect here, is sort of -- You
42 know, not just the number for each individual, but sort of what
43 the shape of that curve would look like, which is something that
44 Ralston provided here that I have yet to calculate, which I do
45 when I had all the species together, and those are the two
46 components I think we would need to replace the P* approach.

47
48 **CHAIRMAN NANCE:** You're absolutely right, Katie, and we have a

1 current ABC Control Rule. We don't use it a lot, and we go to
2 other methods, and so this is our approach to try to determine
3 what would be a better ABC Control Rule for the Southeast. Will.
4

5 **DR. PATTERSON:** I mean, but, as far as the figure on the right, if
6 your sigma is 0.408, overall, then that just makes it a little
7 broader, right, but what -- I think Steve is -- I like the way
8 he's thinking, about, okay, how do we make this operational, and
9 we've talked about this for a while, and this is great, to have
10 some preliminary estimates of what the sigma values are for Gulf
11 assessments, and then overall, and, you know, the table that
12 Shannon produced some time ago, and it's here, I think, in another
13 iteration, as 6(b)(i), the Ralston multipliers, and that's using
14 the sigma of 0.36, but you could -- You know, whatever sigma comes
15 out of the Gulf analysis, you could have the multipliers then
16 across the columns.
17

18 I don't think the P* approach is inherently a poor approach, and
19 I think it's elegant, in many ways, but the problem is that -- I
20 see there being two main problems. One is that I don't think we've
21 ever felt satisfied that the variance in the PDF accurately, or
22 fully, reflects uncertainty, in most cases, and the second is that
23 we have this control rule that the tables to come up with our
24 estimates of P* are somewhat arbitrary, right, and, I mean, we as
25 a group -- Shannon and Joe Powers took the first cut at it, and we
26 as a group took their strawman and massaged it until we all felt,
27 you know, I guess -- We got it into as good shape as we could have
28 at the time.
29

30 That's what resulted in trying to come up with a way to estimate
31 what we thought the P* was and then apply that to the PDF, and the
32 problem -- So the problem is we're not really comfortable with
33 that table, and we don't think it actually does a perfect job, and
34 so maybe get away from this trying to quantify everything down to
35 that rigid detail, but instead come up with more of a categorical
36 approach.
37

38 Once we have the sigma, that informs the distribution, but, instead
39 of having to estimate a P*, and pretending like we can quantify
40 that, just come up with a high, medium, and low, right, and so
41 maybe a high P* would be like 0.45, which puts a lower buffer
42 between OFL and ABC, and a medium level is 0.4, and that's kind of
43 where most of our -- Somewhere between 0.4 and 0.3, and that's
44 where most of our analyses come out for Tier 1 stocks, stock
45 assessments, and then a low would be about 0.35.
46

47 You can actually, and I've already done it, go into the table here
48 and change the sigma values and see where that gets you, and,

1 interestingly, for a sigma of 0.4 and a P* of 0.45, the buffer is
2 5 percent. Well, that gets you back to about where Ralston said
3 it should be in his F 30 or F 40 percent -- Or reducing the FMSY
4 to 0.75 of FMSY to get you to your target.

5
6 Then the highest value, at three-times the sigma, is a 14 percent
7 buffer, and, again, that's in that top line, and so maybe those
8 are, you know, data-rich, very quantitative assessments, where we
9 think uncertainty is well captured, and then the lowest level, or
10 the highest buffer, you could get would be 40 percent, at 0.35,
11 and if sigma is .4.

12
13 Again, I think, instead of trying to pretend that we're accurately
14 quantifying what that uncertainty is to get to the P*, maybe just
15 come up with categories, however they end up being, and I just did
16 this to look at it really quickly, but it does offer us a way
17 forward, where we're using the data from the assessments, but we're
18 not pushing ourselves into -- You know, contorting ourselves into
19 trying to come up with quantitative estimates of what P* is, when
20 we don't really believe our table, or that we're capturing
21 everything.

22
23 **CHAIRMAN NANCE:** Steven Saul.

24
25 **DR. SAUL:** Thanks, Mr. Chair, and thanks, Will, for kind of
26 finishing my thought stream there. That categorical approach is
27 interesting, and I just wonder -- Yes, I agree, and I think the
28 PDFs are often more narrow than the actual uncertainty in the
29 assessments, and so I think, if we can find a way to combine, you
30 know, models, or some sort of more multi-model approach, that would
31 at least address that sort of model uncertainty, to some degree,
32 and maybe expand out those uncertainties, and, thus, the buffer to
33 something a little more realistic.

34
35 In your categorical kind of vision, Will, would -- I guess I'm
36 trying to get my head around it, because I'm used to like the sort
37 of continuous version, where you kind of get one number, and would
38 each category kind of a certain -- Were you saying that each
39 category would have like a percentage, or a probability, rather,
40 associated with it?

41
42 **DR. PATTERSON:** Yes, but it comes from the functions from the
43 Ralston paper, just applied to whatever the sigma is that comes
44 out of these assessments, you know, this, analysis, meta-analysis,
45 that Katie is embarking on, and so I just -- You know, I did it
46 with 0.4, and the original table is 0.36, from the Ralston
47 estimate, and you can see where it goes, but, instead of having
48 to, you know, calculate a P* to the second decimal place, just

1 have the categories and say 0.45, 0.4, 0.35, and so it's still
2 quantitative, and it relates back to that original function, those
3 original functions, but it does -- It assigns a percentage,
4 because, in the end, we're assigning a percentage.
5

6 **DR. SAUL:** Okay. Got you. That makes sense, and thanks, Katie,
7 for the hard work on this, and sorry that that was your Christmas
8 present.
9

10 **CHAIRMAN NANCE:** Luiz.
11

12 **DR. BARBIERI:** Thank you, Mr. Chairman. Will, to continue that
13 thought, because I agree with you that this is a good point of
14 discussion here, in terms of, you know, potentially using more
15 categorical, right, criteria to sort out our stocks, and I think
16 this would be the next step.
17

18 If we're going to apply the Ralston et al. approach, it involves
19 different levels of sigma, right, one, two, or three sigma, to
20 different stocks, depending on the amount of uncertainty that we
21 think is associated with that assessment, and so I just sent out,
22 to Jessica, for distribution to the committee, and I have talked
23 about this before, and this is by no means, you know, even close
24 to ready, but I'm just trying to discuss what criteria would we
25 use to start sorting out our stocks into different tiers, right,
26 because, even for what we consider our Tier 1, the model-derived,
27 right, reference points, with a quantitative assessment, we still
28 have assessments that are very different in the way that we think
29 uncertainty exists and is being properly captured.
30

31 Perhaps going to some of these other criteria, right, evaluating
32 different data inputs, the quality and availability of data inputs,
33 looking at the stock productivity metrics that are used, meaning
34 whether we can estimate an S-R relationship or not, and then, in
35 terms of the uncertainty, you know, other criteria there that we
36 could start developing, and start fleshing out, to then sort out
37 the levels of sigma that we want to assign.
38

39 A red snapper assessment would be in a different category than
40 perhaps scamp, or greater amberjack, even though, you know, they
41 are all coming out of assessments, quantitative assessments, and
42 is this the kind of stuff that you had in mind, Will?
43

44 **DR. PATTERSON:** Yes, and so, basically, you would have two axes,
45 right, and one would be the sigma value, as a multiplier of
46 whatever the estimate is, and let's just say it's 0.4, and then
47 you would have the other axis that, as the category of whatever we
48 would decide the P* value should be, and so I threw out a proposal

1 for 0.45, 0.4, and 0.35, and so you would have to, on one axis,
2 come up with a list of criteria for why you would have a multiplier
3 of one, 1.5, and two, and so, just in the preliminary analysis
4 that Katie has done, the highest multiplier, from the mean of those
5 data, or those estimates, is amberjack, which is twice the mean,
6 right, and so maybe we don't find any that are more than twice the
7 sigma of the mean, but then you would have to have criteria then
8 that would select the categories for P* of high, medium, and low.
9

10 Ideally, we would keep this as simple as possible, and so we could
11 easily look at information and narrow-in, zero-in, very quickly on
12 which category -- If it was a three-by-three matrix, you know,
13 that would be, I think, fairly easy to accomplish.
14

15 **CHAIRMAN NANCE:** Okay. Shannon.
16

17 **DR. SHANNON CALAY:** Thanks, and so I like the way this conversation
18 is headed. I did want to agree with Will that, you know, we're
19 calling it P*, but P* is effectively the probability of overfishing
20 that the council is willing to accept, and so we really ought to
21 be calling this sigma min, or the scientific uncertainty, and the
22 level -- You know, if we want to say -- What we were formally
23 calling 0.4, or 0.45, for example, those can all be converted
24 directly to multipliers, as Will was saying.
25

26 I did also want to bring up that, in the U.S. Caribbean, they're
27 operating right now with a four-tiered control rule, and the first
28 three tier are for data-rich, data-moderate, and data-limited
29 stock assessments, and they have criteria for classification of
30 the stock assessment, and they basically just expand the sigma
31 min, and so, for data-rich, they're using a sigma min of 0.5, which
32 is informed by Privitera-Johnson and Punt, and then they're
33 expanding upon that sigma min as the tier -- As the quality of the
34 data are reduced. In data-moderate, it's 1.5-times sigma min,
35 and, in data-poor, it's two-times sigma min.
36

37 You know, I think that what you're talking about is consistent to
38 the kind of direction that the Center supported in the Caribbean
39 as well, but, you know, I do want to point out that, from the
40 Center's perspective, there is value in divorcing the terminology
41 of "P*" from "sigma min", because P*, under Magnuson, is really in
42 the purview of the council, and it is intended to be their accepted
43 risk of overfishing, rather than scientific uncertainty.
44

45 **CHAIRMAN NANCE:** Luiz.
46

47 **DR. BARBIERI:** Right, Shannon, and, to that point, right, I mean,
48 we could work with the council, right? No?

1
2 **DR. CALAY:** Yes. I mean --
3
4 **DR. BARBIERI:** Sorry, Shannon, and there is some group dynamics
5 here in the room that are disturbing me.
6
7 **DR. CALAY:** I'm sorry. I can't tell who you're talking to.
8
9 **DR. BARBIERI:** I'm sorry. We are joking with each other here, but
10 I think that we could work with the council, in terms of
11 identifying what they believe is an acceptable risk of overfishing.
12 I mean, this is what the Pacific Council did, like working with
13 their Science Centers there, was really identify what they accept
14 as a reasonable probability of overfishing to determine a P^* .
15
16 With that being determined, right, in the case of the Pacific,
17 it's 40 percent, right, and so then, really, when you apply the
18 Ralston method, because you're using different values of sigma
19 now, right, you're using different-sized buffers associated with
20 that same probability of overfishing, but generating different
21 values of ABC that I scaled by the uncertainty in the data for
22 different stocks.
23
24 **DR. CALAY:** May I respond?
25
26 **CHAIRMAN NANCE:** Yes, please.
27
28 **DR. CALAY:** Thank you. Yes, it's the combination of P^* and sigma
29 min that determines the size of that buffer, and, essentially,
30 what we did in the Caribbean, most recently, is have that
31 conversation, essentially, with their council about appropriate
32 ranges for P^* , and so we made a gentleman's agreement with that
33 council, for example, that they would not set P^* at 0.5, because,
34 although that is legal under Magnuson, it produces no buffer, and
35 so it's not realistic. It's biologically implausible that there
36 would be no scientific uncertainty.
37
38 The kind of advice that we then give to the council, in the
39 Caribbean, is an SSC recommendation about the boundaries of
40 appropriate P^* s, and a table that shows the OFL and the ABC that
41 are obtained from the stock assessment under that P^* , and the sigma
42 min that is -- That tier's sigma min, right, and so, if it's Tier
43 3, it's sigma min one, essentially, and so that's the table we put
44 together that goes to the council, and so it is absolutely a
45 cooperation between the Science Center, the SSC, and the council.
46
47 **DR. BARBIERI:** Thank you, Shannon. That makes perfect sense.
48

1 **CHAIRMAN NANCE:** Will.
2
3 **DR. PATTERSON:** Thank you, Mr. Chair. When we developed the
4 control rule, didn't we have that discussion with the council, and
5 the range was 0.3 to 0.5 for the risk, and so that's kind of been
6 set already, I think.
7
8 **MR. RINDONE:** That's what's in the table right now, is 0.3 to 0.5.
9
10 **CHAIRMAN NANCE:** It certainly could be re-discussed though. I am
11 trying to wrap my head around -- You would have a sigma min for
12 each group of assessments, right, and then the other would be then
13 the multipliers out for each assessment from that group, and so
14 the snapper complex would have a different -- In theory, a
15 different sigma min than the coastal pelagics, those types of
16 things. Katie.
17
18 **DR. SIEGFRIED:** You can tell me if I'm getting in the weeds, Will,
19 but what comes to mind, when I think of what you're proposing, is
20 where the cutoff is between each category, because, if you look at
21 Slide 14 of what I presented, it's from 0.72 to, you know, under
22 10 percent, although I would pull vermilion out until I can convert
23 it to weight, but the Ralston analysis has -- I am just looking at
24 it, and the categories -- In that multiplier Excel spreadsheet
25 that Shannon provided, the categories are 0.36 and then 0.54 and
26 then 0.72, and so we would actually have, potentially, three
27 different categories for the six species that I showed, but how
28 would we separate those categories, based on the Southeast stocks?
29 Do you have any ideas about that?
30
31 **DR. PATTERSON:** No, and I haven't gotten that far in thinking about
32 it, but I don't think we have to relate back to the empirical data,
33 when trying to say where a stock is in the table, right, and I
34 would see this as just generating the range of values estimated
35 among the assessments in the Gulf, and then, once we have that --
36 I mean, we can kind of look at this and see, you know, cobia and
37 amberjack, the type of assessments and the type of data quality
38 and quantity that exist for those, versus red snapper.
39
40 I mean, vermilion is kind of an outlier here, and we've already
41 talked about that, but, you know, the question is -- For something
42 like red snapper, this shows that maybe half sigma should possibly
43 be, you know, a possibility in the table, if sigma ends up being
44 around 0.4.
45
46 **CHAIRMAN NANCE:** So, Will, what you're looking at is sigma min for
47 one value for the entire Gulf stocks? No?
48

1 **DR. PATTERSON:** Yes, one median value for the entire Gulf stocks
2 as sigma, but then, when you do an assessment, you would pick a
3 multiplier that is, you know, either integer values, or 0.5
4 increments, that gets you to sigma, and then you have then the
5 vertical would be where you are in the probability of F exceeding
6 FMSY, to take Shannon's cue not to say P* anymore.

7
8 You would have -- You know, 50 percent would be OFL equals ABC,
9 and then 45 percent, 30 -- 40 percent and 35 percent, maybe, as
10 the categories, or maybe we choose something different, but,
11 anyway, that's just a thought.

12
13 **CHAIRMAN NANCE:** Thank you. Luiz.

14
15 **DR. BARBIERI:** Well, then we would look at the criteria, right,
16 and so each assessment that comes to us is just like -- For example,
17 we just saw an example between SEDAR 51 and SEDAR 75, and, I mean,
18 those two assessments, for the same species, over different
19 timeframes, generated very different amounts of uncertainty, just
20 because of data availability and perhaps how the analysis was
21 conducted for both, right, and so we would go -- The same way as
22 before, and we would go to our ABC Control Rule and put stocks
23 into specific tier there, right, the tiers and dimensions in our
24 existing control rule.

25
26 We would go to that checklist and say, do we have an estimated
27 stock-recruitment relationship, so we can directly estimate MSY,
28 yes or no, I mean, because recruitment is such an important
29 component within the assessment, knowing -- You know, having a
30 good relationship between stock and recruitment is very, very
31 important. If we don't, it falls into a different tier, right,
32 and we're using a proxy for fixing steepness, and so, likewise, we
33 would look at all the data availability.

34
35 I mean, we would have just a checklist of things that we go through
36 that would come up with putting them in different groups, and each
37 group will have a multiplier, as Will suggested, to multiply the
38 sigma min.

39
40 **CHAIRMAN NANCE:** Any other input from the SSC, as a body? Where
41 do we want to -- Do we want to give any new directions to the
42 Center, as far as what they're contemplating doing? It looks like
43 they're going forward with this, and do we have any changes that
44 we would like to see in what they're proposing to do?

45
46 **DR. BARBIERI:** Well, I will say something.

47
48 **CHAIRMAN NANCE:** Okay. Luiz.

1
2 **DR. BARBIERI:** Well, no, I don't have anything -- I mean, I just
3 want to thank Katie, Shannon, and the Center for putting this
4 together, and I think this was a very good discussion, and I think
5 that they have moved forward with the application of the Ralston
6 approach for us and given us now much more, you know, information
7 on the potential values of sigma that we could have for our region.
8

9 I mean, this is always a question for us, when we're talking about
10 potentially using Ralston, is 0.36 a reasonable value for us to
11 use or not, you know, and now we have our own values for our
12 region, and that's a big step forward, I think, already. You know,
13 if this can be, over time, extended into the Privitera-Johnson and
14 Punt analysis, that would be even better, but then I think what
15 they've been putting together is giving us now more tools to start
16 structuring our own control rule based on the different approaches
17 that we may decide that we want to use.
18

19 **CHAIRMAN NANCE:** Harry.
20

21 **MR. BLANCHET:** Thank you, and I did have those prior comments
22 regarding what might be more appropriate, given the changes that
23 we've seen in the MRIP data over time, that the west coast doesn't
24 have to deal with that kind of a change, and just to consider which
25 of that is appropriate to be considered as part of changes in
26 assessment versus parts of changes in currency, and I will leave
27 it that, and so that's just me, and that's not the SSC.
28

29 **CHAIRMAN NANCE:** Thank you, Harry. Katie.
30

31 **DR. SIEGFRIED:** Just to share with the SSC that the intention --
32 In the Privitera-Johnson and Punt paper, there is Table 5, and I
33 couldn't find where in the briefing book this paper was, or if it
34 was a previous briefing book, but this Table 5 of the paper --
35 What Kristin and I will do is try to recreate this paper with a
36 projection-based approach, and there's deterministic and
37 stochastic, with different projection timelines, with OFL or the
38 spawning biomass projections.
39

40 I will finish up the assessment mining, complete the Ralston
41 analysis, and write-up a report, similar to this paper, and maybe
42 I could write a paper, that contains, you know, our historic
43 biomass approach, so that we could get something that's like a
44 Gulf sigma min. Of course, you all would continue to discuss that,
45 whether you would want to adopt a Gulf sigma min or whether you
46 wanted some finer scale on it, you know species-by-species, by
47 grouping, but one of the things, and this was just me, and I didn't
48 know if it was appropriate, was the calculation of each method

1 from 1981, versus 1993, on.

2
3 I see that a lot, in the assessments, where we see a big change in
4 the data quality there, and so it was just my intuition that there
5 would be a reduction of uncertainty in the 1993 on time period,
6 and is that valuable? Do you want to see both? Do you think it
7 should just be one?

8
9 **CHAIRMAN NANCE:** I like it being presented.

10
11 **DR. SIEGFRIED:** Okay.

12
13 **CHAIRMAN NANCE:** Because I think it gives a good avenue of having
14 all the data and then having where we consider it more appropriate
15 data, those types of things, and you can see that it doesn't change
16 a lot, and coastal pelagics is the same, and it's interesting that
17 totals got worse, the better the data, but, you know, those types
18 of things, and so, anyway, I liked it.

19
20 **DR. SIEGFRIED:** Okay. We can continue that approach, and so that's
21 the plan, and I know March is full, which doesn't hurt my feelings,
22 but I can work with Ryan on when to finish this and present.

23
24 **MR. RINDONE:** We're going to have a special meeting in February.

25
26 **DR. SIEGFRIED:** I am going to be on vacation.

27
28 **MR. RINDONE:** Francesca, guess what? No, but, right now, I have
29 it on the May agenda, and so, right now, it's looking like the
30 week of May 1, sometime in there.

31
32 **CHAIRMAN NANCE:** Doug, please.

33
34 **MR. GREGORY:** Thank you. I'm a little surprised that you went
35 back to 1981, and what assessment did you find, because we didn't
36 start getting dockside data until 1985, and our first assessment,
37 I thought, was red snapper in 1986, and so I'm very questionable
38 about any method that goes back to 1981. The data, the
39 recreational data, go back to 1981, and the commercial data goes
40 back further, but the stock assessments don't, as far as I can
41 remember, and I may be getting senile, because that was a long
42 time ago, but I came onboard in 1984, and king mackerel was the
43 only assessment that had been done at that point in time, I think.

44
45 **DR. SIEGFRIED:** Sorry, Doug, and I was having a slight side
46 conversation, and so I might have missed a little of what you said,
47 but a lot of our assessments go back to 1950, at least, which, on
48 Slide 6 of my presentation, shows the two cobia, two amberjack,

1 and two gray snapper that go back at least that far, and I think
2 cobia and gray snapper actually go back to 1945, but I agree that
3 the data are not -- I didn't calculate the uncertainty all the way
4 back, which is not the way that Ralston put it forward.

5
6 I did calculate the 1981 on, and the 1993 on, because I knew -- I
7 mean, I was thinking of when data came onboard, and so, of course,
8 we have our MRIP come onboard, and our commercial is already
9 available, and so that's the first time period where we have
10 landings reported for all of our major fleets, and then 1993 I
11 thought would be discards, and some of our compositions become
12 better, but that's why I brought it up, is it's -- We're open for
13 interpretation, but our assessments definitely go back that far,
14 and I was just thinking of when data --

15
16 **CHAIRMAN NANCE:** It's not when the assessment was done.

17
18 **MR. GREGORY:** Yes, exactly.

19
20 **CHAIRMAN NANCE:** It's what data was used in the assessment.

21
22 **DR. SIEGFRIED:** That's right. It's the time series in the
23 assessment.

24
25 **CHAIRMAN NANCE:** So it's not when it was done, Doug. It's not an
26 assessment done in 1981, but it's the data that's being used in
27 that assessment.

28
29 **MR. GREGORY:** I see now. I certainly wouldn't have much confidence
30 in the estimates of biomass going back in the 1950s and 1960s and
31 1970s, based on the assessments done in 1986 and 1990 and onward,
32 but that's just me. Okay. Thank you.

33
34 **CHAIRMAN NANCE:** You're welcome, and thanks for bringing that up.
35 Katie.

36
37 **DR. SIEGFRIED:** Yes, and that's why I focused on 1981 on, and I
38 have the same feeling that Doug did about that, and I am happy to
39 report both ways. We can also consider, when we do the projection
40 approach, which years we project from, because, if I go back to
41 even more assessments that have terminal years say before 2010,
42 we'll have to reconsider which projection years we use, but I will
43 show that when I have completed the analysis.

44
45 **MR. GREGORY:** I apologize for misunderstanding it, and I really
46 appreciate all the work that the Center does, and the assessments
47 are tremendous, and this effort has been tremendous as well, and
48 I don't envy what you're trying to do.

1
2 **DR. SIEGFRIED:** Thanks, Doug.
3

4 **CHAIRMAN NANCE:** Katie, thank you for being here and presenting
5 that. I can't think of anything, for this meeting, unless someone
6 has a way to move forward on things, but I want to have -- To
7 continue with this analysis, and so I think, in May, when we see
8 the other part -- Please be thinking of, once we see that, how we
9 can incorporate those sigma values into what we're trying to do
10 for our ABC Control Rule.
11

12 I think we're certainly making progress on it, and it's
13 interesting, Will, what you pointed out. I mean, they're all kind
14 of gathering around the same point, and we kind of need to explore
15 that, and is it like M equals 0.2? I mean, we don't want to go
16 there, but we want to stay with looking at these assessments and
17 being able to come up with some good values, and so thank you.
18

19 Now, young man, I think we can go -- Should we go to red grouper?
20 Do we have time for that? I am just trying to think of -- We've
21 got about forty-five minutes left, but do we want to move on to -
22 - I don't want to do any calibration today, and I was thinking
23 about having Trevor do his, but -- I'm just kidding. I want to do
24 all the calibrations together, and I think that's the more
25 appropriate way to do it, and so, tomorrow, we're going to do
26 calibrations. We have the -- Let's see, we have the red grouper
27 interim analysis and projections, and we can probably do that.
28 Let's go ahead and do that, and then we can have public comment
29 after that. We may not get done, but --
30

31 **DR. SIEGFRIED:** I can speak really quickly, too.
32

33 **CHAIRMAN NANCE:** I think go ahead.
34

35 **DR. SIEGFRIED:** I think it will be just fine to present, and, if
36 there's discussion, that might need to be at another time, but
37 Skyler has put together a nice presentation that you've all seen
38 a version of, and so I think it will actually be pretty quick.
39

40 **CHAIRMAN NANCE:** I think that's what we'll do, and, if we go over,
41 if we have to do some more discussion later, that's great, but I
42 think let's do the presentation. Ryan, if you could give us the
43 scope of work for the red grouper, please.
44

45 **REVIEW OF GULF RED GROUPER INTERIM ANALYSIS AND PROJECTIONS**
46

47 **MR. RINDONE:** Katie is going to speak real fast about red grouper,
48 Mr. Chair. We've been having these interim analyses come annually,

1 from the Science Center, about red grouper. The last one was kind
2 of a health check. The one before that, you guys recommended
3 updated catch advice to the council. The catch limit were
4 subsequently increased, following the 2021 interim analysis.
5 Things for the red grouper stock have generally been looking like
6 they've been improving since SEDAR 61, and Katie will detail what
7 things look like at the moment.

8
9 **CHAIRMAN NANCE:** Okay.

10
11 **DR. SIEGFRIED:** I did want to mention something that one of our
12 researchers brought to my attention about the ongoing impacts of
13 the 2020 red tide, and I just want to read this, really quick.
14 The short version is that, from the Research Vessel Walton Smith
15 cruises in October and December off of southwest Florida, there
16 was no evidence of a hypoxia, and they did observe some fish kills,
17 but smaller fish, and not in great quantities.

18
19 One of the collaborators just sent back some sampling, just off of
20 Sanibel-Captiva, from January 8, and they did not observe any
21 hypoxia, several miles off the beach. That's just to provide more
22 information about what sort of is out there on the water about the
23 2022 red tide.

24
25 For the -- The last time that I -- I think I went over this for
26 Skyler too, when she was on leave, and the catch advice was
27 adjusted in 2021, and I went over it in 2022, when it was a health
28 check. In 2021, it was adjusted, using the index-based harvest
29 control rule and a three-year moving average of the NMFS bottom
30 longline survey index of abundance.

31
32 There was a reduced spatial area index used to reflect the survey
33 coverage in 2020, and then the framework action set the ABC to
34 4.96 million pounds. In 2022, we just used it as a health check,
35 and we did not propose adjusted catch advice.

36
37 For this analysis, we are producing the actual catch advice, rather
38 than just using it as a health check, because Ryan said so. It's
39 adjusted using the index-based harvest control rule, and she
40 presents here both a three and a five-year moving average of that
41 survey, which is standard when we're providing you with this
42 information, so that the SSC can make a decision of which moving
43 average to use, and there's the recent mean index, in the left-
44 blue box, and then on the right is the reference mean index, and
45 so this is looking at the ratio of the recent years to the reference
46 time period, when that average is taken.

47
48 The reference year is set to 2018, and this is the first year

1 following the terminal year of the assessment, and, in that
2 reference year, it's 5.57 million pounds gutted weight is the
3 calculated reference catch.

4
5 The updated bottom longline index is on the next slide, and the
6 index is shown for the entire eastern Gulf, and the red line is
7 our -- It's the SEDAR 61 standard index, and then the blue is the
8 updated, and I believe Adam Pollock provides this, and thank you,
9 and the index update. The reduced spatial coverage, in 2020, led
10 to more optimistic index values being developed. When the entire
11 sampled area was provided, the higher abundance in 2021 is evident,
12 but it drops in 2022.

13
14 If the ABC is adjusted using a three-year average, and this is
15 what Skyler has produced for you here, and this average is
16 excluding 2020, and so you have your index reference value, which
17 is 0.6, in comparison to the recent year and the ratio, and you
18 can see the two lines, either dashed, dotted, or solid, that show
19 that three-year reference, or recent index values, and that's,
20 again, excluding 2020, and so that value, in reference to your
21 Cref, is 6.58, or 6.45 million pounds gutted weight if you exclude
22 2020 from the recent mean, which is what's recommended.

23
24 This is the same calculations as on the previous slide, but using
25 the five-year average, and so it's based on -- You've all talked
26 about this before, but it's just based on how long of an index
27 average you want to take into account when comparing it to the
28 recent values, and so, if you take a five-year average, the
29 adjusted catch goes to 5.75 million pounds gutted weight, or 5.49
30 if you exclude 2020 from the recent mean.

31
32 She has just summarized it here for you, and the decisions that
33 are needed are whether you are going to recommend a three or five-
34 year recent average and then whether to include or exclude that
35 2020 value in the recent mean, and here's the matrix of
36 possibilities, based on your two decision points.

37
38 When she created this presentation, this is what was available,
39 that there is an unknown impact of the ongoing 2022 red tide, and
40 the information that I just got today is from the water that says
41 they didn't capture any hypoxia offshore, and so I would infer,
42 you know, that there's not a big need to take into account a strong
43 2022 red tide from that, but, you know, we have Dave, and others,
44 here that are very involved in that modeling, and so there could
45 be more of a discussion, but this is in your presentation, if you
46 wanted to take a look at what Skyler posted here for you, on the
47 FWC website, and they're updated frequently.

48

1 We always to tell you that we would like to do MSEs for all of
2 these species, so that we think our interims are ground-truthed
3 and tested, and we would like to do that as we have time, and that
4 effort could be used to compare harvest control rules that best
5 achieve your council's management goals.

6
7 We would like to design, or could potentially design, a multitude
8 of harvest control rules, with stakeholder input, for that MSE and
9 then test the combinations of indices and harvest controls to
10 optimize -- To identify optimum harvest control rules based on the
11 index, and I think that's it for you, and so, if you want to go
12 back to Slide -- The matrix. This is the summary of the decision
13 points that you have and then the catch advice, based on what
14 decisions you make. Thank you.

15
16 **CHAIRMAN NANCE:** Thank you. I always look forward to the red
17 grouper interim assessments, and I'm glad we're doing it that way.
18 Anyway, I spent some time looking at this, and it looks like, from
19 2014, it just kind of bounces back and forth along that average,
20 and so you have some higher, and some lower, but nothing really
21 out of the bounds, and so, from my thinking, I would think a five-
22 year average would be a lot better representation of the long-term
23 of what this species is being fished at, as opposed to the last
24 couple of years, which gives, I think, a different kind of picture,
25 but that's my own -- When I was looking at that. David.

26
27 **DR. GRIFFITH:** Thank you, Mr. Chair. The IFQ went in in 2010,
28 right, and so what happened right after the IFQ went in there?
29 Can you tell me that?

30
31 **DR. SIEGFRIED:** This is -- I haven't gone through that hypothesis
32 in my brain, but this is going to be from the bottom longline, and
33 so you're asking why it is high in 2011, and drops a little in
34 2012, and then drops precipitously in the following year, and I'm
35 not sure. I would have to look into that a little bit and answer
36 you. Does anybody else know that was part of the red grouper
37 assessment process?

38
39 **MR. GREGORY:** Mr. Chair, can I speak on that?

40
41 **CHAIRMAN NANCE:** Yes. Doug, please.

42
43 **MR. GREGORY:** I think that coincides with the discussions about
44 closing the longline fishery offshore, due to turtle bycatch, and
45 I don't know when that went into effect, if that was 2011 or 2012,
46 and I don't know why that would cause a big increase in catches,
47 unless it was because the fishermen saw something coming and they
48 went out and it increased their effort, but I doubt there's data

1 to that effect, but that's the only thing I can think of that
2 happened along those times, other than the Deepwater Horizon, which
3 I wouldn't think would have that effect, unless it aggregated the
4 fish in some way. Thank you.

5
6 **CHAIRMAN NANCE:** I don't know. John, did you have anything on
7 that?

8
9 **DR. FROESCHKE:** Not on that, but something else.

10
11 **CHAIRMAN NANCE:** Okay. Go ahead then, John.

12
13 **DR. FROESCHKE:** A couple of questions. On the three-year averages
14 for the ABC, those values are above what is the current OFL, and
15 so, if we were to go with that, would we need OFL recommendations
16 as well, and is that something that can be done quite quickly?

17
18 **DR. SIEGFRIED:** We haven't produced those for interim, but --

19
20 **DR. FROESCHKE:** We did last time.

21
22 **DR. SIEGFRIED:** Can I just get back to you, so that I don't misspeak
23 for Skyler? Thank you.

24
25 **DR. FROESCHKE:** Yes, and I was just asking, because, the last
26 framework action we did, we actually did raise the OFL and the
27 ABC.

28
29 **DR. SIEGFRIED:** I don't think it's a problem, but I just don't
30 want to speak for Skyler.

31
32 **DR. FROESCHKE:** Okay, and then just a comment. The only thing
33 that stuck out to me, looking at the landings, or the indexes, is
34 the terminal year is actually below what the value of the terminal
35 year of the assessment, and so I would be curious to see, if you
36 apply like a three-year average, beginning at the 2018, 2017, and
37 2016, when we sort of have a good idea of what the biomass was, if
38 it's below what we think it is now, based on those averages, and
39 I suspect it might be.

40
41 **DR. SIEGFRIED:** So taking the average period back to actual years
42 of data, instead of just the terminal year extended?

43
44 **DR. FROESCHKE:** Yes, and just if you sort of applied the same sort
45 of interim analysis to the last three years of the index value
46 when you did an assessment, and it kind of just struck me that if
47 we would be raising catch in a period when it seems like the index
48 value alone is below the period of which we thought that the stock

1 was not, you know, in particularly good shape.
2
3 **DR. SIEGFRIED:** That's a good reason to use a longer-term average,
4 potentially.
5
6 **CHAIRMAN NANCE:** Okay. Let's go back to that one table below,
7 Jessica. There we go. Any recommendations? I would like to hear
8 -- We need to discuss whether we want to go with a three-year or
9 five-year average and whether we want to have 2020 included or not
10 included. Is there discussion on those? Luiz, please.
11
12 **DR. BARBIERI:** Just to get the conversation started, and thank
13 you, Mr. Chairman. I mean, reading through the documentation, the
14 paper on this, and then listening to the presentation, I do feel
15 that there is enough justification to not use 2020, just because,
16 when you look at the distributional range of red grouper landings
17 over time, you know, 2020 missed a big portion of that. I mean,
18 whether -- It's still picking up the signal, in terms of index of
19 abundance or not, but a big chunk of the area wasn't covered in
20 2020, and so, to me, removing 2020 makes sense.
21
22 Just because it's an interim analysis, you know, I feel that using
23 the three-year recent average is more reflective of recent trends,
24 which is what we're trying to do here, is adjust catch advice for
25 recent trends in between assessments.
26
27 **CHAIRMAN NANCE:** Roy.
28
29 **DR. CRABTREE:** Katie, I'm sure you said this, and I missed it,
30 but, if you exclude the 2020 value, then what years are used in
31 say the three-year? Do you replace it with another year, or --
32
33 **DR. SIEGFRIED:** I would have to double-check in her document, but
34 it just says "excluded", and it doesn't say it goes back to --
35
36 **DR. CRABTREE:** So it would really just be a two-year average.
37
38 **DR. SIEGFRIED:** I need to check the document, just in case I'm
39 wrong.
40
41 **CHAIRMAN NANCE:** It looks like, for the three-year average, it's
42 simply 2021 and 2022, whereas the other one is -- Then the other
43 one is -- I'm not sure where they start on it, but 2016 is --
44
45 **DR. CRABTREE:** Anyway, it would then be really a two-year average,
46 I guess, and I kind of had the same thought as Luiz, that, with
47 the interim assessments, we're trying to get the most recent view
48 of what's going on, and that would lean towards the three-year

1 average, but I don't have -- Then, if you -- When you drop 2020,
2 if you replace it with 2019, then you would be back to averaging
3 three years, and that would pull it down, because 2019 looks like
4 it was lower, but I'm not suggesting that we do that.

5
6 **CHAIRMAN NANCE:** Doug.

7
8 **MR. GREGORY:** Thank you. It would be nice to know if 2019 is a
9 part of that three-year average, if you drop 2020, because that's
10 important. I agree with what was said about using the most recent
11 years, because what we're looking at is a moving average. If we're
12 going to have an interim analysis every year, unless there's an
13 anomalous situation, like we had with 2020, a five-year average is
14 not going to change much from year to year, which begs the question
15 of why we're doing interims every year, and so that, to me, argues
16 for a more recent average.

17
18 Then we run into the OFL question, and I'm still bothered by the
19 interim analysis projecting ABC, rather than projecting OFL, and
20 it certainly simplifies things for us, and we don't have to argue
21 about what the uncertainty is, but, to me, that's the appropriate
22 way to go, and the only other comment I will make is that it would
23 be nice to see arrow bars on those indices, so that we don't get
24 misled into a one-year reduction, or increase, and they're probably
25 not any different, significantly, at all, like Dr. Nance said in
26 the beginning of this whole conversation. Those five years look
27 like an average, and it's all the same, and there is very little
28 variability there. Thank you.

29
30 **CHAIRMAN NANCE:** Thank you, Doug. Ryan, please.

31
32 **MR. RINDONE:** In the report, in Table 2b, Skyler talks about the
33 values that are used, and so she says that, when 2020 is excluded,
34 the recent index value was the average of the index values for
35 2021 and 2022, for what is represented as the three-year average,
36 or 2018 and 2019 and 2021 and 2022 for the five-year average.

37
38 **CHAIRMAN NANCE:** Ryan is very fast on these things, and so,
39 basically, the five-year average -- If you exclude 2020, it's a
40 four-year average, and the three-year average, if you exclude 2020,
41 becomes a two-year average, but I am being swayed more towards the
42 more recent time period, because it's -- You know, if we're looking
43 at this interim analysis as we're going it every year, and we're
44 able to make decisions based on the most current timeframe, and
45 so, instead of looking at the five-year, the three-year looks from
46 a standpoint of what's happening, for me now. Steven.

47
48 **DR. SCYPHERS:** Thank you, Mr. Chair. I'm not falling on one side

1 very strongly either way yet, but I did appreciate some of the
2 discussion, towards the end of the document, that talked about
3 that stakeholders want stability, and it kind of leans towards the
4 five-year average as buffering against dramatic swings one way or
5 the other, and so to make the case that stakeholders really don't
6 want shifts more than 20 percent in one way, and, if I'm
7 interpreting it right, it seems like the five, or the five minus
8 one, or four, would buffer against that more, and so that makes me
9 lean a little bit more towards the longer time series.

10
11 **CHAIRMAN NANCE:** Thank you. David.

12
13 **DR. CHAGARIS:** Thank you. I guess Doug's comment about error bars
14 kind of made me think about something else, and so, if we had these
15 error bars up there, and there's no significant change in the
16 index, should we be adjusting the catch at all? I mean, should we
17 have some option, in this interim analysis, to say no change
18 required? It's sort of rhetorical, but -- It kind of complements
19 what Steven just said, as far as stability, and we don't
20 necessarily need to chase every little up and down in the index,
21 I don't think.

22
23 **CHAIRMAN NANCE:** So we have the opportunity to do that. Like
24 you're saying, we don't have to. Roy.

25
26 **DR. CRABTREE:** You know, the idea of stakeholders want stability
27 in the fishery and all that, that is fine, but, to me, that's a
28 decision for the council to make. That's a management call, and
29 ours is to give the council here's the assessment analysis we got,
30 and here's what it shows, and you can raise it up to this if you
31 want to, and the council can choose to leave it alone, or they
32 could choose to go lower, for the sake of stability, but I don't
33 really feel like that's a science call, so much.

34
35 **CHAIRMAN NANCE:** Thank you, Roy. Luiz, please.

36
37 **DR. BARBIERI:** Well, then, to that point too, which I understand,
38 right, that stakeholders would like to have more stability, and,
39 well, then why ask the Center to put time into doing interim
40 analyses, just to wait until the next assessment?

41
42 If the council is asking for this interim analysis, to be able to
43 update catch advice -- I mean, it's counterintuitive that that
44 would go with the stability, and then another comment, real fast,
45 is like, if we do have -- For the Cref, if we have a multiplier
46 that uses the two-year average, right, how are we estimating the
47 Yref, the reference year? It looks like that's just the year 2017
48 value. Is that right, Katie? Is that correct?

1
2 **DR. SIEGFRIED:** Isn't it 2018? Let me look.
3
4 **DR. BARBIERI:** It's page 3 of the presentation, on the bottom.
5 The question is there's a reference year, right, and --
6
7 **MR. RINDONE:** So it's 2017 to 2019 for the three-year period and
8 2015 to 2019 for the five-year period.
9
10 **DR. BARBIERI:** Okay, and so the Cref is -- That's the value that's
11 coming out --
12
13 **MR. RINDONE:** Based on 2018, following the terminal year of the
14 model.
15
16 **DR. BARBIERI:** Of the assessment, right, and so that value is
17 unchanged.
18
19 **CHAIRMAN NANCE:** That's correct.
20
21 **DR. BARBIERI:** It represents that one value.
22
23 **MR. RINDONE:** Right.
24
25 **CHAIRMAN NANCE:** It's reference value.
26
27 **DR. BARBIERI:** Right, and so what I'm saying is like we don't know
28 what the actual uncertainty with that value is, right, explicitly.
29
30 **CHAIRMAN NANCE:** What now?
31
32 **DR. BARBIERI:** To me -- Here's the point. To me, whether we have
33 three years, or two years, for the average, it wouldn't make much
34 of a difference.
35
36 **CHAIRMAN NANCE:** If you're comparing it to the reference value.
37
38 **MR. RINDONE:** Not to the reference value, no.
39
40 **CHAIRMAN NANCE:** The reference value is -- That's unchanged, and
41 it's what was -- Basically, it's 2018, 2017, forward, and so --
42
43 **DR. BARBIERI:** I understand, but I'm just trying to discuss like
44 our idea of whether, you know, an average of two is so much more
45 inferior than an average of three numbers.
46
47 **MR. RINDONE:** Not with respect to the reference. The reference
48 value is not influenced by the inclusion or exclusion of 2020 in

1 the projected value.
2
3 **DR. BARBIERI:** No, and I understand that, and it represents one
4 value.
5
6 **CHAIRMAN NANCE:** No. I think it's --
7
8 **DR. BARBIERI:** It is one value. It is one number, and so,
9 statistically, there is no mean, and there is no standard
10 deviation, and it's one observation, right?
11
12 **CHAIRMAN NANCE:** Okay. Katie.
13
14 **DR. SIEGFRIED:** You could consider that, the further away you get
15 from the terminal year, the longer average you might want to
16 consider, because you're not -- There's been more time between the
17 terminal year and this last year of the index that you're using to
18 monitor the stock, and so there could have been some adjustments
19 in there that the reference point may not have taken into account,
20 and we don't want to propose doing interims for a really, really
21 long time in between assessments.
22
23 Then the other point that I was going to make is I think, instead
24 of whether it's inferior or not, the two versus three years, I
25 think it's how quickly, or how much, you want to respond to the
26 movement of the index, and so, if it's two years, then you're going
27 to be more touchy with how much you're responding to it, and you're
28 going to take into account fewer years to respond to, and so it
29 could be quite a big change from the reference, as opposed to a
30 longer timeframe that you're taking an average.
31
32 **DR. BARBIERI:** I completely agree, but the issue here is then to
33 discuss why are we conducting -- We're committing Center resources,
34 valuable Center resources, towards updating and providing what's
35 called an interim assessment, which is supposed to be responsive
36 to short-term adjustments to catch advice in between assessments,
37 so that we know that there is a whole variety of uncertainties
38 that we're not being able to account for, because it's index-based
39 catch advice.
40
41 **CHAIRMAN NANCE:** Let me throw this out there, Luiz. The catch
42 reference of 5.57 is the average of 2016, 2017, and 2018, three
43 years, and so it's not just one point.
44
45 **DR. BARBIERI:** I see. I missed that.
46
47 **CHAIRMAN NANCE:** That's what I'm looking at, is in the -- If you
48 look at -- Can you bring up, on the presentation, Jessica, adjust

1 ABC using three-year average, and see the line? So it's 2016,
2 2017, and 2018, against 2020, 2021, and 2022. That's what I am
3 looking at. Is that correct, Katie?
4

5 **DR. SIEGFRIED:** The Cref, I -- The Cref is going to be based on -
6 - I don't see the 2016, 2017, and 2018. The terminal year of the
7 assessment is 2017, and so I think the first year of calculated,
8 based on the index, is 2018, and I don't know about the average,
9 and I will have to look.
10

11 **MR. RINDONE:** Cref is not the ABC.
12

13 **DR. SIEGFRIED:** Cref is not based on multiple years. It was the
14 ABC estimate out of all of the initial work.
15

16 **CHAIRMAN NANCE:** Okay. I stand corrected, and I'm sorry.
17

18 **DR. BARBIERI:** Just to put a final -- I mean, I'm not trying to
19 shoot down the methodology. I mean, this is supposed to be, you
20 know, an easy way to use an index-based approach to update -- I am
21 just saying that, sometimes, we get into these long discussions,
22 right, about detailed statistical rigor about data that's already
23 set up, and a methodology that's already fairly coarse, right, and
24 it's not really getting to that level of detail, in my view.
25

26 **CHAIRMAN NANCE:** Ryan, please.
27

28 **MR. RINDONE:** To that point, the council requested these annual
29 interim analyses after SEDAR 61, when red grouper came by in not
30 so great shape, like almost bad shape, and knowing that red grouper
31 is particularly susceptible to episodic mortality from red tide,
32 and so that's why you guys continually see these things, is it's
33 a standing council request.
34

35 If you guys don't think that these are useful, you can certainly
36 recommend, after this, that the council consider the frequency
37 with which it's having the Center produce, and the SSC review,
38 these interim analyses, and, you know, maybe push it out to every
39 other year, or something like that, and you guys can certainly
40 recommend anything like that that you want to.
41

42 Like Katie had started to allude to, and Luiz has mentioned, these
43 interim analyses don't update anything to do with growth, life
44 history, reproduction, recruitment, anything like that. All that
45 stuff is inferred as constant from the last stock assessment, which
46 had a terminal year of 2017.
47

48 Since then, on the water, we've seen a large number of smaller red

1 grouper, and so there's presumably -- Hopefully there's been some
2 kind of a recruitment event that has come through, and that would
3 seem reasonable, based on anecdotal information from the fishermen
4 that we've heard, but, to quantitatively demonstrate that, of
5 course, we need to do an assessment, which we aren't scheduled to
6 do until next year.

7
8 In the meantime, the best way we have to keep the pulse on what's
9 going on with red grouper is the interim analysis, and that
10 requires making some cognizant sacrifices, as far as the amount of
11 information that's included when we're recommending adjustments to
12 catch.

13
14 **CHAIRMAN NANCE:** So, basically, it's been almost five years since
15 the assessment, and we're using an index to kind of see where this
16 stock is at, so that we can, in theory, make adjustments to catch
17 based on what we're seeing for these last years, and so we have
18 the option of using a five-year average, or using a three-year
19 average, to make recommendations of change, or recommend not to
20 change, and we have that option, too.

21
22 The discussion has been very good about whether we want to throw
23 out 2020, and we need to move and see whether we want to use any
24 of the averages, or are we comfortable with the fishery, of where
25 it's at, and so I guess, right now, it's 5.57, and is that the --
26 What is it right now?

27
28 **MR. RINDONE:** 4.96 million pounds gutted weight is the current
29 stock ABC, and so any of the options presented would increase the
30 ABC from where it is currently.

31
32 **CHAIRMAN NANCE:** Roy, please.

33
34 **DR. CRABTREE:** Well, I mean, to me, the council asked for the
35 interim assessment, and so we should give them catch advice. There
36 is not a strong trend here. I mean, it looked like it was going
37 up, and then, in the final year, it came back down a little bit,
38 but where I'm struggling, a little bit, is how to deal with the
39 uncertainty in this.

40
41 I mean, we've got ABC advice here, but I don't have a sense for
42 how far below the OFL is this, because I don't know what the OFL
43 is right now, or, if an OFL can come out of this analysis, and
44 give us an updated OFL, and it does make sense, to me, that, given
45 this is an interim analysis, and we're pretty far out from the
46 terminal year of the assessment, the uncertainty is growing, and
47 so there's a strong rationale for why we should put in a larger
48 buffer for uncertainty here than we did when we set the ABC out of

1 the assessment, but I don't know what the buffer we used when we
2 set the ABC out of the assessment up.

3
4 I mean, I think we ought to use this, and I'm sort of inclined
5 towards the three-year, excluding 2020, but I think we need to
6 think through the issue of -- I am not sold on these ABCs,
7 necessarily, because I don't understand how they're incorporating
8 uncertainty away from the OFL.

9
10 **CHAIRMAN NANCE:** Luiz, please.

11
12 **DR. BARBIERI:** Just to continue that thought, because I think
13 that's a very good comment, and so, you know, perhaps this
14 approach, right, the interim analysis approach, is useful, over a
15 time interval, that we consider that, within the interval, the
16 MSY, right, being equivalent to OFL is not really able to change
17 too much, and so there is a little fluctuation there in the
18 abundance, and we're adjusting the catch advice currently, but not
19 necessarily needing to change OFL, because that hasn't changed.

20
21 **DR. CRABTREE:** Well, but if could, Luiz, if you had a stronger
22 trend here, the ABC could easily be higher than the OFL was, and
23 so you would have to be able to do something to --

24
25 **DR. BARBIERI:** Right, and this is what John brought up, that I
26 think that the OFL here might be below, right, where the ABC,
27 right, is. This might be an indication that we may be beyond, you
28 know, the ability of the interim analysis to be used for management
29 advice, and I'm just raising the question.

30
31 **CHAIRMAN NANCE:** Do you have the OFL, Ryan? Okay. Good. Will.

32
33 **DR. PATTERSON:** Maybe one way to think about this is so estimated
34 the OFL, and it is what it is, and we're not re-estimating it here,
35 and the ABC is being adjusted based on this interim analysis, and
36 so what we're basically saying is we're reducing the buffer from
37 our original -- That was the original OFL to ABC, because we have
38 information that says the stock is doing better, and maybe it's
39 only a slight amount, but we're basically saying that we projected
40 it to be at this level, and, if catch was at this level, it wouldn't
41 be overfishing, but, you know, based on this interim analysis, it
42 suggests that the stock has recovered, to a certain extent, and so
43 we can now reduce that buffer, a little bit, between the OFL and
44 the ABC, because, in effect, that's what is happening.

45
46 **CHAIRMAN NANCE:** What is the current OFL, Ryan, on the books?

47
48 **MR. RINDONE:** 5.99 million pounds gutted weight, and the ABC is

1 4.96 million pounds gutted weight, and these are all in -- This is
2 in MRIP-FES data currency.
3
4 **CHAIRMAN NANCE:** So, basically, we've got -- I don't know what the
5 buffer is, 75 percent or something like that, but, anyway, it's
6 5.9, and then it's 4.96.
7
8 **MR. RINDONE:** It's about 17 percent.
9
10 **DR. BARBIERI:** So OFL is five-point-what?
11
12 **MR. RINDONE:** 5.99 for the OFL and 4.96 for the ABC, and it's about
13 17.2 percent.
14
15 **DR. BARBIERI:** So, I mean, in a way, I think that the only practical
16 way to do what Roy is suggesting is to say, okay, the council asked
17 us for management advice, and, if we go ahead with this, we cannot
18 use the three-year average, because we would have an ABC that
19 exceeds the OFL, and so that would, by itself, say that we make
20 two choices here between using 2020 or not, and we can only use
21 the five-year average.
22
23 **CHAIRMAN NANCE:** Ryan.
24
25 **MR. RINDONE:** So the OFL was updated for the 2021 interim analysis,
26 and so --
27
28 **CHAIRMAN NANCE:** The OFL was?
29
30 **MR. RINDONE:** Yes, and so, pending this information from the
31 Science Center, that may be an option for you guys.
32
33 **DR. CRABTREE:** Because, I mean, essentially, the interim analysis
34 is taking the index, and it's scaling up the ABC, based on the
35 index, and, well, clearly, you can scale up the OFL, based on the
36 index, as well, and so I'm sure it's doable, and the problem with
37 just saying, okay, well, we just give them a higher catch level,
38 based on the five-year table of the OFL, okay, but now we're
39 reducing the amount of buffer below the OFL, which is effectively
40 saying that our uncertainty now is lower than it was, and that
41 seems counterintuitive, but, Katie, I see you --
42
43 **CHAIRMAN NANCE:** Katie.
44
45 **DR. SIEGFRIED:** Thank you, Mr. Chair, and so the reason that the
46 OFL was updated for the 2021 interim is because the mean weight
47 estimates were adjusted, and that's not -- We don't normally
48 produce OFL for interims, and I think part of the problem is it's

1 a little bit of a slippery slope of not assessing and just -- We
2 could like forever give new OFLs, but, I mean, it's possible, but
3 it would basically just be using Cref as OFL, as sort of this back-
4 of-the-envelope calculation kind of thing, but, I mean, it is
5 possible, but I just wanted to give you the background of why that
6 happened for the 2021 interim.

7
8 **CHAIRMAN NANCE:** I remember the 2021 now, and, basically, it was
9 changing how things were done, and so that's why. Harry, please.

10
11 **MR. BLANCHET:** Thank you, Mr. Chairman. I was just -- Doug had
12 earlier asked a question about the confidence limits around the
13 index, and those actually are in Figure 2 of the report, and that
14 -- Just looking at those confidence limits, to me, the primary
15 benefit of the interim analysis is that you are making sure, for
16 something like what Ryan so eloquently commented on, this stock,
17 that is capable of rapid changes in biomass, is either exploding
18 or falling off the cliff. It's the health check part of the
19 interim analysis.

20
21 The adjustments to the harvest level -- As we get further and
22 further out from the assessment, I feel more and more uncomfortable
23 with doing a one-for-one change in the harvest level, based on a
24 single index, rather than a full stock assessment. That's all.

25
26 **CHAIRMAN NANCE:** Harry, thank you. Doug, please.

27
28 **MR. GREGORY:** I pass.

29
30 **CHAIRMAN NANCE:** Okay. John.

31
32 **MR. MARESKA:** Thank you. Just looking at the index itself, and
33 it's below the standard, it really doesn't give me much motivation
34 to make any changes, and then I have a question, in regard to
35 Figure 1 of the document, and so, for the recreational sector, the
36 past two years, it looks like the percent of the quota has doubled,
37 in the past two years, to the point that they're 200 percent of
38 the recreational quota, and is there a payback that's going to be
39 required?

40
41 **CHAIRMAN NANCE:** We're going to bring that up on the screen, John,
42 so we can all take a look at what you're seeing.

43
44 **MR. MARESKA:** It's page 10 of the PDF, the figure there in the
45 bottom-right. I assume that's the recreational, and the Y-axis is
46 the percent of the quota landed, and it looks like, in the past
47 two years, the recreational has landed almost 200 percent of the
48 recreational quota, and so, if that's the case, I am definitely in

1 the camp of not making any recommendations to the OFL or the ABC.

2

3 **CHAIRMAN NANCE:** Thank you. Katie, is that accurate, what John is
4 -- It sure appears that way.

5

6 **DR. SIEGFRIED:** This information was taken from the SERO website,
7 according to Skyler.

8

9 **CHAIRMAN NANCE:** Peter, does that graph represent -- In Figure 1
10 in the report, the question is being asked of whether, in 2021 and
11 2022, that the recreational component was two-times the allocated
12 catch.

13

14 **MR. PETER HOOD:** I was just taking a look at it, and so, in CHTS
15 units, in -- Anyway, when we project like closures and stuff, we
16 take what waves we can from that year, and then we kind of grab
17 what has happened in previous years, and we try to guesstimate
18 what's going to happen during a wave, and, in 2021, we had I think
19 about half-a-million pounds or so that were landed in Wave 3 in
20 CHTS units.

21

22 Last year, when we did our projections, we were looking at, you
23 know, anywhere from July to the end of September closure, which is
24 why we picked August 30, and then, as it turns out, Wave 3 was a
25 lot higher, and it was 1.8 million pounds, in CHTS units, but
26 that's -- You know, there's about a two-to-one ratio between FES
27 and CHTS. That means that the recreational sector caught a lot
28 more fish than we anticipated, and so that's why we went over.

29

30 **CHAIRMAN NANCE:** Thank you. Andy, please.

31

32 **MR. ANDY STRELCHECK:** Just to kind of further clarify, in 2021, we
33 did have an overage, and someone asked about a payback. We don't
34 have a payback, where the quota gets reduced the next year, but we
35 do adjust the fishing season. As Peter was just mentioning, we
36 use prior years as kind of a basis to then project the season
37 length, and we closed on August 30 of this year, and we had a very
38 large wave of landings in the July-August timeframe, in addition
39 to the May-June timeframe, and so those estimates are correct, in
40 terms of having some significant overages, and we'll have to
41 continue to adjust management accordingly, to address these
42 overages.

43

44 **CHAIRMAN NANCE:** Thank you very much. Carrie, please.

45

46 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair, and so the
47 interim analysis, in my mind, is a great tool that the Science
48 Center has helped us with, and I think it's a great tool that we

1 can use in between assessments. Red grouper is kind of the first
2 stock we've been able to use this with as much as we have, and we
3 cannot currently implement catch level changes, and let's say that
4 you made recommendations at this meeting, probably until August or
5 September.

6
7 To me, this tool gives us an idea of what's going on on the water.
8 We know this stock is very susceptible to red tide, and fishermen
9 are telling us that they're seeing more recruits, and the landings
10 are increasing, and this tells us -- It gives a little idea about
11 what's going on, and, if the SSC is comfortable, and the council
12 wants to move forward with considering catch level advice, I think
13 this is a great tool to do that, because it is taking us so long
14 to get a lot of these assessments.

15
16 Again, we can look at this next year, but we won't be able to
17 probably implement any catch level changes, and let's say you act
18 upon it at this meeting, until probably August or September, which
19 means, next year, when you look at this again, I do think it should
20 be a health check, and so this is something that we need to think
21 about more long-term, and we are working on ways to streamline the
22 management side of the house, as far as implementing these changes,
23 but we're not there yet, and so just some things to think about.

24
25 **CHAIRMAN NANCE:** Thank you, because it's been pointed out, by a
26 number of individuals, that it seems like what we're doing, the
27 4.99 or whatever it is, is working, in the fact that we're not
28 seeing giant increases, and we're not seeing a real decrease, and
29 we've got a lot of environmental impacts that are possible with
30 this stock, and we're kind of on an even keel here, and so I think
31 the interim analysis, for me, is are we doing good, as far as
32 management, and it seems like we are. Whether we want to make
33 recommendations of an increase, and those types of things, we can
34 talk about that. Trevor.

35
36 **MR. MONCRIEF:** Andy kind of clarified it and brought up that there
37 was a substantial amount of landings that came in 2022, in Wave 3
38 and Wave 4, and I had a question, and we've got some Florida folks
39 in the room, and what you observed in Wave 4 is effectively a
40 tripling of the removals in the fishery, between years, and
41 tripling is a noticeable -- Your surveyors should see it, and
42 everyone should see it, and the fishermen should be reporting it.
43 I mean, does it coincide with what everybody has been seeing?

44
45 **MR. RINDONE:** Yes, and, I mean, we've heard, time and again, from
46 the fishermen, that there are loads more red grouper, in the last
47 couple of years, than they have seen in the previous few years,
48 and we continually hear reports of lots of smaller fish, especially

1 fish that are butting up near the size limit, between like --
2 Starting about twelve to fourteen inches all the way up to the
3 minimum size limit, and so there's a fair amount of those juveniles
4 that are out there, and that's coming to us from the private
5 vessels and the headboats and charter boats.

6
7 **MR. MONCRIEF:** So, if we're seeing the fish, and the fishermen are
8 catching more, and the index is stable, what's this fishery going
9 to look like if we keep going down the route of 200 percent over?

10
11 **MR. RINDONE:** I think, in part, you mean -- Kind of bouncing off
12 of what you had just started the discussion on, if the catch per
13 unit effort is as high as it is -- I mean, fishermen aren't going
14 to catch fish that aren't there, and, if there are that many fish
15 there, then that could explain those exceptionally high wave
16 estimates, which would be indicative of some recruitment having
17 happened and those fish moving into the fishery at some point.

18
19 As far as the effect of those quota overages, those exceedances of
20 the ACL, I mean, it's difficult to be able to say, because we're
21 basing a lot of our assumptions about what's going on in the stock
22 off of what we thought in 2017, and so we're five years removed
23 from that now, and so I don't know that we can answer that very
24 well, as far as what we think is actually going on on there. It
25 may be that it absolutely can support it, and it may be that it
26 can, and I don't know that there's a way to answer that.

27
28 **MR. MONCRIEF:** Which I think is where the index-based approach
29 becomes so valuable, because you're seeing what's in the water,
30 and you're seeing what the population level is and all that stuff,
31 but I just hate to see this come to a point where the fish are
32 there, and they're catching them, and, all of sudden, because
33 they're catching them, we revert back to some punitive measure.

34
35 **CHAIRMAN NANCE:** Steven.

36
37 **DR. SCYPHERS:** Thank you, Mr. Chair. Just a question of curiosity,
38 and so, on the commercial side, what's the explanation behind the
39 underages? I'm guessing this 2022 was hurricane influenced, at
40 least partially, in the south Florida area, but just the consistent
41 under on the commercial side.

42
43 **CHAIRMAN NANCE:** Ryan, please.

44
45 **MR. RINDONE:** I think there's a couple of things at play here for
46 the commercial side. Originally, like prior to the drop in the
47 quota there, the lack of landings was attributable to -- They're
48 just simply not being that -- A number of fish out there that could

1 support that kind of commercial harvest, and so the fishermen
2 weren't catching them, and it wasn't because they weren't out there
3 trying to, but it was the fish were not there to be caught.

4
5 In more recent years, underages -- From what we have heard from
6 the fishermen, underages could have some relation to leasing within
7 the IFQ program, combined with certain fishermen having set up
8 what they're fishing for, or how they're fishing, to be more in
9 line with what they can actually go out and catch, and so there
10 could be a couple of economic factors at play for the recent years,
11 but, prior to that steep decline following SEDAR 61, it was because
12 the fish weren't there to be caught.

13
14 **CHAIRMAN NANCE:** Ryan, can you help me -- The last assessment, was
15 red grouper overfished?

16
17 **MR. RINDONE:** SEDAR 61 did not find it to be overfished. It was
18 close.

19
20 **CHAIRMAN NANCE:** Was there overfishing?

21
22 **MR. RINDONE:** Overfishing was occurring.

23
24 **CHAIRMAN NANCE:** Okay, and so I would hope that our management --

25
26 **MR. RINDONE:** I've got to look back here. Hold on.

27
28 **CHAIRMAN NANCE:** John.

29
30 **DR. FROESCHKE:** It was not overfished and not overfishing, but it
31 was the lowest biomass that we had recorded relative to the MSST,
32 and so remember this is one of those that the MSST is at the 0.5,
33 which is the lowest level that we could, and, had it been at
34 anything at really but that, it would have been overfished.

35
36 **CHAIRMAN NANCE:** Okay. Thank you, because I would hope that, as
37 we look at these indices, that we would be -- Instead of this,
38 that we would see a slight increase, or whatever, over time. I
39 mean, that's our goal, is to get away from that line, and so, if
40 the goal is to move off that line, recommending any increase -- I
41 am not sure I would be comfortable with that, but, anyway, that's
42 just my perception. Roy.

43
44 **DR. CRABTREE:** Yes, and, when you look at it, the thing that jumps
45 out at you is there isn't strong evidence of a lot of movement one
46 way or another, but, I mean, I think we have a dilemma more about
47 interim assessments, and how we're going to use them, and, if it's
48 just a health check, to see what's going on and give you some

1 notion, that's fine, but one of the reasons for these was to
2 generate ABC advice, and, the way it is right now, with the OFL
3 not changing, it seems to me that you can only really use these to
4 lower the catch advice, if they make things look bad.

5
6 One of the problems we've had, with fisheries, if have things get
7 markedly better in a fishery, strong year classes, and there are
8 more fish out there than we thought, and the recreational fishery
9 catches them up and gets closed early, and then we find out, well,
10 we weren't overfishing, and things got better on us.

11
12 One of the things we wanted to do to address that were interim
13 assessments, so that we can see those fish coming and raise the
14 catch limits, but, if we can't get OFL advice out of it, that's
15 not going to work, because we're going to bump into the OFL, and
16 our dilemma, right now, is, arguably, there is some evidences here
17 that we could raise the catches a little bit, but, if the OFL is
18 5.9, and that's where we are, I don't think we have any real leeway
19 here to move it, because, to me, if we move the ABC up, and put it
20 much, much closer to the OFL, we're getting rid of all of our
21 uncertainty buffer, and part of our job is to reduce the ABC below
22 the OFL, to account for the scientific uncertainty, and it's kind
23 of hard for me to see how we're doing that, if we end up setting
24 the ABC virtually right at the OFL, and so I think that there needs
25 to be some discussion between, I guess, the region and the Science
26 Center and the council about how we're going to use these interim
27 assessments and how we're going to deal with the dilemma of the
28 OFL.

29
30 It would be easy to have it come in and show that things are really
31 bad, and you lower the ABC, but part of the rationale for this was
32 to be able to adjust when things were getting markedly better, and
33 I don't think this allows us to.

34
35 **CHAIRMAN NANCE:** Because, if we had where the OFL was the thing
36 that was being estimated, then we could see that and make
37 adjustments on it, according to how we feel about how far we are
38 now away from the assessment and things like that. Where this one
39 is, basically, you've got an ABC, and, as we move up, we're kind
40 of bumping up against what the OFL was, and it may have changed
41 too. Katie.

42
43 **DR. SIEGFRIED:** Just to be clear, we can change the OFL with the
44 interim. It just hasn't -- We haven't historically done it. We
45 have to discuss with you all that we were doing it using a similar
46 Cref approach as we do with the ABC, and so, if we have a scalar
47 for the ABC, it would be a similar scalar to the OFL. The problem
48 is, if we continue to put that forward, five-plus years, five to

1 ten years, after the terminal year of the assessment, we, as a
2 Center, have less faith in, you know, the estimates.

3
4 The other thing that I was going to mention, and I could just be
5 a little bit concerned about the index, is I take -- I think Trevor
6 said it's flat, but the last year, from 2021 to 2022, it does drop
7 to one of the lowest values in the index time series, similar
8 though to the last about ten years.

9
10 **CHAIRMAN NANCE:** Do you want your presentation up, Katie?

11
12 **DR. SIEGFRIED:** No, and I need to see this too, and so I don't
13 know which one to do. The bottom-right figure on the screen shows
14 in 2021 is the first year where there's that doubling of catch,
15 and that will take a little bit to transfer into a signal that we
16 get in the index, and now it's been two years of a doubling of
17 catch, and we see a drop in the index in the terminal year.

18
19 It will be really interesting what we see next year, and, if what
20 Carrie says is true, which I'm sure it is, because it's very
21 difficult to quickly enact new management, we could be a couple of
22 years into a decline, based on management, with one year of a drop
23 in an index, and so a longer time scale of this index might be --
24 It might help, you know, those concerns that I bring up with this
25 doubling of the catch, because the red flag is when the index is
26 going down and the catch is going up. That means it's impacting
27 the stock.

28
29 **CHAIRMAN NANCE:** Thank you. Harry, please.

30
31 **MR. BLANCHET:** Thank you. To me, to Roy's point about the health
32 of the stock, the relative abundance, and the initial perception,
33 it seems that, if we're trying to do something that would help
34 inform what the catches are coming from, the longline index might
35 not be the most appropriate tool to do that with, because its
36 vulnerable ages are older than what the recreational fishery is
37 seeing, and so you're always going to be behind what that
38 recreational harvest is observing and harvesting, and so you're
39 never going to be able to appropriately inform, or predict, what
40 your potential for harvest is for that recreational fishery, using
41 something that's not an age-zero or age-one fish index.

42
43 That said, I've got -- The other point, and I do think you need to
44 take a look at the scale, because this is a primarily commercial
45 fishery, even though the recreational fishery overharvested
46 significantly in the last two years, or at least in the last year,
47 and it doesn't look like the commercial fishery came close to its
48 quota, and so your overall catch limit may not have been exceeded.

1 Thank you.

2

3 **CHAIRMAN NANCE:** Thank you, Harry, for pointing that out. Shannon.

4

5 **DR. CALAY:** Thanks. I just wanted to -- I think it's already been
6 said, most likely, but the interim assessment tool is not intended
7 to replace stock assessments. It's intended to be done between
8 stock assessments, because our stock assessment frequency is
9 relatively low, and so what Katie is saying, about the Science
10 Center having less confidence as you move away from the terminal
11 year of a stock assessment, that is true of an interim assessment,
12 and it's also true of our stock assessment projections.

13

14 I am not at all troubled by the SSC's conversation, because I see
15 no strong trend here in the index that suggests that our current
16 OFLs and ABCs are problematic, but, you know, I just want to make
17 sure that you do understand, and Katie clarified, that OFL can
18 also be adjusted through an interim assessment approach, and we
19 can bring that, the indices that are used in the assessment, in
20 the interim assessment approaches, and that's a question that has
21 come up a few times, and it's best addressed by an MSE, but, yes,
22 it is possible to use a different index, if that were supported by
23 an MSE.

24

25 I hope that the SSC recognizes that this can be a useful tool, and
26 it can be used to change both OFL and ABC, based on information
27 we've received from indices, even though there are still
28 outstanding questions that, you know, may help further refine this
29 process.

30

31 **CHAIRMAN NANCE:** Thank you, Shannon. Roy, to that point?

32

33 **DR. CRABTREE:** To me, the question becomes -- So I get that there's
34 discomfort with updating the OFL and the ABC from the interim
35 assessments, because the uncertainty is going out, but, if you
36 don't do that, then what you're doing is relying on an ABC and an
37 OFL that comes from projections that were done potentially six
38 years ago, and so the question becomes are you better off with a
39 new ABC, and a new OFL, that is informed by the interim assessment
40 or one that is just based on what may be very out-of-date
41 projections, and so I think that's what we have to think about,
42 and it sounds like, from what Shannon said, that we could produce
43 a new OFL, and a new ABC, from these types of analyses, and I guess
44 we need to think about the ramifications for that and the impacts
45 of it.

46

47 **CHAIRMAN NANCE:** What Katie was saying is -- If we're losing
48 confidence in the ABC, wouldn't you lose that same confidence in

1 the estimate of the OFL? I mean, basically, how they're calculated
2 is exactly the same. Matt.

3
4 **DR. MATT FREEMAN:** Thank you, Mr. Chair. I just wanted to provide
5 some context, and I know there were some comments regarding the
6 commercial landings in 2022, and so, looking at the catch shares
7 information on SERO's page, at the beginning of last year, the
8 quota was at 2.4 million pounds, and the final landings were
9 actually slightly above 2.4 million pounds.

10
11 There was a quota increase of 390,000 pounds that didn't occur
12 until mid-August, and so, considering Florida's catch of red
13 grouper, as well as the timing of Hurricane Ian, that may have
14 impacted why the overall, at the end of the year, was only 87
15 percent of the quota, and so I just wanted to add that to the
16 conversation.

17
18 **CHAIRMAN NANCE:** Thank you so much. Will, please.

19
20 **DR. PATTERSON:** Earlier on, John Mareska said he didn't see how,
21 given the change in the index that was shown earlier -- That he
22 wouldn't feel comfortable increasing the OFL or ABC for red
23 grouper, but this idea of just scaling them both in the same
24 direction, by the same magnitude, doesn't quite sit well with me,
25 because, you know, with these interim analyses, it's not the same
26 level of scientific information, obviously, as a full-blown stock
27 assessment, and so, if we increase the OFL by some amount, you
28 know, the ABC buffer seems like it should be greater than what we
29 saw in the assessment.

30
31 If increasing that, to the extent that we think reflects the
32 uncertainty we have in the analysis, we could actually be dropping
33 the ABC, and not increasing it, and so I don't really know like
34 how to evaluate that, and we don't have a mechanism for it, and
35 Roy talked about this in a couple of his comments earlier, but,
36 you know, it could end up in the other direction, and this
37 analysis, it seems to me, is more effective in the other direction,
38 like guarding against stock decline, versus trying to pick up any
39 increase in biomass.

40
41 The last thing is, in all of these interim analyses, it always is
42 kind of a head-scratcher to me, especially given the time between
43 red grouper assessments, and wouldn't it be worthwhile just to
44 update the catch information in the old assessment model and rerun
45 it? It seems, to me, that we would have much less uncertainty,
46 in that type of approach, than we would in these interim analyses
47 that only, you know, look at one index and some catch information.

48

1 **CHAIRMAN NANCE:** Well, that's my dilemma too, is, basically, as
2 you're going out in time, we're keeping the ABC and the OFL the
3 same, but it really is, if you have an OFL, you need to have the
4 ABC below, to keep a larger buffer there. Anyway, what's the
5 recommendation from the group? The way I see it, we have three
6 recommendations. We have using a three-year average, using a five-
7 year average, or, in theory, making no -- Basically saying status
8 quo. Jim.

9
10 **DR. TOLAN:** I am going to throw my hat in, and I'm going to go
11 with the status quo. I think there's been enough discussion that
12 this is a good tool to have, and we should acknowledge to the
13 council that the center provided it, but it doesn't -- Given the
14 things we've identified, it doesn't give us a lot of confidence in
15 presenting catch advice, and so we'll just leave it as-is, and so
16 that's sort of where I would be. Thank you.

17
18 **CHAIRMAN NANCE:** Do we have a motion along those lines? Jim, do
19 you have a motion?

20
21 **DR. TOLAN:** No, and that was just my vote.

22
23 **CHAIRMAN NANCE:** Okay. Do we have any motion crafters?

24
25 **MR. RINDONE:** Well, in the absence of a motion, Mr. Chair, I mean,
26 you're left with reporting to the council that the SSC made no
27 recommendations.

28
29 **CHAIRMAN NANCE:** That may be -- Okay.

30
31 **DR. BARBIERI:** So a question here, for clarification, and did the
32 council request catch advice from this interim analysis, or we
33 have been alternating them?

34
35 **MR. RINDONE:** We've been alternating it, due to the downstream
36 effects of getting updated catch advice, because then we have to
37 do a framework action, in order to update that catch advice, and
38 that's a process that is undertaken by the council and the public,
39 and so, by having -- By interspersing the years with a health check
40 and a framework action, it allows the council the opportunity to
41 review the information, consider any further management measures,
42 and then do that framework action and get that implemented.

43
44 If we were doing them every single year, there would probably end
45 up being some overlap between the development of those actions and
46 on Andy's staff's end, going through the NMFS approval process and
47 implementation process, for those recommended management changes,
48 and so that's the reason for what we've been doing for now.

1
2 **CHAIRMAN NANCE:** Matt.
3
4 **DR. FREEMAN:** I have one more opportunity to speak. In the original
5 letter that the council sent to the Science Center, and I just
6 thought it would be helpful just to provide two sentences. In it,
7 it said that, given red grouper's intermittent recruitment and
8 vulnerability to red tide, the council requests that the Southeast
9 Fisheries Science Center conduct interim analyses for Gulf red
10 grouper on an annual basis, beginning in 2020. These analyses
11 will be reviewed by the council's SSC prior to informing management
12 decisions, and so that's kind of left open there.
13
14 **CHAIRMAN NANCE:** Thank you for that. John.
15
16 **MR. MARESKA:** Yes, sir. I will take a swing at a motion, and, of
17 course, as always, I'm open to edits. **The SSC recommends not**
18 **modifying the catch limits of Gulf red grouper from the interim**
19 **analysis.**
20
21 **MR. RINDONE:** The 2023 interim analysis.
22
23 **CHAIRMAN NANCE:** Maybe put, in front of "catch", "current catch
24 limits".
25
26 **MR. MARESKA:** That's fine.
27
28 **CHAIRMAN NANCE:** Okay. Let me read that motion. **The SSC recommends**
29 **not modifying the current catch limits for Gulf red grouper from**
30 **the 2023 interim analysis.** Motion by John Mareska, and do we have
31 a second for that motion? Second by Jim Tolan. Is there
32 discussion? We've had a lot of discussion around this, for sure.
33 Let's go ahead and -- **Is there any opposition to this motion? If**
34 **you're online, and you have opposition, please raise your hand.**
35 Will, please.
36
37 **DR. PATTERSON:** I don't have an opposition, but I'm wondering if
38 we could change "from the 2023 interim analysis" to "based on".
39
40 **MR. MARESKA:** Absolutely.
41
42 **CHAIRMAN NANCE:** Okay. Jim, any -- Okay. Thank you, Will. **Any**
43 **opposition to this motion?** Let me read it. **The SSC recommends**
44 **not modifying the current catch limits of Gulf red grouper based**
45 **on the 2023 interim analysis. Seeing no opposition, the motion**
46 **carries without opposition.** Thank you. I think that was a good
47 discussion. I appreciate that.
48

1 We will now go ahead and have -- We'll go into our public comment
2 portion of the meeting. If we have any public comment, please let
3 Jessica know, I guess. Eric.

4
5 **PUBLIC COMMENT**

6
7 **MR. ERIC SCHMIDT:** Good afternoon. Eric Schmidt from Fort Myers,
8 Florida. I would definitely agree with your recommendation not to
9 do anything with red grouper right now. January marked the
10 beginning of my fortieth year fishing in the Gulf of Mexico, and
11 my experience with the management process of red grouper has been,
12 and I heard some of the discussion here, and it's always too late,
13 and, by the time you do something, we're already seeing the stock
14 rebound, and red grouper is the mainstay of what I catch, when I'm
15 either commercial fishing or charter fishing.

16
17 Yes, in 2017, we had a terrible red tide event, but recruitment
18 has been pretty incredible, and I just talked to a friend of mine
19 who went on a commercial trip for three-and-a-half days, and he
20 had 3,000, bandit fishing, and 700 pounds of red snapper, and so
21 that's quite an improvement, and, when I do charter fish, I'm
22 seeing a lot of juvenile fish, but what happens here is there's
23 this lag time between -- By the time you have a stock assessment,
24 and then it gets down here, and everything is going down, and then,
25 by the time the stock assessment gets reviewed -- I remember when
26 stock assessments were just stock assessments.

27
28 When Nancy Thompson was the director at the Science Center, I went
29 over, and with Clay Porch and Shannon Cass-Calay, and we did three
30 days. We did gag grouper, and we did triggerfish, and we did
31 vermilion snapper, and now -- Okay, the process is a little more
32 transparent. However, it drags on and on and on, and I have sat
33 on I don't know how many SEDARs.

34
35 By the time everything sort of works out, the fishery is already
36 on its way back, and then the Gulf Council takes actions, and maybe
37 the actions aren't needed. I remember, a few years ago, when the
38 Gulf Council -- When fishermen came to the Gulf Council and said,
39 don't give us any more red grouper, and our fishery is not healthy,
40 and they went ahead and gave us more red grouper, and now the Gulf
41 Council just did the same thing with red snapper.

42
43 I was in Corpus Christi, and forty fishermen came to the podium
44 and said don't give us any more red snapper, but we have red
45 snapper, and so the process is really -- It needs to be
46 streamlined, and I don't know how that's going to happen, but it's
47 really -- It's very difficult for those of us that actually
48 participate in the fishery and have to make a business model, and

1 so that's all.

2

3 **CHAIRMAN NANCE:** Captain Schmidt, thank you for being here. Any
4 questions? Thank you. Captain Zales.

5

6 **MR. BOB ZALES, II:** Bob Zales, representing Southern Offshore
7 Fishing Association. The conversation on red grouper is really
8 interesting on here, because, if you all remember, with the whole
9 premise of Amendment 53, part of our main problem with changing
10 everything, in 53, was the fact that you increased the red grouper
11 quota for the rec side at 20 percent, and that was over the
12 objection of what we all, on commercial side, made the argument
13 about them overfishing, and continuing to overfish, increasing
14 discards, which the increase in discards resulted in the total
15 quota being reduced to account for the recreational discards, which
16 took fish away from the commercial sector.

17

18 In the conversation that I just listened to, you're looking at the
19 rec side overfishing their recreational quota, over the past two
20 years, and, because of that, you're talking about, okay, we're
21 going to leave the quota alone, and so, in essence, you're going
22 to be punishing the commercial sector again, based on the
23 unaccountable recreational fishery.

24

25 This is creating a tremendous problem, especially in the commercial
26 industry, with the processors, and the restaurants, and everybody
27 involved in there, because you're continuing to reward the sector
28 that is doing the damage to the fishery, while the sector that is
29 taking care of the fishery, taking care of their discards, staying
30 within the quota, is continually being punished, and so I don't
31 know what you do with all that, but the current recommendation
32 that you just made we definitely don't agree with, especially if
33 it's based on the fact of the issues from the rec side, and so
34 that's all I've got. If you've got any questions, I will try to
35 answer them.

36

37 **CHAIRMAN NANCE:** Thank you, Bob. Any questions from SSC members
38 for Captain Zales? Bob, I appreciate you being on. Thank you for
39 those comments. Do we have any others, Jessica? Okay. We will
40 go ahead and adjourn our meeting, and we'll see everybody at 8:30
41 tomorrow morning, and we'll see where we're at. Tomorrow, we have
42 -- It says 8:30 on here.

43

44 (Whereupon, the meeting recessed on January 10, 2023.)

45

46

- - -

47

48

January 11, 2023

1
2 WEDNESDAY MORNING SESSION
3
4 - - -
5

6 The Meeting of the Gulf of Mexico Fishery Management Council
7 Standing and Special Reef Fish, Special Socioeconomic & Special
8 Ecosystem Scientific and Statistical Committees reconvened on
9 Wednesday morning, January 11, 2023, and was called to order by
10 Chairman Jim Nance.

11
12 **CHAIRMAN NANCE:** Welcome, everyone, to our second day of the SSC
13 meeting. We have moved up to Agenda Item Number VI, and we're
14 going to take care of that first thing this morning, and then,
15 after that discussion, we'll go back to Item Number V, which is
16 pick up the Gulf of Mexico gray snapper, but, in order to begin
17 Number 6, Ryan, would you go over the scope of work in detail, so
18 we kind of know what we need to be doing for Item Number V?
19

20 **EVALUATION OF UPDATED RED SNAPPER CALIBRATION RATIOS FOR GULF**
21 **STATE SURVEYS TO MRIP**
22

23 **MR. RINDONE:** Sure. All right. Good morning, everyone. This
24 morning, representatives from Florida, Alabama, and Mississippi
25 will present a proposal to revise calibrations for each state's
26 respective estimates of private vessel and state charter/for-hire
27 landings of red snapper, relative to MRIP's Coastal Household
28 Telephone Survey. These proposals are updates to the methods,
29 years, and waves considered by the SSC in August of 2020.
30

31 The states will provide justification for their recommended
32 selection of years and waves within years, and the SSC will
33 consider the following terms of reference for each state's
34 proposal, and these are to be considered for each state
35 individually and not as a group.
36

37 Number 1, is the proposed revised calibration ratio calculated in
38 a method that is not dissimilar from that which was approved as
39 consistent with BSIA by the SSC in August of 2020? Number 2, is
40 the justification for the years and waves recommended for
41 calculating the proposed revised calibration ratio sufficient? If
42 not, describe why, and, if possible, offer alternatives. Then
43 Number 3 is are there any additional clarifications necessary for
44 considering the state's proposed revised calibration ratio as
45 being consistent with BSIA?
46

47 You guys are going to get presentations from each state, and each
48 state has also provided background materials, which include a

1 report to back-up their presentation, and consider the three terms
2 of reference for each state individually in your evaluation, and
3 the SSC will then make a recommendation to the council about each
4 state's proposed revised calibration ratio and its suitability for
5 informing fisheries management. Any questions?
6

7 **CHAIRMAN NANCE:** Paul?
8

9 **DR. MICKLE:** After the recommendations come out of this committee
10 to the council, the council is going to accept these? I thought
11 it was NMFS' final decision. I follow you to the point at which
12 you stopped, but I want to ask about how does a potential change
13 occur, from a policy statement.
14

15 **MR. RINDONE:** For any state for which you approve their revised
16 calibration ratio, we'll include that in a framework action that
17 will update those calibration ratios as they relate to setting the
18 ACLs for the private vessel component, or the private angling
19 component, for red snapper, and so we did a framework, for this
20 purpose, following you guys' recommendations the first time
21 around, and that was implemented just recently, and so it will be
22 in effect for this year.
23

24 Any revisions here would basically be a revision to what was put
25 into that framework action by a state, and so, if you guys could
26 approve one state, two states, all three states, or provide
27 feedback to the states -- However it shakes out, you know, and
28 whatever it is that you guys decide to recommend to the council,
29 but, ultimately, it would end up as a framework action that would
30 revise the calculation of the currency with which that state is
31 using to monitor private angling red snapper landings within its
32 jurisdiction.
33

34 **CHAIRMAN NANCE:** Any other questions or discussion, before we
35 begin? Okay. We're going to start with east and then move west,
36 and so we'll go ahead and start with Florida, and Tiffanie Cross
37 is with us today, and she'll be presenting for the State of
38 Florida.
39

40 **FLORIDA**

41
42 **MS. TIFFANIE CROSS:** Good morning. I'm Tiffanie Cross, from the
43 Florida Fish and Wildlife Conservation Commission, and I will start
44 with a brief primer of our state survey and a brief review of our
45 calibration methods, and so, during the red snapper calibration
46 workshop in August of 2020, our methods were reviewed and
47 recommended for use in management, and then, back a year ago
48 February, during the Gulf state recreational catch and effort

1 survey transition meeting, the calibration method was again
2 independently reviewed and determined that it was statistically
3 valid, and then, for the Gulf gag grouper, SEDAR 72, it again
4 underwent another independent review, and it was recommended for
5 use in that stock assessment.

6
7 Just to kind of give a primer of the State Reef Fish Survey, it
8 was implemented in May of 2015 as the Gulf reef fish survey. It
9 covered the Gulf coast of Florida, excluding Monroe County, and
10 then, in Wave 4 of 2020, it was expanded, state-wide, to include
11 Monroe County and the Atlantic coast of Florida, and we called it
12 the State Reef Fish Survey, which is also known as SRFS.

13
14 That change happened without any change to the methodology of that
15 survey, and this survey runs continuously, side-by-side, with
16 MRIP, and so the effort estimation component of the SRFS runs
17 independent of MRIP. It's a monthly mail survey, and the address
18 list is obtained from the reef fish angler registry license
19 requirement, is what we use to select our recipients, and then our
20 under-coverage estimate is obtained from questions that we ask
21 during the intercept survey at the dockside.

22
23 **CHAIRMAN NANCE:** Roy.

24
25 **DR. CRABTREE:** When you say "under-coverage", that means unlicensed
26 effort?

27
28 **MS. CROSS:** It means that, for those folks fishing without the
29 required State Reef Fish Survey designation on their license, and
30 so, dockside, we ask them, do you have the State Reef Fish Survey
31 designation, and we ask them to get their license out and look at
32 it, and, if they don't have it, we record that, and we issue a
33 correction for that.

34
35 **DR. CRABTREE:** Now, when you do the dockside intercepts, is it
36 mandatory, or do you just ask them if we can interview you?

37
38 **MS. CROSS:** Correct, yes, and it's voluntary participation.

39
40 **DR. CRABTREE:** So, presumably, it could be that someone who didn't
41 have the correct licenses would decline to be interviewed?

42
43 **MS. CROSS:** It's possible.

44
45 **DR. CRABTREE:** Thanks.

46
47 **MS. CROSS:** The CPUE estimation comes from the dockside interview
48 intercept survey, and it's not independent of MRIP. We combine

1 the APAIS interview data with our own SRFS intercept data to arrive
2 at a CPUE estimation.
3
4 **DR. TOLAN:** Mr. Chair, can I follow-up to Roy?
5
6 **CHAIRMAN NANCE:** Yes, Jim.
7
8 **DR. TOLAN:** On the dockside survey for declines, what is your
9 average rate for declines? I'm just curious. Coming from the
10 point of view of Texas, we have a number that we always have for
11 people that refuse to participate, and I was just curious.
12
13 **MS. CROSS:** I did not bring that number with me today.
14
15 **DR. TOLAN:** Okay. Thank you.
16
17 **DR. GRIFFITH:** Were you asking about the response rate?
18
19 **DR. TOLAN:** Well, the people that are approached, but say that I
20 don't want to participate.
21
22 **DR. GRIFFITH:** Again, I was going to ask about the response rate
23 to the mail survey, and do you have those figures?
24
25 **MS. CROSS:** It fluctuates between -- It's around 21 percent.
26
27 **DR. CRABTREE:** Do you know, offhand, just approximately, how much
28 unlicensed effort you run across? Is it 10 percent of the effort,
29 or 2 percent?
30
31 **MS. CROSS:** Our correction ratio is about -- It hovers above and
32 below two, and so, basically, our effort estimate that we get from
33 the mail survey, we multiply that by two, and so we're doubling
34 it, 50 percent.
35
36 **DR. CRABTREE:** What I'm -- Say you interviewed a hundred people of
37 the dock, and what percentage of them likely don't have the
38 appropriate license?
39
40 **MS. CROSS:** It would be half.
41
42 **DR. CRABTREE:** Half?
43
44 **MS. CROSS:** Yes.
45
46 **CHAIRMAN NANCE:** Jason.
47
48 **MR. ADRIANCE:** Thank you, Mr. Chair. To follow-up on that, have

1 you checked with what your enforcement department sees on the
2 water, to kind of get an idea of what they see, as far as
3 unlicensed, to give you an idea of how that compares?
4

5 **MS. CROSS:** We have discussed that, and I don't recall how much
6 they see, and I could definitely gather that and come back with
7 that.
8

9 **DR. BARBIERI:** It's comparable.
10

11 **MS. CROSS:** Yes. I mean, I think it's comparable. Okay, and so
12 what's included in the SRFS estimates, and it's private-boat mode
13 only, and it's a monthly effort estimate of landings and discards
14 for a suite of reef fish species that are listed there, and, from
15 May of 2015, when it was first implemented, up until June of 2020,
16 it only covered the Gulf coast, excluding Monroe County. When we
17 expanded, in July of 2020, to the entire state, it covers the Gulf,
18 the Atlantic, and the Keys, and that's ongoing. It does not
19 include charter or shore mode and any non-SRFS species.
20

21 How do the MRIP and SRFS compare? The MRIP Coastal Household
22 Telephone Survey overlapped with SRFS from May of 2015 until
23 December of 2017, and those estimates, the SRFS and the MRIP-CHTS,
24 were very similar, but the SRFS was more precise, and so it
25 improved the precision of those estimates.
26

27 The MRIP Fishing Effort Survey, the FES, was implemented in 2018,
28 and the annual estimates, on average, are consistently higher than
29 the SRFS estimates, and those estimates of the MRIP-FES are less
30 precise than the State Reef Fish Survey, and the relevance for red
31 snapper management, the ACL targets, is they're currently based on
32 CHTS, and future assessments will be based on the FES.
33

34 We need a way to -- We needed a calibration, and so we wanted to
35 convert catch advice derived from future stock assessments using
36 MRIP-FES to the same currency as the SRFS, and stock assessment
37 outputs are on an annual scale, and so our objective, for this
38 calibration development, was to develop species-specific
39 conversion factors that may be applied to annual fully-calibrated
40 MRIP estimates that are useful for tracking state ACL for red
41 snapper in SRFS currency, and we also wanted to be able to produce
42 a historic time series in the same currency as the SRFS, to be
43 used as an alternative time series, or for sensitivity analyses,
44 in stock assessments.
45

46 **CHAIRMAN NANCE:** David.
47

48 **DR. CHAGARIS:** Sorry to interrupt, and thank you, Mr. Chair, but,

1 before we go into the calibration, can you give us a little
2 overview of the differences between SRFS and MRIP, as far as the
3 types of questions you're asking or how the sampling is
4 distributed, and like why would it be, you know, superior to MRIP
5 for these species in Florida?
6

7 **MS. CROSS:** So there is a number of fundamental differences between
8 the State Reef Fish Survey and MRIP. When we designed the State
9 Reef Fish Survey, we wanted to account for as bias, inherent bias,
10 as there would be, just because of the different distribution of
11 the fish species and different behaviors of people, based on where
12 they live, and so we stratified the survey pretty heavily.
13

14 We cut the state into the northwest Panhandle region, and then the
15 north peninsula region, a central, and then a south peninsula
16 region, and then, from there, we took the Gulf coast counties and
17 put them in their own bucket, and then the central-located
18 counties, that are not coastal, are in their own little bucket,
19 and then the Atlantic coast counties, and so it's like do you live
20 on the coast or not, and which coast do you live on.
21

22 Then, from there, we wanted to combine -- The idea was, if you own
23 a boat, you're probably a more avid fisher than if you don't, and
24 so we were able to work out a contract with our Division of Highway
25 Safety Motor Vehicle Department, and we get vessel registration
26 data every month, and we match that to our State Reef Fish Survey
27 license holder list, by driver's license, and then we can stratify
28 on boat ownership in a household as well, and, for people that do
29 not --
30

31 They're non-residents of Florida, and, if they live in Georgia and
32 Alabama, they're probably fishing in Florida more often than
33 anybody else living elsewhere in the country, and so Georgia and
34 Alabama residents are in their own strata, or stratum, and then
35 everybody else in the country is in a different stratum, and so
36 it's highly stratified to account for all of that different
37 variability.
38

39 Then, as far as the mail survey questions, we thought it was really
40 important to kind of frame the timeframe that we're asking about,
41 and so the very first question that they see is did you go fishing,
42 did you participate in a private recreational fishing trip in
43 Florida during X month, and, if it's a yes, they move on to the
44 next question, which is a calendar of that month, and it has like
45 check-boxes. They can choose which days that they went fishing,
46 and it really helps them to jog their memory of like, oh yeah, and
47 this is -- I can look at my own calendar and figure out what I did
48 last month.

1
2 Then, from there, we drill-down further and say, for the nine most
3 recent trips that you took, you know, did you fish X percent, or
4 what percent of the time did you spend fishing greater than
5 whatever miles from shore, and those are listed for whether they
6 pick a Gulf region of where they fished or an Atlantic region, and
7 we ask them what regions they fished in, and so we have the regions
8 kind of divvied up around the state.

9
10 Then they get to tell us what species they fished for, and, to
11 improve the saliency of that survey, we also let people report
12 other species that aren't reef-associated species, so that we're
13 actually getting people that are inshore fishermen to return the
14 survey as well. Before we did that -- Before, we didn't include
15 those species, and that helped increase our response rate.

16
17 The MRIP survey, the FES survey, is a survey that was designed to
18 capture people that fish and people that don't fish, and so their
19 frame is you're matched to a saltwater license, or you're not
20 matched to a saltwater license, and they don't further stratify
21 coastal or non-coastal within the State of Florida, and then, from
22 there, and so that survey lists -- They talk about like how do
23 they consume their weather information, and a lot of different
24 other things, and then the last questions on that survey are asking
25 how many fishing trips did you take in the prior two months for
26 shore mode and for boat mode.

27
28 Then it's just a very fundamental different survey, and ours was
29 designed to get at improving estimates for reef fish, and the MRIP
30 is designed to be a very general survey, to capture general fishing
31 trips over the last two months.

32
33 **DR. CHAGARIS:** Thank you for that explanation.

34
35 **MS. CROSS:** Sure.

36
37 **DR. GRIFFITH:** Could we get copies --

38
39 **CHAIRMAN NANCE:** David, just a second.

40
41 **DR. GRIFFITH:** I'm sorry.

42
43 **CHAIRMAN NANCE:** Luiz.

44
45 **DR. BARBIERI:** Go ahead, David.

46
47 **DR. GRIFFITH:** I was just going to ask if we could get copies of
48 the survey forms.

1
2 **MS. CROSS:** Sure. Absolutely.
3
4 **CHAIRMAN NANCE:** Luiz.
5
6 **DR. BARBIERI:** I was going to just say, you know, for all of us,
7 in retrospect, right, and we didn't think about how, I guess, a
8 lot of the SSC members may not be familiar, right, with the
9 individual Gulf state surveys in detail, right, and so there is
10 documentation, and perhaps we should have prefaced these
11 presentations with presentations that, you know, would describe
12 all the intricacies, right, of the survey, of the two components,
13 for effort and for catch, and then all the statistical procedures
14 in detail, all of those things, and it was an oversight on our
15 part, I guess, in general, in planning for this, because we're
16 just trying to address the council motion asking about the
17 calibrations, but, in retrospect, I'm thinking the questions that
18 are being asked make sense.
19
20 **MS. CROSS:** Okay.
21
22 **CHAIRMAN NANCE:** Harry, please.
23
24 **MR. BLANCHET:** Thank you, Mr. Chairman. To be sure that I
25 understand this, when Florida is estimating its distribution of
26 trips among offshore areas, that information does not come from
27 the dockside interview, and that comes from the mail survey?
28
29 **MS. CROSS:** Correct. Our effort estimates are fully derived --
30 They are directly estimating from the mail survey. The only
31 information in the effort estimate that comes from the intercept
32 survey is that coverage adjustment, the adjustment we make for
33 folks who should be on the survey frame, meaning that they have
34 the State Reef Fish designation, or license, but they don't,
35 because they didn't get it.
36
37 **MR. BLANCHET:** So your out-of-frame adjustment comes from the
38 dockside, but the distribution of the effort -- So that's getting
39 at total effort, but the distribution of the effort, whether it's
40 inshore, nearshore, or offshore, up or down the peninsula,
41 whatever, that comes from the mail survey, and so that's different
42 than how MRIP partitions its efforts, in terms of their using their
43 dockside.
44
45 **MS. CROSS:** That's correct.
46
47 **MR. BLANCHET:** Okay. Thank you.
48

1 **MS. CROSS:** Okay. Our approach, in developing this calibration
2 method, was to quantify the overall differences between the SRFS
3 and the FES estimates across variable years and waves over which
4 the two surveys overlap, and they overlap from 2018 to current.

5
6 We wanted to apply a single calibration factor to the annual FES
7 estimates back in time, and so the recreational harvest seasons
8 for red snapper were widely variable, off the Gulf coast of
9 Florida, prior to 2018, in state and federal waters. Historically,
10 those seasons were six to twelve months and were consistent in
11 state and EEZ waters, and, for the years that the SRFS and MRIP
12 survey overlap, from 2015 to 2017, the seasons were weeks, or days,
13 and it was super variable between state and federal waters.

14
15 Then, from 2018, when the EFP was put in place, to present, the
16 seasons have consistently been two months or more, and consistent
17 in state and federal waters, and so it wasn't appropriate to apply
18 calibrations at a fine scale back in time, by month or area fished,
19 and so the first step of this method was for each species and each
20 estimate type, and so the number landed, the pounds landed, or the
21 number released or discarded, and we took the estimates and
22 variances from each estimation method, and we summed them across
23 all years, all waves, and all areas fished, and so across state
24 and federal waters.

25
26 For each of the paired sums, and so we had a sum total for SRFS
27 and a sum total for FES, the ratio was calculated as the total
28 SRFS estimate divided by the total FES estimate, and you should
29 note that the FES estimates include Monroe County, but the SRFS do
30 not include Monroe County, and so we're calibrating SRFS estimates
31 that do not have the Monroe County to MRIP estimates that include
32 Monroe County, and that was because the historical SRFS time series
33 didn't include Monroe County, and it was important to continue
34 with that, and so we used the delta method to approximate the
35 variance of those ratios, and it incorporates error associated
36 with both the numerator of the SRFS estimates and the denominator
37 of the FES estimates, and we used the R package MSM to carry out
38 those variance calculations.

39
40 The other thing that we wanted to consider was that, because we
41 combined APAIS data with our SRFS intercept data, we know that the
42 survey is correlated, but the degree to which is unknown, and so
43 we explored different levels of correlation in calculating that
44 variance, and so zero correlation is the most conservative
45 approximation, and it basically ignores that the correlation
46 exists, and we explored a 0.5 level and a 0.9 level, and, because
47 we don't know what degree to which they're correlated, we recommend
48 using the zero correlation, and that's what we presented here

1 today.

2
3 The next step that we did, to produce a time series, is to multiply
4 the annual FES estimate for each year, species, and variable with
5 the corresponding ratio, and then, again, the variance was
6 approximated using the delta method, and so, for this calibration
7 update, there were no changes to our method of calculation of that
8 ratio, and so, previously, our report included an FES to SRFS
9 conversion, using 2015 to 2019 private boat mode MRIP estimates
10 that were publicly available from NOAA OST.

11
12 For this update, we used data from the Southeast Regional Office.
13 They provided MRIP private boat mode estimates that excluded
14 charter estimates, and they gave us both FES and CHTS estimates,
15 and so we included the most recent years of the overlapping time
16 series, and the MRIP and FES and SRFS is continuing to run side-
17 by-side. We excluded the year 2020, due to suspended and reduced
18 intercept survey sampling, because of the COVID-19 pandemic, and
19 then we also ran calibrations for the CHTS to the SRFS calibration.

20
21 **DR. CRABTREE:** Is most recent years -- Is that 2021?

22
23 **MS. CROSS:** Yes, and so -- Again, Monroe County is included in
24 MRIP, both FES and CHTS, and excluded from SRFS across all the
25 years.

26
27 **CHAIRMAN NANCE:** Sean, please.

28
29 **DR. POWERS:** Do you have any idea how much of a reduction was in
30 2020, as far as something like percentage, and did you all do half
31 as many as you all normally do, or did you all do zero?

32
33 **MS. CROSS:** We had several months where we weren't sampling at
34 all. The sampling in the field ceased for MRIP and for SRFS both.

35
36 **DR. POWERS:** Did your effort survey in the mail still go out?

37
38 **MS. CROSS:** It did.

39
40 **DR. POWERS:** So the effort wouldn't have been affected by 2020, by
41 COVID.

42
43 **MS. CROSS:** Correct.

44
45 **DR. POWERS:** It's just the intercepts.

46
47 **MS. CROSS:** The dockside intercept survey was either completely
48 non-existent, or very slow to ramp-up, because of regional hotspots

1 of the pandemic that prevented us from getting into the field as
2 quickly as we would have liked.

3
4 **CHAIRMAN NANCE:** Was there a decrease in mail return during 2020?
5 You sent out as many surveys.

6
7 **MS. CROSS:** Correct.

8
9 **CHAIRMAN NANCE:** Did as many come back as normal?

10
11 **MS. CROSS:** It seemed like it, yes. Everything seemed normal for
12 the mail survey, but it was just the dockside intercept surveys.

13
14 **CHAIRMAN NANCE:** Okay. Luiz, please.

15
16 **DR. BARBIERI:** Just another point of clarification, and there were
17 also, in the State of Florida, and I don't know how this happened
18 in other states, but there were boat ramps, and fishing piers,
19 that actually closed, officially closed, by either counties or
20 municipalities or the state itself, and so this generated a
21 complete redistribution of fishing effort, right, and it impacted,
22 really, the survey in that way, because people were not able to
23 access some of those boat ramps.

24
25 **MS. CROSS:** For this update, we considered several scenarios, and
26 we presented what we originally presented in 2020, and so we
27 calibrated from May of 2015 to December of 2019, and then we did
28 the May of 2015 to December of 2017 years, which are the years
29 that the SRFS, CHTS, and FES surveys overlapped, and they were
30 benchmarking CHTS and FES during those years, and those were the
31 years recommended and approved for Florida by the Gulf SSC during
32 their August 2020 meeting.

33
34 Then the third scenario that we explored was the years 2018, 2019,
35 and 2020, and those are the years that SRFS and FES overlap, and
36 we excluded 2020, again, for the pandemic, and then the fourth
37 scenario was all available overlapping estimates from May of 2015
38 to December of 2021, excluding the year 2020.

39
40 I included this table from our publication, from the report we
41 submitted, that basically lists the total sum, the sum totals, of
42 those estimates across years, and across waves, and you guys can
43 look at that in the report, and I plotted these so that you can
44 see the blue bars represent the years 2015 to 2019, and the orange
45 is 2015 to 2017, which is what the SSC approved prior. The 2018,
46 2019, and 2021 are the years that the FES and the SRFS overlap,
47 and then the gray bars is the 2015 to 2019 and 2021, and that would
48 be considered the full time series.

1
2 On the X-axis, we have landings, in numbers of fish, grouped
3 together, and landings in pounds grouped together, and we
4 calculated those ratios separately, and then the observed ratios
5 on the Y-axis, and, overall, these ratios aren't terribly
6 different, and this is the SRFS to the MRIP-FES conversion, I
7 should point out, and so we're looking at, for the full time
8 series, the ratio is -- In landings in pounds, I think it's 0.38,
9 and then, for the 2015 to 2017 time series here, I think it's 0.4,
10 for pounds.

11
12 Moving on to the SRFS to CHTS conversion, again, it's the same.
13 It's landings in numbers of fish grouped together, landings in
14 pounds grouped together, and the observed ratio on the Y-axis, and
15 the full time series is in gray, and the ratios are a little bit
16 higher, and so one-point-two-ish, for landings in pounds, versus
17 I think it was like one-point-one-something for the 2015 to 2017
18 years.

19
20 This table is also in the report, and it lists the different
21 scenarios by the conversion type and the landings, and it provides
22 the ratio and then the PSE for each level of correlation, and so,
23 if you're curious about the correlation estimate of variance, we
24 can look at those, and I think that's all I have. There is our
25 paper that we originally presented, and it's available on the Gulf
26 Council's website, and, with that, I can take questions.

27
28 **CHAIRMAN NANCE:** Okay. Basically, keep questions to this
29 presentation, and we're not going to make motions until we have
30 all the presentations and so forth, but, certainly, if there's any
31 additional information on Florida, now would be the time to ask
32 those questions, for clarification. I did have one, Tiffanie. In
33 Slide Number 5, you talked about precision, about FES and SRFS,
34 and so was there -- I'm assuming a statistical analysis was done
35 to calculate precision and those types of things.

36
37 **MS. CROSS:** Yes.

38
39 **CHAIRMAN NANCE:** Okay. Trevor.

40
41 **MR. MONCRIEF:** I mean, just an overall comment here, and it's a
42 similar method to what was used last time, and it's adding in
43 additional years, and, I mean, it's fairly clean, and the end
44 result is more fish, and I think this is a pretty straightforward
45 one, and I don't have much discussion on it, and I don't envision
46 there being much discussion on it.

47
48 **CHAIRMAN NANCE:** Any -- Sean.

1
2 **DR. POWERS:** The survey has been certified by MRIP, and the
3 consultants, in each of the states, gave different suggestions to
4 get to that certification, comments that had to be addressed, and
5 so have you changed -- Based on the consultants' opinions and
6 comments, did you change anything over the survey year, and then
7 in what year do you think that all the changes were made and
8 nothing has changed since?
9

10 **MS. CROSS:** We did a number of tests on the survey, to explore
11 improving the response rates of the mail survey, and we also
12 reevaluated boat ramps that we would be selecting for the intercept
13 survey, to improve the coverage of those trips as well, and I would
14 say, by 2018, all of the changes had been implemented that we --
15 The major changes that we've made were implemented by 2018, and
16 then, in 2020, when we switched to the State Reef Fish Survey,
17 from the Gulf Reef Fish Survey, we changed the color of the survey,
18 from green to blue, so that people on the Atlantic coast, that had
19 been getting the survey in the mail, and like tossing it in the
20 trash -- We wanted them to say like, oh, what is this, and we've
21 never seen this before, and let's fill it out, and hopefully send
22 it back to us.
23

24 Then, you know, there were some fundamental changes there, and we
25 had to include ways for people to answer, you know, the survey for
26 trips taken in the Atlantic, in the Keys, and that sort of thing,
27 but, other than that, nothing large, no big changes.
28

29 **CHAIRMAN NANCE:** Yes, please, Bev.
30

31 **MS. BEV SAULS:** I just want to point out that our MRIP certification
32 was not provisional, and their conclusion, after peer reviewing
33 our survey methodology, was that it was statistically sound. The
34 only recommendations we received were, like Tiffanie said, to
35 improve our response rates, and so any of the changes that were
36 made didn't fundamentally change the methodology of the survey,
37 and so we consider 2015 to be the start of the survey, since no
38 changes have been made.
39

40 **CHAIRMAN NANCE:** Beverly, most of us know you, but would you
41 introduce yourself to those that maybe don't? Thank you.
42

43 **MS. SAULS:** Sorry. I'm Beverly Sauls, and I work for FWC, with
44 Tiffanie, on the State Reef Fish Survey.
45

46 **DR. POWERS:** So, going back to 2018, and so do you think the
47 changes you made, in either boat ramp selection, any of those
48 things, that it increased the efficiency, or do you think that it

1 didn't have much of an effect?

2

3 **MS. CROSS:** I don't think that they were efficiency improvements.
4 I think that they were improvements in improving our estimation,
5 like improving our estimates, and so, if you're improving your
6 response rates, you're having more people respond to the survey,
7 and so, yes, it has brought -- Those changes we made improved our
8 response rates by up to 3 percent, and so we went from like 19
9 percent to 22 percent, but, like Bev said, they weren't fundamental
10 differences in methodology, and they were just minor adjustments
11 to improve our response rates.

12

13 **CHAIRMAN NANCE:** A follow-up, Luiz, to that point?

14

15 **DR. BARBIERI:** Just a quick follow-up on that point, and do you
16 remember -- Your Slide 13, and it says, under Number 2, that the
17 SSC reviewed and approved the calibration and recommended use of
18 the 2015 to 2017, and do you remember why the SSC made that
19 recommendation?

20

21 **MS. CROSS:** I think it was because those are the years that the
22 FES and the CHTS directly overlapped, and so they wouldn't -- If
23 they included years post-2017, they're then having to figure out
24 a calibration between FES and CHTS, which is -- That relationship
25 has a considerable amount of variability, and I think, the further
26 that the years have gone by, that relationship has become, you
27 know, much less stable.

28

29 **DR. BARBIERI:** Right, and so what you're saying is that, during
30 2015 and 2017, the surveys, the three surveys, GRFS, MRIP-FES, and
31 MRIP-CHTS, actually had samples from the field that were running
32 overlapped, right, and so --

33

34 **MS. CROSS:** I believe so.

35

36 **DR. BARBIERI:** So additional years, later on, to have -- Because
37 CHTS no longer existed, right, and any conversion to CHTS would
38 entail a conversion from FES to CHTS.

39

40 **MS. CROSS:** That's correct.

41

42 **DR. BARBIERI:** So that was the reasoning why the SSC preferred,
43 right, the --

44

45 **MS. CROSS:** Right, and it's worth noting that the SRFS continues
46 to run concurrently with the FES, and so we know what that
47 relationship is, because it's ongoing, and we don't know what the
48 relationship is between CHTS and FES for those years, and we can

1 approximate it, but, because the two surveys are continuing to run
2 side-by-side, we thought it was appropriate to include all of the
3 years available for that overlap.

4
5 **CHAIRMAN NANCE:** Sean, to that point?

6
7 **DR. POWERS:** So the SSC approved the Gulf Reef Fish Survey
8 calibration method to CHTS, and how do you all plan to get from
9 CHTS to FES, just take the conversion that MRIP is using in
10 general, or will you -- Or is this new calibration to FES?

11
12 **DR. BARBIERI:** The calibration that was provided in 2020 was SRFS
13 to FES.

14
15 **DR. POWERS:** SRFS to FES.

16
17 **DR. BARBIERI:** To FES, yes, and then, because the red snapper
18 assessment had been conducted using CHTS currency, and, therefore,
19 the quota was set up in CHTS, monitoring the quota required a
20 conversion to CHTS, right, and there is a presentation that Jeff
21 Pulver gave that showed the side-by-side --

22
23 **DR. POWERS:** It's jogging my memory. In this right now, we're
24 talking about just red snapper, but, I mean, is the plan to use
25 the same ratio estimator for all reef fish species?

26
27 **MS. CROSS:** We calculated calibration ratios for individual
28 species, and so, if it's for gag, we use gag estimates. If it's
29 for red snapper, we use red snapper estimates, and the gag
30 calibration was used in a sensitivity run for SEDAR 72.

31
32 **CHAIRMAN NANCE:** Richard, did you have a comment on that?

33
34 **DR. RICHARD CODY:** I just wanted to follow-up on the discussion
35 about FES versus CHTS. The overlap period, or the benchmarking
36 period, for the model, the calibration model, used to generate FES
37 estimates going back in time, and also CHTS estimates going forward
38 in time, is based on the benchmarking period of 2015 to 2017, and
39 so that's what Tiffanie is referring to in that aspect.

40
41 CHTS estimates, from 2018 onwards, are modeled estimates, just as
42 FES estimates going back in time, prior to 2015, are modeled as
43 well, and so it's worth noting that. The consideration here might
44 be that, with the calibration model used for FES to CHTS, there is
45 a component in there, in recent years, that deals with the switch
46 to cellphone use and decreasing response rates in the CHTS survey,
47 and so there is some concern that, the further you get away from
48 the benchmarking period --

1
2 First of all, at some point, there has to be a leveling-off of
3 cellphone use. How that might impact the overall calibration model
4 -- I don't think it's a great concern in initial years, but it
5 could be going forward, and we haven't looked at that, and so
6 that's something for consideration.

7
8 **CHAIRMAN NANCE:** Thank you. Steven Saul, please.

9
10 **DR. SAUL:** Thank you, Mr. Chair, and thank you, Tiffanie, for the
11 presentation. I just had a quick question on your correlation
12 assumption. You mentioned that you think the series have some
13 degree of correlation, which makes sense, but assumed zero,
14 because, obviously, you're not sure what level of correlation there
15 may or may not be, and I was just curious to know if you happened
16 to explore changing that value and what effect, or impact, it might
17 have had on the ratios going forward, even if you just change it
18 a little bit to assume like a 10 percent correlation. Thank you.

19
20 **MS. CROSS:** Sure, and so, in that last table that I presented, the
21 ratio itself is not impacted by the correlation assumption, and
22 it's the error associated with the ratio, and so we ran the
23 different scenarios of no correlation, 50 percent correlation, and
24 90 percent correlation, to explore what the error rates are, and
25 that was presented in that last table, and it's also in the report
26 that's on the web, and I don't know if I can get to that last
27 table.

28
29 I mean, from memory, the error, I think, changes by a few
30 percentage points, at most, from zero to 90 percent correlation.
31 It's right there, and so this is the SRFS to MRIP-CHTS conversion,
32 and, on that right-hand side, where it says, "ratio PSE, zero, 50,
33 and 90 percent correlation", those are the PSEs that were
34 estimated, using the delta method, with those levels of
35 correlation. Does that make sense to you? Hopefully I answered
36 your question.

37
38 **CHAIRMAN NANCE:** Richard, to that point?

39
40 **DR. CODY:** I just wanted to follow-up, and the zero correlation,
41 the zero percent correlation, is the most conservative of the
42 three, and it was a recommendation of the consultants that
43 independently reviewed the survey.

44
45 **CHAIRMAN NANCE:** Thank you. Roy.

46
47 **DR. CRABTREE:** Where this gets a little complicated, to me, and it
48 has to do with the CHTS and the FES, and, when I look at the years,

1 in part, I feel like it would be cleanest just to have a conversion
2 from SRFS to FES and only use the three years that SRFS and FES
3 ran side-by-side, and then, if you want to get to the CHTS
4 currency, you convert SRFS to FES and then use the established
5 conversion to go back to CHTS, but I worry that --

6
7 I mean, Richard brought up the cellphone stuff and all of that,
8 and, if we continue to do a conversion that involves years that
9 are already themselves conversion, because the CHTS certainly
10 doesn't exist anymore, and the FES didn't exist, and so that's
11 where I am trying to -- I am wondering if you all have a
12 recommendation on that, but I am sort of leaning that the cleanest
13 way seems to be to use 2018, 2019, and 2021, and just do a
14 calibration that converts between SRFS and FES.

15
16 That way, you avoid the complication of pulling in the CHTS
17 business, which seems to complicate the whole thing, and I'm sure,
18 Luiz, you've thought about this.

19
20 **CHAIRMAN NANCE:** Luiz, please.

21
22 **DR. BARBIERI:** Well, I mean, this is why I asked the question,
23 right, is because, before, and I don't know if we could get that
24 presentation from Jeff Pulver that was given to the SSC back in
25 August of 2020, and there is a table, Slide 7, that shows the
26 options that could be used for that MRIP-FES to CHTS calibration,
27 and the SSC was thinking along the same lines, Roy, was that,
28 because conversion from FES to CHTS would require a calibration,
29 for years that were not used for benchmarking, we decided to
30 recommend the previous calibration, right, be following just those
31 years where there is complete overlap, and that was used for
32 benchmarking, and that would require --

33
34 So this is another thing that's on the table, right, and the idea
35 is -- This is why there were several options that were presented
36 there, and the SSC can look at them and pick, between those, what
37 would be the most applicable.

38
39 **DR. CRABTREE:** Am I correct -- I mean, I'm looking where it says
40 that SRFS and FES overlap in 2018, 2019, and 2021, and is 2018
41 when the FES survey went in place?

42
43 **MS. CROSS:** Yes.

44
45 **DR. CRABTREE:** So any earlier years that 2018 would be using CHTS
46 estimates converted to FES?

47
48 **MS. SAULS:** No, and, actually, the FES was being tested as early

1 as 2015.

2
3 **DR. CRABTREE:** So, if you then look at a six-year period, are you
4 using FES estimates and SRFS estimates? I guess I don't understand
5 why it says SRFS and FES only overlap in 2018, 2019, and 2020, if
6 you actually have FES going back further in time.

7
8 **CHAIRMAN NANCE:** Go ahead, Beverly.

9
10 **MS. SAULS:** The SRFS and --

11
12 **DR. BARBIERI:** Sorry, Bev, but so this was the SERO presentation
13 at the time, right, because, since CHTS was no longer being
14 conducted after 2017, and the quota for red snapper would have to
15 be monitored in CHTS units, right, the calibration is really used
16 for the quota monitoring, and so it requires a conversion to CHTS.

17
18 **CHAIRMAN NANCE:** (Dr. Nance's comment is not audible on the
19 recording.)

20
21 **DR. BARBIERI:** I don't remember, and my memory fails me, but so
22 those are the options that were presented, and there were pros and
23 cons to both, right, but I just think it's important for us to
24 consider, because, you know, we were asked to prepare -- All the
25 states were asked to prepare different options there, in terms of
26 combinations of years, or waves, to be used for conversion, and I
27 think germane to this discussion is do we need to have a change in
28 the calibration, versus what we had recommended before.

29
30 **DR. CRABTREE:** I am just trying to understand what years FES and
31 SRFS were around simultaneously, and I guess I was confused by the
32 one slide, and so SRFS and FES ran side-by-side from 2015 all the
33 way through.

34
35 **CHAIRMAN NANCE:** Okay. Thanks. David.

36
37 **DR. GRIFFITH:** I just wanted to thank you for the presentation,
38 and, also, when you said you improved the response rate, did you
39 like send out additional like postcards, or something like that,
40 and then have you considered putting the survey online or anything
41 like that?

42
43 **MS. CROSS:** The improvements to the response rates were things
44 that we did to improve the overall recipient's experience and
45 readability, and so the original survey was oriented in reading
46 from top-down, instead of left to right, when they're reporting
47 trip information, and I think it was kind of confusing, and
48 overwhelming, and so we did a series of side-by-side testing, to

1 figure out what things were improving the response rates, and then
2 we adopted those, and so things like changing the orientation of
3 the survey to read from left-to-right, and changing how many trips
4 they need to report.

5
6 We used to ask about twelve trips, and so imagine opening a survey
7 packet and you have like a whole stack of paper, and it's like,
8 well, I'm not doing this, and so then we did an analysis of how
9 many trips, at most, people are reporting, and we determined that
10 nine, asking about nine trips, is easier, and we were able to
11 eliminate another page of the survey. Things like that.

12
13 Then, for your next question about going online, actually, this
14 month, right now, we are doing a side-by-side test that tests the
15 paper survey versus the web-based survey, and we were finding that
16 our younger age classes weren't responding as much through the
17 mail, and so we're hoping to capture that cohort, and so it will
18 be really -- I'm excited about it, and we've already -- The
19 responses we've received, people are writing comments like we love
20 this online experience, and thank you so much, and it's a long
21 time coming, and so, yes, stand by for those results, I guess.

22
23 **CHAIRMAN NANCE:** Thank you. Jason.

24
25 **MR. ADRIANCE:** Thank you, Mr. Chair. Since we touched on the
26 original ratio, can you remind me -- Was that numbers or weight,
27 when we did that? I just can't remember.

28
29 **DR. BARBIERI:** Well, the report actually presented in both, in
30 numbers and in weight.

31
32 **MR. ADRIANCE:** I was curious about how we did it originally, and
33 was that the 1.06, and was that numbers or weight?

34
35 **CHAIRMAN NANCE:** Which was recommended?

36
37 **DR. BARBIERI:** I think that was in weight, yes.

38
39 **CHAIRMAN NANCE:** Thank you. Will, please.

40
41 **DR. PATTERSON:** Thank you, Mr. Chair. Thanks for the presentation,
42 and excuse my ignorance, and I don't typically work in this world
43 of calibration of recreational landings, and it makes my head spin,
44 sometimes, thinking about it, but I am confused. Similar to the
45 questions that Roy was asking, why -- Given the time series now of
46 FES, why there can't be a direct calibration between the SRFS
47 estimates and FES, and the second question I have is how come the
48 SRFS process doesn't use the FES effort estimates, therefore

1 produce an estimate that might be pretty similar to the FES
2 estimate, and what am I missing there?

3
4 **MS. CROSS:** For your first question, the SRFS absolutely can be
5 calibrated to FES, and I have provided it in both ways, and so
6 SRFS to FES and SRFS to CHTS, and the effort estimation portion of
7 your question is, when we set out to design the survey, the overall
8 goal was to improve the recreational statistics for reef fish
9 species in the Gulf of Mexico, and the reason for that is the MRIP
10 survey was designed to be a general survey to estimate effort and
11 catch for a whole suite of species for shore mode, boat mode,
12 inshore species, and offshore species, and it just wasn't catching
13 those more infrequent trips for reef fish. Repeating their effort
14 estimation method wouldn't get us to improving those estimates.
15 That's why we designed it that way.

16
17 **CHAIRMAN NANCE:** I think Andy wanted to respond too, and then,
18 Will, I'll have you.

19
20 **MR. STRELCHECK:** Just to help answer Will's question, so two issues
21 here. One is the red snapper stock assessment, right now, is still
22 in the CHTS units for calculating our quotas, and so we need the
23 state quotas to be commensurate with the state survey methodology
24 that they're using to monitor that quota.

25
26 Once we go through the research track assessment, and get through
27 the next stock assessment cycle, I'm hoping that we will either be
28 able to convert from FES to the state survey directly or, depending
29 on if they incorporate the state surveys into the stock assessment,
30 have a direct one-to-one relationship there.

31
32 The other point is getting at kind of the differences in the effort
33 estimation, and there's a lot of criticism, right now, of the
34 federal effort survey, with the belief that it's estimating too
35 high effort, and so we have embarked on a transition plan, with
36 the states, to evaluate these differences between the state and
37 federal survey, to try to determine what's causing those
38 differences, and what biases might exist with one, or both, of
39 those surveys, and maybe not reconcile, but at least troubleshoot,
40 ultimately, what's causing these large discrepancies in effort
41 estimation.

42
43 **CHAIRMAN NANCE:** Thank you, Andy. Will.

44
45 **DR. PATTERSON:** That addressed it. I mean, obviously, you've done
46 the calibrations here, but I was confused about why go to CHTS and
47 then back to FES, and so I was missing that point about monitoring
48 the quota. I mean, Luiz had mentioned it, but it didn't quite

1 stick. Thanks.

2

3 **CHAIRMAN NANCE:** Thank you, Will. Richard, did you have any more
4 comment on that?

5

6 **DR. CODY:** Just one other item related to the FES. The FES, even
7 though it's a mail survey, similar to, you know, the mail survey
8 that the SRFS does, they're very different in scope. The FES is
9 very general, and it uses the U.S. Postal address system for its
10 sample frame, and then we use license information to improve the
11 efficiency of that, and it gets basic information on private boat,
12 versus shore mode, effort, and that's it.

13

14 We use the APAIS then to adjust for out-of-state coverage, and
15 also to allocate effort to different areas fished, and so there's
16 differences in the way that both surveys approach coverage-related
17 concerns and those kinds of aspects of the survey, or adjustments
18 in general.

19

20 **CHAIRMAN NANCE:** Thank you. Paul, was it you that had your hand
21 up?

22

23 **DR. MICKLE:** Real quick, Tiffanie, I appreciate the presentation,
24 and I feel like I should apologize, a little bit, that there was
25 a lot of methodology questions, not about calibration, but about
26 the survey, and I have questions too, and I might just ask one of
27 them, just for time, but it seems a little strange, but so we have
28 a lot of new members who may not have seen the methods behind each
29 state survey, and so this is a little bit strange for some of the
30 new members of this committee.

31

32 I guess we'll do our best, but it's important that we understand
33 those methods, because it involves the calibration process, right,
34 especially with correlations, and that's what my question is, and
35 so I have one question, but I want to pose it to a couple of
36 different groups, so to speak, but balancing that, and
37 understanding the mail survey, which is effort, right, and so both
38 FES and SRFS, and I may say something incorrect, and so I don't
39 mind you just correcting me, but their total being is to estimate
40 effort, and it's through the mail.

41

42 The correlations that can be created there are -- There needs to
43 be, in my opinion, a little bit more effort, on everybody's part,
44 to try to help with that, and then my question is your effort
45 survey that you send out, and you did mention it briefly, in the
46 beginning of the presentation, how it was different on a spatial
47 scale, where the mail is sent out to, but, with the questions of
48 it, and I think you were going to send that out too, but the

1 question is does it dial-in on whether someone lives on the water
2 or off the water, or things like that, and then, also, the -- I
3 guess are you acquiring the addresses from boater registration
4 efforts, or how is the universe created from the effort survey,
5 because I'm assuming that it's done much differently from FES,
6 but, again, I don't know.

7
8 **MS. CROSS:** Sure. A point of clarification that the correlation
9 between the two surveys comes from the fact that we combine data
10 collected through MRIP APAIS, the dockside interview, with our own
11 dockside interview, and so we're essentially surveying similar
12 people, and so that's where the correlation comes from and not
13 from the effort survey. Then I just forgot your next question,
14 and it was --

15
16 **DR. MICKLE:** Universe creation on the mail.

17
18 **MS. CROSS:** Right, and where the survey frame comes from, and so,
19 in the State of Florida, there is a requirement, if you're fishing
20 for any of those suite of species on that slide that I presented,
21 that you must have the State Reef Fish Survey designation on your
22 saltwater license. It's free, and you can go to the tax collector,
23 or online, or anywhere a license is sold, and get it, and so, when
24 they do that, when people sign-up for their saltwater and get the
25 designation, their driver's license hits the driver's license
26 State of Florida database, and we pull their mailing addresses in
27 from there, and so that's where that universe comes from.

28
29 Because we have their address, we know whether they're in a coastal
30 county or an inland county, and we can stratify them that way, and
31 so we don't have any questions on the survey that ask, you know,
32 where do you live, because we know -- We already know where they
33 live, and does that make sense? Okay.

34
35 **CHAIRMAN NANCE:** Luiz.

36
37 **DR. BARBIERI:** Well, just to supplement something that is not
38 directly to that question, but relates to, I think, what you're
39 trying to get to, and to some of Will's points earlier, I mean,
40 the issue of SRFS here, in the way that it was implemented in the
41 State of Florida, was not to replace MRIP.

42
43 It was to create a specialized survey that is integrated with MRIP,
44 right, and so we understand the concept of specialized surveys,
45 because we know there is something called the headboat survey,
46 right, and we're familiar with that data series that is imputed
47 into stock assessments all the time, and we know that there is
48 something called the for-hire survey, right, that is conducted

1 that is treating the universe of fishers that are for-hire, in the
2 for-hire sector -- I'm talking about just the general MRIP for-
3 hire survey, right, and so there are those things that are
4 specialized surveys that are trying to be more focused on specific
5 sectors, right, and, with that, we increase precision, for sure,
6 and hopefully accuracy as well, but there is a reason why MRIP
7 doesn't really conduct the general MRIP survey, right, to all the
8 anglers that are in for-hire vessels, for example, and they have
9 their own little survey that is more specialized.

10
11 There is something else that MRIP conducts that was developed to
12 be more specialized that is called the large pelagics survey,
13 saying, well, that sector -- Richard, correct me if I'm wrong here,
14 and feel free to jump in, but that sector of the fishery, right,
15 is not captured as well by a general survey like MRIP, and so
16 development of these specialized surveys over time was trying to
17 create more specialized sampling frames, and more focused sampling
18 strategies, for specific sectors that may not be as well sampled,
19 right, by a general survey, and so, you know, the MRIP is still
20 being conducted in Florida for all the other species, but the idea
21 is that, you know, only about, what, 10 percent, perhaps, or 15
22 percent, of all saltwater fishing trips in the State of Florida
23 are focused on reef fish.

24
25 All the others are actually focused on the inshore species, right,
26 and so when you have a draw, a sampling draw, right, that is
27 generalized, it's not going to be as focused and specialized for
28 that specific sector, and so, for this, we worked with MRIP, during
29 the development process, to make the two integrated, right, and
30 that's the dockside APAIS part of the survey.

31
32 **DR. MICKLE:** I understood that part of it, but I was trying to get
33 to the point that was made earlier about effort and the MRIP
34 working with the state survey to try to understand why the efforts
35 are so inflated in some surveys, but, specifically, a reef fish
36 focus is a good effort, in that part of it, but trying to understand
37 that, and there are other unknowns, and some states don't do the
38 effort survey, but they're still massively inflated, and so I'm
39 trying to figure out, from a methodological perspective, maybe how
40 calibration can be looked at in a different sense, if that makes
41 sense, but I will hold my correlation questions for at the end,
42 when all of the presentations are done, because it's more -- Thank
43 you.

44
45 **CHAIRMAN NANCE:** Thank you. Harry, please.

46
47 **MR. BLANCHET:** Thank you, Mr. Chairman. On this table that you
48 have up here right now, I wanted to focus on four ratios. Looking

1 at the SRFS to the FES landings, in numbers of fish, you've got
2 two time periods, the 2015 to 2017 and the 2018, 2019, and 2021
3 time periods, and so the earlier ratio, in terms of numbers of
4 fish, was 0.4. The more recent ratio is 3.6, and so, essentially,
5 if I am reading this correctly, the SRFS estimate, at this point,
6 is a smaller fraction of what FES is saying.

7
8 Now, if you go up to the top, and look at that same ratio. for
9 landings in numbers of fish, compared to the CHTS, the earlier
10 time period, 2015 to 2017, has a ratio of 1.14, and the later time
11 period has a ratio of 1.29, or higher, and so, in my simple mind,
12 I am seeing the difference in the direction between the two
13 surveys.

14
15 In CHTS, essentially, that ratio is going up, and, in FES, that
16 ratio is going down, and there is two issues that I can't simply
17 come up with. First off, in the FES, in the later time period,
18 the FES number of surveys that they sent out increased, and so
19 there could be some difference in that, or is that just -- I mean,
20 looking at those ratio PSEs, there is essentially no change, but,
21 if anything, the trend is downward, but, with the CHTS, the trend
22 is upward, and so the question is, is that real, or is it purely
23 a matter of the challenges with using modeled estimates of the
24 CHTS in more recent years? Thank you for your time.

25
26 **CHAIRMAN NANCE:** Luiz or John.

27
28 **DR. FROESCHKE:** One thing that is related this is is, when I looked
29 at the landings data in CHTS and FES, by year by state, in Florida
30 -- Well, in Alabama and Mississippi, essentially, that ratio is
31 stationary. It's variable, but stationary.

32
33 In Florida, it is trending, meaning that the ratio between CHTS to
34 FES is essentially doubled in the time period, and so I think
35 that's what is causing this divergence, and I asked Dr. Cody about
36 that, and I think that -- He can fill in the blanks, but
37 essentially, it's the way that the model-based projections are
38 going forward, and there's probably some variables in there, which
39 I don't understand, but are causing this, and then, as you go
40 farther away from those calibration years, there is additional
41 uncertainty, just like any projection or assessment. I am not
42 sure what problems that could cause in this whole paradigm, but,
43 yes, we've discussed it, and it will be interesting to see what
44 you guys think.

45
46 **CHAIRMAN NANCE:** Thank you, John. Luiz.

47
48 **DR. BARBIERI:** John, on that point specifically, right, is this

1 issue of using -- If we're going to have to convert to CHTS, right,
2 using the model calibration to convert back to CHTS, or we, as an
3 SSC, continue using what we had previously recommended, where the
4 calibration was based on the actual benchmarking period, and this
5 is why I asked that question before, because there are all the
6 different options to be considered, right, before the SSC.

7
8 The first is is the methodology, you know, robust and acceptable,
9 and then which one of those time periods does the SSC believe best
10 represents the data for that calibration to take place.

11
12 **CHAIRMAN NANCE:** Thank you. Richard, to that point, please?

13
14 **DR. CODY:** I will just make a point that the calibration model, as
15 I mentioned earlier, accounts for declining trends in the CHTS,
16 and so, in recent years, the component that captures that most
17 effectively was the cellphone component, and so as we expect
18 response rates to the survey to decrease, and the survey to become
19 less representative of the general population, that trend would
20 continue, and so the ratios -- It's not too unexpected that those
21 ratios would increase over time.

22
23 **CHAIRMAN NANCE:** Thank you. Jason.

24
25 **MR. ADRIANCE:** Thank you, Mr. Chair, and I'm going to apologize,
26 but I'm going to go back to methodology, and I just had a question
27 about the dockside. How does that work? When you get an intercept,
28 are certain intercepts FES, and certain SRFS, or is that one
29 intercept going to both? Thanks.

30
31 **MS. CROSS:** Sure, and so the dockside intercept assignments are
32 drawn at the same time, and so the SRFS intercepts have their own
33 assignments, and the MRIP assignments -- They're completely
34 separate, but they're drawn at the same time, so that they can be
35 combined, and the sample weights are comparable.

36
37 I don't believe that they overlap, and so a SRFS assignment is --
38 Those interviews collected during that assignment are SRFS, and
39 the same for APAIS, and they're not -- The same assignment isn't
40 -- Like those interviews from an assignment aren't going to both,
41 and so they're not doubling, right, and they're completely
42 separate. They can be combined, and the sample weights are
43 combined, and we had designed it that way on purpose, so that we
44 could maximize the amount of data that we're getting to improve
45 the precision of the estimates.

46
47 **CHAIRMAN NANCE:** Richard, to that point?

1 **DR. CODY:** I just wanted to follow-up on Tiffanie's description
2 there, and, basically, what happens is that the draws are done
3 simultaneously, to allow for improved efficiency. The designs are
4 not impacted by the actual draw, and so a SRFS assignment is a
5 SRFS assignment, and an APAIS assignment is an APAIS assignment,
6 and they are drawn separately, in that respect.

7
8 What happens with SRFS is they can use the APAIS information to
9 improve precision, and we don't do that with our survey, because
10 it wasn't designed that way, and there may be a potential, later
11 on, to do that, but that's basically -- It's an efficiency thing,
12 but also a coordination included into the draw, so that we don't
13 get overlapping assignments of APAIS and SRFS, and we can avoid
14 that.

15
16 **CHAIRMAN NANCE:** Thank you.

17
18 **DR. CODY:** So there are certain criteria that are applied to the
19 draw, and then we do that -- The draw is run many, many times, and
20 the survivor draws are the ones that are used for the final sample
21 allocation.

22
23 **CHAIRMAN NANCE:** Sean.

24
25 **DR. POWERS:** Building on Paul's question, and I will ask this to
26 the other states too, but have you explored what you would need to
27 do in the SRFS estimation to get it to produce FES numbers, to get
28 those numbers to elevate and go higher with FES? Here, what I'm
29 thinking about is -- My understanding is that the intercept data
30 really doesn't vary that much, weights, retained catch, and all of
31 those things are about the same, and so it's obviously in the
32 effort, but have you all figured out what is in -- I mean, is it
33 strata, or is it different weights given? I mean, I guess that's
34 another way to get at Paul's answer, is how you manipulate the
35 SRFS to actually get the FES answer.

36
37 **MS. CROSS:** Sure, and so we have embarked on a pretty lengthy
38 endeavor to look at a lot of different things that could be causing
39 the discrepancy between the effort estimates of the two surveys.
40 We have created a simulation model that looked at both sample size
41 and different ways of stratifying, and we learned that it wasn't
42 really the stratification, and so we could choose to not stratify
43 our survey, or MRIP could choose to stratify their survey, like
44 us, and it wouldn't change things much.

45
46 Improving the sample size, or increasing the sample size, of MRIP
47 could help us with better precision, but, overall, it didn't really
48 change effort estimates. We're also run a side-by-side tests and

1 modeled a -- It was a shortened questionnaire that was basically
2 testing, if we just asked people -- Instead of running them through
3 and kind of like walking their memory through -- Like showing them
4 the calendar and saying mark the dates that you took a trip, and,
5 instead, we did something like how many trips did you take last
6 month, and how many trips did you take in the last two months, and
7 so we did this by wave.

8
9 The first month of a wave, we asked folks what they did in the
10 prior month. On the second month of the wave, we asked half of
11 the people what they did in the prior month, and the other half of
12 the people what they did in the prior two months, to see if there
13 was like this cognitive bias, and this telescoping issue, and we
14 did find a difference.

15
16 The people that were asked, in general, how many trips did you
17 take over the last two months, their estimates of how many trips
18 they took were elevated, compared to people who were given a
19 calendar or asked about the prior month, and so I think that
20 there's something there for the type of question being asked, and
21 like framing the timeframe that you're asking about.

22
23 **DR. POWERS:** Refresh my memory, and what's your timeframe, versus
24 FES's timeframe?

25
26 **MS. CROSS:** We ask people what they did in the prior month, and we
27 provide them a calendar, on the front page of the survey, that
28 they actually mark-in, and so it's really like they're interacting
29 with the calendar, and they're not just glancing at it and like -
30 -- They are literally an X in the box of the day of the calendar
31 that they took a trip, so that they can see the calendar and, you
32 know, different things will jog their memory about what they did
33 in the prior month.

34
35 **DR. POWERS:** How does FES do it? Do they just ask for number of
36 days in the wave?

37
38 **MS. CROSS:** Yes, and so, like Richard was saying, in the FES
39 questionnaire, it's a general questionnaire that -- The FES
40 questionnaire starts out by asking very general questions about
41 how you consume, the weather, and a bunch of other common things
42 that the general public -- Their survey frame is the U.S. Postal
43 Service list of households, right, and so they're trying to appeal
44 to a wide general audience.

45
46 The people go through these questions, and then the last two
47 questions say, in the last two months, and I am paraphrasing, and
48 I don't have it verbatim in memory, but, in the last two months,

1 how many trips did you take from a private boat, and, in the last
2 two months, how many fishing trips were based from shore, and it's
3 just you write your number in, and there is a little picture of
4 the calendar, and it's small.

5
6 **DR. POWERS:** So that's getting at what I'm -- So you actually think
7 that there is a data difference, and it's not -- It looks like you
8 looked at stratification, and I don't know if you all looked at
9 weighting differences, but it seems like you think there is, at
10 the frontend, a legitimate data -- That might have to do with
11 recall bias.

12
13 **DR. BARBIERI:** Well, I'm sorry, but let me jump in here. Just
14 because there is an effort now, and Tom can speak more about this,
15 taking place, and so MRIP has put together, right, for a while,
16 but it's now active, but this transition team, right, that is
17 looking, in a more structured way, about how to go about
18 understanding those differences between surveys and how that's
19 impacting the results.

20
21 The team of statisticians were presented, the MRIP consultants,
22 they were presented with all of the designs, all of the data, and
23 all of this discussion took place, and they themselves, at this
24 point, decided there is no way to get to that answer without
25 collecting additional data and having additional research done,
26 and so the transition plan now involves two components.

27
28 There is a calibration component being done to address the short-
29 term needs for management and assessment, and there is a longer-
30 term component, and Tom is involved in that, that is trying to
31 work with the different states in developing research projects,
32 studies, that will be addressing -- It was a data-based, analytical
33 approach used to evaluate those differences, because they are
34 complex, as you know, and they involve cognitive science, in a
35 way, about the probability of people responding to questionnaires,
36 and they are structured one way or another, or the probability of
37 you getting different people with different demographics and age
38 groups, and there is all sorts of complexities that need to be
39 looked at in a structured, statistical design study, and so that's
40 -- We're not at that point yet, and we have been conducting -- The
41 State of Florida, FWC, has been conducting a number of studies, on
42 the side, to try and look at some of these questions, but, more
43 fully, we haven't been able to get there yet.

44
45 **CHAIRMAN NANCE:** Okay. Thank you. Jim.

46
47 **DR. TOLAN:** Thank you, Mr. Chairman. I wanted to return, real
48 quickly, to the point of the assignments of the different surveys,

1 but, if Tom has a question to this right now, I will certainly
2 yield.

3
4 **DR. FRAZER:** I will follow-up, real quick, to Sean, and so, I mean
5 -- Luis is right, and, I mean, there's a lot of people involved in
6 this effort, right, including the state directors and others
7 involved. You know, Bev is involved, and Richard, and Gregg Bray,
8 and there's a lot, and so, I mean, that has to come, but, in the
9 shorter term, if you're just trying to get, you know, to the FES
10 kind of equivalency question, right, my question would be, I mean,
11 when you just look at the data, you could filter the FES data,
12 right, to some degree, right, because we know, essentially, a
13 quarter, or more, of that effort is accounted for by shore-based
14 activities, right, and so you can kind of pull that out, and the
15 Florida people already know that 15 or 20 percent of the people
16 are fishing primarily offshore, and the other 80 percent or so are
17 inshore, and so, when you take those things into consideration,
18 they're actually fairly closely aligned, right, the estimates, and
19 they get much closer to one-to-one. I don't think we've done that
20 yet, but it's an option.

21
22 **CHAIRMAN NANCE:** Thank you. Jim, do you want to go ahead? I've
23 got a list going.

24
25 **DR. TOLAN:** Okay. I wanted to return to the concept of the
26 different surveys and the draws and the assignments to the
27 interviewers, and this kind of deals with the question that I had
28 earlier about the decline rates. Does the angler know which survey
29 they're being asked questions about, because it's been my
30 experience that, in some sectors, there is a much different level
31 of trust in the data being collected by different people, and so
32 is the angler aware of which survey they're being asked for?

33
34 **CHAIRMAN NANCE:** Go ahead, Richard.

35
36 **DR. CODY:** Both surveys -- Like I said, they're very different,
37 and, I think, in the field -- I mean, they're done by the same
38 agencies, but, essentially, they're very different surveys, and so
39 I think it's safe to assume that the anglers know which survey
40 they're being interviewed for, because they are very different in
41 structure, but I don't know, and, Tiffanie, you can add to that if
42 you want.

43
44 **MS. CROSS:** Maybe Bev can correct me, but I don't -- I don't know
45 that we actually say like this is the MRIP survey, or this is the
46 State Reef Fish Survey, but they are -- Like the State Reef Fish
47 Survey intercept is -- We get right to the point of like did you
48 fish for reef fish, and that's by design, and, like Richard said,

1 the MRIP survey is much longer and more in-depth about a lot of
2 different -- Like all the species, but do we actually say like
3 this is the MRIP?
4

5 **MS. SAULS:** I don't think the average angler knows what either one
6 of those surveys are, and they just know that, hey, a biologist
7 has walked up to me and has a survey they want to do, and we do
8 the survey, and, I mean, most people don't know the difference
9 between MRIP and SRFS or that there are two surveys that even
10 exist. I am sure there are some more educated people out there
11 who know which one they're participating in, but, I mean, the
12 average angler -- I mean, there's no need to say you're about to
13 be asked something for the MRIP survey and this is not the SRFS
14 survey.
15

16 **MS. CROSS:** Right, and, I mean, to the average angler, they know
17 that a State of Florida biologist is at the dock, and we're just
18 asking questions about the trips they took that day, and, you know,
19 the rapport is pretty good with the anglers, and so I don't know
20 that there's a lot of discrepancy between the angler saying, oh,
21 this is a federal survey, or, oh, this is a state survey, and I'm
22 going to participate in one and not the other, if that's what the
23 concern was. Like Bev said, I don't think they know they
24 difference.
25

26 **CHAIRMAN NANCE:** Steven.
27

28 **DR. SCYPHERS:** Thank you, Mr. Chair, and so I have two questions,
29 kind of along the lines of thinking about the differences that are
30 coming out of FES, versus the Florida survey, and the first one is
31 what's the context of who is being asked about their fishing effort
32 within the household? Is it just the licensee, or are they asked
33 to comment on others within the household, because I think that
34 could be one of the big differences. FES asks whoever completes
35 the survey to answer it about up to four or so other people within
36 the household, and so it's getting an individual's observation of
37 other individuals and not just a single person, if I'm interpreting
38 that correct.
39

40 **MS. CROSS:** The State Reef Fish Survey mail questionnaire is only
41 for the angler selected for the survey, and, in really big, bold
42 letters across the top, the very first thing they read is this
43 survey should only be completed by Tiffanie Cross, or whoever it's
44 getting sent to, and so it's like one person in the household, and
45 not anybody else, and we're very explicit about that.
46

47 **DR. SCYPHERS:** Thank you, and then the second question is thinking
48 about where that fishing effort is going on, and so is it -- Am I

1 interpreting it correct that, for Florida, in the effort survey,
2 you're actually asking about where they fish spatially on the map,
3 and so you know if people live on the Atlantic coast, and are
4 fishing in the Gulf, where they're fishing in those types of
5 places.

6
7 **MS. CROSS:** Yes, and so, once they've told us that they did fish
8 in that month, and they mark the calendar, the next question asks
9 what they did in a specific trip, and so, for each specific trip,
10 they tell us the date of the trip that they're talking about, so
11 we can match it to the calendar, and then we ask them if they
12 fished on an artificial reef, and then we say, using the map below,
13 which region did you fish in today, and those are marked by
14 letters, and then, depending on the region, it then asks, you know,
15 a state versus federal waters type of question, and let me -- Would
16 it be helpful if I emailed a copy of the questionnaire right now?
17 Do you want to see it?

18
19 **DR. SCYPHERS:** The comparison -- Just to close that loop, the FES
20 is simply asking about effort within the state and then using APAIS
21 to partition where that effort is, if it's Gulf or Atlantic.

22
23 **DR. CODY:** What the FES basically asks about is effort, like you
24 said, within the state, and the APAIS is used to partition the
25 effort into different fishing areas, first of all, but it's also
26 used to adjust for out-of-state effort, and so you ask, you know,
27 the zip code of residents, or that kind of information, to get at
28 that, and non-coastal as well, in some states.

29
30 **CHAIRMAN NANCE:** Okay. Thank you. Thanks for those questions.
31 Paul, do you have a question?

32
33 **DR. MICKLE:** Do you all do a monetary offering in the mail survey?
34 Doesn't the FES do like a one-dollar or two-dollars? I don't know
35 if anybody that lives on the water is going to be running into the
36 house waving two-dollars to participate in --

37
38 **MS. CROSS:** The State Reef Fish Survey is non-incentivized.

39
40 **CHAIRMAN NANCE:** Trevor.

41
42 **MR. MONCRIEF:** For Jim's question about who is giving the surveys,
43 and what survey it is and everything else, just a comment on that,
44 from, you know, someone who has the done the survey, and from a
45 state who actively does it, for the most part, these guys are
46 seeing their state biologists. Even if it's the MRIP survey, and
47 ours are distinguishable between Tails 'n Scales and MRIP, and
48 there is different questions, and it's a different approach, but

1 it's your state biologists, and most folks are very happy to see
2 them, and they don't have too much complaint about, I would imagine
3 the dismissal rate for these.

4
5 I think, when we looked at it in the past, and we've discussed it
6 with the other states, it's 5 percent or less of guys who just --
7 You will come up to them, and they will just blurt out expletives
8 and walk away, and say I'm not doing this today, and that's a very
9 small amount, and so it's negligible.

10
11 **CHAIRMAN NANCE:** Thank you. We've had a good discussion on
12 Florida, and we'll go ahead and take a fifteen-minute break, and
13 we'll come back around 10:30, and we'll have then Alabama up.

14
15 (Whereupon, a brief recess was taken.)

16
17 **CHAIRMAN NANCE:** Okay. We will go ahead and start gathering back.
18 I appreciated the presentation from the State of Florida, and we'll
19 now -- Kevin Anson is going to give us the presentation from
20 Alabama. Kevin, are you online?

21
22 **MR. KEVIN ANSON:** I am online, Dr. Nance. Can you hear me?

23
24 **CHAIRMAN NANCE:** You bet. Thank you so very much. We appreciate
25 you being able to do this, and so we'll go ahead and turn the time
26 over to you.

27
28 **ALABAMA**

29
30 **MR. ANSON:** Thank you, and I appreciate the opportunity to discuss
31 the potential for updating the current red snapper calibration
32 ratio, and I appreciate the SSC members' time in discussing this
33 issue and the amount of time the council has devoted to the states
34 to discuss the issue. Also, I want to extend an apology for the
35 late submission of the report and the presentation that I'm going
36 to give right now.

37
38 As background, and Ryan talked a little bit about this during the
39 Florida presentation, but the SSC approved the current
40 calibration, which used data from the years 2018 and 2019, the
41 MRIP-CHTS to Snapper Check harvest estimate ration, and that is
42 currently at 0.4875.

43
44 The council requested the SSC to review updating the calibration
45 ratio, and the draft proposal was submitted for review by the
46 Southeast Regional Office, the Science Center, the Office of
47 Science and Technology, as well as council staff, to provide some
48 comments, and it suggested several things, and one of those was to

1 provide some options for removing 2020, as well as looking at some
2 longer time periods, and so I'll address some of these comments
3 now, which kind of drill-down to what our preferred, or
4 recommended, calibration ratio would be.

5
6 As was discussed during the Florida presentation about 2020 and
7 COVID, we did not experience some of the things that occurred in
8 Florida, relative to the assignments, the sampling activities, and
9 we essentially started back our normal operations in May, and, by
10 certainly late May and June, when the snapper season started, we
11 were back in full operation, and use of a longer Snapper Check
12 time series may not be appropriate, and, again, that was a
13 recommendation.

14
15 Snapper check data -- We began the program in 2014, and we did not
16 receive MRIP certification until 2017. We had to make some
17 adjustments to the way we accounted for anglers during field
18 assignments. In the early years, we did not capture the amount of
19 angler activity, and that was something that had been recommended
20 during one of the CHTS reviews, the MRIP reviews, by consultants,
21 and it basically is used for developing the proper weight that is
22 assigned to the individual assignments, essentially, or the
23 individual interviews that are collected during the assignments,
24 and so we had not been doing that in those first three years of
25 the survey, but we implemented those changes in 2017, and that's
26 when consultants agreed with the methodology and we received MRIP
27 certification.

28
29 Again, we prefer not removing 2020 and keeping 2020 in our
30 analysis, in the ratio. Dr. Richard Cody provided a summary of
31 the sampling activities for APAIS during an April 2021 council
32 meeting, and he had shown some performance relative to the
33 percentage of intercepts that were being collected, the amount of
34 lengths, and the amount of weights that were being collected in
35 the field, by state, for all of the states where APAIS was
36 conducted, and so we included the east coast as well, and Alabama,
37 again, for weight, and for intercepts, those two metrics, Alabama
38 was fairly comparable, in 2020, with previous three years that
39 were used.

40
41 We did not do well in lengths, and that's partly due, or probably
42 due, to the instructions that were given to field samplers, in
43 order to maintain social distancing recommendations, and the
44 distance between the sampler and the angler within six feet, of
45 course, was not observed, but, generally, if the opportunity arose
46 for the sampler to get biological information, after receiving
47 approval from the angler to do so, in order to reduce time, the
48 samplers focused on collecting weights and not lengths, since

1 weights are used primarily for management.

2
3 We are proposing to look at just 2020 and 2021 for the updated
4 calibration ratio, and this is based mostly on some of the
5 discrepancies that might be occurring between, or within, the
6 dockside survey, and it's probably due to periods of high angler
7 activity when assignments are conducted, and those periods of high
8 angler activity can change over time, and here, in the last --
9 Certainly in the last couple of years, but, over the last five to
10 six years, as the number of days the season has been open for red
11 snapper, the proportions of anglers that are accessing sites has
12 gone down, and so I'll get into a little bit more about some of
13 the specifics relative to what the responsibilities of samplers
14 are, and the performance related to the number of intercepts that
15 they're collecting in the field, a little later.

16
17 Suffice it to say that sampling discrepancies, or inefficiencies,
18 could lead to an inappropriate adjustment, or weighting, of the
19 effort data, and we had some good discussion, during the Florida
20 presentation, about the mechanics of how the APAIS survey is
21 conducted, and I'll talk a little bit about how we conduct the
22 Snapper Check dockside intercepts here momentarily, and the 2020
23 and 2021 data are more similar than the 2018 and 2019 data, in
24 that they're a little bit more consistent, and, granted, it's a
25 short time series, and I understand that, but it also is, I think,
26 just more generally reflective of where the fishery is now and
27 where it might be going forward.

28
29 I will be looking at, Dr. Nance, for you to just -- Certainly, if
30 anyone has any questions throughout the presentation, just like as
31 in Florida's, I will be more than happy to answer them at that
32 time.

33
34 **CHAIRMAN NANCE:** Thank you so very much.

35
36 **MR. ANSON:** The Snapper Check summary, the Snapper Check is
37 comprised of a mandatory reporting program and a dockside survey,
38 and so, in the mandatory reporting side of the program, which is
39 where we get the effort, the vessel representative, which is, for
40 regulatory purposes, is either the captain or the owner, is
41 required to submit a landing report before red snapper are landed
42 in Alabama, and so we do not necessarily collect dead discards in-
43 season or out-of-season, but we do receive some reports whereby
44 there are no landed red snapper, but there are reported dead
45 discards, but there is no reporting requirement for trips that
46 occur with dead discards.

47
48 That's where we get the raw, or base, number of trips, and then we

1 perform a dockside survey, whereby we attempt to intercept vessels
2 with red snapper to collect biological information, and trip
3 information, and the trip information is used to quantify non-
4 response, and so we try to attempt to match the data that we
5 collect at dockside to the reported data from the anglers, and so,
6 in each of the reports, the angler report, as well as the dockside
7 report, there is specific information that we ask, and collect,
8 and that is the vessel registration number, the date, the number
9 of anglers that are on the trip, number of fish landed, the general
10 time of the interview, and that's compared to the time that the
11 landing report is submitted.

12
13 Early on in the survey, we allowed for a phone, web, and paper
14 reporting, and, in each of those instances, at least
15 electronically, when it was phone or web, the time would be
16 collected at the time of the report, and, on the paper report, at
17 the time, we asked the time of the landing, and so we would have
18 that time, and those pieces of information would be, you know,
19 compared to one another, through an algorithm, and that is where
20 trips would be identified as matching one another or not matching
21 one another, and then that status of matched and unmatched trips
22 would then be used in a proc survey means statement in SAS, and we
23 do that, a proc survey means, for number of fish landed, dead
24 discards, and anglers.

25
26 This is the reporting frequency, based on that matching routine
27 from our Snapper Check interviews, and so there is an error here
28 in this graphic, as well as one a little later, unfortunately, and
29 I apologize for that, but this has the two modes that are covered
30 under Snapper Check and are included in our calibration ratio. We
31 have the charter-state, and that is, in our accounting of state
32 charter vessels, we use the state license database, and we also
33 then compare that to the federal permit list for federally-
34 permitted charter vessels, and so any vessel that has purchased a
35 state fishing license, but does not have a federal permit, those
36 vessels are deemed as state charter vessels.

37
38 You can see there that that's the blue, solid blue, line, and their
39 reporting rates have ranged anywhere from about 40 -- A little
40 over 40 percent to nearly 70 percent in the time series. I included
41 2014, 2015, and 2016 in here, just for context, and, again, those
42 years were not MRIP certified.

43
44 Then you can see the private-federal, and that is -- It's
45 represented as the dark-blue solid line down in the legend, but
46 it's really the dotted line, and that private-federal is for
47 vessels that are encountered at the dockside surveys that are
48 conducted when the federal waters were open, and then the private-

1 state is for those years where we had a specific state season, but
2 you can see there, for the private vessels, we had some drop-off
3 in reporting from 2014 to 2015, and that may have coincided with
4 perceptions among anglers that the state was conducting this new
5 survey, with the anticipation, among some anglers, that access
6 would be increased the following year, and access was not
7 necessarily increased the following year, at least for the federal
8 season, and so we may have had some dissatisfaction among some of
9 the anglers and with non-compliance, as far as the reporting side
10 of things, but complying at the dockside survey.

11
12 As was mentioned earlier for Florida, and I believe that Trevor
13 also mentioned it -- Our state folks, they have a uniform, and the
14 uniform identifies them as working for the Marine Resources, and
15 we conduct both the APAIS survey and the Snapper Check survey with
16 the same samplers, and they're dressed the same.

17
18 **CHAIRMAN NANCE:** We have a couple of questions, Kevin.

19
20 **MR. ANSON:** Go ahead.

21
22 **CHAIRMAN NANCE:** Will, please.

23
24 **DR. PATTERSON:** Thank you, Mr. Chair. Hi, Kevin, and I had a
25 question about this figure. On the Y-axis, it says "frequency",
26 and you have proportions here, and are these proportions of boats
27 that you have information that they exist in these different
28 categories of fishery, the recreational fishery, or are these the
29 percentage of trips that you've somehow estimated, where the
30 participants, or the captain, has actually completed a survey?

31
32 **MR. ANSON:** It's similar, and it's the proportions of the vessels
33 that we interviewed, or observed, in the field that had red snapper
34 that also had a matching landing report associated with it, and so
35 it's the frequency of the reporting.

36
37 **DR. PATTERSON:** So for individual trips and not just for vessels.

38
39 **MR. ANSON:** These are for vessels only. This is just for vessels.
40 Our basic unit is a vessel, and that is how we kind of do the
41 matching, is through the vessel and using the vessel registration.

42
43 **DR. PATTERSON:** Okay. One last question. This says the frequency
44 of reporting for a vessel that is encountered on a given day, or
45 is this across the entire season?

46
47 **MR. ANSON:** It's for the entire year, but within each of those
48 groups of anglers, or vessels, within the season, and, again, for

1 private, we've broken it down, or segregated, federal seasons and
2 state seasons, but, for charter, it's strictly those vessels that
3 have a charter license, but do not also have a federal permit
4 associated with that vessel.

5
6 **DR. PATTERSON:** Okay. Just one last follow-up then. So some
7 vessels that are in the data here, in the given year, could have
8 been sampled one time, or they could have been sampled many times?

9
10 **MR. ANSON:** That's correct. There were instances, and not so much
11 on the charter -- Well, we may have had a couple of vessels that
12 were sampled a couple of times. Certainly in the private recs
13 there were -- I think, in one year, there was an instance where a
14 vessel, or two, were sampled three times in the same season.

15
16 **DR. PATTERSON:** Thank you.

17
18 **CHAIRMAN NANCE:** Jason.

19
20 **MR. ADRIANCE:** Thanks, Mr. Chair. Kevin, I think you answered
21 this, but so this is -- These are declared Snapper Check trips
22 that you encounter when they come back in, correct?

23
24 **MR. ANSON:** Well, they're declared to the point that they've
25 submitted a landing report, and so we ask -- When we conduct the
26 dockside survey, we have basically a screener question as to
27 whether or not they were fishing, and then, if they were fishing,
28 we ask if they were -- Now we ask if they were reef fish fishing,
29 but, you know, early on in the survey, we ask if they were red
30 fishing, and then if they have red snapper onboard. If they have
31 red snapper onboard, then we would complete the interview, because,
32 again, a landing report is only required for landed fish and not
33 for engaged in snapper fishing, or have caught red snapper, but
34 did not bring any back to the dock.

35
36 **MR. ADRIANCE:** Okay, and so they may not necessarily have started
37 out as a Snapper Check trip, but they had red snapper, and is that
38 correct?

39
40 **MR. ANSON:** Well, yes. I mean, if they came back to the dock, and
41 they had red snapper, they would -- And they allowed us to, you
42 know, answer the rest of the questions that we use for matching
43 against the landing report, then they're considered a red snapper
44 trip.

45
46 **CHAIRMAN NANCE:** Okay. Thank you. There is no more questions,
47 Kevin.

48

1 **MR. ANSON:** All right. Here is the amount of interviews that were
2 collected over the period 2011 through 2021, and, again, 2011 was
3 included just because there is some additional information that I
4 provide here in the presentation for context, and, again, 2014
5 through 2016 is non-MRIP certified, but it's provided here, and
6 these are the Snapper Check interviews represent an interviewed
7 vessel, and APAIS interviews represent an interviewed angler.

8
9 You can see here that these are the number of trips that were
10 measured in each of the surveys, and then the number of relative
11 anglers, or the number of anglers that had red snapper as part of
12 their catch and those that did not, and you can see, in 2017 --
13 You can see the proportions of those that did not have red snapper,
14 because we had that methodology, that protocol, change that
15 required us to count all of the anglers, and we had not been doing
16 that in the three years prior.

17
18 One other thing to note on here is that these are assignments that
19 -- For Snapper Check at least, these are assignments that are
20 primarily assigned and conducted during snapper season, and so I
21 wouldn't necessarily compare these one-to-one, but it's just
22 giving some relative distributions within each of the surveys.

23
24 Again, some context from 2011 through 2021, and this provides the
25 number of days that the red snapper season was open in Alabama,
26 and you can see that it was primarily just a federal season from
27 2011 to 2013, with some decreasing number of days that were given.
28 2014 was a nine-day federal season, and that was the first year
29 that the state had created a state-water season, and the state
30 season continued through 2017.

31
32 In 2017, I will note here, it was a little bit of a different year,
33 for those who may not be familiar with red snapper management in
34 the Gulf, but that was the year where it was originally announced
35 as a three-day season, federal season, and then we had announced
36 a relatively long state season, but, soon after the state season
37 closed, on June 3, a second federal season was announced that
38 encompassed just three-day weekends, starting in mid-June and
39 going through Labor Day weekend. Then, starting in 2018, through
40 2021, we've been under either the exempted fishing permit or the
41 regional management Amendment 50.

42
43 Here is the harvest in CHTS and Snapper Check. In 2017, a large
44 year, and there may be some issues related to, again, some of the
45 dockside intercepts that were collected in there, and you can see
46 a relatively, you know -- Outside of that year, 2019 was the next
47 highest, but it's relatively the same. There's a decreasing
48 harvest for CHTS here in the last couple of years of the time

1 series.

2

3 One of the questions that came up from that initial review was the
4 effects of weather, and so I added this in here, just to show that,
5 you know, regardless for either of the surveys, weather may not
6 have been an impact here, and the dashed lines, the dotted lines,
7 in each of the years indicate the mean wind speed throughout the
8 season, and it's just the days that the season was open for each
9 of these, and so, for Alabama, since we've been under the EFP, or
10 regional management, we've been able to set our own season, and
11 so, in 2018 and 2019, the days that the red snapper harvest was
12 open, or available, was on Fridays through Sundays, and then, in
13 2020 and 2021, the season was extended, if you will, for four-day
14 weekends that encompassed Fridays through Mondays.

15

16 Another thing that was asked to depict was the harvest, for both
17 surveys, relative to the ACL, both the Gulf recreational ACL as
18 well as the state ACL, beginning in 2018, when we went to regional
19 management, and you can see here that the CHTS harvests, which are
20 indicated there in kind of the orange color, the brown, they were
21 relatively high in the initial time series, the initial part of
22 the time series, and then they fell off in 2014, 2015, and 2016,
23 which primarily was due, I think, to the shortened season, and we
24 went to nine and ten-day federal seasons during that time period.

25

26 Snapper Check harvests have been increasing slightly, and that's
27 due to increases in the ACL that have been enacted, and we did
28 have a small overage in one of those years, and there was a payback
29 for that in the subsequent year.

30

31 One thing to point out, here again, for 2017, is I mentioned that
32 it was kind of an unusual year for how the season was established.
33 In Alabama, in that year, just the recreational harvest, the CHTS
34 harvest, represented about 81 percent of the Gulf recreational
35 sector's ACL, and so 2017 -- Sorry. It had high angler activity
36 at specific sites, and MRIP field sampling protocols may result in
37 unrepresentative samples of Alabama's anglers, which are being
38 used to adjust effort. I will get into that in the next couple of
39 slides, if you don't have any questions.

40

41 **CHAIRMAN NANCE:** Yes, we do. Will, a question?

42

43 **DR. PATTERSON:** Thank you, Mr. Chair. I am curious about, in 2018
44 through 2021, and so you have the Snapper Check ACL, and so I guess
45 this is through the EFP program, and the states are monitoring
46 their own harvest, or have ACLs specific to the states, and it
47 looks like your Snapper Check estimates of landings were pretty
48 similar to the ACL, and is that because you guys just hit the

1 number, or did you have in-season monitoring and a state-water
2 closure that explains that close correspondence?

3
4 **MR. ANSON:** We do -- Snapper Check was created mostly as a
5 monitoring tool, and we, of course, had some concerns about the
6 estimates of Alabama's harvest up to that point, but, as we were
7 going into a period there, when the season was announced at nine
8 days, and we looked at the prior trend in the number of days, you
9 know, for the preceding years, we looked at Snapper Check, through
10 the electronic reporting, and the ability to turn the data around
11 fairly quickly.

12
13 We can turn it around now -- Actually, we can close -- This last
14 year, we closed on a Monday, and we can generate estimates,
15 preliminary estimates, by Friday, and so we -- Beginning in 2018,
16 that's what we utilized, was the efficiency in the ability to get
17 harvest estimates and use that to forecast a closure, and that's,
18 in fact, what we did in 2018, is we used that to help close the
19 season earlier than we anticipated, and we also did that in 2019,
20 but, as you saw, the number of days in the slide previous, and
21 2021 was our first year where we essentially went all the way to
22 the end of the year, and we did not have to close early, if you
23 will.

24
25 We have not -- Here lately, we have not announced a closure date,
26 and we've just been relying upon Snapper Check to kind of forecast
27 out when a potential closure could occur.

28
29 **CHAIRMAN NANCE:** Go ahead.

30
31 **DR. PATTERSON:** In 2021 then, was there a drop in the catch rates?
32 Does that explain why the season didn't close before the end of
33 the year?

34
35 **MR. ANSON:** There was a combination of several things. There was
36 a drop in the catch rate, and there was a drop in the relative
37 size of the fish, compared to earlier years of the 2018 to 2021
38 time series, and, generally, just less overall trip activity
39 amongst the days as well, angler trips.

40
41 **DR. PATTERSON:** Okay. Thank you.

42
43 **CHAIRMAN NANCE:** No more questions, Kevin.

44
45 **MR. ANSON:** All right. Thank you. APAIS dockside sampling in
46 Alabama, this is generally -- I mention Alabama, but there were
47 methodological changes that occurred throughout the APAIS
48 coverage, but there was a change, in 2013, to the dockside survey,

1 and, basically, it required samplers to count all anglers during
2 a six-hour assignment.

3
4 Up until that time, samplers were given the instructions that they
5 were to go a site, and, if they couldn't get one intercept per
6 hour, then they could move to an alternate site in the same mode
7 that was next closest to the original site that was selected, and
8 so that afforded a lot of flexibility to the samplers, and it was
9 one of the critiques that were made during the review at that time.

10
11 Then another change was they -- Well, what was also required is
12 samplers were trained to approach potential anglers to determine
13 survey participation and eligibility, when time allows, but their
14 main focus is to count anglers during this change, in 2013, and
15 so, while conducting individual angler interviews, the sampler
16 must continue to monitor angler activity, and so, basically, what
17 this does is, for sites with high activity, you could reach a point
18 where most of the sampler's time is spent counting anglers and not
19 interviewing anglers, and that can become a problem if the sites
20 that are sampling from are not really representative, or are
21 different among one another, and the inability to collect
22 interviews, at those sites that may be different, compared to the
23 other sites, could lead to an unrepresentative sample.

24
25 We talked a little bit, earlier in the Florida presentation, about
26 the residency status, not only within the state, but then also
27 within the coastal zones, and that's collected from the dockside
28 survey, and that is used to adjust those trips from the telephone
29 survey, or the FES survey, that is used currently, and the
30 following slides are the kind of results of some analysis that I
31 had done to kind of show the impacts of that.

32
33 **CHAIRMAN NANCE:** Sean has a question, please.

34
35 **DR. POWERS:** Kevin, so the priority is counting anglers and then
36 interviewing them, and why is that the priority? I mean, because
37 effort is coming from another area, and the surveys and everything,
38 at least in the FES system -- Why isn't interviews the priority?

39
40 **MR. ANSON:** I can give my -- I can give an answer, but maybe, Dr.
41 Cody, if you want to address that.

42
43 **CHAIRMAN NANCE:** Richard, go ahead, please.

44
45 **DR. CODY:** Well, I would say that one isn't given priority over
46 the other. We need both pieces of information, but, obviously, we
47 need the number of anglers at the site to get a proper weight for
48 the interviews that are conducted. Obviously, you want to get

1 more interviews, but you do need both pieces of information.

2

3 **CHAIRMAN NANCE:** Yes, please, Sean.

4

5 **DR. POWERS:** So that count isn't used at all in the effort, and
6 it's just simply you're using it to figure out what percentage of
7 the anglers actually get intercepted?

8

9 **DR. CODY:** Correct.

10

11 **CHAIRMAN NANCE:** Thank you. Okay, Kevin.

12

13 **MR. ANSON:** All right, and so here are the following -- These two
14 graphs here depict the number of anglers that are either counted
15 or interviewed over the time series, in open and closed seasons,
16 and during Waves 3 and 4, in Alabama, and so the graphic to the
17 left -- On the Y-axis is the mean anglers counted, and so, again,
18 the number of just general anglers, regardless of what species
19 they're targeting, but just the number of anglers that are
20 finishing their trips and coming back to that particular site where
21 the assignment is being conducted.

22

23 Then, down on the X-axis is, within Waves 3 and 4, those
24 assignments that are conducted in the closed and open seasons and
25 their corresponding mean number of anglers counted per assignment,
26 and then the colors there indicate the county that those
27 assignments were conducted in, and so, in Alabama, we only have
28 two coastal counties, Mobile to the west and Baldwin to the east,
29 closest to Florida, and you can see, early in the time series,
30 that the mean number of anglers that are counted, per assignment,
31 in either the open or the closed season, is fairly similar, and
32 it's, you know, roughly fifty anglers counted during that time.

33

34 Then, as you go through time, particularly with the change in 2013,
35 we see a much larger number, mean number, of anglers being counted
36 during the red snapper season, versus those other days in Waves 3
37 and 4, where it's closed, and the proportions there, you know,
38 remain fairly high, and skewed towards the open season days,
39 relative to the closed season days, and you can see there,
40 following the colors, that Mobile County, for the most part, has
41 the majority of anglers being counted during those assignments,
42 particularly during the open season.

43

44 **CHAIRMAN NANCE:** Luiz has a question on that one, Kevin.

45

46 **MR. ANSON:** Okay.

47

48 **DR. BARBIERI:** Thank you, Mr. Chairman, and thank you, Kevin. Just

1 real quickly, are you aware of differences, or expected
2 differences, in catch rates between anglers from Baldwin and Mobile
3 Counties? How would you interpret how this would impact potential
4 results?

5
6 **MR. ANSON:** So there is a difference in catch rates, and there is
7 a difference in size between Baldwin and Mobile of red snapper
8 catches, and, generally, there is a higher catch associated with
9 Mobile County, and a larger fish associated with Mobile County
10 trips.

11
12 I don't have the exact numbers for that, but that is generally the
13 difference, and so there was -- During the Florida discussion,
14 presentation, there was some discussion about the research
15 planning team and talking about various issues that could be
16 explored between the APAIS and state surveys, and, certainly as it
17 relates to the calibration issue, these are some things that, you
18 know, we need further analysis, and my offering here today is to
19 explain that there is -- There is the potential for the sampling,
20 the dockside survey sampling, protocols to be contributing to this,
21 but I don't know the full extent as to whether or not all of those
22 differences can be accounted for just between this or they're
23 reduced, or increased, based on other factors, but there is a --
24 To follow-up on your specific question, Luiz, yes, there are some
25 discrepancies, and Mobile anglers tend to have more red snapper,
26 and they tend to have larger red snapper.

27
28 **DR. BARBIERI:** Okay. Thank you, Kevin.

29
30 **CHAIRMAN NANCE:** There is no other questions.

31
32 **MR. ANSON:** The graphic then to the right is the mean number of
33 anglers that --

34
35 **CHAIRMAN NANCE:** Kevin, it looks like we have on online that I
36 didn't see, and so Harry has a question.

37
38 **MR. BLANCHET:** It was a comment. On the right here, you're missing
39 the right-most column, and it is in the report, but just for those
40 people that didn't see it. I did have a question about -- So
41 you're talking about differences in the size and catch rates
42 between the two sides of the bay.

43
44 I mean, those guys are going out the same pass, and what do you
45 think makes the difference in the biological component of the
46 harvest between Baldwin and Mobile? I mean, they're going out the
47 same way.

48

1 **MR. ANSON:** Well, my opinion is, and I speak -- With the
2 understanding that I'm speaking to a room full of scientists who
3 have spent much of their careers on studying this species, but my
4 -- Just to answer the question simply, it's that I think it
5 reflects two things. A little bit of skill, if you will, and I
6 mentioned that earlier, about potentially on the harvest rates,
7 and then also the productivity of the stock itself, and I just
8 think that there is enough of a difference, in that small
9 geographic scale, that the productivity of red snapper is
10 noticeably higher in the west, off of Alabama.

11
12 **MR. BLANCHET:** So, essentially, what you're saying is that the
13 folks from Mobile County have a tendency to hang a right when they
14 get out in the pass, and the ones from Baldwin tend to hang a left,
15 and so they're fishing different areas, or did I misunderstand?

16
17 **MR. ANSON:** Well, no, and they are fishing different areas, but
18 within a very small geographic scale. I mean, generally, the
19 anglers go south from each of their respective locations, not to
20 say some that go from Perdido Pass and Baldwin County, which is on
21 the very eastern side of Baldwin County, on the Florida border,
22 and not to say they don't go west, but certainly a lot of those do
23 go south, or maybe go left, you know, south of Florida waters,
24 but, just in that small distance, I believe that the -- There is
25 differences in the angler abilities, but also differences in the
26 productivity of the stock.

27
28 **MR. BLANCHET:** Thank you.

29
30 **CHAIRMAN NANCE:** Jason, please.

31
32 **MR. ADRIANCE:** Thank you, Mr. Chair. Kevin, given the
33 discrepancies in these two counties, as you mentioned, in relation
34 to the fish, do you think this is contributing to your recent
35 trends in mean size and mean weight, or is that biological sampling
36 a little more equal between the two counties?

37
38 **MR. ANSON:** Well, as far as our sampling goes, I believe, you know,
39 that we had a -- We are more representative, our sampling, for the
40 biological lengths and weights in Snapper Check, and they're more
41 representative for each of the two populations of anglers, if you
42 will, and so, you know, as I mentioned just a little bit ago, these
43 are some deeper issues that I think still need to be fleshed out,
44 but, you know, when you look at the longer time series here, and
45 the changes in the survey, at least the APAIS survey, and you look
46 at the amount of harvest that's being estimated to be taking place,
47 relative to the amount of fish that are available, based on the
48 ACL, there's just some -- There's just some numbers that I think

1 are hard to match, and so I don't know, and I hope that I answered
2 the question.

3

4 **CHAIRMAN NANCE:** Thank you. Will, please.

5

6 **DR. PATTERSON:** Thank you, Mr. Chair. This is an interesting
7 question that Harry raises, and Kevin provided some not data, but
8 information about estimates of catch rates, and mean size of fish
9 being higher in the western region off of Alabama than the eastern,
10 and I'm wondering if the work that Sean Powers' group has been
11 doing, before the season versus after the season, surveying
12 artificial reefs in that area, if they see the same dynamics or
13 if, maybe before the season, they're similar densities and sizes,
14 but, after the season, the east looks different than the west does,
15 perhaps due to effort, especially the for-hire sector, out of
16 Orange Beach, fishing more to the east than to the west, and I'm
17 just curious if there's any data that would suggest that.

18

19 **CHAIRMAN NANCE:** Sean, please.

20

21 **DR. POWERS:** Sure. Thanks, Will, and I don't know if we've looked
22 at before and after and segregated it east and west. I do know
23 that the average size, right now, of red snapper throughout the
24 season is lower closer to shore off of Orange Beach. I mean, I
25 interpret that -- That could be productivity, as Kevin talked
26 about, but I think it's because those reefs off of Orange Beach,
27 particularly those more shallow-water ones, get fished more
28 heavily.

29

30 **CHAIRMAN NANCE:** Trevor.

31

32 **MR. MONCRIEF:** I was just going to add in here, and it's not
33 necessarily a question for Kevin, but it's something that you're
34 going to hear about in our presentation, and, when you're talking
35 about the differences on the county level, and selection and
36 everything else, this also ties into not just the metrics of what
37 anglers are catching, the size of the fish they're catching, but
38 it also deals with the proportions of area fished.

39

40 Now, the weighting that is used within the survey adjusts for that,
41 but to what degree it adjusts, like what was presented in the MRIP
42 trainings, and, you know, it helps scale it in, but, for our state,
43 and it could possibly be for Alabama, right, it could be to a point
44 where the weighting doesn't adjust it all the way to the point
45 where it gets back to what you would expect it to be.

46

47 In reality, it can't control for that much, just because of the
48 design, and so, while we're talking about county-level differences

1 and everything else, there's multiple variables and ratios at play,
2 outside of just the number of fish caught and the size of those
3 fish.

4

5 **CHAIRMAN NANCE:** Thank you, Trevor. Luiz, please.

6

7 **DR. BARBIERI:** Thank you, Mr. Chairman. Kevin, just to supplement
8 the previous point that I guess Trevor made, so are the two sets
9 of anglers from Mobile and Baldwin Counties returning to the same
10 access point, or are we talking about two different access points
11 in the APAIS survey, because, you know, for me not being that
12 familiar with the geography of Alabama, I was assuming that those
13 two were two separate access points, with different avidity levels,
14 I would guess, or fishing pressure.

15

16 **MR. ANSON:** Good question, Dr. Barbieri, as always, and I forgot
17 to mention that, and I should have, and the sampling sites that we
18 use in Snapper Check to conduct the dockside surveys are the same
19 sampling sites that are selected for, or potentially selected for,
20 APAIS draws, and, as was mentioned during the Florida survey, you
21 know, they are done at the same time, and they are using very
22 similar information, based on pressures, and, in fact, I would say
23 that the majority of the site month, or wave, pressure counts are
24 identical for each of the draws, but they are done at the same
25 time, and they are done by staff in the Office of Science and
26 Technology within NOAA, and they are done to promote efficiencies,
27 more than anything else, as Dr. Cody mentioned earlier, about
28 making sure that, you know, sites are not selected on the same
29 day, at the same time period, and then you've got --

30

31 Only one survey then is selected for conducting the assignment,
32 and so, just to promote efficiencies, we use the same -- So,
33 essentially, the same anglers are being counted, or have the
34 potential for being interviewed and then counted, if you will, as
35 far as catch rates and those types of things.

36

37 What I am attempting to just show here, in this slide and the next
38 slide, I believe, is just the -- That the proportions of those
39 anglers, relative to their residency status and how that
40 information then is used in the APAIS survey to adjust effort, is
41 potentially a problem, and I would just continue on with that,
42 once we're ready, Dr. Nance.

43

44 **DR. NANCE:** I think we're ready to move on.

45

46 **MR. ANSON:** Okay. Great. Thank you. I don't think I have quite
47 finished discussing the one on the right there, the graphic, but
48 so the one on the right is the mean anglers interviewed, on the Y-

1 axis, again, and open and closed seasons on the X-axis, and Harry
2 was correct in noting there that I'm missing there, in 2021, and
3 my apologies, but you can see there that here, at least in the
4 most recent years, the number of those anglers that are being
5 interviewed in Baldwin County, relative to those in Mobile County,
6 in either season, but specifically in the open red snapper season
7 time period, is not in the same proportions as those that are being
8 counted at the assignment, or those that are being observed at the
9 assignment, as it's shown in the graphic to the left.

10
11 The following two slides are a breakdown of the residency status,
12 and that's as it occurs as either a coastal county resident, a
13 non-coastal county, but same state, Alabama non-Baldwin and non-
14 Mobile County resident, and then out-of-state residents, and you
15 can see the -- This is just for Waves 3 and 4, and, again, Waves
16 3 and 4 were selected just because that's the heart of the red
17 snapper fishing year, if you will, and the graph there on the left
18 is the percentage of interviews that were collected, on the Y-
19 axis, and Baldwin and Mobile on the X-axis, and so, from 2011
20 through 2021, you see those changes.

21
22 I will note, in 2017, you can see the large number of anglers, and
23 about nearly 70 percent are being interviewed in Baldwin County,
24 and then you can see the large percentage of those anglers that
25 are non-coastal, and a relatively large number of out-of-state
26 anglers also represented there.

27
28 Then, in 2019, we had a large number of non-coastal residents,
29 proportion, that were being interviewed, and you can see just the
30 -- In Mobile County, there's just not a lot of those non-coastal,
31 out-of-state anglers that pass through those sites where those
32 dockside surveys are being conducted, and then the graph to the
33 right there gives the annual, and so it's Baldwin and Mobile County
34 interviews combined, and it gives those same proportions based on
35 the resident status, coastal and non-coastal, and out-of-state.
36 You can see that 2017 and 2019 are the highest years for the non-
37 coastal and out-of-state anglers being interviewed at a state
38 level.

39
40 **CHAIRMAN NANCE:** Will, please, a question.

41
42 **DR. PATTERSON:** If we could go back to the previous data slide,
43 and so, Kevin, in pointing out these differences, are you
44 suggesting that you think there's a bias here, or could it be that
45 the data just reflect how the fishery fluctuates a little bit
46 between years?

47
48 **MR. ANSON:** I'm suggesting that there is a bias, based on the

1 previous slide, where I showed the mean number of anglers that
2 were being counted, and so those are angler trips that are actually
3 occurring during the assignments when they're conducted, and then,
4 of those, based on those proportions at least, there appears to be
5 a large proportion of anglers that are being counted, and
6 interviewed, in Baldwin County, here in the more recent years, and
7 so there potentially could be a bias in the effort estimate that's
8 being calculated.

9
10 Again, Luiz asked the question, which basically we're sampling the
11 same anglers, you know, during the same times of year, when the
12 season is open, and so we will be able to, you know, for the most
13 part, capture some of the differences in trips, albeit because of
14 the number of anglers that are being collected in Baldwin County,
15 there is probably a discrepancy there, but I think the majority of
16 the difference is occurring because of the weighting that occurs
17 to the raw effort, the raw trips, that are being generated from
18 the Coastal Household Telephone Survey, or the mail survey.

19
20 **DR. PATTERSON:** Okay. Thanks.

21
22 **CHAIRMAN NANCE:** Okay, Kevin. No more questions.

23
24 **MR. ANSON:** Thank you. Just some conclusions here, and 2018 and
25 2019 may have been impacted by elevated effort estimates caused by
26 sampling that was not representative of Alabama's anglers, and the
27 angler effort has been significantly reduced in 2021, and carried
28 over into 2022, and we also had the year go all the way to the end
29 of the year, and we did not reach our quota, and, in fact, we are
30 under 50 percent of reaching the quota this year, but the number
31 of days has increased 340 percent, and we have only experienced
32 negligible increases to the ACL.

33
34 Having a sufficient ACL, we believe, will help minimize the need
35 to set seasons that are so short that basically they will turn
36 into derby fishing seasons, or the anglers will revert to a derby
37 behavior that we did experience during 2014, 2015, and 2016, and
38 the first three days of 2017, that first short season, and so, if
39 we were to apply the current calibration ratio, that 0.4875, and
40 use our current ACL, we could be looking at a twenty-day season
41 next year, using effort estimates similar to 2018 and 2019.

42
43 I don't know if that will actually occur or not, because anglers
44 have grown accustomed to, you know, a longer season, and so that
45 could have shifted their behavior and their needs.

46
47 The issue with reduced sampling efficiency, again, needs further
48 investigation and should be included in upcoming MRIP transition

1 team topics of research, and just I've got a few slides at the end
2 of this presentation from the report, but they are the options
3 that, again, are from that original draft proposal, and, based on
4 the comments and such from the reviewers of that draft proposal,
5 I did -- If you want to advance to the next two slides.

6
7 There is Calibration Option 1, which is using the entire time
8 series of 2018 through 2021, and then there is various sub-options
9 there. We offered a ratio of the mean, or mean of the annual
10 ratios, to kind of look at that and see what the effect would be,
11 or what the calculation would be, and then also used the four-year
12 time series, but removed 2020, and, again, we are not requesting
13 to remove 2020, because we feel like we had comparable sampling
14 during the entire red snapper season.

15
16 This is Option 2, and this is the one that we prefer, again just
17 looking at 2020 and 2021 data only, and then the two methods within
18 the simple method, calibration method, of looking at either ratio
19 of the mean, or the mean of the annual ratios.

20
21 This is Option 3, which is using the state survey data, Snapper
22 Check data, for the entire time series, and it was recommended for
23 2015, and that's when I believe the other states, Florida and
24 Mississippi, began theirs, and we had started ours a year earlier,
25 but, again, 2014 through 2016 is not MRIP certified, and so we
26 don't suggest using data at least for 2014 to 2016, and, at the
27 time we had performed the original calibration ratio, using 2018
28 and 2019 data, we did not prefer using the 2017 data, because of
29 the high catches that were shown there, and then that -- The change
30 in the season structure, with an announced three-day season and
31 then following-up, after the season had closed, with an additional
32 thirty-nine days for the federal waters to be open, and we just
33 felt like there was too much noise in that, in the season, and
34 that concludes my presentation. Thank you.

35
36 **CHAIRMAN NANCE:** Thank you very much. That was an excellent
37 presentation. Are there general questions from Kevin's
38 presentation? Sean, please.

39
40 **DR. POWERS:** So, Kevin, I will ask you the same one that I asked
41 Florida, and so, when the consultants for MRIP got involved, they
42 suggested some changes, and when were those changes fully
43 implemented, and what -- I mean, were any of those changes what
44 you would consider major and altering the Snapper Check estimation?

45
46 **MR. ANSON:** So they were implemented prior to the 2017 season,
47 and, again, they encompassed basically a full accounting of all of
48 the angler activity that occurred during the six-hour assignment,

1 and that was to match the change in methodology that occurred in
2 the APAIS survey beginning in 2013, and so we've had that in place
3 since 2017, essentially the same methodology.

4
5 You know, there were -- I did look at one year, and there was not
6 a major difference, if you were to look at estimate using that
7 methodology versus not using that weighting scheme, but I wouldn't
8 say I was able to do that -- I only did that for 2017, and I have
9 not done that for subsequent years.

10
11 **CHAIRMAN NANCE:** Sean, please.

12
13 **DR. POWERS:** The other thing that you mentioned is the kind of
14 attitude of the fishermen getting away from worrying about such
15 short seasons, and have you seen that kind of settle down, when
16 you talk to anglers and things like that, and are they more
17 confident in the forty-ish-day season, and so they're not quite as
18 paranoid, and aggressive, in the first days of the season, thinking
19 it's going to be so short?

20
21 **MR. ANSON:** Yes, and I have not, you know, spoken to many anglers,
22 but, you know, they are happier with a longer season, and the
23 excitement that comes with a short season, and it's hard to define
24 what a short season is for each angler, but, you know, the
25 excitement that is generated with short seasons I think really
26 motivates a lot of anglers to make those fishing trips, whereas a
27 longer season, you know, places less emphasis on their list of
28 things to do, if you will, because we are talking about
29 recreational activities, or other alternatives, that anglers can
30 engage in.

31
32 It does lessen the need to want to take those fishing trips, and
33 it kind of forces them to make those trips if you have, you know,
34 very short seasons, and so, to the extent that we can, you know,
35 maximize the amount of pounds that we are able to provide to the
36 anglers, that would effectively give us a longer season, all things
37 being equal.

38
39 **CHAIRMAN NANCE:** Thank you. Dr. Cody.

40
41 **DR. CODY:** I just wanted to make a general comment in the
42 presentation of MRIP intercept counts and distribution
43 information. Those distributions should really be weighted, to be
44 fully understood, and I think that, you know, it's one thing to
45 present an unweighted version, but you have to keep in mind that
46 we weight the samples, and those distributions can look very
47 different from what were presented.

1 **CHAIRMAN NANCE:** Okay. Thank you. Any other -- Paul, please.

2
3 **DR. MICKLE:** Kevin, I have two questions. The first one is, and
4 it may have been asked, but did you look at it in simple waves,
5 temporal structure, within years, similar to the MRIP system, to
6 try to look at maybe some of those spatial differences and give
7 some more insight into what might be driving those, as well as
8 some more effort insights?

9
10 **MR. ANSON:** Look at what specifically? I guess, I mean, we do
11 generate estimates, in Snapper Check, that are at wave levels, and
12 those are provided in the report, near the end, or in the appendix,
13 but what specifically, as far as temporal scales, besides that?

14
15 **DR. MICKLE:** Sure, and so understanding like maybe what's driving
16 the PSEs, and some of the PSEs, percent standard errors, are higher
17 in some years, and there's a lot of variability within the PSEs,
18 and I just wonder if all the waves -- All the variability in the
19 season lengths may be playing to that, so to speak, and then I had
20 another question.

21
22 **MR. ANSON:** I have not looked at it with that question in mind,
23 but certainly, the shorter the season, you know, it tends to cause
24 for higher PSEs, either within the annual -- At the annual level
25 or in a wave, if the number of days that the season is open in a
26 wave -- The less number of days you have, as I recall, the higher
27 PSE you will have.

28
29 **DR. MICKLE:** I think this might be directed, indirectly, I guess
30 to Tom, and so, Tom, from a council perspective, I'm reading the
31 scope of work here for this agenda item, and it does ask the SSC
32 to consider the following terms of reference of each state's
33 proposal, and, more specifically, if a proposed revised
34 calibration ratio is calculated in a method that is not dissimilar
35 from that which is approved, and is consistent with BSIA from the
36 August meeting, such as here, and so there was three different
37 alternatives, and two of them I think are different from what was
38 proposed in a prior year, in August.

39
40 With the framework identified at the council level, are we
41 expected, as a body, to identify, specifically with this
42 presentation, Alabama, one over another, as recommended from a
43 methodological perspective, to the council?

44
45 **DR. FRAZER:** I think in the council discussions, right, there was
46 latitude for the states to modify their calibrations, right, as
47 long as they were found to be acceptable as you move forward,
48 because the data was going to get potentially better, right, with

1 time, and so the goal is to get an improved calibration, and so I
2 think the council, and anybody here can certainly chime-in, based
3 on the advice of the SSC, right, has to latitude, again, to adjust
4 those calibration ratios, moving forward, and so it's as simple as
5 that.

6
7 **DR. MICKLE:** Thank you, Tom. That helps a lot, and hopefully that
8 helps some folks here, in listening to these presentations, but,
9 you know, we talk about yield streams and things with the SEDAR
10 process, and we provide scientific and statistical justifications,
11 this body does, on certain years that are used in the projections,
12 from a stock assessment SEDAR perspective, and I'm assuming that
13 would be very similar to the years that are suggested by these
14 state surveys, one versus another, because some of these suggested
15 calibration ratios are temporally selected, so to speak, and so it
16 was briefly -- With the justifications, I would think we would
17 want to go through the Alabama one with the three suggested
18 calibration scenarios, of why they chose those, and the
19 justifications behind them.

20
21 Kevin briefly did it, but I think one of the slides, and I can't
22 remember which one it was, but there was the one using only 2019
23 and 2020, and I would ask question, and I need more justification
24 on why those years were chosen, if we are expected to select one
25 over another, or endorse, or bless, one over another.

26
27 **CHAIRMAN NANCE:** This presentation is a general outline. Then,
28 once each of the states have presented, we will go back in detail
29 and be able to do each of the states, their recommendations, and
30 our recommendations for each.

31
32 **DR. MICKLE:** Even though we may have more questions about each
33 one?

34
35 **CHAIRMAN NANCE:** Absolutely.

36
37 **DR. MICKLE:** Okay. Thank you.

38
39 **CHAIRMAN NANCE:** On that point?

40
41 **DR. BARBIERI:** Well, not necessarily, and it's just a different
42 clarification.

43
44 **CHAIRMAN NANCE:** Okay. Well, I have some other guys in front of
45 you. Mike.

46
47 **DR. ALLEN:** Thank you, Mr. Chair, and thank you, Kevin. I was
48 looking at Slide 9, and, I mean, it seems to me, for calibration

1 to be successful, there needs to be a similar trend between the
2 two surveys, and the CHTS doesn't seem to follow the same trend as
3 the Snapper Check, and I'm just curious why that is, because that
4 would cause a temporal -- A need for a temporal change in the
5 calibration metric, but it's certainly not an average, and so I'm
6 just wondering why the CHTS is showing this kind of dome-shaped
7 harvest, landings, from 2014 to 2021, but the Snapper Check is not
8 showing that trend at all.

9

10 **MR. ANSON:** Well, I think it kind of goes into what my belief is,
11 is that the majority of the discrepancy is from the effort side of
12 CHTS, and so the number of angler trips that are being estimated
13 in CHTS is inflated, and Trevor is going to talk a little bit about
14 some of the ways they looked at, you know, kind of interpolating
15 the estimates from CHTS in Mississippi and comparing that to the
16 number of licensed anglers and how many trips those licensed
17 anglers would need to take.

18

19 We did something similar to that a couple of years ago, as to how
20 many vessel trips, on the highest day, that we received landing
21 reports from Snapper Check, and it just -- The infrastructure, as
22 far as the number of ramps -- Yes, we do have folks that have docks
23 behind their houses, and we have marinas, but the number of vessel
24 trips that would need to have taken place, in order to meet the
25 amount of harvest, just didn't seem right.

26

27 You know, we just believe that it's somewhere in the effort side
28 of the computation that is being made in CHTS and that that is
29 being impacted by things that are occurring with the dockside
30 survey, which portions and weights -- The trips are based on
31 residency, which are applied to the raw trips that are being
32 collected in either the telephone survey, under CHTS, or the mail
33 survey, under FES.

34

35 You know, we have a longer -- We have an increasing number of
36 season days as we go forward in time from 2014, essentially, and
37 yet we saw an increase in harvest through 2017 with CHTS, but,
38 yet, we see a decreasing harvest, with an increasing number of
39 days, and some of that plays into catch rates, and some of that
40 plays into mean size of fish, but, you know, I think there's just
41 some other things going on that can account for that change, and
42 I think it's related to the effort.

43

44 **CHAIRMAN NANCE:** Thank you. Will, please.

45

46 **DR. PATTERSON:** Thank you, Mr. Chair. Could we go to Slide Number
47 7? This kind of shows what Mike was talking about, but without
48 the information about what the ACL was, and so, in the more recent

1 years, the Snapper Check, the ratio of Snapper Check to CHTS, has
2 gone up, and so I think, in the most recent year, it's almost 0.7,
3 but it's not because the Snapper Check landings have increased
4 right, because they are capped. As we see, they're mostly hitting
5 the ACL, and then the season was closed until 2021, and then Kevin
6 said the 2022 landings are about half -- The estimates are about
7 half of what the ACL is there, at least the preliminary estimates.

8
9 Snapper Check is kind of sneaking up on CHTS, but it's because
10 CHTS is going down, and we have this, you know, proposition by
11 Kevin that it's because there is a potential bias in 2017 that
12 causes that peak, and there was a strong year class in the mid-
13 2010s that came into the fishery, and, you know, without having
14 other information, it's hard to tease apart what could be driving
15 that peak, and it possibly could just be some small, young fish
16 that recruited to the fishery and increased the landings there.

17
18 I do think that the data that Sean has could be brought to bear
19 here to look at -- The earlier estimates, and, Sean, I don't know
20 what the more recent ones are from your survey, where that
21 exploitation rates, here off of Alabama, were on the order of 0.4
22 or 0.5 or 0.6, which is much higher than the related F at MSY would
23 be for -- You know, that is estimated for red snapper, which is
24 around 0.08.

25
26 Obviously, exploitation rates and instantaneous rates aren't
27 directly comparable, but you get the idea here that the
28 exploitation rates are estimated to be much higher than the FMSY,
29 and so I'm just curious, you know, how much of this is stock
30 dynamics versus the sampling issues that Kevin raises, and there
31 has been recent public testimony at council meetings, with folks
32 in this region saying that -- Especially for-hire sector fishers
33 that are saying the stock in that region is not particularly
34 healthy. You know, that's their perception, and I guess the
35 current regional three-region assessment model might pick up on
36 some those dynamics, if it's present in the data, but, anyway, I'm
37 just kind of curious if we could try to tease this apart a little
38 bit.

39
40 **CHAIRMAN NANCE:** Sean, go ahead and --

41
42 **DR. POWERS:** So I'm not sure about the -- I don't recall the 0.5,
43 0.6, and 0.7. I mean, that might be just in that very shallow
44 area, reef area, in the nearshore. The high-dollar tag stuff that
45 we did, that I would feel much comfortable taking exploitation,
46 and I think -- It's still high, but it's more 0.3, is what Catalano,
47 Matt Catalano, and we have published.

1 There is no doubt that -- I'm not sure if it's a strong year class,
2 or there was some built-up biomass after Deepwater Horizon closures
3 and things like that, and, I mean, we do see the trend that there
4 are more fish, red snapper, off of Alabama, but they are smaller.

5
6 The average size continues to decrease, and so that's the trend
7 that we're seeing, and that trend is most pronounced in the
8 shallower reefs, the less than 120-foot reefs, but the exploitation
9 rate I would feel more comfortable with is the one that we derived
10 from the three rounds of high-dollar tagging, which is more like
11 0.3, but it's important that exploitation rate, like you said,
12 isn't necessarily the same as the instantaneous Fs, because that
13 exploitation is largely based just on artificial reefs in those
14 systems, but I guess I'm trying to figure out, if the quota limits
15 harvest, how could we learn anything about what you were getting
16 at about the condition of the stock if the harvest is more or less
17 flat and held there.

18
19 **CHAIRMAN NANCE:** Kevin, please.

20
21 **MR. ANSON:** Thank you. To Dr. Patterson's point, yes, we have
22 heard those comments from fishermen that there is this idea of
23 localized depletion, whereby those reefs that are closer to shore
24 do not hold the same numbers, or size, of fish as they did three
25 or four or five years ago, and we had included, in the dockside
26 survey, in 2016, 2017, and 2018, the question about -- For those
27 anglers that had red snapper, what depth of water they harvested
28 the majority of the red snapper that comprised their landing.

29
30 I provided that information in the report, but, as I recall, when
31 we added federally-permitted charter boats, and their catches,
32 because we did conduct that for federal charter boats during that
33 time period, when we added their harvest, and where they said they
34 were catching the fish, 90 percent of the fish were being caught
35 in depths of water that were 120 feet or shallower, and 95 percent,
36 or greater, of the, quote, unquote, red snapper habitat, you know,
37 the hardbottom, hard structure, that red snapper prefer -- 90
38 percent of those harvests that we intercepted at the dock were
39 being harvested off of artificial reefs, essentially, because
40 that's all we have within 120 feet -- In the 120-feet of water
41 depth zone off of Alabama is artificial structure.

42
43 **CHAIRMAN NANCE:** Thank you. Luiz.

44
45 **DR. BARBIERI:** Actually, Tom was ahead of me.

46
47 **CHAIRMAN NANCE:** Okay. Tom.

1 **DR. FRAZER:** I just want to circle back on a couple of ideas and
2 questions that have come up from Paul and Mike and Will, and so I
3 want to get -- I don't want to ever tell this body how to do their
4 business, right, but what I'm thinking about is, you know, really,
5 the charge is to determine whether or not the calibrations are
6 appropriate, right, and so there's lots of reasons to explain why
7 the data generated resulted in, you know, the findings that are
8 reported, but, at the end of the day, you know, are the
9 calibrations, or the data that are collected to inform those
10 calibrations, reflective of the current survey instrument, which
11 is CHTS, and so, to get to Mike's point, when I look at this
12 figure, and Will pointed this out, you know, it's fairly dome-
13 shaped, but they're both dome-shaped on those last four years.

14
15 You know, it's a bit of a scaling issue, and you can do a back-
16 of-the-envelope calculation and then plot it in a relational
17 manner, you know, in a scatter plot or something, but it's about
18 an 80 percent, you know R^2 , or something like that, but the real
19 question would be, you know, is there bias over that time period,
20 you know, or is it an accurate predictor of what's going on, and
21 I'm not going to make that decision, but the -- You know, if you
22 start to go to two years, right, two points -- You can draw a line
23 between two points with an R^2 of one all the time, right, and so
24 you have to think about that, too.

25
26 I just didn't want people to get so far away from the initial, or
27 the immediate, charge. You know, are the calibrations
28 representative for the purpose, right, and there's a lot of work
29 to be done in the next couple of years, until we actually get an
30 assessment that's carried out in FES units and may include these
31 state data collection programs and survey programs. This is all
32 that we've got, and we're not going to solve that problem in the
33 short-term, and so I'm trying to simplify it for folks, moving
34 forward.

35
36 **CHAIRMAN NANCE:** Thank you, Tom. I've got three more. I'm going
37 to do Luiz, Trevor, and Roy, and then we're going to break for
38 lunch, and we can continue this conversation after, obviously.

39
40 **DR. BARBIERI:** Thank you, Mr. Chairman. Kevin, my question is
41 simpler. In the document, Table A-4, right -- Kevin can respond,
42 or answer this, without seeing the table, and so two questions,
43 and one is the estimates for Snapper Check are inclusive of both
44 private anglers as well as for-hire, right, the state charter?

45
46 **MR. ANSON:** If that's your question, yes, the total aggregated
47 Snapper Check harvests that are presented, either in the
48 presentation or there in the report, except in that table, they

1 are -- When they're aggregated, they include private vessels and
2 charter vessels that have a state charter license, but not a
3 federal permit, because, you know, the federally-permitted vessels
4 still have to purchase a state charter license as well.

5
6 **DR. BARBIERI:** Right. Thank you. Then the other one is do you
7 have an update, or updated table, you know, that gives us the
8 private sector component, because it looks like, for the years
9 2018 through 2021, they're based just on the charter sector, and
10 I don't see the estimates and the PSEs there for the private
11 component.

12
13 **MR. ANSON:** In Table A-4 that's up on the screen right now?

14
15 **DR. BARBIERI:** Exactly, yes.

16
17 **MR. ANSON:** So that's the state designation, or state season. When
18 it says "season" there, for the private vessels, is when the
19 respective waters were open, or when there was harvest that
20 occurred, and so, when the federal season is open, our state waters
21 are open as well, and so we just -- All of the trips are considered
22 federal.

23
24 When we have an exclusive state-water season only, and the federal
25 waters were not also open, then we generate estimates that are
26 within the state season, and there's a little bit less fishing
27 effort that goes on there, generally, because there's just less,
28 you know, fish that are being caught, and so that's how we
29 segregate them, and that's why there is not any harvest that's
30 listed in 2018, 2019, 2020, or 2021, because we've been operating
31 under the EFP, or regional management, and our state season waters
32 are opened and closed at the same time as the federal waters were
33 opened and closed for Alabama anglers. They were still open to
34 fishing, but, for Alabama anglers, they were effectively closed.

35
36 **DR. BARBIERI:** Okay. Got you. I understand it now. Thank you.

37
38 **CHAIRMAN NANCE:** Thank you. Trevor, please.

39
40 **MR. MONCRIEF:** I think Tom hit it right on the head with that
41 explanation of are they appropriate or not, and, in colloquial
42 terms, what we're realistically looking at is a band-aid, until
43 the next upcoming assessment, to operate the fishery under, and
44 looking at what can be applied.

45
46 Now, I was going to go back, just quickly, to that 2017 estimate,
47 since we talked about it for a little while, and what happened in
48 the fishery during that time period, and so a thirty-nine-day

1 federal extension, three-day weekends, and, essentially, it turned
2 this fishery into a three-day derby fishery for thirteen straight
3 weekends, which means that you had above-average participation,
4 across-the-board, by anglers, every weekend when the weather was
5 good.

6
7 What that does, in my mind, the most logical explanation for why
8 that estimate is higher, is that you had the above-average, what
9 was expected, and you had a lot of individuals that were out there
10 fishing for red snapper, which then attributed more effort to the
11 offshore area, because the amount of anglers that you were seeing
12 were high and above what you see in any other year, and so the
13 designation of the offshore area, that ratio being higher,
14 attributed more of the CHTS effort that was derived to that effort,
15 which was then applied to the harvest.

16
17 I mean, the clear and easy look at it is to see whether your angler
18 success dropped off, you know, your harvest per angler, if the
19 weights shifted or anything else like that, and, if those two
20 things didn't happen, it's likely how effort was attributed to
21 that area alone, and so that would be my explanation for why 2017
22 is different.

23
24 **CHAIRMAN NANCE:** Andy, please, to that point.

25
26 **MR. STRELCHECK:** I'm not going to dispute what Trevor said, but I
27 guess a word of caution that I think there's a lot of management
28 nuances, and potential bias, here with the entire time series, and
29 so, pre-2017, we were running into a situation where the federal
30 season was shrinking, because the state seasons were expanding,
31 right, and so that's a very different environment than what we're
32 operating under currently, right, and so you have to think about
33 that, in terms of using the older data versus the newer data and
34 having the federal consistency and delegation of authority to the
35 states, and trying to match those state and federal seasons, where
36 we now have that match, with the exception of Texas, and so just
37 a word of caution that there's more to this story than just picking
38 out one or two years or data.

39
40 **CHAIRMAN NANCE:** Thank you. Trevor.

41
42 **MR. MONCRIEF:** Just to that point, I mean, I agree, and that's
43 kind of the basis of why we chose our first years, and what we'll
44 propose here soon, because that is -- I mean, it was a significant
45 change in the fishery. 2016, we had non-compliant state seasons
46 and a shortened federal season, and angler behavior is completely
47 different than what happened in 2017, which was a large-scale derby
48 fishery across weekends. We then switched into the EFPs, where

1 you saw stabilization of the fishery, and so management bias --
2 We're going to talk about that, and, I mean, the most clear and
3 obvious times, when the fishery actually evened-out, was after
4 2018.

5

6 **CHAIRMAN NANCE:** Thank you, Trevor. Roy.

7

8 **DR. CRABTREE:** Kevin, I am mostly trying to -- So your preferred
9 is to use 2020 and 2021 and not use 2018 and 2019, and, as Tom
10 mentioned, that's a little concerning, because it's only two years,
11 but I'm trying to focus more on what's the rationale for not using
12 2018 and 2019, and I think I heard you say that there were changes
13 made to Snapper Check after 2018 and 2019 that make it
14 inappropriate to use it, and did I hear that right, or -- Because
15 I am looking for a clearer statement of a rationale for not using
16 2018 and 2019 as part of the time series.

17

18 **MR. ANSON:** Thanks for the question, Dr. Crabtree. It's good to
19 hear your voice. I don't recall making that statement regarding
20 2018 and 2019, as far as any changes in Snapper Check. There have
21 not been any substantive changes to the survey design or anything
22 in those years, or subsequent.

23

24 **DR. CRABTREE:** Okay.

25

26 **MR. ANSON:** But, as far as answering the question to provide some
27 more rationale, it's just that, you know, I think what Trevor
28 alluded to, is that kind of aligning with kind of the fishery as
29 it is now, to the extent that we can, and the fishery is a little
30 bit more, or a little less, in flux, and in flux not only has to
31 deal with directly, you know, number of days, which days, whether
32 it's state waters or, you know, state season days or federal season
33 days, but just the longevity of the season and how anglers respond
34 to that. Thank you.

35

36 **DR. CRABTREE:** Okay. Then the other thing I noticed, when I look
37 at this calibration, versus what we saw with Florida, is, with
38 Florida, it was a lot about the calibration between SRFS and FES,
39 and yet, here with Alabama, it's -- All we have is Snapper Check
40 and the CHTS survey, and I wonder if there are any reasons why it
41 would make more sense to calibrate with FES, rather than the CHTS,
42 because you can always convert back and forth between FES, but it
43 worries me, a little bit, that we're calibrating Snapper Check
44 with essentially a calibration of CHTS, because CHTS isn't even
45 operating in these recent years, and it's FES and Snapper Check
46 that have actually run together, and I don't know if that bothers
47 others, but it's just a difference that I see.

48

1 **CHAIRMAN NANCE:** Thank you. Kevin, go ahead and address that,
2 please.

3
4 **MR. ANSON:** To that point, and I think Andy mentioned it earlier,
5 you know, that, basically, the ACL was derived using CHTS, and,
6 yes, we have this issue of, you know, further and further in time
7 we're using a model, and that creates its problems, but, you know,
8 at least for the current, you know, converting to FES and then
9 going back FES to CHTS, I think it adds a little bit of complexity.

10
11 I think it doesn't get us away from, I think, the issue, from at
12 least our perspective here in Alabama, relative to the reliability
13 of the survey to provide reasonable estimates of harvest when you
14 juxtapose that against the assessment, and you juxtapose that
15 against the Great Red Snapper Count. I mean, FES, right now, and
16 for the last four years, at least, from the website, NOAA's
17 website, when you look at the landings in FES for Alabama, and
18 this is just private, private rec, and I can't tease out state
19 charter vessel harvest from there, but you're looking at a ratio
20 of 2.46, for the four-year time period, higher in CHTS, or FES,
21 harvests.

22
23 You know, you put those pounds in there, and then you relate that
24 again to either the current assessment, which I know is using CHTS,
25 and so, theoretically, it should go up, but, when you look at the
26 Great Red Snapper Count, the amount of fish harvest that
27 translates, relative to the amount of fish that were estimated to
28 have been off of Alabama, at least in 2018, it just doesn't match
29 up with exploitation rates, instantaneous F, and the general
30 understanding about the red snapper biology.

31
32 **DR. CRABTREE:** Right, and I know those concerns are out there, but
33 I'm just trying to look at having some consistency in how we're
34 coming at this, and if we're, in some cases, calibrating between
35 the state survey and FES and then, in others, we're calibrating
36 between the state survey and CHTS, and it seems to me -- I mean,
37 I know this whole state management route has taken us towards
38 tailoring things for different states, but it seems, to me, that
39 some degree of consistency in how we approach problems might be
40 desirable, but I'm not sure what to make of that.

41
42 **DR. BARBIERI:** Just a quick interjection here, Jim, and I'm sorry,
43 but to clarify, because I don't think that Dr. Crabtree -- The
44 request, the letter, from the council, right, and from the Regional
45 Administrator, was requesting a calibration from the state survey
46 to CHTS, right, and the council -- So that was the request, because
47 they need that for CHTS.

48

1 **CHAIRMAN NANCE:** Okay. We're going to go ahead and break and come
2 back at ten after one. Kevin, thank you so much for that
3 presentation, and we may have some more questions after lunch, but
4 thank you for being on.

5
6 **MR. ANSON:** Thank you, and I will be listening after lunch. Thank
7 you.

8
9 **CHAIRMAN NANCE:** Thank you.

10
11 (Whereupon, the meeting recessed for lunch on January 11, 2023.)

12
13 - - -

14
15 January 11, 2023

16
17 WEDNESDAY AFTERNOON SESSION

18
19 - - -

20
21 The Meeting of the Gulf of Mexico Fishery Management Council
22 Standing and Special Reef Fish, Special Socioeconomic & Special
23 Ecosystem Scientific and Statistical Committees reconvened
24 Wednesday afternoon, January 11, 2023, and was called to order by
25 Chairman Jim Nance.

26
27 **CHAIRMAN NANCE:** We will go ahead and start. I appreciate
28 everyone's attendance for our presentations. Do we have any
29 additional questions from the SSC for the Alabama presentation?
30 Seeing none, we'll go ahead then and bring up the Mississippi
31 presentation, and, Trevor, I guess you're up for that, and we
32 appreciate you being here and being able to give that presentation.

33
34 **MISSISSIPPI**

35
36 **MR. MONCRIEF:** I'm always happy to be here. I know it's a tough
37 topic, but we're trying to do our best as a state, and what I will
38 do to start -- This is Mississippi's proposed calibration, and I
39 will go over the program, real quick, just as a quick review, for
40 those who haven't heard about it.

41
42 Tails 'n Scales is a mandatory reporting program. We operate
43 similar to how Kevin described his, where we have site selection
44 based on probability of proportional sample size, and we gather
45 surveys at those areas. The amount of fish and the non-compliance
46 is used to develop a correction factor for non-compliance, to be
47 able to get the overall harvest estimate.

1 The difference between the two programs is that we have an
2 assigned, unique trip identifier, and so it's a hail-in and hail-
3 out system, and that trip ID is carried with the angler from the
4 start of the trip all the way through the end of the trip. It
5 expires after twenty-four hours. After twenty-four hours, their
6 account is locked, and they are unable to create a trip until they
7 report on their trip that was made. They are sent email and text
8 reminders of that expiration, and they are typically cleared out
9 within a forty-eight-hour period.

10
11 I guess I will say this, and so the true merit, to me, of Tails 'n
12 Scales isn't its statistical rigor, or its complexity, and it's
13 its ability to be enforced, and that's the reason that it was built
14 the way it was. The unique trip ID starts out with eight digits,
15 and it's the date, the date that the trip was made.

16
17 Our Marine Patrol, our enforcement folks, were essentially pushed
18 by CMR, mandated by the CMR, to stop as many snapper anglers during
19 the season as they possibly could. The goal they set for them was
20 5 percent. Now, they have exceeded those expectations every year,
21 by stopping with an internal goal of over 10 percent, and, with
22 that, we're able to use those to help corroborate what we're seeing
23 in our intercepts. Now, in our intercepts, we're usually around
24 95 percent compliance, and it's between 94 and 96. Marine Patrol
25 typically sees between 92 and 95. They fluctuate and hover right
26 there with one another.

27
28 Now, I'm going to go ahead and answer a couple of questions that
29 were provided by Sean that have come out so far, and one of those
30 is changes to the program. Our program, the survey itself, has
31 operated consistently from 2018 through 2021 for the proposed
32 timeline, 2018 to 2020 for our calibration, and the changes that
33 have been made haven't been necessarily on the survey side, but
34 it's been on the ease of use from the angler side, with their
35 interaction with the app and how they're reminded about their trips
36 and how they're sent their trip number and everything else, and
37 the ability for law enforcement to do their job in the best
38 possible manner.

39
40 That includes, you know, access to law enforcement for trips that
41 are out, because, when we first started, it was meant to also be
42 kind of a hail-out for a safety thing, people closing out trips
43 and knowing who was out and doing everything, and it would also
44 allow them to be able to allocate the resources as they saw fit,
45 to a degree, right, and we didn't give them exactly where
46 everything was being launched, but they knew the amount of trips
47 that were out that day and what was going on.

1 The other changes, right, that still exist outside the survey, but
2 it helped out with enforcement, was promulgation of regulations
3 that allowed for us to be able to cite individuals for not
4 reporting accurately, and so, when the regulations first came out,
5 everyone was mandated to report, if they were harvesting red
6 snapper, and there wasn't any -- There was no information in there
7 regarding the true accuracy of those reports, right, and what we've
8 started to see, right, is a very small percentage, but we have
9 seen folks abandoning trips that were observed with positive
10 harvest from the Marine Patrol.

11
12 We have seen folks that have positive harvest, from Marine Patrol,
13 that are reporting zeroes, and that is 1 to 2 percent, right, and
14 it's a very small number, but our goal is to try to make sure that
15 we can cover all of that stuff, and so that's within the research
16 topics that we have coming up in the future to try to cover.

17
18 You know, we're to the point now where we're trying to review our
19 estimation procedures, and we're trying to come up with things
20 that best cover all the scenarios that we've seen thus far, and we
21 want to include as much data as we possibly can into that,
22 especially the Marine Patrol group that, like I said, stops over
23 10 percent of the entire fleet every year, and so a substantial
24 number, and so that is things that we're working toward on the
25 survey.

26
27 Consultant recommendations, and so that was brought up for
28 certification and everything else like that, and one of the
29 recommendations was how the landings site question was displayed,
30 and we did that, and we divided by county, so it's easier for the
31 anglers to select, and nothing real big on the survey there, and
32 this is a separate presentation.

33
34 Like Luiz said, I kind of didn't have the foresight to include
35 this information into the presentation, and I'm trying to go over
36 it now, and I will tell you one of the biggest ones that we've got
37 is private docks, and we had that conversation yesterday, the
38 amount of private docks.

39
40 Now, we still get reports from private docks, and they're still
41 enforced to nearly the same degree as the public-dock participants,
42 because they are almost equally as likely to be stopped by Marine
43 Patrol. We've tried multiple different ways to get at this, and
44 we've done voluntary participation programs, private dock
45 intercept programs with geofencing stuff, and we've called those
46 individuals and got them as a part of a group on the app, and we
47 did development work to make sure that we could try to do this,
48 and, at the end of the day, you had to press a button to

1 participate.

2

3 That button is not pressed, when it comes down to it, and so we're
4 trying our best to do the private dock stuff, and we see that as
5 a point that we could really improve on, and we would like to.

6

7 We stratified the site selection process for uncertainty, all the
8 way down to low-pressure sites, to ensure that we had selection of
9 low-pressure sites, to make sure that we were covering everything
10 adequately, and then other ones to explore alternative estimation
11 methods, which we're currently doing with a statistical
12 consultant, and so reviewing current and trying to produce a model-
13 based estimation to better -- You know, to better cover all the
14 scenarios that I just talked to you about with the Marine Patrol
15 and to also get a better look at what a true uncertainty looks
16 like, right, because there's a lot of facets to the program, but,
17 at the end of the day, when you're looking at non-compliance, your
18 PSE doesn't necessarily cover everything you know is going on in
19 the background that you can't really have in an intercept
20 validation. The last thing --

21

22 **CHAIRMAN NANCE:** Trevor, can I ask question?

23

24 **MR. MONCRIEF:** Yes.

25

26 **CHAIRMAN NANCE:** You're using the term "survey", but, by law, it's
27 required that a trip has to report?

28

29 **MR. MONCRIEF:** Yes.

30

31 **CHAIRMAN NANCE:** So would that be more like a census, in a way?

32

33 **MR. MONCRIEF:** We've always gone back and forth, and it's just a
34 term. To me, at this point, with 95 percent compliance and
35 everything else, you know, I always kind of thought, in the back
36 of my mind, if this were a trip ticket program for a commercial
37 fishery in our state, we would treat it as it is, to a degree, but
38 it's not, and it's for a different sector.

39

40 **CHAIRMAN NANCE:** Okay. I appreciate that.

41

42 **MR. MONCRIEF:** The last thing I will touch on with general
43 improvements, that didn't necessarily affect the survey output,
44 but did positively affect the ability of the survey to streamline
45 and be conducted in the best possible manner is we had a call
46 center for a while that was external, and that was moved to an
47 internal call center of a round-robin cellphone that goes across
48 the staff, and Paul was around in the beginning, right, and we

1 used to get calls at 4:00 a.m., when we started this program,
2 answering calls from anglers and everything else.

3
4 We put it off to a call center, so that everyone would be able to
5 be able to log a trip, if they didn't have internet access, or
6 they didn't have a smartphone or anything else like, and we've
7 taken that and put it internal, and so, when folks call at 3:00
8 a.m., or 4:00 a.m., they're getting one of our staff members, and
9 they're getting a friendly voice, and, when they get made, we say,
10 listen, bud, I was sleeping when you called me, and I'm trying to
11 do the best that I can to get you on the water, and so we have
12 seen a marked improvement in compliance and folks really switching
13 over to the app and computer, based off of that.

14
15 With that, I will go into our proposed calibration, and so a little
16 bit of background. The previous calibration, from when it was
17 discussed in 2020, used 2018 and 2019, and that was for the reasons
18 that essentially were discussed earlier. 2016 was a non-compliant
19 state season and a shortened federal season. 2017 was a thirty-
20 nine-day federal extension by the Secretary of Commerce, and those
21 two were completely different, when it comes to management.

22
23 2018 and 2019 were the years of the EFP, where we actually had
24 consistency in the fishery, in terms of season length and the
25 distribution of fishing days amongst waves. Now, we also had
26 hesitance with the presence of the Wave 1 estimates that occurred
27 in 2016 and 2017. Now, we're not proposing using Wave 1 in the
28 current calibration, but I will say that what occurred is that
29 Louisiana opened in January of those two years.

30
31 We had anglers who went out and harvested fish and contributed to
32 Wave 1 estimates that were large, and we'll go over those later on
33 in the presentation, and so we used 2018 and 2019, and those were
34 our justifications for using those years.

35
36 Now, the updated current proposal is designed based on observations
37 and patterns of MRIP estimates and our concern with their overall
38 accuracy, and so we limit the calibration to high-use waves, Wave
39 3 and 4, and don't use Wave 5, for reasons we'll go over, and we
40 use estimates from 2018 to 2020, and I will provide that
41 justification in the next two slides.

42
43 We won't go over this in detail, and I will just get you familiar
44 with this figure and let you look at it for a second, and that's
45 the wave is on the X, and the harvest estimate, for both
46 components, is on the Y, and the data labels on top of the bars
47 are the days that the recreational red snapper season was open,
48 and so what you will see is there is consistency in the drop-offs

1 of harvest between Waves 3, 4, and 5 with Tails 'n Scales, and you
2 will see these fluctuations in Wave 5 for MRIP, and you will see
3 large shifts in magnitude of Wave 3, and we'll talk about those
4 here in the next couple of slides.

5
6 Our justification of the proposal for limiting our comparison to
7 Waves 3 and 4, and so waves in which the red snapper fishery does
8 not primarily occur are subject to large disparities in estimates,
9 and what this is likely associated with is a smaller number of
10 completed surveys for the MRIP survey, right, and so our state is
11 three coastal counties. We have 3.55 percent of the overall quota
12 right now, and it's 150,000 pounds. We have the least amount of
13 traffic of any Gulf state.

14
15 The design of MRIP requires a large amount of surveys to be
16 conducted, and it requires that because there are so many ratios
17 and everything else that plays into how those harvest estimates
18 are produced, and, if you start dropping off the number of surveys,
19 and you don't have it in the prime time, all of a sudden, one
20 survey day in Wave 5, on a weekend, represents the entire wave,
21 when it comes down to it, and that proportion is not scaled down
22 by surveys that occur later on in the wave.

23
24 Now, for 2018 through 2020, excluding 2021, it is apparent that,
25 despite occurring during the primetime of the season, Wave 3 shows
26 volatility that, to us, is unexplainable. I will do my best to
27 present what my hypotheses are, or what our hypotheses are, of why
28 that occurs, and what's going on, but it does not match the
29 patterns that we observe in the fishery, and it does not match
30 what we observe on the water with surveys, and so, as a compromise,
31 and I will highlight that specifically, a compromise, and that's
32 what we are proposing here, we have chosen to use three of the
33 four available years, to lessen the impact of the large magnitude
34 Wave 3 estimates that occur in two of those four years, in 2019
35 and 2021.

36
37 That's an overall of what we've proposed, and why I said it's a
38 compromise, and now what I'm going to do is present basically the
39 thought process that we went through, over the last couple of
40 years, to come to the realization that this compromise is viable
41 and appropriate for the State of Mississippi.

42
43 **CHAIRMAN NANCE:** Trevor, can I ask a question?

44
45 **MR. MONCRIEF:** Go ahead.

46
47 **CHAIRMAN NANCE:** What is the current calibration rate? What is
48 used for the current calibration?

1
2 **MR. MONCRIEF:** Right now, it's 0.6, and so a 60 percent reduction,
3 down to 60,000 pounds.
4

5 **CHAIRMAN NANCE:** I mean what years are used?
6

7 **MR. MONCRIEF:** 2018 and 2019, all waves.
8

9 **CHAIRMAN NANCE:** 2018 and 2019, all waves?
10

11 **MR. MONCRIEF:** Yes.
12

13 **CHAIRMAN NANCE:** Okay. Thank you.
14

15 **MR. MONCRIEF:** Yes, and it's important to note that, when we
16 proposed that, we were at the beginning of understanding truly
17 what was going on in our state and where we were at, and so this
18 represents the work that's been done by our staff, and the
19 realizations we've come to, and our discussions with Richard and
20 his group.
21

22 The first thing is what we've all kind of talked about, right, and
23 we've all talked about the magnitude of effort estimates and how
24 large they are, and so, when we first saw them, obviously, we
25 thought they represented a drastic overestimation of angler effort
26 for our state, and so the first thing we did was try to groundtruth
27 it with things that we knew were somewhat solid, and we started
28 out with fishing licenses and 80,000 licensed anglers in
29 Mississippi. In order to reach the overall MRIP trip estimate,
30 anglers in Mississippi would each have to take fifty-seven fishing
31 trips per year, and that's five trips per month. That's more than
32 once a weekend. Even your avid anglers struggle with doing that.
33

34 Ramp capacity, right, and this is from the MRIP site register, and
35 there are thirty-four public launch sites with 882 boat trailer
36 parking spots. The total number of private boat trips, if every
37 ramp was at full capacity, 365 days of the year, and every parking
38 spot was taken up, is 1.02 million angler trips, and that's
39 assuming 1.37 anglers per vessel, which is what we've observed in
40 the past.
41

42 Even if we account for 30 percent of those trips coming from
43 private docks, that estimate is still 1.32 million, and under the
44 MRIP private boat estimate of 1.56 million, and so we would have
45 to be operating at above full capacity for 365 days of the year,
46 even with 30 percent of our trips coming from private docks.
47

48 Now, we understood that the magnitude was off, right, and we don't

1 agree with the estimates for magnitude, but then we wanted to see
2 the timing of that effort, the patterning of the effort, to see if
3 there was something going on behind the scenes that might explain
4 exactly what was going on, and so we mapped it out, right, and
5 that's what that figure is on the top-right.

6
7 Here on the top-right, you have wave on the X, and you have angler
8 trips on the Y, and it's faceted by year, and, if you look at 2010
9 to 2015, you see similar patterning, right, and, for the most part,
10 the peak occurs in the middle of the year, and it plateaus on the
11 edges, which, you know, isn't necessarily representative to us,
12 and, in 2015 to 2017, we start seeing these spikes beginning to
13 occur in Wave 6 and Wave 1, waves which should have the lowest two
14 effort estimates for the state. It's wintertime. Then, in 2018
15 to 2021, with full implementation of FES, we see a differing
16 pattern each year.

17
18 Now, for those familiar with, you know, how a fishery is
19 prosecuted, the recreational fishery and everything else, they can
20 change what they target, and they can switch around sometimes,
21 but, for the most part, the pattern of your effort should match
22 what's observed on that bottom figure, which is the weighted APAIS
23 intercept distribution from 2015 to 2019, and this is provided by
24 Richard's group, because we had a discussion about this item, and
25 I was using the raw intercepts, and they provided the weighted
26 intercepts, and you can see that Wave 6 and Wave 1 are the lowest.

27
28 You can see stark drop-offs in Waves 2 and 5 and the peak of the
29 effort should be in Waves 3 and 4, and that's just not the pattern
30 that we see coming out of FES, and so APAIS is showing one to us,
31 one pattern of distribution that we think is accurate, while FES
32 is showing a different pattern.

33
34 What we're also able to do, now that we have Tails 'n Scales, is
35 now we know the magnitude of the effort for us seems to be off,
36 and the patterning of that effort is non-existent, and it doesn't
37 match what we see on the ground, but, with the introduction of
38 Tails 'n Scales, we were actually able to start to conduct basic
39 comparisons of harvest estimates, and so both surveys function
40 differently, but the comparisons can still inform why and where
41 the differences occur, and I will take a moment to stop here.

42
43 It may seem like I am disparaging MRIP, and I promise you that's
44 not my goal here. MRIP's design, and its complexity, and
45 everything else cannot be matched with what's being done. It's a
46 survey that is conducted across the entire United States, and it's
47 got a portal for us to be able to look at data, and its design has
48 been reviewed multiple times, and reviewed multiple times.

1
2 The issue is that what works for one state might not work for one
3 that has a low population like Mississippi. Now, MRIP is also a
4 survey, right, and it takes a small amount of information and tries
5 to extrapolate with the information that it has, and it's gathered
6 from dockside. Ours is a mandatory reporting program that operates
7 with 95 percent compliance and is heavily enforced. I mean,
8 obviously, those two surveys are just completely different from
9 one another.

10
11 You would expect them to be different, all right, because even
12 surveys that have similar designs have different outputs, but we
13 wanted to compare them nonetheless, right, and so what we noticed,
14 and what stood out to us, is that a low sample size, number of
15 surveys, large disparities occur when comparing the harvest
16 estimates. If you look at that figure on the right, the Tails 'n
17 Scales harvest estimate is your X, and the MRIP harvest estimate
18 is on the Y.

19
20 As soon as you see that harvest estimate for Tails 'n Scales start
21 going below 25,000 pounds, you see this large disparity in harvest
22 estimates that begin to occur, and so these occurrences are what
23 drives Mississippi's concern about calibration to a common
24 currency, all right, and a specific example is harvest estimates
25 from waves in which the season was open for five days, five days,
26 and they're just as high as when the season was open for thirty-
27 five days during a prime wave.

28
29 The other example is that Wave 1 harvest estimates of 162,000
30 pounds and 414,000 pounds were recorded when Mississippi -- When
31 the Mississippi state season was closed and only two boats were
32 intercepted that were fishing in Louisiana waters and transiting
33 back.

34
35 Now, what happened there, if you're wondering, is that, when you
36 have such low traffic, and you aren't getting a lot of intercepts
37 throughout a wave, two boats in January mean a lot, because that's
38 what changes the ratio of folks fishing out beyond three miles and
39 attributes all that effort to them, and so that effort, plus their
40 catch rate, because there's not a lot of zeroes coming out of
41 there, because you're not getting a lot of effort, that's what
42 exploded that estimate of 414,000 pounds, and that's also higher
43 than what Louisiana observed when they were open during that time
44 period.

45
46 All right, and so magnitude of effort, pattern of effort, and now
47 we know there's something going on with low sample sizes. When we
48 have low harvest, there's a lot of volatility, and so we wanted to

1 examine that just a little bit more, right, and we wanted to look
2 into this low-sample-size issue and really figure out what was
3 going on, and, in order to do that, we had to make a critical
4 assumption, one that I think is fair, and one that we've asked
5 about, and it seems like it's a fair one, that the APAIS survey,
6 the dockside survey, is representative of the overall fisheries
7 trends that are observed in the fishery.

8
9 That means there should be a distinct positive correlation between
10 the number of surveys of a given species and its corresponding
11 harvest estimate. I am not saying that -- We aren't saying that
12 one survey should be X amount, or that there should be just some
13 formula calculation, but there should be some relationship that's
14 observed.

15
16 Now, when we do that, and we compare, on the figure on the right,
17 on the top, the number of MRIP surveys, and the corresponding
18 harvest estimate, for Mississippi -- We see there is not a very
19 large R^2 value, and we see that volatility on the small sample
20 size, N.

21
22 Now, we did the same thing, and it's the same X, with the number
23 of MRIP surveys on that bottom figure, and what we did was plot
24 the Tails 'n Scales harvest estimates against them, and what we
25 saw is that the Tails 'n Scales harvest estimates and the surveys
26 conducted by APAIS, the amount of surveys, seem to have a distinct
27 positive correlation, which, to us, helps hold up the assumption
28 that the APAIS design is representative of the overall fishery.

29
30 We took it a little bit further, and these are the slides at the
31 end of the presentation that I will get to if you all want me to
32 do it, all right, and so what we decided to do was break down
33 survey data, from all states, into specific species observations
34 and compare them to the wave-specific harvest estimate, or harvest
35 rate, that was derived from MRIP and examine that observed
36 relationship. We did it for a multitude of species, including
37 federally-managed species and state-managed species and some
38 coastal migratory pelagics.

39
40 If that assumption is correct, you know, those species with large
41 sample sizes should show a discernable positive relationship, and
42 small sample sizes, in theory, should lead to lower estimates,
43 right, and, if you're only seeing one of a species, then that
44 harvest estimate shouldn't be large. It shouldn't be larger than
45 what you observe in other time series.

46
47 I mean, I pick on Florida here in the bottom-right part of this
48 figure, but it needs to be shown, all right, and this is Florida

1 red snapper, the number of intercepts and the corresponding harvest
2 estimate, and you see that distinct positive trend that occurs for
3 the number of surveys compared to that harvest estimate, and so
4 that's the ideal distribution, right, some positive correlation.

5
6 The next slide will go through calibration issues specifically,
7 and then, if you all want to go to that part of the presentation,
8 I will run through that, just real quick, because I think it has
9 some applications for our discussion.

10
11 Our current identified concerns are the low sample size waves,
12 because they're subject to large disparities to estimates likely
13 attributed to the amount of effort that gets attributed to them by
14 those ratios of anglers fished in certain areas.

15
16 Those occur in Wave 5, and that's the reason why we threw them
17 out. If you look at 2019, that's the most blatant case, right,
18 and the season was open for five days, five days, and the harvest
19 estimate for Tails 'n Scales was below 20,000 pounds. The harvest
20 estimate that came out from MRIP-FES was almost 400,000 pounds,
21 higher than it was in June and July, and almost comparable to what
22 it was in Wave 3, in the most prime time of the fishery during
23 opening weekend, and so that's our large concern with Wave 5.

24
25 Wave 3, the shifting magnitudes, we've had these discussions with
26 OST, with Richard's group, you know, and the culprit that was
27 pointed to was effort, and that is part of what's driving what's
28 going on, and we have done a little bit more work, and we think we
29 kind of know what's going on, and so I will point out the case
30 example.

31
32 If you look at 2018, 2019, 2020, and 2021, in 2018, that harvest
33 estimate is around 250,000 pounds, and it goes up to around 500,000
34 pounds in 2019, and it drops below 200,000 pounds in 2020 and goes
35 back up to 600,000 pounds in 2021. Now, what I did, and what I
36 had staff do, was look at the distribution of surveys across
37 various sites, to see if there was some patterning associated with
38 our largest traffic sites and what would happen, and what we
39 observed is that the magnitude of that estimate seems to be
40 correlated with the amount of surveys that are conducted at one of
41 two sites, and those surveys seem to occur on opening weekend or
42 the second weekend of the season, during the highest traffic times
43 of the year.

44
45 What happens is you get such a large push of anglers on a single
46 day, and the survey matches up with that day, and the surveyor
47 goes out and gets seventy to eighty surveys, which I know, for
48 Florida, is probably, you know a slow day, but they get seventy to

1 eighty surveys, and it makes up almost the entire proportion of
2 the area fished ratio and what keeps it up, and, when we don't see
3 that number of surveys, like in 2020, when we only had three
4 surveys come out of West Beach, you see that ratio drop, and you
5 see that estimate go down to below 200,000. In 2021, where you
6 see 110 surveys come out of those sites, that estimate rocks right
7 back up, because the ratio is 20 percent and the effort estimate
8 is up, and so there seems to be multiple factors at play here.

9
10 This isn't the only stuff we focused on, and, if you go to the
11 next slide, we've got our concerns over the estimates, and we've
12 looked our best at survey distributions, counts, and we've looked
13 into, you know, what might be driving them for our state, and it
14 really is -- You know, it seems to be a small state issue for sure,
15 but we've started to look into more, right, and that's why the
16 next three or four years is so critical to the process of the
17 transition and why we need to try to figure out the best way to
18 proceed that we can, so we can keep this work going.

19
20 We've got a concern over the strata of specific distribution of
21 effort, and I know that figure is pretty hard to read, and I can
22 see that now, from the distance that you're at, and so we've got
23 a concern on the allocation of effort across the different strata
24 that are associated with the FES survey, mainly the coastal and
25 non-coastal matched versus unmatched.

26
27 What you see, those orange bars, that represent 80 percent of the
28 overall effort in a given strata, those are coastal, non-matched
29 anglers, meaning they don't match to the license database, and
30 they're in the coastal zone. Now, to not match to the license
31 database, in a perfect world, what that means is that they're
32 fishing illegally or they're below sixteen. That's the only thing
33 in Mississippi, because we don't have senior exempt. That's still
34 a license that's recorded.

35
36 Now, what most likely this is attributed to, and what we think it
37 is, is it's probably a little bit on us, and we took it on the
38 chin, right, and, in order to have FES and a license match
39 function, and to be able to send it out to households and come
40 back and get those strata right, your license database has to be
41 perfect, and it has to be updated month-by-month, and that address
42 that is listed on the license database probably has to be updated
43 so that it's not, you know, 123 Snozberry Lane, where you lived
44 five or six years ago, and you've changed residences twice.

45
46 We took that on, and we got an updated license frame from MDWFP
47 and went through a whole new query protocol and everything else
48 and started to provide that monthly. What that will come out to,

1 I'm not sure.

2
3 Our discussions with Richard's group, and OST, is that it's simply
4 going to shift where that effort is attributed to and that it's
5 essentially going to be the same effort estimate, but just in a
6 different strata, which, you know, I don't necessarily see it, and
7 I see it dropping the effort estimate a little bit, simply because
8 of the size of the unmatched strata versus the license frame, but
9 we had disagreements about that, and we'll see how it plays out,
10 but the key is that this is something that we're trying to take a
11 look at, and it's probably worthwhile for everyone to kind of think
12 through what this means for every state and how this plays out in
13 the long haul.

14
15 I talked about it earlier, but how site distribution may play a
16 role in the ratio of effort across area, right, and the site
17 selection for MRIP is statistically sound, and everything is done
18 correctly, and it's done consistently. It doesn't mean that a
19 small state still can't have issues when it comes to how one
20 selection of a West Beach site, on Memorial Day weekend on a
21 Saturday, might play into the overall ratio, ratios, of area fished
22 and how that effort is contributed to a state.

23
24 Then, you know, also the similar issues to the low sample size
25 waves. You know, all of a sudden, five or six surveys of red
26 snapper, in Wave 5, mean a lot more than they do in any other wave,
27 because there's not enough surveys on the backend of a wave to be
28 able to balance it out, and, as has been hinted to before, there
29 is focused research on the surveys that are up.

30
31 For ours, you know, we've expressed willingness to fund state-
32 focused research for MRIP. It's not just red snapper that is a
33 problem for us. Spotted seatrout, we had to pretty much toss out
34 an entire year, because a Wave 6 estimate came through for the
35 shore, and private boat, there were a million pounds, and it
36 doubled the estimate from anything we've seen in the entire time
37 series. Sheepshead, every year, and red drum, every other year,
38 and it's every species that we have this kind of issue, and it's
39 really just a couple of surveys that do it.

40
41 It's in our best interest to try to do the best we can to produce
42 better estimates and get the survey to where we can use it
43 regularly and with confidence.

44
45 We've got funds for research and private dock metrics, and that's
46 something that we talk about all the time at this table, and, like
47 I said, we've tried four or five different ways, and it's a hard
48 thing to get ahold of. You're trying to get on people's private

1 land, and they don't like folks asking them questions on their own
2 property.

3
4 We've got funds for looking at reporting bias, and then also
5 there's been a proposal from the OST group for an abandoned trip
6 proposal, to develop a group and take that option away, and just
7 see how it plays out, and so we're going to try to do our best to
8 take that development and see if we can't get that implemented as
9 soon as possible, and then we'll continue working with the
10 statistical consultant on a new estimation method and try to do a
11 sensitivity analysis of estimation methods, to see if there is a
12 certain variable or something that we need to focus on that's
13 really going to drive our estimates that we can pour our resources
14 into it and try to do the most important thing first.

15
16 I will be honest with you, and my office, my group, my leadership,
17 if there is a better way to do things -- If there is a problem, if
18 we get suggested to do something, we'll change. We don't have
19 issues with changing, and we're trying to make this program the
20 best we possibly can, and we brought in a consultant to do it, and
21 we provided our own funds to do it, and we're just going to continue
22 to try to improve.

23
24 The last thing I will touch on, for the red snapper conversation
25 here, is, until the identified issues with MRIP in Mississippi are
26 addressed, including more years won't necessarily yield any
27 different results, and I will use 2022 preliminary estimates to
28 make this case.

29
30 Wave 3, if you look at the bottom of the table that's here,
31 represents the second-highest estimate in the entire series of the
32 modern fishery, outside of the 1.2-million-pound estimate that was
33 observed in 2012, Wave 4, and we had a large amount of surveys
34 that came out of West Beach, again, and contributed to that. That
35 is 22,800 pounds per day, 786,000 pounds.

36
37 The very next wave, Wave 4, was the lowest Wave 4 estimate, outside
38 of zero, ever produced in the modern fishery. What happened there?
39 The season was still open during that time period, and the site
40 selection was not conducive to sites with a large amount of reef
41 fish pressure, and, in reality, there was one day that would have
42 basically given us surveys, and we did not get as many as expected,
43 and that led to that low estimate, and so that's how sensitive
44 Mississippi's estimates are to just the selection, right, and
45 everything is done around the selection process. Everything is
46 done, and everything is vetted, and it doesn't mean we still --
47 It's not free of issues.

48

1 I mean, even with our survey, and the way we distribute stuff, we
2 still have troubles getting surveys, and it just is what it is,
3 and it's the fact of just having a small state with a low amount
4 of traffic, and so that was it for the red snapper portion. If
5 you all are willing to go to these next two slides at the end, and
6 go ahead and let me go through those, I will do them. If you all
7 want to ask questions, we can go through that, whatever you want
8 to do.

9
10 **CHAIRMAN NANCE:** Right now, let's ask questions, and I think you've
11 given us a lot of material to think about, and so, if you have
12 direct questions on the material that's been presented for
13 Mississippi --

14
15 **MR. MONCRIEF:** One more statement, before questions come up. You
16 will notice that there's not any other scenarios in this
17 presentation, and you will see, in the calibration letter, the
18 response that our director sent over, there's not other scenarios,
19 and this is the compromise that's been proposed by the agency, and
20 this is the only scenario that I'm going to provide today, and
21 that I can provide, and so what's in the docket for us is, if
22 there's alternatives that the group thinks we should look at, those
23 can be proposed, but they will have to be approved by the agency
24 before they're presented.

25
26 **CHAIRMAN NANCE:** Thank you, Trevor. David.

27
28 **DR. GRIFFITH:** Thank you, Mr. Chair. You mentioned that the Marine
29 Patrol people intercept about 10 percent of people on the water,
30 and what do they actually do when they intercept those people, and
31 then are people who leave from private docks just as liable to get
32 intercepted as people from ramps and stuff like that?

33
34 **MR. MONCRIEF:** I will start with the first part. Mississippi
35 instituted a pretty stiff penalty, when it came to those breaking
36 the law, and it was citation with a large fine, and, in the time
37 period we're talking about, 2018, they started confiscating fish.
38 If you were found without Tails 'n Scales, you were cited and
39 fined, and the fish were taken. That opened the eyes of a lot of
40 people, and it really showed them what was going to happen.

41
42 If you go out, and you spend \$500 on your fishing day, and you
43 aren't going to make a trip, and you come back, and everything you
44 paid for is gone. Those fish are gone, and so that penalty alone,
45 taking the fish, really, I think, hit home with a lot of folks,
46 and it really spread the word to be compliant with the program.

47
48 You asked about private dock likelihood, and so I made the

1 statement, at the beginning, that they are nearly just as likely,
2 and I said that statement because, when I've asked Marine Patrol
3 about the distribution of intercepts that they have, it's 75
4 percent on the water and 25 percent at the dock. 25 percent at
5 the dock means that they're not going to get the private dock folks
6 there, but they still get 75 percent of their intercepts on the
7 water, which means the private dock guys are nearly just as likely
8 to get stopped as anybody else.

9
10 We've gone through iterations of data transfer with them, to try
11 to figure out the best way to, you know, not only get the necessary
12 variables for matching, but to also get some ancillary data, to be
13 able to start doing things like what I discussed with the
14 proportion, or the positive interactions, or positive fish found,
15 and the trip was abandoned and stuff like that, and one of those
16 variables is leaving from a private or a public dock, and so we've
17 gone through those iterations, and it's a constant process, right,
18 and the Marine Patrol guys aren't held to what we do, and nor can
19 we hold them to it.

20
21 We started out with a survey app that they provided data on, and
22 it was a great platform, and they switched to an online ticketing
23 software that, you know, now is in the hands of another developer,
24 and so, you know, we're constantly trying to work through that.

25
26 **CHAIRMAN NANCE:** Sean, please.

27
28 **DR. POWERS:** Trevor, let me make sure that I understand the basics,
29 and so, just Wave 3 and 4, for 2018, 2019, and 2020.

30
31 **MR. MONCRIEF:** Yes.

32
33 **DR. POWERS:** When you compare it, and I noticed that you expressed
34 everything as FES and not CHTS, even though the direction is to -
35 - So is your plan to change FES to CHTS?

36
37 **MR. MONCRIEF:** It's the same way that it was done for the 2018 and
38 2019 calibration in 2020, and it uses the stable ratio of 2.18 FES
39 to CHTS, and so we convert Tails 'n Scales to FES and then down to
40 CHTS, and that's using the table from last time.

41
42 **DR. POWERS:** Okay, and so, when you actually do the comparison,
43 when you take the FES, or the CHTS, do you restrict both sides to
44 just Wave 3 and 4?

45
46 **MR. MONCRIEF:** Yes.

47
48 **DR. POWERS:** Okay, and so you're not taking the annual FES and

1 doing it, but you're only doing Tails 'n Scales for 3 and 4 compared
2 to -- Okay.

3
4 **CHAIRMAN NANCE:** Luiz.

5
6 **DR. BARBIERI:** Thank you, Mr. Chairman. Trevor, a few questions.
7 One I guess is a follow-up, because I was going to ask the same
8 question that Sean did, in terms of the FES versus CHTS, and so
9 are you guys converting FES to CHTS using --

10
11 **MR. MONCRIEF:** We are using the exact same table that was provided
12 for the 2020 calibrations that used the stable 2.18 FES to CHTS
13 ratio, and so we convert from the state survey to FES and then
14 down to CHTS, in the exact same manner that was done previously.

15
16 **DR. BARBIERI:** I see. Then another one. For your Slide 10, where
17 you have those -- You know, your years of data, and you have the
18 FES and the TNS values there, in terms of landings, would you have
19 the values of PSE associated with each one of those?

20
21 **MR. MONCRIEF:** We do, but it's kind of like how we responded within
22 the letter, right, and, I mean, they're two functionally different
23 surveys completely. We made the proposal, in 2020, to try to use
24 PSE, and it was just stated to us that, since the application of
25 those surveys are so starkly different, it doesn't really matter,
26 and, to a degree --

27
28 I mean, if you look at Slide 12, you can see that, I mean, a
29 majority of those are over the 50 percent PSE, and it's just the
30 fact of the estimates that come out of our state, and nearly all
31 of them are, and, in Tails 'n Scales, the PSE started at 10 and
32 descended down since then, with the increases in compliance and
33 everything else, but, like I said earlier, you know, I don't think
34 that's necessarily representative as a whole, just because of the
35 compliance rate, right, and there's things going on behind the
36 scenes, with private docks and everything else, that probably add
37 into that uncertainty that certainly we need to take account of,
38 and that's what we're doing with the consultant now, and so, while
39 we have the PSEs, we don't use them in any applicable way for the
40 calibration, and we didn't in 2020.

41
42 **DR. BARBIERI:** Okay, and then one more. Help me understand here,
43 Trevor, why would you use 2018 -- I am trying to look for
44 statistical reasons, right, to use 2018, 2019, and 2020, but
45 exclude 2021.

46
47 **MR. MONCRIEF:** The exclusion of 2021 was, number one, to have a
48 consistent time series of consecutive years, 2018 through 2020,

1 and Number 2, just as important, is the magnitude of that Wave 3
2 estimate that comes out, and it continues to diverge away from
3 what we're observing, and we're not seeing it on the water, and
4 we're not seeing it in APAIS, and it just continues to climb and
5 climb, and, at some point, we've got to figure out a way to
6 compromise between what we're observing, and the compromise was
7 let's use three of those four years. That's just simply to try to
8 keep that Wave 3 estimate from having its effect.

9

10 **CHAIRMAN NANCE:** Tom, please.

11

12 **DR. FRAZER:** Trevor, I really appreciate you walking through that
13 like that. I recognize, you know, the nature of the MRIP survey
14 program, and I see why it fails, you know, as it relates to
15 Mississippi and other locations, and, you know, I stepped back,
16 and I tried to look at it a little more broadly then, I would say,
17 but, if MRIP was intended to kind of capture a broader region,
18 right, and your sampling, in Mississippi, is, you know, rigorous,
19 and tailored to that specific location, could you relate the --
20 Could you create a relationship for Mississippi and the entire
21 Gulf MRIP, an estimate, and this is where I'm going with this,
22 right, and so we have some knowns, right?

23

24 It's not like -- I mean, Mississippi has 80,000 anglers, right,
25 and they've got about 2 percent of the registered angler population
26 in the Gulf, right, but, if you look at the estimates of the fish,
27 they've got 2 to 3 percent of the fish in the Gulf, right, and so
28 you're not looking to get a hundred-million fish, right, and what
29 you're looking for is a calibration, right, that's going to result
30 in an equitable allocation, right, or to those fish, and so, if
31 you took your data and related it to the MRIP data as a whole for
32 the region, would you have a relationship, right, that would allow
33 you to get to that number, instead of trying to pick and choose
34 waves? Do you know what I'm saying?

35

36 **MR. MONCRIEF:** I mean, it's something we can look into, and, if
37 it's recommended, we'll look into it for sure, but I just wonder
38 -- Just the sheer magnitude of the region-wide harvest, versus
39 one, and, I mean, I understand that we're looking at patterns, but
40 I just wonder how that would play out as a whole.

41

42 **DR. FRAZER:** I don't know, but there are two important parts there.
43 One, you know, is is your very detailed effort in Mississippi
44 reflective of the general pattern that you're seeing in the Gulf,
45 right, and, if you have that, then you can move forward, right, I
46 would think.

47

48 **MR. MONCRIEF:** Yes, and then, on top of that, you've got -- Yes,

1 it's something we can look into, because you've got different
2 season structures, and you've got different things that each one
3 of the states have implemented, and there's a lot of moving parts
4 there, but it's something we can look at.

5
6 **CHAIRMAN NANCE:** Will.

7
8 **DR. PATTERSON:** Thank you, Mr. Chair. Thanks, Trevor, for the
9 presentation, and I've always been really impressed with Tails 'n
10 Scales, and, obviously, with the other states, it's difficult to
11 have a near-census of red snapper harvest and effort, and so what
12 hurts you, as far as size goes with MRIP, helps you in your ability
13 to track the fishery so closely, but, just because you're more
14 able to do it than other places, it doesn't necessarily mean that
15 it would be done.

16
17 It's a tremendous amount of effort, and I applaud your agency for
18 undertaking it and, also, for walking us through this information,
19 and I thought this was a really effective presentation, because,
20 where there were issues with data, or estimates, you showed us
21 where you thought the divergence was, and I found it really, in
22 particularly, helpful when you showed the plausibility of what it
23 would take to get to these estimates, given the number of parking
24 spots at boat ramps and the capacity issue, and that it's just not
25 plausible to have these numbers, and so I thought that was very
26 effective.

27
28 As far as the 2018 to 2021, it makes sense, to me, Mississippi's
29 logic here about, you know, 2019 and 2021 are the years, in the
30 four years of the potential series, that have the greatest
31 disparity between FES and Tails 'n Scales estimates of red snapper
32 landings. I mean, if I were Mississippi, I would probably argue
33 to throw out 2019 and 2021 together, but I appreciate your
34 rationale for trying to come up with a continuous time series from
35 2018 to 2020, and, anyway, I just wanted to commend you on your
36 presentation.

37
38 **MR. MONCRIEF:** Thank you for that, and it's not just me. Staff
39 have been working on this, the entire group, all the way down to
40 our lowest-level technicians to everybody that answers the phone,
41 and I will say this, right, and I said it was a compromise, and
42 the agency has -- They made the decision of where they want to be
43 and what they want to do, and they've chosen these years.

44
45 I will link back to what Will just said, right, and the option
46 could have been for us to throw out 2019 or 2020, and it could
47 have been to choose one year, and it could have been any other
48 option, right, and there were three options, or four options, that

1 would give us more pounds than what we've currently asked for, and
2 we recognize the need to calibrate, and we understand it, and
3 that's why we chose this option that's a compromise that's right
4 in the middle of what we've observed.

5
6 We'll take the hit, and we want to continue doing the research,
7 and we want to continue doing this work, because we know how much
8 benefit it will provide, and that's why we've presented this
9 compromise.

10

11 **CHAIRMAN NANCE:** Thank you. Andy, to that point, please.

12

13 **MR. STRELCHECK:** I just wanted to, I guess, seek some clarification
14 from Trevor, and I assume, when you're referring to the agency,
15 that you're referring to NOAA Fisheries, and is that correct?

16

17 **MR. MONCRIEF:** MDMR.

18

19 **MR. STRELCHECK:** What's that?

20

21 **MR. MONCRIEF:** I'm saying -- When I say our agency, it's MDMR.

22

23 **MR. STRELCHECK:** But, in terms of the time series, in terms of the
24 decision about the time series, and so, in my letter, I had laid
25 out a couple of scenarios that were recommended for consistency in
26 standardization, so that the SSC would have that available, and I
27 just wanted to be clear that those were not recommendations of
28 NOAA Fisheries, and it was just for the intended purpose of having
29 the SSC be able to look at kind of the same series of information
30 across all three states as they deliberate over this.

31

32 **MR. MONCRIEF:** Right. I'm sorry if I misspoke there. I think,
33 when I've been saying "agency", I've been meaning from the state
34 agency, but, yes, the scenarios were requested, and we definitely
35 understood where it was coming from, and we got the purpose of
36 them, but it was the choice of the executive director and the
37 agency to put forward this compromise, and this is the scenario
38 that we have.

39

40 **CHAIRMAN NANCE:** Thank you. Paul, please.

41

42 **DR. MICKLE:** Sure, and this is not directed toward Trevor at all,
43 and I'm fairly familiar with the program, and so I'm going to make
44 a statement toward the effort survey, and I brought it up earlier,
45 I think during the Alabama presentation, but, with MRIP, with even
46 MRFSS in the past, the efforts are somewhat consistent in the small
47 states, Alabama and Mississippi, and I remember this because we
48 were going through state species stock assessments.

1
2 The effort survey, obviously, I think a lot of conversation here,
3 and in prior meetings, and the effort survey, with MRIP, has been
4 difficult, and it's created these large numbers in small states,
5 but, even in the small states, there is variation within that,
6 because there's more tourism, and there's more migratory from the
7 universe of anglers, within the small states, and so the only point
8 I'm trying to make here is effort not only struggles in small
9 geographic spatial quantitative efforts, efforts in estimating
10 effort, but also just the dynamics of the political and
11 socioeconomic areas of small and large states.

12
13 The point that I'm trying to make is it really needs to be looked
14 at from a state and federal perspective of how effort can be
15 estimated and then quantified with uncertainty, and I just don't
16 feel that that's being encapsulated in the calibration process,
17 and I know it's not, because it just isn't, but it certainly
18 demands, I think, some more efforts in trying to do so, because
19 effort, obviously, seems to be the driver with some of these large
20 numbers, and effort surveys are crucial.

21
22 You know, intercepts are wonderful, because you're getting the
23 biological data, but you have to have the effort side too, and
24 everybody here understands that the states have very different
25 quantitative efforts in how they are quantifying effort, so to
26 speak, but there really needs to be a really intricate conversation
27 on how it's done, and my last point will be that a lot of the
28 consultant interactions and statements and blessings that were
29 given -- The consultants don't have fisheries backgrounds.

30
31 They don't understand the very difficult and complicated
32 interactions with how fisheries work in multifaceted categories
33 and sectors and all these different things, and they're not census
34 surveys in the mail, and fisheries data, as we all know, is
35 incredibly unique to itself, and I think some round pegs and square
36 holes have been slammed through here, and there is shrapnel
37 everywhere. Thank you.

38
39 **CHAIRMAN NANCE:** Thank you. Trevor, please.

40
41 **MR. MONCRIEF:** I hate to keep droning on and keep saying things,
42 but I've got more and more stuff that pops into my head, right,
43 and hindsight is 20/20. Everybody probably thinks that, at some
44 point, we should have seen this coming, but, in reality, it's just
45 not possible, and no one really saw it coming.

46
47 The states diverged onto their own paths, and created their own
48 surveys, and they tailor fit them to what each state was able to

1 do, and I never imagined that the magnitude of difference would
2 occur like this, and I didn't think the patterning would exist in
3 this way, but it's how it shakes out.

4
5 The proposals we put forward in the transition process, all the
6 states, I think are -- They are a positive direction, a positive
7 direction that we haven't seen since the state estimates were
8 derived, and so, like I said, we put forward this compromise to
9 try to move forward and try to make a pathway to continue the work
10 that we've been doing and figure out what's going on with our
11 state, so we can produce better estimates, and that's kind of where
12 we're at.

13
14 **CHAIRMAN NANCE:** Correct me if I'm wrong, but Florida has its own
15 estimation of effort, which uses -- Alabama and Mississippi are
16 taking the MRIP effort, and is that incorrect?

17
18 **MR. MONCRIEF:** No, and so -- Richard can comment if he needs to,
19 but what you've got is programs within the Gulf that run a separate
20 intercept, and so that gives you catch rate, and effort survey.
21 With the designs that we have, that are hail-in and hail-out, your
22 effort is coming from the hail-in and hail-out, and it's corrected
23 based on the intercept validations that are observed, and so it's
24 tailored to one fishery, and it's not an overall bulk effort that
25 is then distilled down into a specific species harvest estimate or
26 anything else, and it's a hail-in and hail-out program, similar to
27 logbooks, or quotas, or anything else, and it's -- That is where
28 the effort is derived.

29
30 **CHAIRMAN NANCE:** Okay. Thank you. Richard.

31
32 **DR. CODY:** Just to make a comment that all of the surveys account
33 for under coverage, we'll call it, in different ways, and so, in
34 the complement design, which is in Florida and Louisiana, with
35 MRIP, you have a separate effort, and you have a separate catch
36 survey, and so it's done separately there, and the two pieces are
37 tied together.

38
39 With the capture and recapture methodology, you have a reporting
40 feature, and that's the census part of it, and then you have a
41 validation component, it's called, where, basically, you sample
42 the trips coming in, and you get an estimate of under coverage
43 from that. There is some important assumptions associated with
44 both of them, but one of the assumptions, with capture and
45 recapture, is that the information is independent, and so the
46 reports are independent of the actual validation, or the capture
47 is independent of the recapture.

48

1 There is very different ways in the way the surveys operate and
2 how they -- Then the scopes of the surveys are very different as
3 well, and I wanted to just correct, for the record, since there
4 are presentations that are associated with each of the states,
5 that -- You know, I made this point earlier on, is that one of the
6 features of both the complementary designs in Florida, and with
7 MRIP, and Louisiana for that matter, is that the sampling is
8 weighted.

9
10 That weighting has to be taken into consideration when you present
11 information on the distributions of intercepts, and, you know, on
12 two occasions today, we've seen where that hasn't happened, and
13 the other point that I wanted to make, as well as that, is that
14 Trevor's point about the correlation between the magnitude, or the
15 numbers of intercepts, versus the magnitude of the landings, is
16 not necessarily true for probability-based surveys.

17
18 You can get an estimate with one intercept, and I think that's
19 what he's trying to get at, is the uncertainty associated with low
20 sample sizes and being able to generate an estimate, and you
21 probably would get, I would say, a stronger correlation between
22 the magnitude of an estimate and not the number of intercepts, but
23 rather the variance of those estimates and the numbers of
24 intercepts. I just wanted to clear that up for the record, and
25 not to go against what Trevor has said, but just to clarify my
26 perspective on it.

27
28 **CHAIRMAN NANCE:** Thank you. Then a clarification for Luiz on that.

29
30 **DR. BARBIERI:** Yes, and so, Trevor, on that slide -- Thank you,
31 Mr. Chairman. Trevor, on that slide there, just to the point that
32 Richard just brought up, are those estimates already -- You know,
33 are they actual final estimates, right, and they already take the
34 weighting into account?

35
36 **MR. MONCRIEF:** Yes.

37
38 **DR. BARBIERI:** Thank you.

39
40 **CHAIRMAN NANCE:** Will, please.

41
42 **DR. PATTERSON:** I don't want to put words into Trevor's mouth, but
43 I think the kind of gist of that discussion about the relationship
44 was accurate estimates, and, if you have one sample, you get an
45 estimate, but we want accurate estimates, and precise estimates,
46 you know, in that respect, and I'm wondering -- This is a special
47 case, and Mississippi is distinctive, given its size, and,
48 actually, the fairly low amount of effort relative to other states,

1 but I'm wondering -- As the federal agency, NOAA Fisheries, is
2 reconsidering FES and estimating effort and producing MRIP-based
3 estimates for recreational landings, it seems, to me, like this is
4 a great body of data, given that it's a near-census of catch and
5 effort for several years now, where you could do simulations based
6 on what's known, and then look at different sample designs, in
7 Mississippi in particular, and figure out, okay, what would produce
8 an accurate and precise estimate of effort and landings, and maybe
9 that has implications Gulf-wide.

10
11 As Paul mentioned before, like these issues aren't -- They aren't
12 just unique to Mississippi, but it gets smeared when you get larger
13 states, and more intercepts, and more information, so that, if you
14 have out outlier and one wave, and maybe you have ten other data
15 points, or twenty other data points, and so it gets averaged out,
16 and it dampens that signal, but it just seems like this is a prime
17 dataset to actually examine those dynamics and how you would set
18 up a design that perhaps is a more accurate and precise method.

19
20 **CHAIRMAN NANCE:** Richard, please.

21
22 **DR. CODY:** Tom can speak to this too, but I think that's part of
23 the goal of this research track and the transition planning
24 process, is to use the information from all of the states, and
25 MRIP, to try and describe some of the issues related to non-
26 sampling error to begin with, but also to try and get a sense of
27 where the true reality lies for effort.

28
29 We have, just as some of the states have as well, we've had ongoing
30 efforts to look at ways to improve the survey, the FES, things
31 like question order, shifting around some of the components that
32 we get from the APAIS into the FES, to get a sense of, you know,
33 are we in the ballpark or not.

34
35 One thing I will say is that some of the simulation work that John
36 Foster has done relates to the patterns, or the trend, information,
37 and, if you basically put these surveys in operation in all of the
38 states, each one, and compare them, they have similar trends.
39 Where the issue lies is that we have different surveys now in every
40 state, and so you can't just add them together, and that's the
41 calibration dilemma.

42
43 **CHAIRMAN NANCE:** Luiz.

44
45 **DR. BARBIERI:** Thank you, Mr. Chairman. Will's comment kind of
46 got me thinking about this, Richard, and, you know, considering
47 what we have there now on the screen, right, and I would imagine
48 that, in general, these estimates probably came out with a

1 significant amount of PSE, you know, fairly high PSE values, at
2 least some of them, right, and, in looking at the table, that
3 seemed to pan out.

4
5 You know, would it be possible to apply, you know, some technique,
6 like the approach that you guys have used, right, to sort of adjust
7 the weighting there and kind of try and address some of these
8 potential distortions that may be happening with one side, you
9 know, driving, just by random chance, right, the outcome of a final
10 estimate that may or may not fall in line with what would be
11 expected, right, and I know that this is quite a bit of work, but,
12 in terms of this calibration, which is important, you know, perhaps
13 if they were to see, meaning the State of Mississippi, they were
14 to see revised estimates of these FES landings that already try to
15 account for some of these potential sampling issues that invariably
16 will happen in any random sampling, right, if that would help them
17 reassess their ability to revisit this calibration at a later date,
18 soon.

19

20 **CHAIRMAN NANCE:** Richard and then Trevor.

21

22 **DR. CODY:** I think that's a heavy lift right now. I will say
23 though that, if we're talking about sample sizes, I mean, there
24 are some characteristics of low sample size, and probability-based
25 sampling, that we can kind of rely on and use for assumptions.

26

27 I would hesitate though that we accept, on face value, that counts
28 of sample sizes that we have here, and we don't have the weighting
29 information for some of this information that Trevor has presented.
30 Obviously, for the estimates, it's weighted, but, for the sample
31 size comparisons, things like that, we don't have that right here,
32 and so I would hesitate to kind of read too much into that at this
33 point.

34

35 I will say though that certainly, you know, that was one of the
36 recommendations, that we look at simulation scenarios, we'll say,
37 to see if we can, you know, maybe refine, or make the estimates
38 more precise, but I think, right now, non-sampling error seems to
39 be a big driver for differences between the surveys, and so those
40 changes would have to be put in place as well, or at least accompany
41 the study.

42

43 **CHAIRMAN NANCE:** Let me let Trevor respond.

44

45 **MR. MONCRIEF:** Let me clarify real quick. The data labels on
46 there, that's not sample size. That's the number of days that the
47 season was open, those data labels on top, right, and that's not
48 sample size, and that's not part of that whole thing, and so I'm

1 sorry for that confusion, but I wanted to put that there, just so
2 you kind of see the patterning.

3

4 **DR. CODY:** I wasn't referring to that particular slide.

5

6 **DR. BARBIERI:** Right, but, Richard, to that point, what I'm saying
7 is the council, the Gulf Council, needs to have a calibration
8 completed, and this is the charge of the council, to monitor these
9 fisheries, right, and so I'm not talking about a continuous, or a
10 holistic, evaluation of all the estimates, but, for those years in
11 question, for those waves, I'm thinking, if there is a little
12 cleanup effect --

13

14 I mean, if you look at the PSEs, and forget sample size, right,
15 but, if you look at the PSEs for those estimates, and you feel
16 that they are above what you consider your standards for a good
17 estimate, you could do a little exploration of what may have caused
18 that, so that you yourself are looking just at the FES estimates
19 and saying, well, perhaps there is room for improvement here, and
20 I can try and clean them up a little bit, and I'm just thinking,
21 you know, how do we get out of this impasse, you know, given the
22 fact that we need the calibration, and these estimates that are
23 being presented are highly unstable.

24

25 **CHAIRMAN NANCE:** Trevor, please.

26

27 **MR. MONCRIEF:** Okay, and so I kind of get the direction you're
28 talking about, Luiz, but I think -- One of the things that I guess
29 I didn't point out, and that's one of the reasons why I stayed
30 away from the PSEs as a whole, and, I mean, we're just not -- We
31 don't really use it in this scenario, and we usually take point
32 estimates as point estimates, but, if you look at the most
33 troublesome estimates, right, the ones that spike the highest,
34 they have the lowest PSEs.

35

36 That's just the nature of how it goes, right, and it's a large
37 sample size, because it's all coming from a single site and
38 everything else, but it's a descending -- 780,000 pounds is the
39 lowest PSE on record, and it's one of the most troublesome
40 estimates in the time series, and so it's not quite as easy as
41 just saying, hey, let's try to apply something else like that,
42 and, I mean, the last thing I will say is it's an impasse if the
43 compromise that we presented is deemed as not being used, and, if
44 that motion is passed, like I said, it's got to go back to the
45 agency, and we'll have to go from there.

46

47 **CHAIRMAN NANCE:** Any other questions for Trevor? I want to say,
48 for each state, Tiffanie and Kevin and Trevor, we greatly

1 appreciate these presentations. A lot of thought and effort went
2 into those, and I think you gave a -- Each of you gave a great
3 presentation about what is happening within each of the states, to
4 give us some things to be able to reflect upon. Let's go ahead
5 and go over those.

6
7 **MR. MONCRIEF:** Number of intercepts, that's what these are, and,
8 now, these were produced a long time ago, and they've been
9 presented twice, and so maybe we'll try to work on getting those
10 wave intercepts and see what it comes out of it, and so let's just
11 skip to the next one.

12
13 Now, when it comes to the low sample size, and the volatility that
14 occurs, there is concerning trends that can happen for a given
15 species, right, and I told you this wasn't just red snapper for
16 us, and it's multiple of the state species, but what we did was go
17 into it with the same thought process, and we looked at the greater
18 amberjack species that this group, and the council, has struggled
19 with for a long time.

20
21 Essentially, what we kind of see is that there's spikes that occur
22 within the fishery that don't necessarily correspond to logical
23 times when the fishery should be operating at full, and there's
24 times, in Mississippi, where we intercept one greater amberjack,
25 and it's one survey. Now, given that you have to apply the weights
26 to it, but it results in 300,000 pounds of harvest, and another
27 one is 270,000 pounds of harvest.

28
29 These spikes occur every now and then, but the things we have to
30 look out for, when it comes to examining these things, and what I
31 brought up in the SEDAR workshop and everything else, are the times
32 where this volatility takes place in multiple states in a given
33 year, 2016 and 2018 for greater amberjack, and you will see that
34 there are spikes that occur that don't necessarily occur in times
35 where you would expect to see them, in two states, and, when you
36 add those estimates together, they make up for a large proportion
37 of harvest, and so that's the last thing I will say on this.

38
39 I know it's not red snapper, and it's not calibration, but I had
40 those last two slides in there just to say, you know, we've done
41 what we've done, and we've looked further into it, and we're trying
42 to figure out, you know, the best path forward, and, you know, it
43 seems like there's some considerations here, especially when we go
44 through this research process, as to not just looking at it from
45 a red snapper perspective, but maybe seeing how it affects on other
46 ends, but I appreciate you all's time. I appreciate Richard, and
47 his group, for all the help, and I haven't done this alone, and so
48 thank you all for you all's questions, and we can go on with the

1 rest of the discussion.

2
3
4

SSC DISCUSSION

5 **CHAIRMAN NANCE:** Trevor, thank you so very much. We're going to
6 go ahead, and we're going to need some general discussion, but I
7 want to read over the TORs, just so we can remind each of us, and
8 there they are up there on the screen, but, basically, we have
9 three of them, and the SSC will consider the following terms of
10 reference for each of the states' proposals.

11
12 Number 1 is, is the proposed revised calibration ratio calculated
13 in a method that is not dissimilar from that which was approved as
14 consistent with the best scientific information available by the
15 SSC in its August 2020 meeting?

16
17 Number 2 is, is the justification for the years and the waves
18 recommended for calculating the proposed revised calibration ratio
19 -- Are they sufficient? If not, describe ways, if possible, and
20 offer alternatives.

21
22 Number 3, are there any additional clarifications necessary for
23 considering a state's proposed revised calibration ratio as being
24 consistent with BSIA, and so those are the terms of reference that
25 we've been given for this. Please, Sean.

26
27 **DR. POWERS:** Andy made reference to a letter that he sent the
28 states, with some not conditions, but some guidance from NOAA, and
29 do we have that letter?

30
31 **CHAIRMAN NANCE:** There was a letter in -- It was from Richard, and
32 that was sent to each of the states. Is there a different letter
33 that was sent by Andy?

34
35 **MR. RINDONE:** (Mr. Rindone's comment is not audible on the
36 recording.)

37
38 **CHAIRMAN NANCE:** Okay. Luiz.

39
40 **DR. BARBIERI:** Just to Sean's point, I mean, I think this is
41 important, because a lot of the parameters, right, for how this
42 calibration was to be conducted, you know, is explicitly outlined
43 in that letter.

44
45 **DR. POWERS:** That doesn't mean that we have to agree with what
46 Andy said, but, yes, I would like to know what he said.

47
48 **CHAIRMAN NANCE:** I would like to see it, yes. Will, please.

1
2 **DR. PATTERSON:** I have a question, and it relates to the Term of
3 Reference Number 2 here for Mississippi. In the letter from the
4 state, the Mississippi calibration document, the final, I guess
5 it's page 4, there is the table that has the year scenario, 2018
6 to 2020, the MRIP cumulative landings, the Tails 'n Scales
7 cumulative landings estimates, the calibration factor to FES, the
8 FES to CHTS, and, at the very end, you have the resulting ACL and
9 then the percent decrease, at negative-27.3 percent. Trevor, does
10 this -- Does this apply only to Waves 3 and 4, or the ACL then the
11 full landings of the entire season?

12
13 **MR. MONCRIEF:** Since it's the calibration ratio applied to the
14 entirety of the ACL, it's the ACL for the entire year.

15
16 **DR. PATTERSON:** Okay, and so what this -- What likely is happening
17 is, because the landings estimates are higher, and there's so much
18 of a discrepancy in some years, in the first and last waves of the
19 year, then there's probably a bigger percent decrease, in Waves 3
20 and 4, that is offset by the higher FES landings later in the year,
21 in waves outside of 3 and 4, and is that what is happening here?

22
23 **MR. MONCRIEF:** I will try and find and follow your logic here, and
24 so I missed the first sentence of what you were saying, and so the
25 largest disparities that we observe are typically within Wave 5,
26 because our harvest estimate is below 10,000 pounds, and the
27 harvest estimate, from the federal survey, could be upwards of
28 hundreds of thousands of pounds, and I think the max is like
29 360,000, or 330,000, pounds.

30
31 Now, that's the largest disparity in magnitude. The second-largest
32 disparity in magnitude is Wave 3, where that's our peak wave, but
33 the harvest estimate, for the federal survey, goes from 250,000
34 pounds to 500,000 pounds, down to below 200,000 pounds, up to
35 600,000 pounds, and so what we've provided, the compromise of 2018
36 through 2020, and Waves 3 and 4, is just finding a balance between
37 all of that, to propose what we think is an adequate decrease for
38 the fishery, while complying with calibration. I am sorry if I
39 didn't answer your question, and I was trying to follow where you
40 were going.

41
42 **DR. PATTERSON:** No, and you definitely answered it, and it's what
43 I thought that I understood, but I just wanted to clarify it.
44 Thank you.

45
46 **CHAIRMAN NANCE:** Sean.

47
48 **DR. POWERS:** I guess, while we're waiting for that letter, I will

1 give my overall impression, and I think all the states did a great
2 job explaining what they've done, and the basis for their different
3 years. I mean, what I'm struggling with is I think my opinion is
4 that we should -- The state fishery biologists, and those fisheries
5 agencies at the state, have the best idea of what's representative
6 of their fishery, what years or waves.

7
8 You know, I don't see any calculation problems, and, I mean, it's
9 a simple ratio estimator, and I guess Kevin did bring up a thing
10 on -- He did do it two ways, where he added up all the harvest
11 across the years and then took the average, or the average of the
12 ratios, and I think everybody looks like they're doing the average
13 of the individual ratios, and so I really think that, in my
14 opinion, that we should defer to the states on what is most
15 representative, both in hindcasts as well as going forward.

16
17 I guess my concern is though, if you don't have at least three
18 years -- I mean, the point of just having two data points -- I
19 mean, I want to, you know, be deferential to the states on how
20 they decide what's representative, but, you know, the three
21 continuous years, kind of like what Trevor did as a compromise,
22 that they might not believe all years, I think that is probably
23 the direction that I'm looking more and more into.

24
25 **CHAIRMAN NANCE:** Paul.

26
27 **DR. MICKLE:** Thank you, Mr. Chair. Sean, you're proposing -- Did
28 you say consecutive years or just three years?

29
30 **DR. POWERS:** (Dr. Powers' comment is not audible on the recording.)

31
32 **DR. MICKLE:** Thank you.

33
34 **CHAIRMAN NANCE:** Roy.

35
36 **DR. CRABTREE:** Well, it's sort of a difficult situation. I mean,
37 I'm sympathetic to the issues that Mississippi, and to some extent
38 Alabama, have, because they're small areas, and we all know, and
39 have known all along, that the MRIP program is just not suitable
40 for trying to use estimates in such small areas, and then, when
41 you try to parse it into waves, I mean, you start getting CVs that
42 are well over 50 percent, which means you really have numbers that
43 don't have much meaning to us, and so we're coming in and we're
44 taking a state survey, Tails 'n Scales, which seems to be well-
45 done, and it's been looked at and all, and it's fine, but you're
46 trying to calibrate with state estimates from Mississippi that
47 aren't really all that informative, because the CVs are so high.

1 That gets you into difficult questions, and what can we do, as an
2 SSC? Well, I mean, I can look at Sean's issue about two years,
3 and, yes, that's a bit of a difficulty, when you get to two years,
4 and then, when you start saying which year should we exclude, well,
5 I look at the Mississippi, and it's not clear, to me, why you would
6 exclude 2021 and not 2019, and those Wave 3 catches look very
7 similar, and they seem subject to the same things.

8
9 I understand Mississippi's position that those estimates -- They
10 believe they're unrealistically high, and are throwing things off,
11 and that's kind of an operational, practical matter that the
12 council and NMFS and Mississippi need to work out, but I'm not
13 sure, in terms of science, what we could say.

14
15 Now, I look at what everyone has done, and they have used the MRIP
16 surveys, and they've used their own surveys, and the math, and how
17 they've calculated these things, seems to all be correct, and so,
18 in that sense, they've pulled in the best information we've had,
19 and we made some decisions about it, but, when you start parsing
20 down which years to use exactly, that's where it starts getting a
21 little difficult, for me, because I am not sure that I've heard
22 really compelling reasons for eliminating 2018 and 2019 in Alabama,
23 and it's not clear to me, other than it produces unacceptably-high
24 estimates, how you decide what year not to use in Mississippi, and
25 I think that gets difficult, saying that choosing those years is
26 based on solid scientific rationale, and so that's where it gets
27 us in a little bit of a -- I mean, I don't want to tie people's
28 hands, because regional management is what we're doing, and so
29 we've got to deal with the fact that we have very high CVs, and
30 problematic catch estimates, in some of these small states.

31
32 I think that means that managers are going to have to exercise
33 some judgment calls and take into account the practical
34 implications of things, but it's not clear, to me, how much we, as
35 an SSC, can really weigh-in on it.

36
37 **CHAIRMAN NANCE:** Sean.

38
39 **DR. POWERS:** I mean, I agree with your kind of last statement, and
40 that's what I was getting at, is that we have to kind of trust the
41 judgment of the states in this, if they really believe that this
42 is the representative years, but, to the year comment, and, like
43 I said, I would prefer to see more years, at least three, but, on
44 the flip side, Louisiana is only dealing with one year. That's
45 all we have in Louisiana. I mean, we're deferential to Texas, as
46 well as Louisiana, as far as how they handled the calibration that
47 they accepted, and so I'm still trying to balance that as well in
48 my head.

1
2 **DR. CRABTREE:** I mean, the difference, with Louisiana and Texas,
3 is we don't have anything in front of us right now, right, that
4 we're dealing with, and so I'm not sure what they've done in
5 Louisiana, because I've never really seen that, and, in Texas, I
6 don't think there is any calibration or anything for Texas.

7
8 **CHAIRMAN NANCE:** Paul.

9
10 **DR. MICKLE:** Thank you, Mr. Chair. Roy, I completely agree with
11 what you said, but there's a charge here, within our scope, and
12 Number 2 is, is the justification of years and waves recommended
13 for calculating the proposed revised calibration ratios
14 sufficient, and so, whether we listen to that or not, and I guess
15 it's guidance, but, moving forward --

16
17 Again, these are scientists from the state giving the
18 justifications to scientists on an SSC to say, and so they can
19 provide their justification, and we disagree with as a group, and
20 that's our right, but I think we do have that ability, so to speak,
21 and I think we have to take that ability on, because it's scientist
22 to scientist, and this isn't a non-scientific exchange here of a
23 recommendation. The justification for years should come from the
24 state scientists to the SSC, and the judgement should be made at
25 this level. Thank you.

26
27 **CHAIRMAN NANCE:** Will.

28
29 **DR. PATTERSON:** I agree 100 percent with what Paul just said, and
30 I think that's what we're being asked to do. Unfortunately, as I
31 look at the information from the various states, it's hard, for
32 me, to figure out what is best science in there, and so that's the
33 dilemma I have, is I don't know how to pick.

34
35 **CHAIRMAN NANCE:** Trevor, to that point?

36
37 **MR. MONCRIEF:** Yes, and, I mean, I've kind of thought about this
38 subject a little bit, and, just in thinking that through, I get
39 the charge, and I get what we're tasked with doing, and I know
40 what we've presented, and, at some degree, to some point, this is
41 almost like management taking on uncertainty, and taking on risk,
42 as to what's chosen, as far as calibration goes. I mean, I can
43 see how it's a difficult decision, and I know we've tried to think
44 through it a million different ways, and it always comes out to
45 the same.

46
47 **CHAIRMAN NANCE:** Luiz.

1 **DR. BARBIERI:** Thank you, Mr. Chairman. A follow-up to Roy's and
2 Paul's points, right, and, I mean, if we look at our Number 3 Term
3 of Reference, it says, if we don't think that we have, in front of
4 us, what it would take for us to properly review, right, these
5 calibrations, then we can request, let them know, what is necessary
6 to be provided, and, if there is additional information that we
7 feel would help us better assess these calibration ratios, we can
8 ask for it, right, and, on that point, I would say, you know, for
9 Alabama, for example --

10
11 Kevin, if you're listening, I mean, I do feel that having more
12 information about those different years, for example catch rates,
13 right, and so the information that you're providing there for the
14 different years, sets of years, if we had more detailed information
15 -- I want to see, you know, any potential changes in the survey,
16 or changes in general, that happened during those years, to see,
17 okay, what would justify, you know, changing the status quo, what
18 we have in place right now, and that's difficult to do without
19 looking at some of this other information.

20
21 **CHAIRMAN NANCE:** Tom.

22
23 **DR. FRAZER:** I am struggling, and so a couple of things, right,
24 because, I mean, I recognize the amount of work that goes on at
25 the state level, as well as the federal level, right, and the
26 various objectives, right, behind that work, and what I'm trying
27 to think about is when a recommendation is going to come to the
28 council, right, and I want to be able to look at that
29 recommendation and feel good that it's a scientifically-defensible
30 recommendation.

31
32 The problem that I have seen, right now, is that what it appears,
33 to me, is that there is probably general agreement that the MRIP
34 sampling, or the survey, doesn't -- Everybody would agree that it
35 doesn't perform admirably with regard to these small kind of
36 locations, and Mississippi being the example there.

37
38 When you look at, for example, those PSEs that are associated with
39 the MRIP estimates, they're 50 or 60 percent, something like that,
40 and they're pretty extreme. On the other hand, right, you've got
41 a state survey that is certified, I believe, at this point, right,
42 and has relatively low PSE equivalents, one to five, or something
43 like that, and so we feel pretty good about the confidence in that
44 number coming out, and so I don't know if this is appropriate, Mr.
45 Chair, because it's a bit of a deviation, but to say the best
46 available science, in this case, for this smaller place, is in
47 fact the state data on their own, right, and that -- I mean, we
48 still have a ways to go.

1
2 I'm not saying that there will never be compatible -- That's what
3 we're working to do, right, to try to improve the comparability of
4 the two datasets, right, and make them more compatible, but I
5 certainly don't want to get into a position, at the council level,
6 saying that, you know, we've cherrypicked stuff, just to make it
7 work, right, and we can't defend it.

8
9 To me, it seems like a more defensible way to go would be to say
10 we recognize the limitations of one survey instrument, right, or
11 one sampling program, and prefer, or see the other perhaps, as the
12 best available information at this time, even though the SSC
13 doesn't -- Is consistent with that best scientific information
14 available. I'm going to look to my colleagues at the federal
15 level, who oversee this process, to see if there's -- If that's an
16 allowable thing to do, because I'm not sure.

17
18 **MR. STRELCHECK:** I wish Mara was here, and, I mean, I think this
19 really gets down to the best scientific information available
20 determination and the record that this SSC would build, in terms
21 of making that decision.

22
23 The immediate thought I had, when you were suggesting this, Tom,
24 was, if you make that argument for Mississippi, which may be fine,
25 then Alabama hasn't analyzed their data in the same way, but does
26 it apply equally to Alabama? I don't know, and the SSC doesn't
27 have that information in front of them to kind of make that
28 determination, at least as of today, right, and that could be
29 something that could come back to the SSC.

30
31 The bottom line is I think it does come down to the record that
32 you would build and whether or not there's been sufficient
33 information today for you to argue that the calibration, as
34 presented, is not appropriate and reflective of what the situation
35 is.

36
37 It still, I think, challenges us, from an agency standpoint, as to
38 then how are we going to convert, or not convert at that point,
39 from the assessment, right, because we are plugging in data into
40 the assessment that's going to use FES, right, and so that, I
41 think, would have to be a scientific decision, in terms of what
42 data streams are you then now using for the stock assessment, going
43 forward.

44
45 **DR. FRAZER:** To that point, Andy, I mean, that's kind of what I
46 was talking about earlier, about whether or not the data, right,
47 could be compared to the regional data, and I think there's a
48 little bit more work to be done there that might allow that to

1 happen.

2

3 **CHAIRMAN NANCE:** Let me just throw in this too, because it's great,
4 and we're having, I think, good discussions, and maybe it would be
5 beneficial to take each state and go through the TORs with that
6 state, and, if we find out that we need more information, then we
7 say that, and Florida may be -- What we're coming up with for
8 Florida may be very different than what we recommend for
9 Mississippi and Alabama, but I think taking each of the states --
10 We've seen the presentations, and we're happy with what we've seen,
11 and we want to get more information and those types of things, and
12 we'll go through those and see where we stand and what we would
13 need, what we would like to see, to be able to further our
14 deliberation on what we want to see in the future. Paul, you had
15 a comment, and then Trevor.

16

17 **DR. MICKLE:** I will be brief, but Andy pretty much said what I was
18 going to say, and, Tom, to your question, I guess, if you approach
19 it -- You lose the ability to do a stock assessment, because you
20 lose your historical -- You're saying to use one over another, or
21 maybe I misunderstood. Right?

22

23 **DR. FRAZER:** Well, I think there's -- I mean, we would have to
24 explore this a little bit. I mean, at the end of the day, we would
25 hope to get, by 2024 or 2025, where we would actually use that
26 data in the assessment, and we're not doing it now, right, and so,
27 in the interim, we have to find kind of a stopgap approach.

28

29 **DR. MICKLE:** Then the last thing I will just say is that that's
30 really two purposes of calibration, right, for management, in-
31 season management, and then there's the scientific side of an
32 assessment. The calibrations, you have to calibrate, and I hate
33 the word, and it's a bad word, in my world, but it has to be done,
34 in my opinion.

35

36 **CHAIRMAN NANCE:** Well, it has to be. In order to come up with
37 numbers that we're able to use, there has to be that calibration.

38

39 **DR. MICKLE:** MRIP is -- It's not made to do state management, and
40 it's not made to do that, but that's why all of this has occurred,
41 and some people forget that, but it's designed to do a national
42 look, and these outliers -- They go away when you just look at
43 Gulf-wide. When you get away from the states, at least it works
44 a lot better, and so it's just different, that's all.

45

46 **CHAIRMAN NANCE:** Thank you, Paul. Trevor.

47

48 **MR. MONCRIEF:** I mean, I understand the proposal, and I feel like

1 setting that precedent is a -- It's a precedent, and it would carry
2 on, and I don't think now is the time to do it, to be honest with
3 you, and I feel like what we've proposed is reasonable, the body
4 of evidence we've proposed is reasonable, the effects that we have,
5 and the reality of what we're trying to do is figure out a way to
6 update these ratios, for the next couple of years, until the next
7 management advice comes out.

8
9 We're doing this in absence of management advice, and, I mean,
10 ours is a compromise, and it's a compromise for exactly what we
11 provided, and, yes, I just -- I'm just trying to -- I'm trying to
12 think through it all, but we're looking, realistically, at two to
13 three years, and that's what we're trying to do, is find a gap for
14 two to three years and do the research, try to get at some of these
15 non-sampling errors, because the calibration that we've proposed
16 here is for management. It's for quota monitoring.

17
18 When we go forward to the assessment, there will be more years of
19 data, and there will be a lot more things that have to be taken
20 into account. I mean, things are automatically going to have to
21 shift, but what we're talking about now is trying to get through
22 the next two or three years, and so I think it's just a little bit
23 different situation overall.

24
25 **CHAIRMAN NANCE:** Thank you. Will, please.

26
27 **DR. PATTERSON:** Thank you, Mr. Chair. I don't think, as we look
28 at this, we should be focused on things that are driving bias and
29 precision when considering which years to include or not include,
30 as our recommendation for a given state, if we're able to make
31 such a recommendation, and not necessarily look at what the effects
32 are going to be on the state-specific ACLs.

33
34 In Kevin Anson's presentation, his third conclusion made a
35 statement about the current calibration ratio applied to Alabama's
36 ACL will result in a twenty-day fishing season, using the 2018 and
37 2019 data, and I've been confused about that statement, and I don't
38 see anything, in the rest of the presentation, that demonstrates
39 how that was calculated, and I don't see anything in the report
40 that demonstrates how that was calculated, and so I'm confused for
41 two things.

42
43 One is how did the twenty-day season estimate -- How was that
44 computed, given the fact that, this last year, less than half the
45 quota has been landed, was landed, or at least the current
46 estimates, and then, also, the current calibration ratio, how would
47 that differ from 2018 and 2019? It seems like we're talking about
48 two different things there, as far as calibration ratio, and so,

1 if Kevin is still on the call, and he could address that, that
2 would be great.

3

4 **CHAIRMAN NANCE:** Thank you. Kevin, would you be able to address
5 those, please?

6

7 **MR. ANSON:** I will try to. On the first point, I was simply
8 referring to -- When you look at the 2018 and 2019 data, and the
9 characteristics within that season, and that would relate more to
10 size of fish and harvest rates per angler trip, and, if you had
11 those similar characteristics, with the quota that would result
12 from using the current calibration, that potentially we could have
13 a twenty-day season, if those anglers show up.

14

15 Now, how that was computed was simply -- You know, again, I
16 mentioned earlier that we are tracking this in-season, weekly, and
17 so we're essentially just, you know, combining each day's worth of
18 effort and catch, one on top of another, and so using that, you
19 know, monitoring, at a daily level, the amount of pounds that we
20 would get, based on our current ACL, and those effort estimates,
21 or values, per day, from 2018 and 2019, would result in a twenty-
22 day season.

23

24 Now, will that essentially occur for next year? It may not, and
25 I was just giving an example as to the potential for the length of
26 the season, based on the given pounds, and that the impact of that
27 would just be that it would lead to issues that were -- That I
28 brought up relative to, you know, some of these potential
29 inconsistencies, or data issues, related to CHTS, in that, as you
30 get a shortening of the season, you get more anglers showing up at
31 these sites that then, when they're, you know, attempted to be
32 counted, or interviewed, that it becomes problematic then within
33 the state, and it could lead to, you know, affecting the weights
34 of those and the adjustments in the amount of raw effort, raw
35 trips, that are being generated.

36

37 It's just kind of a self-perpetuating situation, is that, the
38 shorter you compress the season, the potential exists, you know,
39 that the sampling methodology doesn't lend itself to more accurate
40 estimates, and it lends itself to more inaccurate estimates,
41 potentially.

42

43 **CHAIRMAN NANCE:** Thank you, Kevin. Luiz.

44

45 **DR. BARBIERI:** Thank you, Mr. Chairman. Well, I am trying to get
46 -- Tom, to your point, right, I'm trying to get to what motivated
47 the council to make this motion and have the SSC revisit -- I mean,
48 we had gone through a pretty long process, and we had, two years

1 ago, a workshop that was dedicated, an SSC workshop, and NOAA
2 Fisheries was part of it, to coming up with these calibrations,
3 and so what is -- What is concerning? What is concerning to the
4 council, in terms of the current ratios, that are generating this
5 request for them to be revised and re-reviewed?
6

7 **DR. FRAZER:** I think, again, there's a recognition, by our state
8 representatives, right, that the data that they're collecting in
9 their state programs aren't meshing well at the federal level, or
10 the MRIP data, and they feel like they've invested heavily in those
11 programs and are providing a high degree of accuracy and precision
12 in the data that they're making available, and they don't want to
13 be penalized for that, and I'm speaking for them, right, and so I
14 think what the council said is, hey, you know, sure, these programs
15 continue to evolve, right, and more data are accumulated, and
16 you'll have a better idea of the relationships.
17

18 In its most simple example, Luiz, you know, even if you lengthen
19 the time series, right, you're likely to change the nature of that
20 calibration relationship, and it may be by 10 percent, or something
21 like that, which could result in a considerable amount of fish,
22 right, for a particular state, for example, consistent with how
23 they view their data, and so I think the first thing was to be
24 able to say, okay, you know, as the programs mature, and we collect
25 more data, are they in fact more representative, and are they
26 capturing the situation as we see it, and should they be adjusted
27 accordingly.
28

29 The second one is clearly recognizing that, you know, we have a
30 sampling program in place that was not designed for these in-
31 season kind of monitoring things, and so can we improve on that,
32 and we may not get there, in that regard, today, right, and that's
33 a part of some of the larger efforts that Richard alluded to
34 before, but we certainly just didn't want to say one and done.
35 When we did Amendment 50, and these are the calibrations, say we're
36 good, and we recognized that there was work to do, and, you know,
37 I think that's where we are.
38

39 I think we should try to accommodate, to the best of our ability,
40 and my only reason for the comments before is that, you know, I
41 really respect what comes out of this body, right, and it's a
42 scientific body, and the recommendations that they make allow us
43 to do the work on the council level, right, with a high degree of
44 confidence, and we can defend our decisions, right, and that's all
45 I want, is I want you guys to make a good scientific decision.
46

47 **CHAIRMAN NANCE:** Thank you. We're going to go ahead and take a
48 break, and we'll come back at 3:15, and here's what I want to do.

1 We're going to start with Florida, and we're going to go through
2 these TORs and see where we're at with Florida, and then we'll
3 move on to Alabama, and then we'll move on to Mississippi. I think
4 that will give us some direction in what we're trying to accomplish
5 here. Thank you.

6
7 (Whereupon, a brief recess was taken.)

8
9 **CHAIRMAN NANCE:** We'll go ahead and get started, and we'll go ahead
10 and gather back. What I would like to do, in thinking about this,
11 is go through each of the states, and we've seen the presentations,
12 and certainly I think we've had ample time for questions and
13 responses and things like that, and then we want to go through for
14 -- We'll think about Florida now. Get your minds on that state
15 presentation, and we'll go through the TORs and responses on how
16 we feel about each one of those and where we want to go and what
17 we would like to see different, if anything.

18
19 With Florida, I guess the first is, is the revised calibration
20 ratio calculation method similar to what it was in August of 2020,
21 and, from what I saw, it's a continuation of that, and it seems to
22 be the same methodology, and maybe some difference in what's
23 proposed for the years, but the calculations seem to be the same,
24 and is there anyone that disagrees with that assessment?

25
26 The second is they proposed some changes in years, in their
27 presentation, and so do we feel like they presented justifications
28 for changing the years? I think we went -- Was it 2015 -- Can you
29 bring it up, maybe? I think, before, it was 2015 to 2017, right,
30 and the years that are being proposed now are -- Go ahead,
31 Tiffanie.

32
33 **MS. CROSS:** It's the entire overlapping time series of 2015 to
34 2019.

35
36 **CHAIRMAN NANCE:** Okay. With the exclusion of 2020.

37
38 **MS. CROSS:** Correct.

39
40 **CHAIRMAN NANCE:** I feel like, from the presentation that Tiffanie
41 gave, there was good justification for taking out 2020, and it had
42 changed a lot in the number of samples that were taken and things
43 like that, and so I felt like that -- They had justification in
44 there for the removal of 2020. Sean.

45
46 **DR. POWERS:** The other states, Alabama and Mississippi, had issues
47 with, in particular, 2017, the 2015 to 2017 window, where the
48 seasons were compressed, or shortened, and you all don't have those

1 concerns? You think those years still --

2
3 **DR. BARBIERI:** Well, I don't know if those things impacted, right,
4 the data, or the estimates, and potentially they have, right, and
5 the reason why we are using 2015 to 2017 was to follow the SSC's
6 recommendation to have the calibrations between state surveys,
7 FES, and CHTS consider just the years for the benchmarking, where
8 there would not be any conversion of FES to CHTS there, right, and
9 so, if the committee feels that removing 2015 to 2017 is the most
10 justifiable, by all means, just bring it up, and we'll discuss the
11 merit.

12
13 **CHAIRMAN NANCE:** Because, from my perspective, we're moving away
14 from the telephone survey, and we have just FES against the SRFS
15 component, and so I don't see any issue with that, and I think
16 it's justifiable, for that reason. Paul.

17
18 **DR. MICKLE:** Thank you, Mr. Chair. You're just identifying 2015
19 as being the earliest year because that's when Monroe County was
20 brought in, creating the -- Is that right? Is that correct? The
21 justification for 2015, where does that come from?

22
23 **DR. BARBIERI:** That was just the first year that the survey was
24 fully implemented.

25
26 **CHAIRMAN NANCE:** Roy.

27
28 **DR. CRABTREE:** Some of the justification was that the fishery
29 changed a lot up until 2017, and we had very short federal seasons,
30 and extended state-water seasons, prior to that. Then, in 2017,
31 the Secretary of Commerce illegally reopened the fishery, with a
32 lack of any real justification, and allowed far too much fishing
33 to -- Then the fishery went to the EFP and state management, in
34 2018 and thereafter, and so there was like an abrupt change in how
35 -- The fishery was structured that way, and it changed then.

36
37 Whether that -- Whether you would have a stronger calibration, if
38 you eliminated 2015, 2016, and 2017, I don't know, or whether it
39 would really make much difference at all to the outcome of it, and
40 I don't know.

41
42 **DR. BARBIERI:** Then just one comment, before you respond to that
43 specific question, Tiffanie, is I think it's important to make a
44 point here, because, when we submitted our original documentation,
45 right, for review, with the revised calibration, we did not choose
46 a preferred alternative, because we did not feel that we needed
47 to.

48

1 I mean, the idea was to provide -- I mean, this is what the letter
2 requested explicitly, right, is that we provide calibrations for
3 different sets of years, and we did, and so one of the reviewers,
4 in the initial review process of those, before we went to the
5 briefing book -- We were asked why not, and that we should pick a
6 preferred.

7
8 I think Florida decided to go with the longest time series of data,
9 just because that's more data, but, again, I don't think that we
10 have any particular preference on those specific time periods, if
11 the SSC has good justification to pick one set.

12
13 **DR. CRABTREE:** Okay, and so I look at the figure you have that
14 compares the different alternatives, and, I mean, none of them are
15 substantially different than the other, and so what choice you
16 make on that doesn't seem to change it, and I guess one could argue
17 that Alabama and Mississippi -- I think their surveys were designed
18 later, but I'm not sure, and so they didn't have the choice of
19 using all those early years, but they argued not to include those
20 early years, and so, if we wanted to have some consistency, in
21 that respect, that might make some sense.

22
23 **CHAIRMAN NANCE:** Tiffanie, please.

24
25 **MS. CROSS:** Thank you, Mr. Chair. Jessica, can you please bring
26 up Slide Number 17? It shows the table of the ratios for each
27 scenario, and so, if you're looking at the SRFS to CHTS conversion
28 type, with landings in pounds, those last two scenarios -- The
29 first one is 2018, 2019, and 2021, and the ratio is 1.34. The
30 next scenario is 2015 to 2019 and 2021, and that ratio is 1.24,
31 and so it's a tenth difference. I just wanted to point that out,
32 that we provided that, so you can consider it.

33
34 **CHAIRMAN NANCE:** Sean.

35
36 **DR. POWERS:** I wasn't asking that question for -- Because I know
37 it wouldn't really matter that much, but it was similar to Roy's
38 point, that, if we want greater consistency, and we think there is
39 a problem, with the fishery changing into a more stable, longer-
40 season one, then it makes more sense.

41
42 **CHAIRMAN NANCE:** Do we have any -- Luiz.

43
44 **DR. BARBIERI:** To that point, the reason that we went with 2015 to
45 2017 before, and the SSC's recommendation, was because, at that
46 time, those are the data that were available, right, and now we
47 have more data, and so changing those time series makes sense.

48

1 **CHAIRMAN NANCE:** Basically, you're just adding on years to the
2 timeframe, excluding 2020, and I need, just for the record -- The
3 discussions we're having are simply for monitoring the fishery and
4 not for anything else.
5
6 **DR. BARBIERI:** Yes.
7
8 **CHAIRMAN NANCE:** Okay.
9
10 **DR. CRABTREE:** Jim, if I could.
11
12 **CHAIRMAN NANCE:** Go ahead, Roy.
13
14 **DR. CRABTREE:** If we went to eliminating 2017 and prior, then we
15 would be saying, okay, we're going to use our calibration years
16 during the period in which regional management has been in place
17 and not the prior management regime. We couldn't do that the last
18 time, because we didn't have enough data, and it wasn't an option,
19 but we now have three to four years, depending on whether you can
20 use 2020 or not, and that seems to be a sufficient number of years,
21 and so, if we wanted to achieve some consistency on that front, I
22 think you could.
23
24 **CHAIRMAN NANCE:** Paul.
25
26 **DR. MICKLE:** I agree, and, also, just with the number of years, we
27 need to be careful going across the states here, because some
28 states shut down with COVID, and didn't do intercepts, and some
29 did, and so there's some metrics there that we need to account for
30 and not forget. Thank you.
31
32 **CHAIRMAN NANCE:** Yes, and I think we need to, in some ways, do
33 these individually and not say, well, let's do this, because this
34 is what Alabama has, that type of thing. Let's do Florida by
35 itself, for consistency, I think. Andy.
36
37 **MR. STRELCHECK:** I'm not weighing-in on your determination, but
38 just, I guess, for thinking about all the states, one of the things
39 that I noted in Kevin's presentation is an average based on kind
40 of the cumulative sum of landings, versus an average based on the
41 ratios for each year, and so I think that's important to take into
42 consideration as well, from a consistency standpoint, and is there
43 one method or another that needs to be considered across each of
44 the three states, in terms of how the calculation is made,
45 regardless of the data used.
46
47 **CHAIRMAN NANCE:** Remind me, Tiffanie, and, in Florida, it's --
48

1 **MS. CROSS:** In Florida, we summed all of the estimates and produced
2 one ratio, but I think we went through the exercise of calculating
3 it the other way, and they were the same.
4

5 **CHAIRMAN NANCE:** I would think that would be different, just by
6 the methodology.
7

8 **MR. MONCRIEF:** I think it's somewhat communicative, but, the last
9 time we did this, in 2020, it was the sum, and the sum, and that
10 ratio was it, but I do think it's communicative, and it works out
11 either way.
12

13 **MS. CROSS:** Right. That's what we found, also.
14

15 **CHAIRMAN NANCE:** Okay. Will, please.
16

17 **DR. PATTERSON:** I'm looking back through the presentation, and it
18 may be in the report, but we don't actually see, that I can put my
19 finger on, the 2020 Florida estimate, versus the CHTS, and what's
20 that ratio?
21

22 **MS. CROSS:** We didn't include 2020.
23

24 **DR. PATTERSON:** You didn't include it in any of the time series
25 where you're computing your mean. However, do you have that
26 estimate? It's not in the table, what the actual landings
27 estimates are.
28

29 **MS. CROSS:** Yes, and so we can produce that estimate. We have
30 that estimate. We just didn't include it at all in the report.
31

32 **DR. PATTERSON:** Yes, I understand that, and I'm curious what it
33 is.
34

35 **MS. CROSS:** I will have to look it up for you.
36

37 **CHAIRMAN NANCE:** I think Bev can look at that up. Okay. While
38 she's looking that up, are there any other additional
39 clarifications that are necessary for considering the state's
40 proposed revised calculations? Sean.
41

42 **DR. POWERS:** I would like to go back, because I guess I thought
43 that everybody was doing the average of the annual ratios, and so
44 they're not -- I mean, I know that Alabama did it both ways, but
45 you said, if you had three years, you summed the landings and just
46 calculated one ratio, because, I mean, in some ways, I would think
47 that you would want to average the annual ratios, because you would
48 have -- If you assume years of replicate, you would have some

1 replication there.

2

3 **MR. MONCRIEF:** The direction we were given, and what was reviewed
4 by the consultants in 2020, when we came up with the original ones,
5 was summing and taking the ratio, and that's what was approved and
6 moved forward, and I don't think there's much difference between
7 the two, and I think it's the exact same --

8

9 **MS. CROSS:** It is exactly the same, whether you are summing before
10 you calculate the ratio or, for each individual year, you calculate
11 the ratio for each year and then average ratios across years, and
12 it's the same.

13

14 **CHAIRMAN NANCE:** Luiz, please.

15

16 **DR. BARBIERI:** To Sean's point, or question, right, because it's
17 an important one, the first term of reference in our scope of work
18 is because, you know, similar to how we handle assessments -- For
19 a benchmark assessment, it comes to the SSC, and now it's called
20 a research assessment, but the former benchmark assessment would
21 come before the SSC after a CIE review, and so updates, subsequent
22 updates, the SSC could review directly, and so, here, the process
23 was, because there was already an actual peer review conducted
24 before by the statistical consultants, and methodologies that were
25 approved, if there are differences in the methodology that are
26 being proposed now, right, and those may be justifiable, this is
27 fine, but this new methodology is going to have to be peer reviewed
28 separately before the SSC can provide its final review.

29

30 **CHAIRMAN NANCE:** Sean.

31

32 **DR. POWERS:** Okay, and I don't want to -- I mean, apparently Trevor
33 and Tiffanie agree that it isn't changing the value, and, I mean,
34 I'm interested in why the statisticians wanted it done this way,
35 as opposed to an average, but that's my own academic interest, and
36 I will look into that.

37

38 **CHAIRMAN NANCE:** It sounded like that was -- Trevor.

39

40 **MR. MONCRIEF:** I mean, I'm trying not to be Mr. Simpleton over
41 here, but peer review -- We're adding numbers together and dividing
42 the other added numbers together, and, I mean, that -- What we're
43 doing is fairly simple, and it's just the getting there, with the
44 other parts, is fine, but, I mean, they come up with the same --
45 It's the same number, no matter how you do it, and so I think we'll
46 be fine.

47

48 **CHAIRMAN NANCE:** David.

1
2 **DR. CHAGARIS:** So it shouldn't always be the same number. I mean,
3 if that happened, that's just by chance, and the reason for taking
4 the ratio of the sums, versus the mean of the ratios, is because
5 it gives more weight towards years with higher landings, and so
6 that has more influence on the ultimate ratio, and so, if you had
7 one year that, you know, had a hundred pounds, and another year
8 that had a thousand pounds, and you took the average of those two
9 ratios, then it's treating each of those as having equal influence,
10 and so I believe this is in some of the supporting documents that
11 came around, but it is preferable to do the ratio of the sums.

12
13 **CHAIRMAN NANCE:** Yes, and that's the way I've always done mine,
14 and, depending on how you do it, it comes with different answers,
15 but that's good. Kevin, please.

16
17 **MR. ANSON:** I think the conversation is pretty well wrapped-up,
18 but I will just add that I did not really follow the instructions
19 well, apparently, and there is a slight difference, at least in
20 the examples that I provided for Alabama. You know, we're talking
21 to the thousandth's placeholder, which doesn't sound like a lot,
22 but it could be a day's worth, or two days' worth, depending upon
23 which day of the season it is of harvest, but, in my examples, the
24 one that we preferred uses the ratio of the mean, which would be
25 consistent with what was done in the first calibration, and it
26 will be consistent to what Florida and Mississippi has offered
27 today. Thank you.

28
29 **CHAIRMAN NANCE:** Kevin, thank you very much for that clarification.
30 I appreciate it. Beverly, do you have that?

31
32 **DR. BARBIERI:** I would recommend, and I don't know how long this
33 is going to take, and so we might want to move on.

34
35 **CHAIRMAN NANCE:** Sure. That's fine. From the standpoint of
36 Florida though, looking at the TORs, are there any issues or
37 concerns with what Florida has proposed for monitoring for red
38 snapper? I don't see any opposition to that. We're not voting.

39
40 **DR. POWERS:** Did we make a decision on their -- I know we're not
41 voting, but did we make a decision on the years, or we're fine
42 with all years?

43
44 **CHAIRMAN NANCE:** Go ahead, Luiz.

45
46 **DR. BARBIERI:** I think that's a very good point that should be
47 made, because I thought that the discussion here about what years
48 to choose, and Dr. Crabtree made a few points about changes in the

1 fishery, and I thought that could be taken into account, right?

2

3 **CHAIRMAN NANCE:** Ryan.

4

5 **MR. RINDONE:** Thank you, Mr. Chair. These terms of reference were
6 writing with the understanding that each state would have picked
7 a preferred, and so, if it's being left up to the SSC to make that
8 selection, then that would just be another thing that the SSC would
9 need to make a recommendation about.

10

11 **DR. BARBIERI:** Not to sound like Mr. Simpson here, but this was
12 never presented in any of the instructions, and it's not explicit
13 in the letter, right, and none of the communications that we
14 received from anybody, be it the agency or the council, ever
15 provided instructions for us to pick one, and so we were deferring
16 to the SSC. I mean, the letter was explicit about develop
17 calibrations that use different data series, you know, and so the
18 SSC has a number of options to pick from.

19

20 **CHAIRMAN NANCE:** Ryan.

21

22 **MR. RINDONE:** I don't think it's a problem, in the grand scheme of
23 things, and so it would just be another recommendation by the SSC
24 to use this time block, or these specific years, and I think
25 there's been -- There will have been enough discussion about it to
26 serve as justification for the record, and so I'm not personally
27 bothered by it.

28

29 **CHAIRMAN NANCE:** A recommendation of years, I think both seem to
30 be justifiable. The longer timeframe that would be used, we've
31 tacked on additional years, but the shorter timeframe is more
32 consistent with what's happening now, and it is more relevant, and
33 both of them have -- Both FES now and SRFS are being, you know,
34 incomplete monitoring. Sean.

35

36 **DR. POWERS:** So I guess we will make -- I guess we'll make a motion
37 that the SSC -- I don't know what we want to say. **The SSC**
38 **recommends Florida's calibration with the years 2018, 2019, and**
39 **2021 as the base.**

40

41 **CHAIRMAN NANCE:** Carrie.

42

43 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair, and so is that
44 State Reef Fish Survey to CHTS, and is that in numbers of fish, or
45 is that in pounds of fish, because I believe there was some type
46 of combination that was used by Florida and Mississippi last time.
47 No?

48

1 **DR. BARBIERI:** Just to clarify, our initial calibration, and this
2 is how this gets complicated, but our initial calibration that was
3 provided back in 2020 was from MRIP to FES, or FES to MRIP, right,
4 and, here, for this review, we were instructed to do it to CHTS,
5 specifically, because it is for quota monitoring, and we hadn't
6 done that before, and so, to stay true to the first term of
7 reference, we provided them to both, to FES and to CHTS, right,
8 and the calibration ratios are provided in numbers and in weight
9 and in pounds.

10
11 **CHAIRMAN NANCE:** Sean.

12
13 **DR. POWERS:** So let me edit that then. **The SSC recommends Florida's**
14 **calibration from SRFS to CHTS with the years blah, blah, blah, and**
15 **I think, as far as whether it's number of fish or pounds --**

16
17 **MR. RINDONE:** Jess, I'm going to read it out, because there's some
18 other language that we should probably put in there for
19 specificity. **The SSC recommends that Florida's calibration from**
20 **SRFS to MRIP-CHTS, for the private angling component of red**
21 **snapper, use data from 2018, 2019, and 2021 to determine the**
22 **calibration ratio.** Sean, how does that taste?

23
24 **CHAIRMAN NANCE:** Sean, is there any issue with that?

25
26 **DR. POWERS:** I'm fine. I mean, it's got "calibration" in it twice,
27 but I don't want to use the word "conversion" upfront, and so we
28 will just live with that redundancy, but it needs a second.

29
30 **CHAIRMAN NANCE:** Andy, please.

31
32 **MR. STRELCHECK:** I'm not seconding, because I'm not on the SSC,
33 but can we specify the exact value in the motion?

34
35 **CHAIRMAN NANCE:** As far as pounds or number?

36
37 **MR. STRELCHECK:** Whatever the ratio is, so it's crystal clear what
38 you selected for the council's consideration.

39
40 **DR. POWERS:** I guess I would hold off on the number, just because
41 of the outstanding request for 2020 right now, and whether we
42 change this to include 2020, but -- Well, I mean, I guess we could
43 put the specific ratio in.

44
45 **MR. RINDONE:** 1.29, and is that right?

46
47 **MS. CROSS:** In pounds, it would be 1.34.

1 **MR. RINDONE:** It's 1.29 in numbers of fish, and it's 1.34 in pounds
2 whole weight.
3
4 **CHAIRMAN NANCE:** Paul.
5
6 **DR. MICKLE:** Thank you, Mr. Chair. A suggested amendment is to
7 add "updated calibration ratio", and so add "updated" prior to the
8 word "calibration", the second "calibration". I second.
9
10 **CHAIRMAN NANCE:** Second. Okay.
11
12 **MR. RINDONE:** Then add the word "of" after "ratio".
13
14 **CHAIRMAN NANCE:** We have a motion recommended by Dr. Powers, and
15 Dr. Mickle had seconded that. I'm going to read it. The SSC
16 recommends Florida's calibration from SRFS to MRIP-CHTS for the
17 private angling component of red snapper. Use the data from 2018,
18 2019, and 2021 to determine the updated calibration ratio of 1.29
19 in number of fish and 1.34 in pounds whole weight. Paul.
20
21 **DR. MICKLE:** I am trying to be helpful, but not complicate, but
22 the -- Should there be a justification -- I am looking out for the
23 SSC here, and should there be a justification behind those years
24 in the motion, so the perception and the delivery to the council
25 is justified of why these years were selected as recommended by
26 scientists from the State of Florida, and agreed upon by the SSC,
27 or something like that, or can it be delivered into the summary to
28 the council?
29
30 **CHAIRMAN NANCE:** I can deliver that in the summary, and I think I
31 can do that. Then the motion doesn't become unwieldy.
32
33 **DR. MICKLE:** Yes. I like obvious things, but I get it.
34
35 **MR. RINDONE:** We have verbatim minutes that are recorded for the
36 SSC, and so the record is quite detailed, as far as what leads to
37 the decision.
38
39 **DR. MICKLE:** I just think of people grabbing reports and reading
40 this and --
41
42 **CHAIRMAN NANCE:** I appreciate that comment, Paul, for sure. Harry.
43
44 **MR. BLANCHET:** Thank you, Mr. Chairman. Thinking in terms of what
45 is the purpose of this, are we talking about using this calibration
46 ratio for all years, or years going forward, or X years, until
47 some other benchmark is achieved? What do we do about years that
48 are already on the books? Are we recalibrating those?

1
2 **CHAIRMAN NANCE:** Remember, Harry, that this is for monitoring, and
3 so past is past, and you're not going to monitor what happened in
4 2017 with this, and this is for monitoring future things.
5
6 **MR. BLANCHET:** Okay. That works for me. Thank you.
7
8 **DR. POWERS:** Because remember the research track assessment is
9 looking at this question, on how to hindcast and reconstruct it.
10
11 **CHAIRMAN NANCE:** Yes, and this is not -- That's why I wanted to
12 say this is for monitoring, and it has nothing to do, nothing,
13 with hindcasting, with assessment stuff like that, and this is
14 strictly for monitoring. Roy.
15
16 **DR. CRABTREE:** When the new assessment is done, the CHTS will be
17 out of the picture, and it will be FES. Luiz, I am looking at the
18 table in your report, and you have the various correlations in
19 there, zero percent, 50 percent, and 90 percent, and, for this
20 choice of years, you have the highest correlations of any of it,
21 and is that something that is a concern, or does that -- Is that
22 something that we need to take into account, or is that not? The
23 highest PSEs.
24
25 **DR. BARBIERI:** Associated with the highest correlation? Well, I
26 don't know if it is a concern. What I can tell you is that, when
27 we first proposed the methodology, right, and FWC provided the
28 first methodology, the last time around, and it was reviewed by
29 the peer reviewers, the statistical consultants, and we actually
30 had recommended a 50 percent correlation, right, because we know
31 that APAIS, conducted under MRIP, is not completely independent
32 from APAIS conducted for SRFS, and so we recommended 50 percent as
33 a middle ground, in terms of the correlation, and the consultants
34 felt that that was unnecessary and recommended, and this is in
35 their review report, that we use the zero percent correlation.
36
37 **DR. CRABTREE:** Okay, and so that leaves with this particular ratio
38 has a somewhat higher CV than the other ones, but not substantially
39 higher.
40
41 **CHAIRMAN NANCE:** Dave, please.
42
43 **DR. CHAGARIS:** I just have a question, and so where would these
44 ratio PSEs actually be used? How would they be used in the
45 conversion process, or would they be used at all?
46
47 **CHAIRMAN NANCE:** Go ahead, Luiz.
48

1 **DR. BARBIERI:** They would not be used at all. I mean, it's simply
2 to give you an idea of what the uncertainty associated with that
3 central tendency measure is.
4

5 **DR. CHAGARIS:** That's what I thought, but I wasn't sure. Thank
6 you.
7

8 **CHAIRMAN NANCE:** Let's go ahead, and I am going to read the motion
9 here. **The SSC recommends Florida's calibration from SRFS to MRIP-**
10 **CHTS for the private angling component of the red snapper. Use**
11 **data from 2018, 2019, and 2021 to determine the updated calibration**
12 **ratio of 1.29 in numbers of fish and 1.34 in pounds whole weight.**
13 **Any opposition to that motion?**
14

15 **DR. PATTERSON:** I just have a point of order. We're still waiting
16 on the 2020 estimate.
17

18 **CHAIRMAN NANCE:** Okay.
19

20 **DR. POWERS:** So it reads as better English, the SSC recommends
21 Florida's calibration, and it's missing something there. Hold on.
22 **Recommends that the Florida.**
23

24 **CHAIRMAN NANCE:** Will, thank you. Tiffanie, do we have that?
25 Okay.
26

27 **MS. CROSS:** The ratio of the State Reef Fish Survey estimate to
28 the CHTS estimate for 2020 was 2.1, and that 2020 estimate, for
29 the CHTS, was very different than any of the other estimates in
30 that time series, like really different.
31

32 **CHAIRMAN NANCE:** Will.
33

34 **DR. PATTERSON:** So, unless I'm missing something, looking at the
35 2021 estimate, it's 2.15, and so how is 2020 so much different
36 than 2021? It's 2.15 for landings.
37

38 **DR. BARBIERI:** Are you looking at Table 2, Will, and the ratio in
39 Table 2?
40

41 **DR. PATTERSON:** No, and I'm looking at -- I took the data from the
42 PDF, and I put it in Excel, to do the individual years, to see
43 what they looked like, and, unless I did some -- I mean, my means
44 line up with what's been produced here, and so, if you go back up
45 to an earlier page, here, in 2021, the SRFS is 347, and the CHTS,
46 is 161 and so --
47

48 **CHAIRMAN NANCE:** You're looking at Table 1, I think, Will.

1
2 **DR. PATTERSON:** So 347 divided by 161 --
3
4 **MS. CROSS:** I was referring to if you're looking at just the CHTS
5 time series that was provided by SERO, and that particular estimate
6 for that year really sticks out as very different, but I haven't
7 calculated the individual years, to look at those differences.
8
9 **MS. SAULS:** Can you tell us what that estimate is for 2020, the
10 CHTS number?
11
12 **MS. CROSS:** Yes. The 2020 CHTS is 714,993, and the State Reef
13 Fish Survey estimate, for the same year, is 1,512,387.
14
15 **CHAIRMAN NANCE:** Will.
16
17 **DR. PATTERSON:** So they're both high, but, relative to one another,
18 they're no different than the next year.
19
20 **MS. CROSS:** Right, and I think that that's probably because of the
21 approximations that were used to calculate that year. They used,
22 I think, the three prior years, and Dr. Cody can speak to that.
23
24 **CHAIRMAN NANCE:** Richard, please.
25
26 **DR. CODY:** What Tiffanie is referring to is the imputation method
27 that we use, and I don't think, and I will just go back and check
28 how much of the imputation data, from the previous two years, was
29 used, but I don't think it was a very large amount, if any, for
30 red snapper, and so there may not be a big impact from imputation
31 in 2020, relative to 2021.
32
33 There are some concerns about Florida's sampling, their ability to
34 sample certain sites in different regions, but, you know, looking
35 at what I provided the council some time ago, relative to the
36 number of assignments that were completed and so on, where there
37 might be issues is in the amount of biological information, such
38 as lengths and weights, that would have been available, and I can
39 check on that.
40
41 **CHAIRMAN NANCE:** For red snapper, it doesn't seem to be -- I mean,
42 it's certainly in the ballpark of the others, in a way. Luiz.
43
44 **DR. BARBIERI:** So, Will, to that point, I mean, if you feel that
45 2020 should be included -- I mean, I don't think we are opposed to
46 that. I mean thing is, because of COVID, and because of changes
47 in the survey that year that are documented, the fact that the
48 imputation took place in 2020, and the fact that there were, you

1 know, counties, and municipalities, that were closing boat ramps,
2 and so there was a difference in 2020 that we felt -- You know,
3 the same way that we have been treating assessments in 2010 fairly
4 differently, because of the oil spill, right, and not necessarily
5 considering those years.

6
7 **CHAIRMAN NANCE:** What you're saying is, while the end product is
8 within the range, how that product was derived is very different
9 than in all the other years.

10
11 **DR. BARBIERI:** So, if I were before the council, and I were to
12 explain why 2020 was a year that's comparable to any of the other
13 years in the time series, I wouldn't be able to come up with
14 something credible, right, and I'm not opposed to including 2020,
15 if there is a strong justification to do so, but I wouldn't explain
16 -- You know, if we're trying to include data that are comparable
17 to each other, in ratios between two surveys, I think that's the
18 one that we would remove, but, you know, I don't feel strongly
19 about it if a good justification for including it can be provided.

20
21 **CHAIRMAN NANCE:** Will.

22
23 **DR. PATTERSON:** I am not trying to make an argument to have it in
24 or have it out at this stage, but I was just curious what it looked
25 like, and, as far as the ratio, Luiz, it's actually less different
26 than the year after, and it's just that both the estimates from
27 SRFS and CHTS are big in that year.

28
29 Now, is that a sampling issue, or is that actually how the fishery
30 operated that year? If this were, you know, the SEDAR estimates,
31 the FES estimate for landings, in 2020, is going to be used, right,
32 and we wouldn't throw out that data point just because it was high.

33
34 The fact that they're high for both, and it's not outside the range
35 of ratios for the other years, gives me pause as to the rationale
36 of why we would throw it out. I don't think we have to put
37 rationale in here for throwing it out. I mean, for including it,
38 and I think we have to put a rationale for why we excluded it.

39
40 **DR. BARBIERI:** Right, and I don't disagree, Will. I don't
41 disagree. I just -- Like I said, if I were asked about why that
42 year was removed, and we actually received reviewer comments from
43 the Science Center and SERO, and I think it was the Science Center
44 review that said, well, Florida did not include 2020, and this
45 should be in the documentation, right, the background, and it is,
46 and the Science Center said, well, yes, we do not think the 2020
47 here -- If there is one year that's going to be removed, that
48 should be it, but we don't really feel strongly enough about it.

1
2 I'm just trying to think about, you know, real, justifiable
3 criteria for including it, and I think we have enough to remove
4 it, especially if it doesn't make much of a difference.

5
6 **CHAIRMAN NANCE:** David, please.

7
8 **DR. GRIFFITH:** Thank you, Mr. Chair. I personally think you have
9 a very strong argument for excluding it, but not a very strong
10 argument for including it. I mean, if you -- If they couldn't
11 intercept people during that year, I mean, the whole wave that
12 they sampled in that year was wrong, and so what Jim said is right.

13
14 Just because you happened to come up with similar numbers at the
15 end, the whole wave that you derived those numbers was completely
16 different, and so it's like a whole different survey taking place
17 during that period, and so I would -- I think you have a strong
18 case to exclude it.

19
20 **CHAIRMAN NANCE:** Roy, please.

21
22 **DR. CRABTREE:** I think the rationale is there to exclude it. I
23 think the tricky part, with this, is explaining why, with Alabama
24 and Mississippi, it's not -- It is included there, and I think
25 we've got to be able to make sure that we explain why we made a
26 different decision.

27
28 **CHAIRMAN NANCE:** I think, for some of them, it's because of the
29 waves, and I think Alabama said that, by the time they started
30 sampling again, it was later in that year, where Florida samples
31 the whole year, and Alabama is part of the year, and, by the time
32 they started sampling, then they were able to go out and fully
33 sample, but it's very different than I think what Florida was
34 indicating for 2020. Sean.

35
36 **DR. POWERS:** A lot of it has to do with how serious our state
37 governments took the pandemic, actually, and the directions from
38 the governor's office, and Alabama did survey their normal way,
39 but I agree with you, Roy, and that's my only hesitation, is that
40 it would be nice to have consistency, at least in the base years,
41 but, on the flip side, if the state managers don't feel that that's
42 a representative year, then it should be excluded.

43
44 **CHAIRMAN NANCE:** Will.

45
46 **DR. PATTERSON:** So maybe a way to move forward then is to include
47 the numbers in the table, and then talk about why that wasn't
48 included in the estimate of the ratio, because the data do exist,

1 but you're saying we don't have -- The veracity of them is
2 questioned, for these reasons, but you still present them.

3
4 **CHAIRMAN NANCE:** I think that's a good point. We can put it in
5 the table, so we have that value. Paul.

6
7 **DR. MICKLE:** I think David probably said it the best. You know,
8 the methods were compromised, right, in 2021, with Florida, but,
9 in the other states, it wasn't, and so there needs to be some
10 understanding there, and I can't explain how complicated it is to
11 run the logistics of a landings program, and it's really hard to
12 do, just the personnel and everything working through there.

13
14 It's mindboggling, and so, when you think about -- When a scientist
15 from a state says it should be excluded, there's a lot of thought
16 behind that, of why it shouldn't be there, and, if we include that
17 in here, that's great, and I would say we probably need to put
18 something in there, in the report or something, of the
19 justifications, but, yes, we shouldn't be looking at the numbers,
20 and we should be looking at the methods alone.

21
22 You know, if you're a terrible cook, and everyone is trying to
23 make a great meal, and that could make you a good cook, but we
24 don't want to go that route, right, and so it's about the methods
25 of it.

26
27 **CHAIRMAN NANCE:** I am going to go forth with this motion, as-is,
28 and so the motion, as it states, is the SSC recommends that the
29 proposed Florida calibration from SRFS to MRIP-CHTS for the private
30 angling component of the red snapper use data from 2018, 2019, and
31 2021 to determine the updated calibration ratio of 1.29 in numbers
32 of fish and 1.34 in pounds of whole weight. Is there any opposition
33 for this motion? Dr. Barbieri is -- Go ahead.

34
35 **DR. BARBIERI:** I just want to state, for the record, that I am
36 abstaining from this vote.

37
38 **CHAIRMAN NANCE:** Yes. Will.

39
40 **DR. PATTERSON:** I abstain as well.

41
42 **CHAIRMAN NANCE:** Okay. Two abstentions. **Any opposition? Seeing**
43 **none, the motion carries with two abstentions.** We will now move
44 on to Alabama.

45
46 **MR. RINDONE:** Mr. Chair, before we do that, I think, at least
47 verbally, acknowledging the terms of reference for Florida.

1 **CHAIRMAN NANCE:** Go ahead.
2
3 **MR. RINDONE:** I mean, I think a lot of the discussion covers it,
4 but, just to be succinct about it, the proposed -- Is this proposed
5 revised calibration ratio for Florida not dissimilar from what was
6 approved in 2020, and I think the SSC would agree that yes, and
7 I'm seeing lots of heads nodding in the affirmative.
8
9 **CHAIRMAN NANCE:** Yes, could you put Florida up, instead of Alabama?
10 Thank you.
11
12 **MR. RINDONE:** The SSC, I think, has discussed, pretty thoroughly,
13 its justification for the years and the waves recommended, because
14 the SSC is the one recommending the specific years, and so, I
15 guess, finally, are there any additional clarifications necessary
16 for considering the proposed revised calibration ratio?
17
18 **CHAIRMAN NANCE:** No.
19
20 **MR. RINDONE:** Seeing no mutinous comments, okay.
21
22 **CHAIRMAN NANCE:** Okay. Perfect.
23
24 **MR. BLANCHET:** Mr. Chairman, I did have a question about that last
25 term of reference.
26
27 **CHAIRMAN NANCE:** Go ahead, please.
28
29 **MR. BLANCHET:** If you look at the individual annual ratios, and I
30 think it was Will that mentioned this, both 2020 and 2021 have
31 fairly different ratios than the other years did, and is there any
32 reason for that change in the ratios? If we're looking at the
33 calibrations to FES, it's pretty similar, but, for the CHTS, it's
34 quite different, and so -- You know, it's on the order of two,
35 instead of on the order of one, as a ratio, and so is there any -
36 - We haven't really talked about why that would be that much
37 different than the rest of the historic trend.
38
39 **CHAIRMAN NANCE:** Luiz.
40
41 **DR. BARBIERI:** Harry, thank you for that question, and I think I
42 would defer to NOAA Fisheries, right, to talk about the calibration
43 between FES and CHTS, right, and, I mean, I think that what
44 happened, for this last couple of years, is that we are using an
45 MRIP to FES, which is the only running survey right now, and having
46 to convert those estimates to CHTS, and so I can't really explain
47 why, over time, those differences exist, Harry, but I just know
48 that the model-based approach of calibration, that was approved

1 for MRIP, takes into account, right, changes between the two
2 surveys over time, and so it's not supposed to be a linear --

3
4 You know, completely comparable across the time series, because,
5 like Richard mentioned earlier, the use of cellphones, and other
6 factors, that influenced the values on CHTS obviously are going to
7 impact the calibration with FES. Richard, did I capture that okay?

8
9 **CHAIRMAN NANCE:** Richard.

10
11 **DR. CODY:** I think Luiz did a pretty good job of explaining how
12 the calibration works, but, essentially, you know, the model, in
13 the latter years, and I mentioned this earlier on, does account
14 for increasing cellphone use and decreasing response rates in the
15 Coastal Household Telephone Survey, which relied on landlines.

16
17 That population was -- Well, it had become -- We could say less
18 representative of the fishers, in general, and it tended to be
19 older, and it tended to have some correlations with health issues
20 and what have you, and so it wasn't really representative of the
21 demographic for the actual sample to begin with.

22
23 We know how the model, the calibration model, behaved through the
24 benchmarking period, and then going back in time for the generated
25 FES-based estimated, but, going forward, we would expect, you know,
26 some of that relationship to continue, and we would expect a
27 continued deterioration of the CHTS response rates, and we don't
28 know, explicitly, how the model will behave over time, as you get
29 further and further away from the benchmarking period, and so we
30 could be seeing, you know, some of the effects of the model here,
31 but, you know, that would take some research, I think, to ferret
32 out.

33
34 **CHAIRMAN NANCE:** Thank you. Harry, does that address your
35 concerns?

36
37 **MR. BLANCHET:** I believe that it does, to a degree, because the
38 ratio of the SRFS to the FES is within the range of the historic
39 ratios, but, if we're talking about using this essentially a
40 surrogate for the CHTS, I think we need to have some caveats with
41 that, and that's where I was going, and I'm just trying to check
42 the boxes. Thank you.

43
44 **CHAIRMAN NANCE:** Absolutely. Thank you so very much. Okay. We'll
45 go ahead and move to Alabama, and we'll go through these. In my
46 opinion, the proposed revised calibration ratio that Alabama is
47 proposing is similar to what was used in the past, and so I would
48 put a yes there. Is there any disagreement with that? It's the

1 same methodology, and there is some recommendations in the proposal
2 for changes in years, and I don't think there was any changes in
3 waves, but changes in years, and, Kevin, it was -- Just so I'm
4 thinking correctly here, but it was -- Tell me what it was.

5
6 **MR. ANSON:** As far as a recommended?

7
8 **CHAIRMAN NANCE:** It was 2018 and 2019, and is that correct?

9
10 **MR. ANSON:** That's correct. Yes, it was .

11
12 **CHAIRMAN NANCE:** You're proposing to use --

13
14 **MR. ANSON:** We're proposing to use the years 2020 and 2021,
15 exclusively, and so we would replace 2018 and 2019 with 2020 and
16 2021, is what we recommend.

17
18 **CHAIRMAN NANCE:** Okay. Do we feel like there is justification
19 then -- Basically, we're changing the years from 2018 and 2019 to
20 2020 and 2021, and, from what Kevin was saying, it looked like
21 they were moving into basically a more recent period, and they're
22 not using the older data, and they're moving into a more recent
23 period. It seemed like they provided that justification for that.
24 Is that enough justification for moving there? David, please.

25
26 **DR. GRIFFITH:** Thank you, Mr. Chair. It's in the PowerPoint
27 presentation, and it says that 2020 and 2021 data are more similar
28 than 2018 and 2019, and is that similar to one another, and I don't
29 know how -- Is that their justification?

30
31 **MR. ANSON:** Can I answer, Dr. Nance?

32
33 **CHAIRMAN NANCE:** Kevin, yes, please. Thank you.

34
35 **MR. ANSON:** Yes, and they're more similar to one another, as far
36 as the relationship of the estimates that were produced and the
37 relationship of the anglers that were encountered in the field,
38 and so just, again, the notion of smaller seasons, shorter season
39 duration, has an impact on those estimates, and that the fishery,
40 with an extended season -- The behavior of the anglers has changed,
41 and it's of a different state now than it was in 2018 and 2019.

42
43 **CHAIRMAN NANCE:** So, Kevin, in 2020 and 2021, those years are
44 similar, but different than 2018 and 2019, which you saw a
45 different number of anglers and things like that. Is that correct?

46
47 **MR. ANSON:** Yes. As far as the daily trips and those types of
48 things, yes. Now, I understand that, when you look at trend lines,

1 there is ups and downs, and so, you know, one could make the
2 argument that the variability, either as pairs of years for the
3 first two years and the second two years, or just looking at the
4 four-year time series, that there is variability in there that one
5 could expect with the type of data that we deal with, but that was
6 a recommendation that we have made.

7
8 **CHAIRMAN NANCE:** Thank you. Any other questions about TOR Number
9 2? Roy.

10
11 **DR. CRABTREE:** I guess I don't object to it, but I haven't found
12 the rationale all that compelling in it, and it's not that clear,
13 to me, to look at, and I don't know how much of a difference it
14 made in the estimates, off the top of my head, but I find that the
15 most troubling part of this one.

16
17 **CHAIRMAN NANCE:** Roy, if you look at the options in the back of
18 the presentation, I think Proposed Calibration Option 1 goes --
19 The ratio of 2018 and 2019 was 0.49. Using 2018 to 2021 is 1.53,
20 and -- It's 0.53. Thank you. Then, if you removed 2020, and so
21 2018 through 2021, it was, again, 0.53, and so exactly the same if
22 you removed 2020 from that, and so you're basically -- No matter
23 if you had 2020 in there or 2020 out, it was the same ratio.

24
25 **DR. CRABTREE:** I mean, the ratio seems higher for 2020 and 2021
26 than it was for 2018 and 2019, and I guess I'm just struggling
27 with the thing about 2020 and 2021 being more similar than 2018
28 and 2019, and that's not all that clear to me exactly what that
29 means, or necessarily that that's a good reason to exclude it, and
30 it does seem to make some difference, although I don't think it's
31 that large of a difference.

32
33 Now, I think the rationale for including 2020 was that their
34 surveys took place with COVID, and the timing of the year was such
35 that that wasn't a problem, and so I think that's solid, and I'm
36 okay with that, and I'm not necessarily objecting to excluding
37 2018 and 2019, but I just don't think the rationale has been all
38 that compelling for it, but I don't know where other people are on
39 it.

40
41 **CHAIRMAN NANCE:** What would -- David.

42
43 **DR. GRIFFITH:** Thank you. I think that Kevin made a few points,
44 and maybe he could go over them again, or put them in the document,
45 that mentioned why he -- They're similar, actually, to why we
46 excluded 2020 for Florida, because a lot of the stuff going on
47 during 2018 and 2019, in terms of the number of days they could
48 fish, the number of anglers, a whole bunch of different things

1 were going on that made it considerably different than 2020 and
2 2021, or at least that's what I got from what Kevin just said a
3 minute ago, but maybe Kevin could be more explicit about that.
4 Thanks.

5
6 **CHAIRMAN NANCE:** Kevin.

7
8 **MR. ANSON:** That's essentially the point that I was trying to make
9 earlier today, you know, looking back at the proportion, again, of
10 those anglers that are, you know, being interviewed, versus those
11 that were going through the sites when the assignments were
12 completed, is that there was a disparity in the proportion of
13 anglers that were being collected, or interviewed, in Baldwin
14 County, at higher rates than what was being observed to be going
15 through the sites during the assignments in Mobile County.

16
17 You know, I just will mention what Dr. Cody had said, is that,
18 yes, these are unweighted counts, intercepts, and so there are
19 some issues there, potentially, but it's just -- It was just to
20 provide some additional information to help describe why there may
21 be some disparity between the two survey estimates and that, you
22 know, as the fishing season increased, the per-day angler trips
23 kind of -- They were reduced, and that some of those effects
24 related to the sampling design and how anglers are counted and
25 then apportioned to the effort from the Coastal Household Telephone
26 Survey, the mail survey, and how those are apportioned could change
27 as well, and, again, the shorter the season, there seems to be a
28 higher chance that the estimates diverge from one another and are
29 not -- If you deem the Snapper Check estimates to be more accurate,
30 then they're less accurate for CHTS, is all.

31
32 **CHAIRMAN NANCE:** Thank you, Kevin. Richard, please.

33
34 **DR. CODY:** I will just follow-up on Kevin's points, and we did
35 see, once the numbers were weighted, that there was a shift towards
36 Mobile County from Baldwin County, and so it's more towards that
37 end of the distribution, but, in looking at residency status, the
38 weighted and the unweighted numbers were pretty similar, and so
39 there's a little bit of a conflict there.

40
41 **CHAIRMAN NANCE:** Okay. Thank you. Roy.

42
43 **DR. CRABTREE:** I guess -- So, when I hear about a shift from
44 Baldwin County to Mobile County -- I mean, we also heard some
45 discussion, and I think Sean might have -- That a lot of those
46 inshore reefs off of Orange Beach, and in Baldwin County, are being
47 fished pretty hard, and the abundance is down, and so could more
48 of the effort shift to Mobile County, because the fishing is better

1 down there?

2
3 If that's the case, I'm not sure that's really any rationale for
4 including, or excluding, years, because I don't know what the
5 future is going to bring, and so I guess I'm still -- Kevin, does
6 it trouble you to have this based on only two years, at this point,
7 and is the value of eliminating those years' worth the tradeoff of
8 going down to a much shorter time series? That all troubles me.

9
10 **MR. ANSON:** I will be a Dr. Barbieri and say that I understand the
11 value of having the additional years for the point of reference.
12 You know, I don't know about if it troubles or not. I mean, we're
13 still going to be able to monitor the harvest, and I feel like we
14 will be, you know, good at maintaining the season length, such
15 that the estimates are close to whatever the ACL that we have --
16 We'll be able to stay within, or very close, to that.

17
18 **CHAIRMAN NANCE:** Okay. Thank you. Ryan.

19
20 **MR. RINDONE:** Just a point of clarification here. For Sub-Option
21 1a, under the Snapper Check column, the mean landings there should
22 be 1.027 million pounds, and, under MRIP-CHTS, it should be 1.874
23 million pounds, and the ratio should be 0.548, and so excluding
24 2020 has a negligible effect, but not no effect, and so it looks
25 like there's a copy-and-paste thing between Sub-Options 1a and 1c.

26
27 **CHAIRMAN NANCE:** Perfect. Thank you for finding that. Paul.

28
29 **MR. ANSON:** Thank you, Ryan.

30
31 **DR. MICKLE:** Thank you, Mr. Chair. Real quick, I think it might
32 be safer, and I agree with what Roy said, and it might be safer
33 just to look at the ratios and allow the -- Looking upstream, you
34 have the ratio, and you look and try to understand why they're
35 different, but, when you're justifying which years to use, it
36 should fall only, in my opinion, on how the surveys are executed
37 in those annual cycles.

38
39 If something interrupts, or impacts, the methodologies of the
40 survey, in my opinion, that's the strongest justification that you
41 can have. From a scientific perspective, looking at ratios, and
42 then looking back and seeing which one is closer to the other one,
43 it leads down certain roads that aren't scientific, potentially,
44 but, again, it's important to do, and I'm glad we're all doing it,
45 because it helps us understand why they're different from each
46 other, and I'm talking about justification from the sole
47 perspective of methodologies.

48

1 Florida justified it on interruption from COVID and intercepts,
2 right, and things like that, but I think it makes our job a lot
3 easier, and cleaner, if we justify things on methodologies of the
4 execution of the surveys, of why something should be in or why
5 something should be out. Thank you.

6
7 **CHAIRMAN NANCE:** Thank you very much. Will.

8
9 **DR. PATTERSON:** That's the same point I was going to make. Thanks.

10
11 **CHAIRMAN NANCE:** Perfect. Thank you so much. Dave.

12
13 **DR. CHAGARIS:** Thank you, and so we're kind of, you know, stuck in
14 these difficult decisions of trying to decide which years, or
15 waves, to keep or drop, and one alternative would be to just
16 downweight them, and so, here, we have -- We're using ratios based
17 off of averages, and if we have uncertainties associated with those
18 years that there is issues about, and I believe it would be easier
19 for us to quantify that uncertainty than it would be to make a
20 decision to keep it or drop it, then it could be downweighted into
21 both the numerator and the denominator. If you have a higher CV,
22 the inverse of the CV --

23
24 **DR. MONCRIEF:** In the past report, it said the consultants reviewed
25 it, and I think it was the surveys operated so functionally
26 different that you couldn't weight them by PSEs, or the
27 uncertainties, and so it was attempted in 2020, and it fell flat
28 on its face.

29
30 **DR. CHAGARIS:** Okay. I mean, I would argue that the uncertainties
31 wouldn't have to be consistent among the surveys, but, as long as
32 they're within the surveys, then you could do the weighting, but
33 it sounds like these arguments have been had already. Thank you.

34
35 **CHAIRMAN NANCE:** Thank you. Roy.

36
37 **DR. CRABTREE:** So, Kevin, the current calibrations that have been
38 put in place for this year -- I think Alabama's is 0.4875, right,
39 and so, with those in place, the state quota, for Alabama, is going
40 down by about 50 percent, right?

41
42 **MR. ANSON:** That's my understanding.

43
44 **DR. CRABTREE:** Right, and so you're looking at a significant change
45 in the fishery this season that's going to cause it to be less
46 similar to the last two seasons, and that's some of my reticence
47 about using that as a criteria, because we're already changing the
48 fishery, and anglers perceptions about season lengths are going to

1 change already now, and they may in fact change in ways that are
2 more similar to 2018 or 2019, and I have no idea, but I think it's
3 just important to realize that season lengths, and all those
4 things, can change, and we shouldn't overweight that kind of thing,
5 to me.

6
7 **CHAIRMAN NANCE:** Okay. It appears, in the discussion, that, while
8 there are differences in 2018 and 2019 against 2020 and 2021, and
9 as far as anglers, there is no information, that I have seen, as
10 far as changes in the methodology of sampling. Is that an accurate
11 statement? Kevin, would you -- Is that accurate?

12
13 **MR. ANSON:** I'm sorry. Can you repeat that, please?

14
15 **CHAIRMAN NANCE:** I was just saying that, while 2018 and 2019,
16 against 2020 and 2021, we've seen changes in angler -- Where
17 they're fishing from, and number of days and things like that,
18 but, as far as the sampling methodology that's being used to
19 collect the data, there's not really been a change in that, and
20 would that be fair to say?

21
22 **MR. ANSON:** Yes. I would think that would be fair to say, yes.

23
24 **CHAIRMAN NANCE:** Okay. With that, do we have, from the SSC
25 standpoint, a justification for -- Basically, we're moving from
26 2018 and 2019 to use 2018 through 2021 as the base years, with the
27 knowledge that methodology has not changed. We have seen changes
28 in the fishery, how the fishery is prosecuted, but not changes in
29 how the sampling methodology has occurred. Sean.

30
31 **DR. POWERS:** I would agree, and I don't see anything in the sampling
32 methodology. I think what Kevin was arguing was that he didn't
33 think that 2018 and representative, on the interviews, and so there
34 is something, because of the counting, and so there is that. There
35 is also, and it's more of a question for Kevin, and, you know, we
36 heard Mississippi, and we'll talk about Mississippi in a second,
37 essentially has this same kind of dilemma, that they really didn't
38 like two years of data, or didn't think it was representative, or
39 thought it was overestimating the catch.

40
41 Their compromise was to use one of those years, and so even though
42 they didn't seem to trust either year, and is there a reason for
43 you to believe that 2018 or 2019 are overestimating? I think you
44 saw Trevor's presentation on how he showed to us that it was --
45 That there was just some gross impossibilities with those numbers,
46 and so, I mean, what's your feel for the magnitude of 2018 and
47 2019 and that estimate?

1 **MR. ANSON:** I mean, I think the estimates, you know, are -- They
2 somewhat reflect the trend, if you will, as far as, if you're just
3 looking at trips, there might be a little bit more in 2019 than
4 there was in 2018, if that's in fact, you know, what went on, and
5 Dr. Barbieri mentioned earlier that there's some other -- You know,
6 it's not necessarily effort that might be causing these changes,
7 and it's catches and such, and catch rates, in pounds of fish,
8 but, you know, as far as an individual year of those two, you know,
9 they were -- There's a little bit more days in 2019, and, you know,
10 there was a little bit more fish.

11
12 I mean, we were still coming out of the residuals, I think, of
13 those very restrictive years, in 2014, 2015, and 2016, whereby,
14 you know, the stock, I think, had built up everywhere, whether it
15 was well offshore or close to shore, and then those fish
16 essentially, because we were allowing more harvest, under the 2018
17 and 2019 period, those fish were caught.

18
19 You know, we're in a situation now where those fish are not as
20 available, and so, you know, as Dr. Crabtree mentioned, that could
21 change, going forward, but, again, inasmuch as, you know, trying
22 to get to a point where we have an opportunity to increase the
23 amount of ACL we have available, based on an adjustment to the
24 current calibration, it would just, I think, lend itself to having
25 more fish available to have a longer season, is all, and those
26 effects of compressing that effort and how then that is translated
27 into an estimate for both surveys is mitigated somewhat.

28
29 **CHAIRMAN NANCE:** Thank you, Kevin. We have -- I guess what's on
30 the table is either a four-year and a two-year, and do we want to
31 ask for, as TOR Number 3 specifies -- Would we want to see
32 additional clarification for considering the state's proposal, and
33 maybe give us some rationale, more rationale, on why we're moving
34 to just the last two years, as opposed to all four years? Roy.

35
36 **DR. CRABTREE:** Well, just, to me, personally, I don't think we
37 have enough rationale to not use the four years, at this point. I
38 think we can say that, if the state can provide stronger rationale
39 for that, okay, but I just haven't heard it yet, and that's just
40 me.

41
42 **CHAIRMAN NANCE:** David.

43
44 **DR. GRIFFITH:** Thank you. I was under the impression that 2018
45 and 2019 -- That the number of days in the season were much shorter
46 than 2020 and 2021, and is that true, Kevin, and did that cause
47 difficulties in sampling, and is that the kind of rationale that
48 you're looking for? I got that from your earlier statements, but

1 I might be wrong there.

2

3 **MR. ANSON:** It's Slide Number 6 that provides the number of days,
4 and so those are the total number of days, when you include state
5 season days for those years, 2014 through 2017, that were
6 available, and so, in 2018, for the time series we're looking at,
7 that was the shortest amount of time, and I believe it was twenty-
8 eight days for that particular year, and then it was thirty-four,
9 or thirty-five, days in 2019, and it was forty-three, I believe,
10 in 2020. Again, when I mention days, it's the days the season was
11 open, and so the Friday through Sunday, or the Friday or through
12 Monday, depending upon the years you're looking at.

13

14 Then in 2021 is when we had 121 days, I believe, and so, to the
15 extent that, again, the shorter seasons cause, you know, everybody
16 to go fishing in more limited time periods, it does create some
17 problems, and inefficiencies, on the face of it, for how samples
18 are collected and whether or not those samples are, you know,
19 representative of all of the trips that are being made, as well as
20 whether or not the trips are representative of the anglers and
21 their location, their residence, when you consider the adjustments
22 that are made to CHTS on the number of trips.

23

24 **CHAIRMAN NANCE:** Thank you. Luiz.

25

26 **DR. BARBIERI:** Thank you, Mr. Chairman. Kevin, following-up on
27 that point, I mean, I'm looking at that graph now, right, and,
28 sure, we eliminated previous years that have, you know, clear
29 differences in the fisheries, but, if we're looking from 2018
30 forward, you have the EFP and regional management in place, and,
31 if the idea here is to look at the relationship between the two
32 surveys, and the seasons, right, in Alabama were sampled by both
33 surveys in all those four years, why would one survey be impacted
34 more than another? I think that might be one issue for us to think
35 about, because, if that relationship between the two surveys is
36 changing, it's not accounted for in a simple ratio, right, and so
37 that would be my question.

38

39 **MR. ANSON:** I don't -- Other than what I provided here today, I
40 don't have any additional information, obviously, and it is a
41 question that has been brought up, I think at least with Trevor's
42 presentation, you know, that deserves additional attention. If
43 you look further at Slide Number 9, you know, at not just the days,
44 they're getting close to one, you know, and so it does -- You know,
45 I think it does deserve merit, or it has merit, to look into the
46 issue further and find out and really drill-down to some of these
47 -- You know, some of these factors that go into harvest estimates,
48 you know, and see where there might be some differences, or see

1 where there might be some things that could be causing a greater
2 difference between the two surveys.

3
4 **CHAIRMAN NANCE:** Thank you.

5
6 **DR. CRABTREE:** I appreciate that, Kevin, and, if you back up to
7 the previous slide, I mean, there's clearly things that are going
8 on in the fishery in Alabama, and, if you're looking at just
9 similar years and things like -- Well, I don't know what happened
10 to the previous slide.

11
12 In a lot of respects, the anomalous year is 2021, where there has
13 clearly been a real change in catch rates, and much higher days,
14 and so, you know, if I was just looking at this last slide, if I
15 was looking at what years are more similar, I would say, wait a
16 minute, 2021 seems to be the --

17
18 **CHAIRMAN NANCE:** The outlier.

19
20 **DR. CRABTREE:** The outlier, and so that's the complicated nature
21 of all of this.

22
23 **CHAIRMAN NANCE:** Will, please.

24
25 **DR. PATTERSON:** Pass.

26
27 **CHAIRMAN NANCE:** Jason.

28
29 **MR. ADRIANCE:** Thank you, Mr. Chair. Kevin, you were talking about
30 shorter days, leading to different, I guess, ability to interview,
31 and, for that 2018 season, were those days announced ahead of time,
32 or just the season structure is so -- I guess my question is was
33 there any reason for anglers to perceive a shorter season from the
34 get-go?

35
36 **MR. ANSON:** My recollection is that we did not announce a
37 prospective season, and I know we ended up closing -- At the very
38 least, we ended up closing quicker than we thought we would, but
39 I think, you know, in that first year, first couple of years, under
40 the EFP, you know, anglers were in the mode of nine or ten or
41 three, and then a second season of thirty-nine days, and so they
42 were, I think, still in the mode of we need to go fishing, you
43 know, when the season opens, to make sure that we have a chance to
44 go, or it could be closed, and so that mentality, and desire, I
45 think, has gone away, to some degree, based on the increase in the
46 season length. Certainly there is issues with the ability to catch
47 fish, you know, with the localized depletion concept, but that, I
48 think, was still on everyone's minds in 2018, and we still had,

1 you know, a short year.

2

3 **CHAIRMAN NANCE:** Thank you. Steven.

4

5 **DR. SCYPHERS:** Just first a comment on 2021, and I'm not sure this
6 is an additional, you know, factor, but the report does mention
7 2021 being a year when people shifted how they vacationed. Things
8 opened back up, and, where there was a lot of fishing the year
9 before, people started doing other types of recreational
10 activities again, and that definitely matches some survey work
11 that we've done.

12

13 Another layer of that, that we've heard in surveys, is, while gas
14 prices really kind became the hot topic of 2022, 2021 was also a
15 pretty significant increase, and they went up about 50 percent, I
16 think, in 2021, and so that had an influence on fishing then, too.

17

18 In terms of, you know, my thought on the years, when you look at
19 the four-year ratio, the conversations about the more recent
20 aspects, I mean, there's a trend going on there, and it's
21 increasing. You know, they're converging, is what the report calls
22 it, but that ratio is increasing, and so, you know, if we're
23 looking forward, to me, that says the most recent years probably
24 tell us the most about that, if that trend continues, and they
25 mention that the trend might not continue, but, yes, that's just
26 my thoughts.

27

28 **CHAIRMAN NANCE:** Thank you. Will.

29

30 **DR. PATTERSON:** Getting back to Roy's point though, I mean, all
31 this about what could be driving this, and how it could be working
32 out, and gas prices, and vacations and everything, I mean, it's
33 all speculative, and what we know is there's a difference among
34 the years, and there's a difference in the ratio, but we don't
35 really have any data to evaluate process or cause, and so I don't
36 really understand -- You know, again, I'm just repeating what Roy
37 said earlier, and I don't understand how the SSC would pick, within
38 this range of years, any particular subset, given we don't have
39 information to really dive into that.

40

41 **CHAIRMAN NANCE:** If I were picking years, by both of these graphs,
42 I would pick the four blue ones, and that's the last four years,
43 and then the next one, the chart down below, or two down, you look
44 at the purple and the aqua, and the 2018 and 2019 and 2020 and
45 2021 are all similar, and so that pushes me towards 2018 through
46 2021 would be the four years that I would use for the ratio
47 calculation.

48

1 Now, that's what I would recommend. Now, if Alabama has -- If
2 they can provide some additional justification of why they would
3 use just 2020 and 2021 over that four-year period, I think we could
4 then look at that in a more different realm. Right now, I'm seeing
5 that those last four years are very similar, in what I'm seeing on
6 the graphs. Luiz, please.

7
8 **DR. BARBIERI:** I agree, Mr. Chairman, and then another point is,
9 if we go back, Jessica, to the last slide, even though 2020 is
10 very different there, in terms of the length of the season --
11 Because both surveys were being --

12
13 **CHAIRMAN NANCE:** 2021.

14
15 **DR. BARBIERI:** 2021. I'm sorry. Did I say something different?

16
17 **CHAIRMAN NANCE:** You said 2020, but we knew what you meant.

18
19 **DR. BARBIERI:** Sorry. A senior moment there, yes, but 2021. If
20 both surveys are being conducted, in Alabama, over that length of
21 season, right, and we are looking at the relationship between the
22 two surveys -- I mean, it's not one survey being conducted for
23 longer than the other, and I don't know why the ratio would be
24 different here, right, and it could be -- If it has to do with how
25 the length of the season would be impacting each one of the surveys
26 differently, and so that relationship between the two could be
27 different, but I don't know that, and, considering that, during
28 these four years, both surveys are being conducted in Alabama, to
29 me, that would justify us using those four years, and I don't see
30 a reason to use anything different.

31
32 **CHAIRMAN NANCE:** Yes. Do we have a motion for that recommendation?

33
34 **DR. BARBIERI:** Well, I will make a motion, Mr. Chairman.

35
36 **CHAIRMAN NANCE:** Okay.

37
38 **DR. BARBIERI:** If Jessica would be so kind as to copy-and-paste
39 the previous one, and you know me, and I prefer to go the lazy
40 way. **The proposed Alabama calibration from Snapper Check to MRIP-**
41 **CHTS for the private -- Actually, for the private and state**
42 **charter, right, angling component of red snapper using data from**
43 **2018, 2019, 2020, and 2021 to determine the updated calibration**
44 **ratio of 0.5579.**

45
46 **CHAIRMAN NANCE:** Is that in numbers?

47
48 **DR. BARBIERI:** Kevin, I don't know, and is that in numbers or in

1 pounds?
2
3 **MR. ANSON:** That is in pounds, the same unit that we used for the
4 original calibration.
5
6 **DR. BARBIERI:** All right, and so, Jessica, if you could just delete
7 the "in numbers" and the second number, and just say that --
8
9 **CHAIRMAN NANCE:** Then cut it out until "in". Perfect.
10
11 **DR. BARBIERI:** Thank you, Jessica. In pounds whole weight. I
12 think we are there, Mr. Chairman.
13
14 **CHAIRMAN NANCE:** Do we have a second for that motion? David will
15 second that. Harry.
16
17 **MR. BLANCHET:** Thank you, Mr. Chairman. For clarification, you
18 were talking about consistent data, or very close correlation, on
19 the graph that had the aqua and purple columns, or purple bars,
20 and the measure that we should be looking at, in terms of
21 consistency, those two are basically demonstrating that the
22 Snapper Check is shutting down the season when they reach their
23 ACL, and we really need to be comparing that aqua bar to the CHTS
24 pink bar, and you can see, over that time period, there is
25 significant change, in those ratios, between that pink and that
26 aqua. I'm calling it pink, and whatever that color is.
27
28 **CHAIRMAN NANCE:** Is it the orange one?
29
30 **MR. BLANCHET:** Okay. We'll call it orange. Me and colors don't
31 get along, and so I just think that some of the discussion was
32 talking about --
33
34 **CHAIRMAN NANCE:** I see that, yes. Well, there is some change
35 there.
36
37 **MR. BLANCHET:** Sorry?
38
39 **CHAIRMAN NANCE:** Go ahead. I'm sorry. Go ahead, Harry.
40
41 **MR. BLANCHET:** I am just saying that the relationship between those
42 values is not as close as the relationship between the Snapper
43 Check value and the ACL, and that's all.
44
45 **CHAIRMAN NANCE:** Absolutely. I agree totally with that.
46
47 **DR. CRABTREE:** In that figure we're looking at, the CHTS landings
48 are coming down, but I pulled up the -- Of course, these are FES,

1 I guess, but I pulled up the Alabama red snapper landings, and, if
2 you look at 2022, it jumps back up quite a bit, and so that
3 declining trend of catches in the federal survey doesn't persist,
4 it doesn't look like, and it goes back up, and I don't know what
5 that means, but --

6
7 **CHAIRMAN NANCE:** Yes. Thank you. Ryan.

8
9 **MR. RINDONE:** Thank you, Mr. Chair. Dr. Crabtree, for using 2018
10 to 2021, to have things stay in keeping with what's being proposed
11 for other states, and what was used in 2020, that would mean using
12 the mean of harvest from 2018 to 2021, which we had recalculated
13 to be 0.548 and not 0.5579, and so 0.5579 represents the mean of
14 the annual ratios for 2018 to 2021, and 0.548 was the corrected
15 value for the mean -- The ratio of the mean harvest from 2018 to
16 2021.

17
18 **DR. BARBIERI:** So that's not the --

19
20 **MR. RINDONE:** No, it's not, and so the value that is specified in
21 the motion should be 0.548.

22
23 **DR. BARBIERI:** Thank you for that, Ryan and Lisa, because those
24 things are easier corrected right now.

25
26 **CHAIRMAN NANCE:** That's good. Thank you, Lisa.

27
28 **DR. BARBIERI:** Then, Mr. Chairman, apparently the English there is
29 not quite correct.

30
31 **CHAIRMAN NANCE:** It's in Portuguese.

32
33 **DR. BARBIERI:** That would be a lot easier, but so I'm being told
34 that I should remove the "from".

35
36 **DR. POWERS:** I am just trying to figure out what is the numerator
37 and what is the denominator.

38
39 **DR. BARBIERI:** What we're calculating is -- Right now, the data
40 that's being collected in Snapper Check is to be converted to MRIP-
41 CHTS.

42
43 **DR. POWERS:** This reads that, if you had one pound of snapper, in
44 Snapper Check, you would have 0.548 pounds in MRIP.

45
46 **CHAIRMAN NANCE:** The other way.

47
48 **DR. POWERS:** That's what I'm saying, is it should be the other

1 way.
2
3 **DR. BARBIERI:** Yes.
4
5 **MR. MONCRIEF:** I mean, I think it goes either way, because what
6 you're doing is applying it to the current --
7
8 **DR. BARBIERI:** That's what I'm saying.
9
10 **CHAIRMAN NANCE:** I will read the motion. The SSC recommends that
11 the proposed Alabama calibration from Snapper Check to MRIP-CHTS
12 for the private and state charter angling component of red snapper
13 use data from 2018, 2019, 2020, and 2021 to determine the updated
14 calibration ratio of 0.548 in pounds whole weight. Is there any
15 opposition to this motion, or abstentions? Jim.
16
17 **DR. TOLAN:** I abstain, Mr. Chairman.
18
19 **CHAIRMAN NANCE:** Okay. Will.
20
21 **DR. PATTERSON:** I abstain.
22
23 **CHAIRMAN NANCE:** Okay. Harry, abstaining or rejecting?
24
25 **MR. BLANCHET:** I am confused. If we take the Snapper Check number
26 and multiply that 0.548, we end up with a lower value, and all of
27 the MRIP values are higher.
28
29 **MR. RINDONE:** Harry, it's you take the MRIP-CHTS value and multiply
30 it by 0.548, and that's what Alabama manages to, using their data
31 currency.
32
33 **CHAIRMAN NANCE:** Will.
34
35 **DR. PATTERSON:** An easy way to fix this is just to put, in
36 parentheses, "Snapper Check estimate divided by MRIP".
37
38 **CHAIRMAN NANCE:** So calibration from -- Just put, instead of "to",
39 just put "divided by".
40
41 **DR. PATTERSON:** No, and you can leave that language there, but,
42 just after "CHTS", put, in parentheses, "Snapper Check estimate
43 divided by MRIP-CHTS".
44
45 **CHAIRMAN NANCE:** Okay. Harry, does that help you?
46
47 **MR. BLANCHET:** Yes, sir.
48

1 **CHAIRMAN NANCE:** Thank you. **With no opposition, the motion carries**
2 **with no opposition and with two abstentions.** I will say that let's
3 continue on the down below, on the TORs, and so I guess it's up,
4 and I'm sorry.

5
6 The justification for years, we would be put a no there, and then,
7 for Number 3, is additional clarification needed, we would say, if
8 they want to change the number of years, we would need more
9 justification for why we would go to a subset of those four years.
10 Okay. We can start with Mississippi, and we may not -- We've got
11 tomorrow, too.

12
13 **MR. RINDONE:** (Mr. Rindone's comment is not audible on the
14 recording.)

15
16 **CHAIRMAN NANCE:** Okay. Do you want to do that first? Okay, and
17 so let's go ahead, and we will defer and bring up Mississippi in
18 the morning. Okay. Let's go ahead then and go into -- So,
19 tomorrow, we have a continuation of this, and we also have gray
20 snapper, and Dr. Forrestal was leaving this afternoon, but she
21 told me that she would stay, because we're going to make her give
22 it tomorrow morning, and so we'll have you here tomorrow. That's
23 a joke, but, anyway, we appreciate you staying here.

24
25 Let's go ahead and go into the public comment portion of our
26 meeting. If any in the audience, or any on the phone, would like
27 to participate in public comment, please let us know, and we'll be
28 happy to do that. Kevin, I hope you're still on, and I greatly
29 appreciate that presentation, and that interaction, that we had
30 during the day.

31
32 **MR. ANSON:** You're quite welcome, sir. My pleasure, and thank you
33 for, again, entertaining the request. Thank you.

34
35 **CHAIRMAN NANCE:** Absolutely, and thank you for being on. I look
36 forward to seeing you at the council meeting.

37
38 **MR. ANSON:** Same here. Safe travels.

39
40 **CHAIRMAN NANCE:** Okay. It looks like we have no public comments
41 at this time, and so we'll go ahead and adjourn for the day, and
42 we'll be back here at 8:30 in the morning, and we'll look forward
43 to another productive day.

44
45 (Whereupon, the meeting recessed on January 11, 2023.)

46
47 - - -

1 January 12, 2023

2
3 THURSDAY MORNING SESSION

4
5 - - -

6
7 The Meeting of the Gulf of Mexico Fishery Management Council
8 Standing and Special Reef Fish, Special Socioeconomic & Special
9 Ecosystem Scientific and Statistical Committees reconvened on
10 Thursday morning, January 13, 2023, and was called to order by
11 Chairman Jim Nance.

12
13 **CHAIRMAN NANCE:** We'll continue with the evaluation of the
14 calibrations from yesterday, and we had each of the states, and we
15 were able to get through Florida and Alabama with our discussions,
16 and now we're going to bring up with Mississippi and go ahead and
17 start our deliberations on that part. Trevor.

18
19 **MR. MONCRIEF:** All right, and so, before we get down to this, if
20 you wouldn't mind pulling up that table.

21
22 **CHAIRMAN NANCE:** Is this the one that you sent last night?

23
24 **MR. MONCRIEF:** It was sent this morning.

25
26 **CHAIRMAN NANCE:** This morning? Yes. Thank you.

27
28 **MR. MONCRIEF:** So, after we submitted this yesterday, and we were
29 going through everything, we fixed a minor transcription error in
30 the harvest estimates, but the bigger point is that we were using
31 an FES to CHTS ratio of 2.18, and that came from the 2020 table
32 that was provided during the last time we went through
33 calibrations, and so, in an effort to make things exactly how they
34 were last time, we just assumed that ratio was fixed at 2.18, not
35 realizing that it was changing over time, and it changes with the
36 years and everything that are being used.

37
38 We submitted that in our calibration documentation, and it was
39 noticed by Andy's group, and we got back together and looked at
40 everything, and that FES to CHTS ratio should be 1.66, and so,
41 essentially, the only thing that changes is that relationship
42 there, and there is the output, and so the scenario changed, and
43 I've talked about it with my leadership, and they've accepted it
44 as still the scenario, even regardless of the output.

45
46
47 I guess I will say, you know, if this group feels like the evidence
48 we provided was good enough to go with this ratio, great. If not,

1 this is still the only scenario that's going to be provided, and
2 so, if there's a recommendation for another scenario, just say --
3 Just make a motion as to what the years and everything else are,
4 and then it can be accepted or not accepted by my leadership, and
5 so that's all I had.

6
7 **CHAIRMAN NANCE:** Thank you very much, Trevor. I appreciate that.
8 We'll pull up -- We need to get to the presentation here, so we
9 can see where we're at. I am just trying to pull up, on my own,
10 the Mississippi presentation. There we go. Let's go ahead and go
11 down to, I guess, the recommendations.

12
13 **MR. MONCRIEF:** There is no recommendation scenario in my
14 presentation, and so we have to go back to that table.

15
16 **CHAIRMAN NANCE:** This one right here?

17
18 **MR. MONCRIEF:** No, the one that I sent earlier.

19
20 **CHAIRMAN NANCE:** Okay. I am trying to think of -- What this one
21 is, it's the years are 2018, 2019, and 2020. Go ahead.

22
23 **MR. MONCRIEF:** 2018 through 2020, just Waves 3 and 4.

24
25 **CHAIRMAN NANCE:** Waves 3 and 4. Okay. That's what I was -- I
26 couldn't remember which waves, and so 3 and 4. 3 and 4 are the
27 waves. Okay, and so is there discussion around that? Yes, Sean.

28
29 **DR. POWERS:** Trevor, the reason you're not including 2021 was your
30 calculations that showed that it was just an unrealistic number,
31 and it just physically was not possible, and you had the same
32 feelings, or a little lesser, for was it 2018?

33
34 **MR. MONCRIEF:** 2019.

35
36 **DR. POWERS:** 2019, but you decided that you wanted at least three
37 years, and to include some of the error in the average.

38
39 **MR. MONCRIEF:** Yes, and so we noticed the trend in the large
40 magnitude of Wave 3 estimates for both of those years, but, in an
41 effort to have consecutive years, and more than just two, we chose
42 2018 through 2020 and left off 2021.

43
44 **DR. POWERS:** Okay, and then you're not worried about COVID concerns
45 in 2020, and you all had about the same --

46
47 **MR. MONCRIEF:** Yes, and so we were back to work really within a
48 month-and-a-half. We were back in the office and doing surveys

1 and everything else, and I would reckon to say that our survey
2 percentage was probably -- I am positive that it was right there
3 within the realm of what we observe every year.

4
5 **CHAIRMAN NANCE:** Your methodology, as far as calculation, has not
6 changed?

7
8 **MR. MONCRIEF:** Yes, and it's the exact same as what was done in
9 2020, and so it's from the same table.

10
11 **CHAIRMAN NANCE:** Okay. Perfect, and so, as far as looking at our
12 TORs, the recommendation -- For Number 1, is the proposed revised
13 calibration ratio calculated in the same method, yes, it is, and
14 so I think that would be a yes for that TOR, and it's basically
15 the same. The Number 2 is you used to use -- It was 2018 and 2019,
16 Trevor?

17
18 **MR. MONCRIEF:** Yes, and the previous proposal was 2018 and 2019,
19 all waves, and so is the annual estimate.

20
21 **CHAIRMAN NANCE:** So, basically, what we're doing is we've added a
22 year, and we have -- We're going -- Instead of all waves, we're
23 using just the last two, 3 and 4.

24
25 **MR. MONCRIEF:** We're using the prime waves from which the red
26 snapper season occurs, Waves 3 and 4, because of the occurrence of
27 Wave 5 with the small sample estimates that seem to diverge.

28
29 **CHAIRMAN NANCE:** Okay. Thank you. Josh.

30
31 **DR. KILBORN:** Thank you. I am curious, and do you have the numbers
32 for the scenario of 2018 through 2021, including that one year
33 that you didn't like, so that we can at least compare? I didn't
34 see it in the presentation anywhere, and I wasn't sure if we had
35 talked about it and I missed it.

36
37 **MR. MONCRIEF:** I didn't have it in the presentation, and this is
38 the scenario that was approved and provided by MDMR and approved
39 by our executive director and leadership.

40
41 **DR. KILBORN:** I understand all that, but I was just curious if we
42 could have the numbers to compare, just to see, you know, what it
43 looks like, that's all.

44
45 **MR. MONCRIEF:** I mean, I can tell you that it's similar, and it
46 drops it down just another 10,000 pounds, to be honest with you,
47 but the values are included in the meeting materials.

48

1 **DR. KILBORN:** Thank you.
2
3 **MR. RINDONE:** Josh, there's that table of landings, the Excel file,
4 that's included in the background information, and so those things
5 can be pulled out of there.
6
7 **DR. KILBORN:** Got it. Thank you.
8
9 **CHAIRMAN NANCE:** Thank you, Ryan. Roy.
10
11 **DR. CRABTREE:** I think I don't, on the face of it, see an issue
12 with Waves 3 and 4 only, and I understand, I think, why you would
13 want to do that, and I am very sympathetic to the problem with
14 small states and the volatility of these estimates, and you're not
15 alone in having some skepticism about some of these high landing
16 estimates.
17
18 The problem I see with deleting I guess it's 2021 -- The problem
19 I see is, as best I can tell, it's being deleted just because it's
20 high, and the purpose of this calibration is to be able to switch
21 from Tails \n Scales -- The purpose of the calibration is to be
22 able to convert from Tails \n Scales to the MRIP-CHTS, and the
23 fact of the matter is the MRIP-CHTS survey produces high estimates,
24 periodically, and my worry is, if you delete a year just because
25 it's high, that you're biasing your calibration now, because you've
26 eliminated the high on it, and so it's going to not adequately
27 convert from one currency into the other if you do that, and so,
28 to me, I don't think that's scientifically the way to go.
29
30 I understand, from a practical matter, you guys' position, and
31 maybe that's what the council ultimately will decide to do, and
32 we're not talking all that many fish, and likely it would just be
33 lost in the error associated with the whole catch anyway, but,
34 just from a science point of view, I think it has the potential to
35 bias the calibration, and so, in that sense, I don't think it's
36 appropriate.
37
38 **CHAIRMAN NANCE:** Thank you. David.
39
40 **DR. GRIFFITH:** Thank you, Mr. Chair. Yes, I agree with Roy, and
41 it seems, to me, that we're getting into the same deal that we had
42 with Alabama yesterday, of them just throwing out a couple of years
43 because they just didn't quite seem right to them, and this strikes
44 me as more or less the same kind of issue, and so I agree with Roy
45 that maybe 2021 should be in there.
46
47 **CHAIRMAN NANCE:** Any other discussions? Andy, please.
48

1 **MR. STRELCHECK:** Thanks for allowing me to speak. I guess a
2 question, for either Trevor or the statisticians of the group,
3 and, with Mississippi in particular, they have these periodic
4 spikes in landings, and I guess the way I've thought about this
5 is, if we're trying to calibrate, it's not going to perfectly
6 replicate the change from FES to Tails 'n Scales in any one year,
7 but, on average, you're trying to essentially simulate what we
8 think might happen.

9
10 To me, the reference period for determining the calibration should
11 be kind of consistent with the periodicity with which those spikes
12 occur, and so, if they occur every two years, or four years, or
13 three years, right, the calibration seems like it would be
14 representative of capturing one of those spikes during that time
15 period, but you wouldn't want to capture multiple spikes, if
16 they're not occurring as frequently as the timeframe you're using
17 for reference. I just pose that, I guess, as a comment, but also
18 as a question, and I don't know the answer to that, and whether or
19 not that is helpful, in terms of considering the timeframe for
20 calibration.

21
22 **CHAIRMAN NANCE:** Thank you. Trevor.

23
24 **MR. MONCRIEF:** I appreciate that comment, and it's just we observed
25 what we had, and we looked into why it might be occurring, and
26 that's the kind of thought process that we went through, was that
27 you see spikes, and they occur in some waves in some years, and
28 other waves in other years, and we just tried to find a balance
29 between all of that, by using the three years, but I can certainly
30 understand the argument to use all of them.

31
32 **CHAIRMAN NANCE:** Sean.

33
34 **DR. POWERS:** I understand what you're coming from, Roy, but, as
35 scientists, we look at data streams and determine what numbers are
36 realistic and which ones aren't. I mean, I won't say it's an
37 outlier, because that's a whole statistical test and everything,
38 but what convinced me, in Trevor's presentation, is he showed how
39 that number just wasn't possible, I mean, and so eliminating that
40 data point doesn't -- I mean, it's different than some of the other
41 cases we were shown, where that evidence wasn't there, and, I mean,
42 he showed us that that number was just physically impossible for
43 them to do. Eliminating outliers, or non -- Or gibberish numbers
44 from a string of data, I mean, we do that all the time in science.

45
46 **CHAIRMAN NANCE:** Roy, to that point?

47
48 **DR. CRABTREE:** Well, I don't even want to go down the debate about

1 what is realistic or not, and I've heard those arguments go both
2 ways, but the thing is though that, I mean, you can argue that the
3 CHTS and FES estimates are unrealistic, period, and they're too
4 high, but what you're trying to do here is come up with a conversion
5 between the two, and that means that you need to reflect those, to
6 make the conversion work, or it's going to be biased.

7
8 I don't really think that it's an issue of whether the numbers are
9 high or not, and whether you believe them, but the fact is that
10 you're trying to convert between the two, and so they need to be
11 included.

12
13 Now, Andy makes an interesting point, and we have a relatively
14 short number of years here that we're dealing with, just four, and
15 I suppose there is some statistical way to evaluate how many years
16 should you have, and how many spikes should it have, and maybe
17 there is smoothing routines that could be applied and all that,
18 but that's beyond my statistical knowledge to be able to figure
19 out at this point, but I am not convinced that the question of
20 whether they're realistic, or you believe them or not, is all that
21 relevant, and the reality is that you're trying to convert between
22 the two, because that set of high estimates, believe them or not,
23 are what are used in the stock assessment, and they're what are
24 used to produce these quotas. It does seem, to me, that not
25 including them in the calibration would bias you, and it would
26 cause you to produce biased estimates of catch.

27
28 **CHAIRMAN NANCE:** Trevor.

29
30 **MR. MONCRIEF:** I think that's been kind of the back-and-forth the
31 entire time, and, as I said, we tried to find a balance and find
32 a scenario that we feel like would be representative between all
33 those spikes and everything else, and, I mean, at the end of the
34 day, if the group feels like it's more representative to do the
35 four years, then that's the group's feeling, you know what I mean,
36 and, I mean, we can go back and forth on this all day long.

37
38 The estimates are the estimates, and that's what we've got to work
39 with, and I don't think there is -- Identification of outliers,
40 and, I mean, it's just not going to happen here. That's not a
41 discussion to go down, and it's the estimates are the estimates,
42 and how do we find a balance, and, if the balance is three years,
43 or the balance is four years, I think we've just -- We have to
44 make that choice and see what happens.

45
46 **CHAIRMAN NANCE:** Thank you. Josh.

47
48 **DR. KILBORN:** Thank you. I kind of wanted to go back to what Sean

1 was talking about, and, you know, I understand his point, where,
2 you know, we make decisions about data all the time, and I don't
3 disagree with that, but my problem here is that the decision is to
4 treat two data points that are similar in different ways, and so,
5 if you're going to exclude 2021, then I feel like you have to
6 exclude 2019 as well, and, if you're going to include one, then
7 you have to include the other, because, mathematically,
8 statistically, compromises are not a thing. That's kind of my
9 take on that whole thing, is I really do feel like you've got to
10 include both or exclude both. Thank you.

11

12 **CHAIRMAN NANCE:** Thank you, Josh. Jim.

13

14 **DR. TOLAN:** Thank you, Mr. Chairman, and, while I completely
15 understand Dr. Crabtree's reservations about this one data point
16 and the data stream, but, in my reading of TOR Number 2, I think
17 there's been sufficient justification by the State of Mississippi
18 of why they went the way they did, because, under the umbrella of
19 this whole thing, at least in the back of my head, while the
20 Coastal Household Telephone Survey may produce large estimates, no
21 matter where you go, it really breaks down, the smaller the
22 temporal area, or the spatial area, that you apply it to.

23

24 I think they went above and beyond to try to find out what was
25 causing these outliers, if you want to call them outliers, and so
26 I think, based on my reading of TOR Number 2, the justification is
27 there, and I think we should move forward with the resulting ratio
28 that they've come up with, and so what they have done I think
29 satisfies, for me, TOR Number 2. Thank you.

30

31 **CHAIRMAN NANCE:** Thank you, Jim. Paul.

32

33 **DR. MICKLE:** I think it was Josh that said that, statistically, we
34 don't compromise, and I agree with that part of it, but the other
35 part of including 2019 and including 2021 and the compromise there,
36 and uncompromising, it just falls down to the identification in
37 the data and the science of it, and so, last night, I did one of
38 my favorite things after a nine-hour meeting, is to pull up
39 literature and read until midnight, and I found just a wonderful
40 paper, by luck, and it's Aguinis et al. 2013, and it looks at
41 outliers in every form and sense and approach that you can do.

42

43 They gave out fourteen different pathways and justifications for
44 doing so, but, when you think about Mississippi and the spikes,
45 and the spike considerations that have been brought up here today,
46 and the dangers of those spikes, if Mississippi is truly a unique
47 survey, a census, if we all believe that, then I think we have to
48 account for those spikes, in a way.

1
2 If 2019 seems realistic, and 2021 doesn't seem realistic, then it
3 really isn't a compromise, because we do this all the time, and I
4 think we can identify outliers, from a quantitative standpoint,
5 and, within the manuscript, and I can send it out to everybody, if
6 they so choose, the twelfth identification point that they make is
7 an observation that not only has a large absolute value, compared
8 to surrounding others and time series analysis, but also affects
9 the values of subsequent observations in unequal amounts.

10
11 In SEDAR, in the data process, if they think there's a data point
12 that is unrealistic, they approach that in a similar way, and so
13 I don't see the difference here, and I must disagree with Roy in
14 that part of it, of the SEDAR process. As scientists, we identify
15 what outliers are, and there is fourteen different ways to identify
16 outliers, but some are time series, and some are abrupt steep
17 changes, jumps, in values of subsequent observations in a series,
18 and, of course, it's a really complicated paper, but, again, it
19 provides justification.

20
21 I think there is thirty-five, or forty-five, papers cited in this,
22 and it's published in a journal that has an impact factor of 11.7,
23 which is quite impressive on itself, and so, when you think about
24 what this body does, and what we lean on, as far as scientific
25 literature, in my opinion, I feel like justification can occur
26 from an outlier sense of the science, identifying what it is,
27 what's realistic and what's not realistic, and, if 2019 is a
28 realistic number, as identified by the surveyors and science, and
29 2021 isn't identified as a true representation, and is a spike,
30 then I would think that this literature supports such a decision.
31 Thank you.

32
33 **CHAIRMAN NANCE:** Thank you. Paul, would you please send that to
34 the Meetings? You may have to walk up and look, and I can't see
35 that far, but, anyway, there it is. Will.

36
37 **DR. PATTERSON:** Thank you, Mr. Chair. Paul raises an interesting
38 point here, but, as far as looking at outliers, right, you have
39 deviations from a trend, and we have four data points here, and
40 two of them are similar on one side, and two are similar on the
41 other, and so you have a bimodal distribution, and I'm not sure
42 how you pick an outlier from a bimodal distribution where each
43 mode has an N of two.

44
45 The thing that I have been struggling with, throughout this
46 discussion about these calibrations, is how to make objective,
47 scientific advice, form objective, scientific advice, based on
48 empirical information and the tools that we have at our disposal,

1 the data we have at our disposal, and I can't, and one of the more
2 important lessons -- I mean, everybody around the table has been
3 a graduate student, and some of us still have students, and one of
4 the more important lessons that we learn, or teach, is that it's
5 okay sometimes to say I don't know.

6
7 I think it's a perfectly reasonable thing to tell that council,
8 that, based on what we have in front of us, we don't know, and
9 there is no objective way to make a decision here. You know, from
10 a management perspective, you will have to make a decision, but,
11 you know, we try to work through things, as best we can, in many
12 different scenarios, and provide the council the advice that it's
13 seeking, as it puts stuff in front of us, but I don't have any
14 problems saying that I don't know, and that's what my abstentions
15 yesterday, and I will abstain from this vote too, because I don't
16 know.

17
18 **CHAIRMAN NANCE:** Thank you, Will. Trevor.

19
20 **MR. MONCRIEF:** Just real quick, to that point, I mean, that kind
21 of hits the nail on the head. The truth is, when you look at the
22 entirety of the time series, the annual estimates, the wave
23 estimates, all of them, there is variation, and there's ups and
24 downs, and it covers a whole range.

25
26 We did our best to try to carve through it and figure out the best
27 way we thought forward, and, at the end of the day, yes, there's
28 a lot of uncertainty with all of this, and it's tough for this
29 group to decide, and I can certainly understand that, and I think,
30 at the end of the day, like I said, if we choose to go one route,
31 I mean, we can make that choice. If we choose to go with the
32 scenario proposed, we can go with that, and then the uncertainty
33 in the management side and everything else can be left up to the
34 council.

35
36 **CHAIRMAN NANCE:** Thank you. Sean.

37
38 **DR. POWERS:** So Will brings up a good point, I mean, you know, how
39 we decide what years and all of that, you know, and it's hard to
40 be objective and find some objective criteria to do that, and
41 that's why, I guess, I defer to what the state managers think.

42
43 Now, with that in the back of my mind, especially for Mississippi,
44 I realize that there is almost no risk here for the stock, and, I
45 mean, it is a small number, but I know the risk part of the equation
46 is the council's purview and not ours, but, I mean, a little bit
47 of the reason that I particularly think that we should go with
48 Trevor, and the State of Mississippi, is there is very little risk

1 here, and it is such a small part of the quota, compared to the
2 two states on either side of them.

3
4 I guess, if it's okay, I will bring up the motion. Can you bring
5 up the motion that I sent? **The motion is just the preferred option**
6 **of the State of Mississippi.** I sent it to Meetings.

7
8 The other reason that I mention risk -- The other thing is I think
9 we all are going to spin our wheels for quite some time, and so we
10 should -- At some point, we do need to decide, because we decided
11 for the other two states.

12
13 **CHAIRMAN NANCE:** Yes, and I do think, as an SSC, we need to give
14 advice, and that's what we're here for, and so, as we go through
15 these deliberations and be able to give our best advice to the
16 council. Is there a -- I am going to read this motion that Sean
17 has put out.

18
19 **The SSC recommends acceptance of the updated Mississippi**
20 **calibration from Tails \n Scales to MRIP-CHTS that uses 2018**
21 **through 2020 as the base years and restricts the harvest comparison**
22 **to just Waves 3 and 4. The calculated ratio is 0.50305 in pounds**
23 **of red snapper.** Do I have a second for that? Will.

24
25 **DR. PATTERSON:** I'm sorry. I will let it be seconded first.

26
27 **CHAIRMAN NANCE:** Do we have a second for this motion? Steven.
28 Will.

29
30 **DR. PATTERSON:** I mean, the logic that Sean just walked through
31 here was that it doesn't have much effect, and it's not going to
32 have much risk, relative the overall quota in the recreational
33 sector and the overall quota in the entire fishery, and the same
34 argument could be made to keep the status quo, right? I mean,
35 right now, they have 150,000 pounds, and it's a pretty small
36 proportion, percentage, of the overall recreational quota, and so,
37 you know, I don't see why a motion that says we don't have any
38 information that would suggest changing the current calibration
39 ratio -- That the change is more informed, or better, than what is
40 currently on the books. I mean, that would seem, to me, to have
41 the equal amount of scientific validity and support as this motion.

42
43 **CHAIRMAN NANCE:** I'm going to go to Sean and then Trevor.

44
45 **DR. POWERS:** I agree with you, Will, but my understanding is that's
46 not an option, and the state -- The Regional Office, will change
47 each state's one, and so I agree that keeping the status quo -- I
48 mean, that's one of the arguments that I made, is keeping the

1 status quo until the new assessment is out and resolves all of
2 these things is the sound scientific approach, but I think the
3 reality is the Regional Office will change it.

4
5 **CHAIRMAN NANCE:** Trevor.

6
7 **MR. MONCRIEF:** Yes, and the calibrations of 2018 and 2019 have
8 already gone and passed and are in effect, and that calibration
9 ratio I think is 0.38, and so that represents a 60 percent overall
10 reduction in the fishery, and so defaulting will just lead us into
11 that.

12
13 **CHAIRMAN NANCE:** Andy.

14
15 **MR. STRELCHECK:** Just to that comment, and I said it I guess
16 yesterday, and it's up to this body, and ultimately the Science
17 Center, to determine whether this is best available science, right,
18 and so you are building a record with regard to your decision about
19 calibration.

20
21 Whether you decide it's 50 percent, or no calibration is needed,
22 you know, you need to build that record, and, ultimately, the
23 council, and the Regional Office, will then have to take management
24 action and ensure that's best available science, in order to
25 implement it, and so I don't think it's off the table to say that
26 Mississippi has to be calibrated, right, but I think it's up to
27 you then to build that record as to why you wouldn't be calibrating
28 them, but you're calibrating the other states.

29
30 **CHAIRMAN NANCE:** Thank you. Harry.

31
32 **MR. BLANCHET:** Thank you, Mr. Chairman. Going back to the purpose
33 of this exercise, what we're really trying to do is something that
34 is, at best, awkward, which is project into the future beyond the
35 available data with existing values that are highly variable and
36 trying to predict, with some degree of precision, what the final
37 estimate of the CHTS, or FES, harvest will be, given a value of
38 the state survey.

39
40 For Mississippi, they showed that there is not a whole lot of
41 relationship between those sets of values, and so, whatever number
42 we use, you are going to be more conservative than just accepting
43 the Tails 'n Scales value as the true value, which, as I appreciate
44 it, is what has been done up until now, but the variance around
45 that projection is such that I don't know that we can really give
46 a whole lot of confidence in any statement saying that this is
47 better, or not as good, as -- Just based on the scatter of the
48 data. There is not a whole lot of predictive value there. Thank

1 you.

2

3 **CHAIRMAN NANCE:** Thank you, Harry. Josh.

4

5 **DR. KILBORN:** Thanks. I just wanted to go back, a little bit, to
6 the -- I'm still stuck on this conversation about including or
7 excluding 2021, and I just wanted to clarify, and was the estimate
8 for 2019 -- Are they actually considered realistic, and 2021 is
9 unrealistic, or are they are both considered to be unrealistic,
10 but 2019 is still included as the, quote, unquote, compromise?

11

12 **CHAIRMAN NANCE:** Trevor.

13

14 **MR. MONCRIEF:** One second. Let me pull it up, so that I can try
15 to explain it in the best possible manner. Essentially, what we
16 see is two large spikes that occur in Wave 3, for those two years,
17 right, because the body of evidence that we presented for Wave 5
18 I think is substantial enough to be able to show that, when you
19 get into low-sample-size waves, you start to have a large
20 divergence in harvest estimates.

21

22 The Wave 3 estimate for 2019 was high, and the wave 2021 estimate
23 was higher, and, now, essentially, both of them are realistic, and
24 a lot of these are. Now, what we tried to do was say, well, if
25 our goal is to balance between, you know, the two surveys, and try
26 to come up with a way to say what the relationship is between the
27 two of them, and we then think that what would happen in Wave 3
28 with these spikes would continuously occur, and so we said the
29 best possible route for us was to include one of these values, and
30 say that, you know, in that comparison, it's likely that this may
31 occur in the future, and so that relationship was dictated just on
32 the fact that, yes, we might have spikes in Wave 3, and that's
33 representative, but we don't want to be fully -- We don't want to
34 fully include 2019 and 2021, because of what we observed in 2021,
35 with a 600-pound estimate for Wave 3.

36

37 I don't know if that explains it, but, yes, there is consternation
38 with both of them, and we're just, like I said, trying to find a
39 balance between.

40

41 **DR. KILBORN:** Do you have these spikes in Wave 3 historically, and
42 have they -- I mean, because I see on, I guess it's Slide 6 of
43 your presentation, you've got the MRIP effort time series, and it
44 shows Wave 3 is consistently the highest wave, which makes sense,
45 but I am just wondering, and did this problem present itself in
46 previous years, and, if so, why would you think that it's not going
47 to continue, moving forward?

48

1 **MR. MONCRIEF:** It did not present itself in the same manner, and
2 that is because the season structure, and the historical nature of
3 the fishery, did not lend itself to having those spikes as much,
4 and so, essentially, what is occurring, and what I tried to
5 describe yesterday, is that there are two sites, essentially, that
6 govern the ratio of area fished for the State of Mississippi. If
7 those sites are selected on opening weekend, or the second weekend,
8 on a Saturday or Sunday with good weather, there is a large
9 potential for a large amount of surveys to come through.

10
11 **DR. KILBORN:** That happened in 2019 and 2021 or just in 2021?
12

13 **MR. MONCRIEF:** Yes, it happened in 2019 and in 2021. In 2019, it
14 was West Beach and Bayou Casotte, and, in 2021, I think there was
15 like 110 surveys that occurred at West Beach, and so we obviously
16 -- I mean, the selection for those sites is random, and it's
17 probability of proportional sample size, and, I mean, it's all
18 done correctly, and it's simply, if those sites get selected on
19 the right day, because it might be opening weekend on a Saturday,
20 but, if it's blowing, we're not going to get many surveys, and
21 it's just kind of a culmination of unfortunate circumstances that
22 lead to a large amount, and so it was difficult for us to say,
23 yes, it's going to happen throughout the future, because, to us,
24 it's pretty random, and we're just not -- We're unsure of how the
25 estimates are going to play out.
26

27 If you notice -- I mean, I'm not going to skip over it, right, and
28 I presumed this on the last slide, and the current estimate for
29 2022, at 790,000 pounds, is the highest one that's observed in the
30 entire time series of the modern fishery, outside of a single
31 estimate of 1.2 million pounds, and so it happened again, right,
32 but there's just no way for us to be able to predict it. It's
33 just hard for us to predict, and so, with that, and with the
34 relationship being, you know, all over the place, we tried to find
35 a pathway through it, and what we thought was appropriate.
36

37 **DR. KILBORN:** Thank you. I appreciate you walking me through that.
38

39 **CHAIRMAN NANCE:** Thank you, Josh. Richard, please.
40

41 **DR. CODY:** I will just make the point, again, that numbers of
42 intercepts is not an indicator of fishing effort, in this case, as
43 far as probability of surveys are concerned, because they're
44 weighted based on the sample frame itself, and so you have
45 weighting that occurs to account for the fact that you're getting
46 more of your intercepts from those sites.
47

48 Now, is that perfect? Probably not, and it does depend on the

1 distribution of samples across the sites, and across the wave, and
2 so, when you get to smaller time periods, there is the potential
3 for, you know, random effects to occur, but I have to make that
4 point.

5
6 **CHAIRMAN NANCE:** Thank you, Richard. Trevor.

7
8 **MR. MONCRIEF:** I appreciate that point, Richard, right, because
9 this is a conversation that is still ongoing between our two
10 groups, trying to figure this kind of stuff out, right, and this
11 stuff isn't set in stone. What we've presented in these are just
12 our hypotheses, or our thought processes, as to what's going on,
13 and we're still trying to figure this stuff out, and we've got
14 multiple years of research trying to line up to figure this stuff
15 out, and so, yes, I apologize, Richard, if that was -- You know,
16 I wasn't trying to make that point, and I was simply trying to
17 project what our hypothesis was and what was going on.

18
19 **CHAIRMAN NANCE:** Thank you. I see -- I am struggling with 2021,
20 and I -- Well, 2019 and 2021 seem to be very similar, and I would
21 think that both of them need to be included into the ratio. I
22 have no problem with using just the two waves, and I think you
23 have provided great justification and shown -- I mean, you've done
24 a great deal of research on this, and I appreciate that, and so,
25 from the standpoint of that, I would like to see 2021 included,
26 but we'll go ahead and move forward with the vote, I think. David,
27 did you have a comment?

28
29 **DR. GRIFFITH:** Well, I just wanted to say that I still have concerns
30 over the logic that we're using here, and we're saying that it's
31 okay for Mississippi to throw out a year, because it looks weird,
32 but it's not okay for Alabama.

33
34 Now, I understand that Mississippi is a unique case, and they have
35 -- I mean, because of the fact that they are such a small region,
36 and they certainly know their data really well, and they know --
37 I think they know their fisheries really well, and you could maybe
38 make some sort of justification for that basis, but it seems like
39 we're sending a message, to Alabama, that, well, you guys don't
40 know what's going on, but Mississippi does. Thanks.

41
42 **CHAIRMAN NANCE:** Thank you. Roy.

43
44 **DR. CRABTREE:** If I am understanding it right, you have another
45 spike in Wave 3 in 2022, and so it's not really an outlier, and
46 this is a rather common feature of the variability of the data,
47 and it recurs again, and so it's hard for me to see how we have a
48 real basis, a scientific basis, for just excluding it.

1
2 **CHAIRMAN NANCE:** Thank you. Let's go ahead and bring up the
3 motion, Jessica, and I think there's a good variety of opinions.
4 I am going to read the motion, and then let's go ahead and do a
5 roll call vote.
6
7 **The SSC recommends acceptance of the updated Mississippi**
8 **calibration from Tails 'n Scales to MRIP-CHTS that uses 2018**
9 **through 2020 as the base years and restricts the harvest comparison**
10 **to just Waves 3 and 4. The calculated ratio is 0.50305 in pounds**
11 **of red snapper. Sean.**
12
13 **DR. POWERS:** I think Ryan wanted, in the last motion, and I forgot,
14 for the private rec and state charter, and I'm not sure if state
15 charters are included in this.
16
17 **CHAIRMAN NANCE:** Thank you, Sean. I think that's good.
18
19 **DR. TOLAN:** Just a point of clarification, Mr. Chair.
20
21 **CHAIRMAN NANCE:** Yes, Jim, please.
22
23 **DR. TOLAN:** Do we want to maintain that many significant digits in
24 the estimate? It seems to be a bit much.
25
26 **CHAIRMAN NANCE:** This was a real precise one. Anyway, this is --
27 I think that's good, three decimal points out, and thank you for
28 bringing that up, Jim. Harry.
29
30 **MR. BLANCHET:** Similar also to what we've done with Alabama, and
31 explain what that ratio is, because it's not MRIP over -- Is it
32 Tails 'n Scales over MRIP or MRIP over Tails 'n Scales?
33
34 **MR. RINDONE:** So just copy that, and then, after you paste it,
35 change "Snapper Check" to "Tails 'n Scales". Then, in the last
36 sentence, the updated calculated ratio is blah, blah, blah.
37
38 **CHAIRMAN NANCE:** Okay. Thank you, and I think -- Sean and Steve,
39 are you okay with those --
40
41 **DR. POWERS:** Yes.
42
43 **CHAIRMAN NANCE:** Thank you. Let's go ahead and, Jessica, do a
44 roll call vote on this one.
45
46 **DR. ISAACS:** Actually, another small point.
47
48 **CHAIRMAN NANCE:** Jack.

1
2 **DR. ISAACS:** The abbreviation that we use for pounds, lb, comes
3 from a Latin word, and the Latin plural wouldn't have an "s" on
4 the end of it, and so we probably just need to do pounds or "lb.",
5 for pounds plural.
6
7 **CHAIRMAN NANCE:** Okay. Thank you.
8
9 **MS. MATOS:** Steven Saul.
10
11 **DR. SAUL:** Yes.
12
13 **MS. MATOS:** Jack Isaacs.
14
15 **DR. ISAACS:** Yes.
16
17 **MS. MATOS:** John Mareska.
18
19 **MR. MARESKA:** Yes.
20
21 **MS. MATOS:** David Chagaris.
22
23 **DR. CHAGARIS:** Yes.
24
25 **MS. MATOS:** Doug Gregory.
26
27 **MR. GREGORY:** I abstain.
28
29 **MS. MATOS:** Trevor.
30
31 **MR. MONCRIEF:** Abstain.
32
33 **MS. MATOS:** Sean Powers.
34
35 **DR. POWERS:** Yes.
36
37 **MS. MATOS:** Jim Tolan.
38
39 **DR. TOLAN:** Abstain.
40
41 **MS. MATOS:** Will Patterson.
42
43 **DR. PATTERSON:** Abstain.
44
45 **MS. MATOS:** Paul Mickle.
46
47 **DR. MICKLE:** Yes.
48

1 **MS. MATOS:** Benny Gallaway.
2
3 **DR. GALLAWAY:** Abstain.
4
5 **MS. MATOS:** Harry Blanchet.
6
7 **MR. BLANCHET:** Yes.
8
9 **MS. MATOS:** Jason Adriance.
10
11 **MR. ADRIANCE:** Yes.
12
13 **MS. MATOS:** Luke Fairbanks.
14
15 **DR. FAIRBANKS:** Yes.
16
17 **MS. MATOS:** Steven Scyphers.
18
19 **DR. SCYPHERS:** Yes.
20
21 **MS. MATOS:** Jim Nance.
22
23 **CHAIRMAN NANCE:** I am going to say no.
24
25 **MS. MATOS:** David Griffith.
26
27 **DR. GRIFFITH:** No.
28
29 **MS. MATOS:** Roy Crabtree.
30
31 **DR. CRABTREE:** No.
32
33 **MS. MATOS:** Mike Allen.
34
35 **DR. ALLEN:** Yes.
36
37 **MS. MATOS:** Cindy Grace-McCaskey.
38
39 **DR. GRACE-MCCASKEY:** No.
40
41 **MS. MATOS:** Josh Kilborn.
42
43 **DR. KILBORN:** No.
44
45 **CHAIRMAN NANCE:** Thank you, and I'm going say one thing, before
46 Trevor, and I just want to say that you guys did an excellent job
47 in that presentation. It was well thought out, and I felt like
48 you were able to present things that needed to be presented, and

1 your presentation was excellent, and so thank you for doing that.
2 I know it was hard, but I appreciate your efforts. I appreciate
3 the discussion we've had as an SSC, and I feel like we had a good
4 discussion around this, and I was torn between that last year,
5 but, anyway, thank you. Trevor.

6
7 **MR. MONCRIEF:** I mean, I think it's fair to note here, when it's
8 presented to the council, that there was a fair amount of
9 abstentions, and it wasn't a unanimous vote, and I think that
10 reflects the complexity of the topic at hand, and, if you think
11 that we've got it all figured out -- We don't either, and, I mean,
12 it's an ongoing topic that we're trying to figure out, because
13 this has got an effect not just for red snapper, but it's for
14 multiple species, and so, you know, I was happy to convey what our
15 concerns were, and what we're dealing with, and we're going to try
16 to keep doing things better, and I think the next two or three
17 years of research that are proposed in the transition process --
18 I am hoping it will get us to a better place the next time this
19 comes up.

20
21 **CHAIRMAN NANCE:** Thank you. We'll go ahead and move on to our
22 next agenda item, which is -- It must be gray snapper here. We're
23 going to do the reevaluation for gray snapper. Benny, please.

24
25 **DR. GALLAWAY:** Did I miss -- Did we finish the terms of reference
26 here, or did we skip from 1 directly to the motion and not address
27 the Terms 2 and 3?

28
29 **CHAIRMAN NANCE:** I think -- Thank you, Benny, and I appreciate
30 that, and so Number 2 would be yes, and then Number 3 -- There
31 wasn't any additional clarification that I -- We certainly -- If
32 there is any clarification that we would like to see, and does
33 anybody have any? Okay. If not, then we'll put a no there, but
34 thank you, Benny.

35
36 **DR. GALLAWAY:** Thank you.

37
38 **CHAIRMAN NANCE:** We have two choices. We can go through the whole
39 presentation again, but we'll probably just go down -- Things
40 haven't changed above, and so we'll go down to the projections,
41 and we'll have Dr. Forrestal go ahead and give that part of the
42 presentation to us, so that we can make our recommendations.

43
44 **REVIEW OF SEDAR 75: GULF OF MEXICO GRAY SNAPPER (CONTINUED)**

45
46 **DR. FORRESTAL:** Okay. Perfect. Good morning, everybody, and so
47 these are the requested projections. We updated the interim
48 catches that were presented the other day, and so, for the

1 commercial landings, we pulled them from the website, and they
2 weren't -- They did not split out by fleets, and the currency is
3 different than what was used in the model, and so we applied the
4 percent change observed to the -- To model the commercial landing
5 fleets and split them out by the three fleets in the model.

6
7 Then, for the interim recreational landings, the FES landings were
8 provided for 2021, by Mike Larkin, in pounds whole weight, by
9 fleet, and so we were able to do that directly. They were in
10 pounds whole weight, like I said, and so we had to apply the mean
11 weight from the terminal year in the model to each fleet to obtain
12 the landings in numbers.

13
14 Then there was also a request to reexamine the FMSY proxy, and so
15 we have an FSPR proxy of 30 percent and then at 26 percent, and so
16 the benchmarks were updated, and so you can see the differences in
17 the values between the two columns, and so the 30 percent and the
18 26 percent is on the far-right-hand column.

19
20 Updating the stock status with these two different FMSY proxy
21 definitions, on the left, we have what was presented earlier, the
22 30 percent, and on the right is the 26 percent, and so the stock
23 is still not overfished nor undergoing overfishing.

24
25 **CHAIRMAN NANCE:** Any discussion on those two plots? It moved in
26 the right direction, which is good.

27
28 **DR. FORRESTAL:** Then, moving on to the updated projection settings,
29 the only thing that has changed on this slide is the interim
30 landings values, and so we have the 2021 interim landings
31 calculated as described for the commercial, and then these are --
32 I'm sorry. The commercial is in metric tons, and then the
33 recreational is in thousands of fish. The 2021 is the interim
34 landings, and then 2022 and 2023 uses the three-year average, and
35 so 2019, 2020, and 2021, and so it takes into account those interim
36 landings.

37
38 These are the one-hundred-year projections that were done for each
39 of the FSPR scenarios, and this just shows the harvest rate and
40 then the SSB out projected a hundred years, and these were used to
41 obtain the yield projections that we're going to go over in the
42 next two slides.

43
44 These are the OFL and ABC projection tables for the management
45 year, which begins in 2024, and we have the million pounds whole
46 weight, for the OFL and the ABC, on the far-right column. The
47 values for 2018, 2019, and 2020 are the yield from the model, and
48 then 2021, 2022, and 2023 are the interim landings, and then the

1 projections begin in 2024, and so that is what you're looking at
2 with the confidence intervals.

3
4 Then, looking at it using the FSPR 26 percent, the landings -- The
5 OFL and ABC projections do increase a little bit, to reflect the
6 more productive stock, the lower benchmark.

7
8 Then we also have a constant catch scenario, and so it's a five-
9 year average of the projected catch, or projected landings, in
10 million pounds whole weight, and so that is what we have prepared
11 for you, in terms of projections, and I will open it up to everyone
12 to discuss.

13
14 **CHAIRMAN NANCE:** Thank you, and this is the average catch -- It's
15 just taking the average from the stream?

16
17 **DR. FORRESTAL:** Yes. It was the average of 2024, 2025, 2026 --
18 It's 2024 through 2028, the averages.

19
20 **CHAIRMAN NANCE:** Okay, and so, in theory, this is the one where we
21 would be underfishing and then overfishing, and, basically, we're
22 taking the mid-point of the stream.

23
24 **DR. FORRESTAL:** Yes, and so if you -- I don't have a cursor, I
25 don't think, but this just gives you a straight line, pretty much,
26 between these streams.

27
28 **CHAIRMAN NANCE:** Okay. Thank you, and so we have those three.
29 Let's go ahead and discuss these projections. You know,
30 unfortunately, we have the catches with it now, but we need to
31 discuss the 26 and 30 percent and constant catch based on merits
32 and not just saying we're looking for different amounts of catch,
33 but, right now, we have, on the books, 26 percent, and we have, in
34 the record, that we felt like 26 percent was maybe too low of a
35 number, and 30 percent would be more recommended, and we need to
36 discuss that, and so those are the things that I would like to
37 hear discussion on. Harry.

38
39 **MR. BLANCHET:** Thank you, Mr. Chairman. This goes back to the
40 slide that we're looking at right now, and, when Dr. Forrestal was
41 discussing this, she said that the result was because of a more
42 productive stock, and I think I would rather rephrase that, in
43 that the stock currently has more biomass in the water than what
44 is necessary to fish -- Essentially, we can fish it down further,
45 and not that the stock is more productive, but that we have more
46 of what we'll call, quote, excess, end quote, fish in the water,
47 relative to what it would be at the metric that our target is, and
48 so I don't think that it's a stock productivity thing, but it's

1 just where are we relative to the benchmark. Thank you.

2

3 **CHAIRMAN NANCE:** Thank you.

4

5 **MR. BLANCHET:** That graphic of the phase plots shows it perfectly,
6 and it just moves everything into a happier spot, and it's not
7 really reflecting yield per recruit or anything like that, but
8 it's just relative to the benchmark that we're selecting.

9

10 **DR. FORRESTAL:** Yes, I agree, and I misspoke, and it is just
11 relative to the benchmark, and the stock does not -- The
12 productivity of the stock does not change, but it's just how we
13 are viewing it in terms of the benchmarks.

14

15 **CHAIRMAN NANCE:** Thank you, Harry. Any other discussion from the
16 group? Doug Gregory, please.

17

18 **MR. GREGORY:** Thank you. Other than the effect on the quota, what
19 would be the pros and cons of setting the OFL and ABC at more of
20 the long-term level and ignore this short-term excess? In other
21 words, would this excess just get bigger, because we're, quote,
22 underfishing, or would it eventually be caught up in the landings?
23 You know, I've always been bothered by these short-term blips that
24 we have to fish down, and it just seems to be something that could
25 avoid -- If we could avoid it, it would be beneficial. Thank you.

26

27 **CHAIRMAN NANCE:** Doug, I think that's what the constant catch
28 scenario does, is it takes that five-year projection, by year, and
29 then averages it out, so that you have a constant catch throughout
30 that timeframe, as opposed to, in the first year, we catch nine-
31 million, and then seven, and then down to five, and I think it
32 does that, and so I think the avocation would be that that would
33 give us a constant catch over that timeframe.

34

35 **MR. GREGORY:** It's a good compromise, and it doesn't address it
36 completely, but I think it's a good way forward, and it's a good
37 compromise.

38

39 **CHAIRMAN NANCE:** Thank you for that. Ryan, please.

40

41 **MR. RINDONE:** Doug, you had asked what the effect would be of
42 setting it lower, and, I mean, I guess it would be variable, based
43 on trends in recruitment and any differences in harvest, or any
44 other biological factors that might affect natural mortality, or
45 any episodic mortality, or anything like that, and so, in short,
46 probably we don't know, but having some additional amount of fish
47 in the water certainly isn't going to have a negative biological
48 effect for the stock.

1
2 **MR. GREGORY:** To that point, Mr. Chair?

3
4 **CHAIRMAN NANCE:** Yes, please, Doug.

5
6 **MR. GREGORY:** I agree, and that's part of the problem, is we don't
7 know, and it's like we're pretending that we know more and that we
8 can manage better than we really can, by saying, okay, we can go
9 up this one year, and then come down, and, given that we don't
10 know what recruitment is going to be, and we don't know what the
11 population status is going to be, going forward, it just -- That's
12 part of the thing that is bothersome to me, is that it seems to
13 imply that we're better at this than we really are, but, again,
14 the average addresses it, to some extent. Thank you very much.

15
16 **CHAIRMAN NANCE:** Thank you, Doug. Will.

17
18 **DR. PATTERSON:** So I support what Doug is saying here, but I don't
19 think the constant catch actually alleviates the problem. It just
20 averages it over many years, or a few years, and the issue is that
21 we're typically in a rebuilding time period, or phase, for many
22 stocks, and so we fish at the threshold, and then some buffer down
23 to the ABC, because we're trying to, you know, allow the harvest
24 to occur, while rebuilding, but, once you get above BMSY, you
25 should be fishing at the threshold value, at the equilibrium
26 values, because what you're saying is this is the long-term
27 sustainable yield that will -- The stock biomass will increase
28 above BMSY, in times when recruitment deviations are positive, but
29 then, when recruitment deviations become negative, the biomass
30 will still support that level of equilibrium that you estimate it
31 will, because you have this built-in biomass buffer.

32
33 I really think this is also a symptom of the current management
34 paradigm that exists under the reauthorized Act, where you don't
35 have a true target, because, if we had a true target, and it was
36 an F value that was some percentage reduction from FMSY, as the
37 stock biomass was above BMSY, the equilibrium values would
38 converge, because you have that biomass buffer built into the
39 system.

40
41 Here, we're looking at OFL values, but, really, what the council
42 will be dealing with is the ABC, because the ACL can't exceed it,
43 and so I think Doug is onto something here, and it's something
44 that we should consider.

45
46 **CHAIRMAN NANCE:** Thank you, Will. Roy.

47
48 **DR. CRABTREE:** I guess, Will, I'm a little confused, and you said

1 we don't have an F target, but isn't that exactly what the ABC is
2 based on, and isn't that 75 percent? How is that not an F target?
3

4 **DR. PATTERSON:** In view, it's not a true target, because it's not
5 something that we're attempting to achieve a biomass value at that
6 level, and the ABC is simply a reduction based on scientific
7 uncertainty, which we typically do with a P* approach and not just
8 some percentage.
9

10 **DR. CRABTREE:** But it is a target, in the sense that we're setting
11 the catches at a level that, in theory, would achieve -- That would
12 be at that F target.
13

14 **DR. PATTERSON:** But it's not where you're trying to put the stock
15 toward, and it's simply buffering away from the OFL, right, and
16 it's just a buffer on the threshold.
17

18 **DR. CRABTREE:** Well, I mean, I think a lot of these calls about
19 whether you want to fish the stock down, or how you want to come
20 at that, to me, those are really policy calls for the council to
21 make. I mean, we've got these projections, and these F values,
22 and I think everything is done appropriately, and so they could
23 fish at these levels, and it would be consistent with the statute.
24

25 Now, whether they want to be more conservative, or whether this is
26 too aggressive, I think that's for them to decide, and I think the
27 real call here is are we comfortable, and do we want to just go
28 with 26 percent, or do we want to weigh-in on the 30 percent issue,
29 and it does seem, to me, that we could recommend that we think 30
30 percent is a better choice, but it's really going to be up to the
31 council to decide, or we can hold off on that discussion to a later
32 date, when some of these issues, really with red snapper, are more
33 resolved and just give them the 26 percent number, and then we've
34 got the declining yield streams, and we've got the constant catch
35 numbers.
36

37 Again, that's up to the council how they want to go with that, and
38 I'm personally okay with 26 percent, although I do agree that it's
39 probably at the low end of reasonable SPR proxies, and it's a
40 pretty aggressive reference point, but I think 30 percent is more
41 towards the mid-range of it, but I think that our record indicates
42 that 26 percent is defensible, and, if that's where the council
43 wants to be, I think it's up to them.
44

45 **CHAIRMAN NANCE:** Ryan.
46

47 **MR. RINDONE:** So we're actually hoping to have some discussion
48 about FMSY, or about MSY proxies in general, at the March meeting,

1 just as a note.

2

3 **CHAIRMAN NANCE:** I guess -- Sean and I were talking about this
4 earlier this morning, but do we feel like gray snapper is more
5 productive, or less productive, than red snapper?

6

7 **DR. POWERS:** I mean, that might be a broader conversation, and
8 tangential, but that was my first reaction, when we were talking
9 about doing this at 30 percent, was that there's some inconsistency
10 there, and do we think that gray snapper is less productive than
11 red snapper, and, I mean, the argument could then be turned that,
12 no, we have to adjust red snapper too, but I don't think of gray
13 snapper as less productive than red snapper.

14

15 **CHAIRMAN NANCE:** Roy.

16

17 **DR. CRABTREE:** Yes, I would agree with that, and so I think, from
18 my perspective, I would like to see the whole issue addressed more
19 broadly, maybe if we're going to come back to it, and I would like
20 to see some resolution as to where we're going with red snapper
21 and then come back and revisit this issue, maybe, at a later time,
22 and, Jim, I sent a couple of motions in.

23

24 **CHAIRMAN NANCE:** Okay.

25

26 **DR. CRABTREE:** If you would like to get to a motion.

27

28 **CHAIRMAN NANCE:** Let me get to these two, and then we'll put those
29 up. Will.

30

31 **DR. PATTERSON:** I don't disagree with the rationale and discussion
32 about productivity and 26 versus 30, but I think it's important to
33 remember that, when the 26 for red snapper -- F 26 SPR, and 26
34 percent as the biomass proxy, that came about because the SSC, at
35 the time, felt that 30 percent was as low as you should go for
36 something that had a life history like red snapper, but the
37 pragmatic endpoint of all of the effort reduction estimation
38 process ended up converging at 26 percent SPR, and the SSC said,
39 well, that's close enough, and we'll go with that, and it's the
40 logical choice. As far as the rationale for 26 or 30, red snapper
41 was intended to be 30, but we ended up at 26 for other reasons.

42

43 **CHAIRMAN NANCE:** Thank you. Paul.

44

45 **DR. MICKLE:** You sparked my interest when you made the pitch of is
46 it more or less productive than red snapper, and so, when you make
47 that statement, you're assuming that the red snapper is somewhat
48 correct, right, as far as a productivity standpoint, which we kind

1 of -- We don't really know, but the point I was trying to make is,
2 if you do look at kind of what's been studies with life history
3 and things between the two species, and I just want to think out
4 loud and share what I've read over the years, and I'm sure you all
5 have read too, but there was a paper, and I think it was Dylan et
6 al. that looked at stable isotopes and food web placement, and
7 gray snapper was actually a little bit higher on the trophic levels
8 than red snapper.

9
10 If you think about that, in the overall ecological and life history
11 discipline, you know, higher-food chain species are less -- They
12 have longer life histories, for the most part, and not all, but
13 they're less productive in their life history strategies than the
14 lower-food-web-based production, life history types, and so, if we
15 need some scientific justification for what's more productive than
16 another, there is some broad-based discussion, science, out there
17 which we could have those conversations, instead of anecdotal-type
18 things, which we should avoid at this group. Thank you.

19
20 **CHAIRMAN NANCE:** Thank you, Paul. There is a motion on the board
21 by Dr. Crabtree. **The SSC moves to accept the SEDAR 75 Gulf of**
22 **Mexico Gray Snapper Operational Assessment as consistent with the**
23 **best scientific information available. Under the current FMSY**
24 **proxy of 26 percent SPR, the model-derived estimates indicate the**
25 **stock is not overfished and is not undergoing overfishing.** Do we
26 have a second for that motion?

27
28 **DR. PATTERSON:** Second.

29
30 **CHAIRMAN NANCE:** Thank you, Will. Is there discussion? Steven,
31 please.

32
33 **DR. SAUL:** Thanks, Mr. Chair. I had a couple of questions, and
34 one is perhaps more of a procedural question, maybe for council
35 staff, or a comment, but it seems like we're moving towards, as an
36 SSC, selecting kind of benchmark thresholds, you know, like 26 SPR
37 or 30 percent SPR, more on an individual species basis, and I am
38 wondering how -- I am wondering if -- I guess I just want
39 clarification if we are, quote, unquote, allowed to do that, under
40 Magnuson, and then, as a follow-up to that, is there a more
41 empirical way that we could sort of make these decisions, because
42 it seems like we just sort of -- We're, you know, sitting around
43 the table and saying, okay, well, we think that the life history
44 supports this or that, and, you know, like, with red snapper, it
45 was like, okay, close enough, and it was sort of a marginal
46 compromise, if you would.

47
48 However, it seems like we're just sort of selecting these values

1 based on, you know, yes, our knowledge of the species, but we're
2 not throwing any hard empirical -- You know, we're not leaning on
3 any hard empirical studies to determine these threshold values,
4 and so, yes, I would be curious to hear folks kind of respond to
5 that, and then, also, again, procedurally, kind of what's within
6 our scope, or our latitude, under Magnuson.

7
8 **CHAIRMAN NANCE:** John, please.

9
10 **DR. FROESCHKE:** So kind of two parts, but we're required to
11 establish these SDC by species, and so that's certainly within our
12 purview, and we have done this both individually, and we've taken
13 a broader view, most recently in Reef Fish Amendment 48, but I do
14 think that the discussion that we're planning to hold in March
15 would hopefully reinvestigate some of this, perhaps, on a more
16 broad view, and, since we have done that, there is some new
17 information, for example the Great Red Snapper Count and things,
18 that, you know, brought new information regarding the productivity
19 of red snapper, and perhaps similar stocks, and so it's an ongoing
20 discussion, but it's certainly, again, within our purview to do
21 that.

22
23 **CHAIRMAN NANCE:** I agree with that, John. Any other comments from
24 the SSC? Mike, please.

25
26 **DR. ALLEN:** Thank you, Mr. Chair. You know, it seems, to me, that
27 26 percent is one of the lowest ones that I've seen in my two years
28 on this panel, and I don't know the full justification for the red
29 snapper, because I wasn't around for all of those discussions, but
30 it just seems like -- I don't think we have great evidence, in the
31 assessment, to separate 26 versus 30 percent, but it seems, to me,
32 that we recently did 40 percent for gag grouper, and Will mentioned
33 a recent paper that looked at a database that had a median SPR of
34 about 45 percent for BMSY, and I think we would be better justified
35 to use 30 percent, in this case.

36
37 **CHAIRMAN NANCE:** Thank you. Jim.

38
39 **DR. TOLAN:** Just, I guess, some of the history behind that, and I
40 think Clay put together a pretty intensive presentation that looked
41 at the range from 30 all the way down to 22 for red snapper, and
42 that 26 was sort of the happy medium in between there, and so
43 that's why I think 26 got associated with red snapper. I think
44 we're still on the record, as a body, saying that, for this
45 particular species, we think 30 is a more reasonable number, and
46 so I'm with you on the 30 number, and so thank you.

47
48 **CHAIRMAN NANCE:** Thank you. Doug Gregory, please.

1
2 **MR. GREGORY:** Thank you, Chair. Yes, and our recommendation to go
3 to 30 percent is enshrined in Amendment 51, and I was just reading
4 that earlier today, and yesterday, and so it's there, and we could
5 reiterate it, but it's still the council's choice, and so we have
6 to give them 26 percent and 30 percent, or at least somebody has
7 to present the data to them, and I don't know what would happen if
8 we rejected the 26 percent runs as not the best scientific
9 information available, and I think that's what they might call, in
10 Washington, a constitutional crisis, but it would be interesting,
11 but, as thing stand in the normal way of operating, the council
12 will have both analyses, and they can choose to ignore a 30
13 percent.

14
15 That's kind of an interesting thing with this system, is the
16 council gets to choose the status determination criteria, and all
17 we do is get to choose the ABC from that, and the council is
18 obligated to stay within that ABC, but they can move the goalpost
19 any way they want for us. Thank you very much.

20
21 **CHAIRMAN NANCE:** Doug, thank you. Ryan.

22
23 **MR. RINDONE:** Thank you, Mr. Chair. If you guys were trying to
24 recommend a different FMSY proxy, you would just need to provide
25 justification for why you were selecting 30 percent over 26
26 percent, based on the biology of the species and observations about
27 productivity and whatever quantitative information that you can
28 point to for that, and then, as far as what to do on the management
29 side of that, you know, it's not really something that you guys
30 have to worry about, and so you just have to get the science right.

31
32 **CHAIRMAN NANCE:** Thank you. Will.

33
34 **DR. PATTERSON:** So the discussion about 26 or 30 is important, and
35 it doesn't really have anything to do with the current motion, and
36 the current motion just talks about the current proxy and whether
37 the estimates indicate overfished or overfishing. I am fine with
38 giving the council advice from 26 percent, given that's what's on
39 the books, and, if we're going to talk about MSY proxies at the
40 next SSC meeting, and get into a more robust review, and pull in
41 some of these life history meta-analyses, I think that's -- That
42 might be the best place to revisit this, but so I'm fine, you know,
43 but, anyway, this motion should be voted on as it states, because
44 it's irrespective of this discussion of 30 percent or 26 percent
45 as the best proxy.

46
47 **CHAIRMAN NANCE:** Thank you. Roy.

48

1 **DR. CRABTREE:** Well, and just to point out that the council could
2 choose to go ahead and manage a lower catch levels, consistent
3 with 30 percent, if they wanted to, because they would be below
4 what we're giving them.
5
6 **CHAIRMAN NANCE:** Thank you. Harry.
7
8 **MR. BLANCHET:** Will said everything that I wanted to say and then
9 some.
10
11 **CHAIRMAN NANCE:** Okay. Perfect. We'll go ahead and vote on this
12 motion. **Is there any opposition?** I am going to read the motion.
13 **The SSC moves to accept the SEDAR 75 Gulf of Mexico Gray Snapper**
14 **Operational Assessment as consistent with the best scientific**
15 **information available. Under the current FMSY proxy of 26 percent**
16 **SPR, the model-derived estimates indicate the stock is not**
17 **overfished and is not undergoing overfishing. Is there any**
18 **opposition for this motion?** Okay. **It appears there is no**
19 **opposition to this motion, and so the motion carries.**
20
21 Dr. Forrestal, thank you. That was a great presentation, and
22 there's a second motion. Okay, but I appreciate your time and
23 effort in putting this together.
24
25 **DR. FORRESTAL:** Thank you very much. I'm very happy to have the
26 opportunity to present it to everybody.
27
28 **CHAIRMAN NANCE:** So, Roy, is there a second motion?
29
30 **DR. CRABTREE:** Yes, there is a second motion.
31
32 **CHAIRMAN NANCE:** Okay.
33
34 **DR. CRABTREE:** I'm going to add something to it. Somewhere, I
35 would like to add "or for a constant catch scenario, an OFL of
36 7.547 million pounds whole weight and an ABC of 6.226 million
37 pounds whole weight". Please check my numbers.
38
39 **CHAIRMAN NANCE:** Can you repeat that, Roy, please?
40
41 **MR. RINDONE:** I am going to check your language, and then we'll
42 check your numbers.
43
44 **DR. CRABTREE:** Ryan is going to edit my language.
45
46 **CHAIRMAN NANCE:** Okay.
47
48 **MR. RINDONE:** How about something like, "alternatively, the SSC

1 also supports the constant catch scenario"?

2

3 **DR. CRABTREE:** I wouldn't say supports, but provides.

4

5 **MR. RINDONE:** Okay. You could say --

6

7 **DR. CRABTREE:** If the council chooses.

8

9 **DR. PATTERSON:** I would say that, alternatively, the constant catch
10 scenario, which is a mean of the five-year time series for OFL, is
11 blank, and ABC is blank.

12

13 **MR. RINDONE:** Yes, which is a mean of the five-year time period,
14 and it should be 2024 to 2028 and not 2024 to 2027, at the end of
15 the previous sentence, and so, "Alternatively, the constant catch
16 scenario" -- Then just put, in parentheses, "which is the mean of
17 the five-year time period results in an OFL of -- It's 7.547 for
18 the OFL and 6.226 for the ABC. Francesca is going to send me the
19 updated presentation, and there were a couple of headers that were
20 changed. That makes it easier for pouring over for a future
21 framework action. It's million pounds whole weight.

22

23 **CHAIRMAN NANCE:** Okay. We have a motion by Dr. Crabtree. Do we
24 have a second?

25

26 **DR. PATTERSON:** Second.

27

28 **CHAIRMAN NANCE:** It's seconded by Dr. Patterson. Sean.

29

30 **DR. POWERS:** I have a couple of questions. Ryan, how does this
31 ABC compare to what's current right now? I would assume it's an
32 increase.

33

34 **MR. RINDONE:** Yes, and this would be functionally an increase.
35 Right now, the fishery is -- So we don't have sector allocations
36 for gray snapper, and it's just managed as a stock, and so the
37 combined landings are oscillatory at about four to four-and-a-half
38 million pounds, in FES currency, and stop me if I'm off-base here,
39 based on what I was looking at.

40

41 Under the proposed catch limits, and the catch limits that are
42 proposed are higher than what is necessary to sustain the current
43 harvest levels, there is no commercial trip limit, and the
44 recreational retention limits for the state and federal side of
45 things are both -- Anglers haven't complained about them, and how
46 about that?

47

48 **DR. POWERS:** There is no --

1
2 **MR. RINDONE:** Presumably, if there's no change in retention limits,
3 things would just continue as they have.
4
5 **DR. POWERS:** So there is no history, in this stock, of us going
6 over the ACL?
7
8 **MR. RINDONE:** No.
9
10 **DR. POWERS:** All right, and so the second broader question, I
11 guess, is so the ABC here is based on 75 percent of the OFL, right,
12 and is there a reason that we didn't walk through the P*, because
13 that's a bigger buffer than we usually get.
14
15 **MR. RINDONE:** Well, you guys -- This would fall under Tier 1, and
16 you guys don't like your control rule, and so that would be the
17 only reason why, and I did go ahead and go through it, and, you
18 know, based on my judgment of the assessment and the information
19 and everything, and not you guys running through it, I got a P* of
20 0.41, which would likely result in a much more narrow buffer than
21 the Restrepo approach that's been applied, and so, if you guys
22 wanted to go through that, we certainly can do that, but that would
23 require Francesca to re-project, and, as we discussed, what you
24 guys have recommended here is not likely to have a measurable
25 effect on the way that the fishery is currently operating.
26
27 **DR. POWERS:** I guess that's -- I mean, I don't want to burn up a
28 lot of time going through it, but I just, you know, wanted to
29 understand why you thought we adopted the 75 percent, and it's
30 essentially that we don't like our control rule.
31
32 **MR. RINDONE:** Yes, and nobody asked to see the control rule that
33 they don't like, and so -- And we had just talked about it, also,
34 and so I went ahead and ran it for you guys, in the event that
35 somebody wanted to know, but you guys have been sticking with some
36 method other than an application of the control rule for the last
37 several stocks, and so it's entirely your prerogative, if you
38 wanted to visit it.
39
40 **CHAIRMAN NANCE:** Roy.
41
42 **DR. CRABTREE:** Well, I mean, that was my rationale in the motion,
43 because, until we readdress P* in the control rule, my assumption
44 was that it will give you an unrealistically small buffer, and
45 these buffers seem reasonable. Plus, it's an increase, and so it
46 made sense.
47
48 **CHAIRMAN NANCE:** Doug, please.

1
2 **MR. GREGORY:** Thank you, and this may be more -- If people are
3 reluctant to make this wording change, but, in the last sentence,
4 the "alternatively", it just kind of leaves me hanging, and I am
5 trying to think how NOAA General Counsel might look at this. I
6 would be more comfortable if it said, "Alternative, the SSC
7 supports the constant catch scenario that results", and that makes
8 it explicit that it's okay with us to go with the constant catch
9 scenario.
10
11 **MR. RINDONE:** Maybe "also supports", and like, basically, that
12 you're treating them as equally acceptable.
13
14 **MR. GREGORY:** Right.
15
16 **MR. MONCRIEF:** Both equal consideration.
17
18 **CHAIRMAN NANCE:** Yes.
19
20 **MR. RINDONE:** Are you saying the SSC equally supports?
21
22 **CHAIRMAN NANCE:** The SSC also supports.
23
24 **MR. RINDONE:** Or also supports. I mean, it's you all's motion,
25 but, however you wanted to say it, such that you're not really --
26
27 **DR. CRABTREE:** I don't want to have any argument over the language
28 or anything, but I just don't want it to imply that somehow we're
29 supporting that they should go to constant catch. I can come up
30 with plenty of reasons why you shouldn't go to constant catch, but
31 it's entirely up to the council.
32
33 **CHAIRMAN NANCE:** I think that language gives that either this or
34 this are recommended.
35
36 **MR. GREGORY:** Thank you.
37
38 **CHAIRMAN NANCE:** Thank you, Doug. Any other comments? I am going
39 to read the motion. **Based on the projection settings accepted by**
40 **the SSC for the SEDAR 75 Operational Assessment, the SSC recommends**
41 **the following catch levels for Gulf of Mexico Gray Snapper: OFL be**
42 **set as the yield (million pounds whole weight) at F 26 percent SPR**
43 **and ABC as the yield (million pounds whole weight) at 75 percent**
44 **of F 26 percent SPR for the period 2024 through 2028. The SSC**
45 **also supports the constant catch scenario (which is a mean of the**
46 **five-year period) that results in an OFL of 7.547 million pounds**
47 **whole weight and an ABC of 6.226 million pounds whole weight. Is**
48 there any -- Will, please.

1
2 **DR. PATTERSON:** I didn't catch this before, but the ABCs aren't
3 computed at F 75 percent of F 26 percent SPR. They are computed
4 as 75 percent of OFL.
5
6 **CHAIRMAN NANCE:** Thank you. That's absolutely right. Thank you,
7 Will. You always are great at catching those things, and I
8 appreciate that. Yes, please.
9
10 **MR. RINDONE:** As the yield at 75 percent of the OFL.
11
12 **CHAIRMAN NANCE:** In the middle part, Jessica.
13
14 **MR. RINDONE:** As the yield at 75 percent of the OFL for the period
15 2024 to 2028, and so just delete the -- There you go.
16
17 **CHAIRMAN NANCE:** It should be "yield" though.
18
19 **MR. RINDONE:** And ABC as the yield at 75 percent of the OFL, and
20 so it's in there.
21
22 **CHAIRMAN NANCE:** Okay. Perfect.
23
24 **MR. RINDONE:** So just delete the F equals 75 percent of 26 percent
25 SPR part. Delete that. Okay.
26
27 **CHAIRMAN NANCE:** And remove one of the "for". Okay. Perfect.
28 Okay. John.
29
30 **DR. FROESCHKE:** Can we check the math? Like, for example, if you
31 take 8.351 and multiply that by 0.75, I get 6.2325 and not the
32 6.33. I think the way it was is consistent with what they did.
33 That's how we always do it, is based on the F and not just a scalar
34 of the OFL. The only time we've talked about doing that is for OY
35 calculations, but I will yield to the Science Center.
36
37 **CHAIRMAN NANCE:** Peter and then Katie. Go ahead, Peter.
38
39 **MR. HOOD:** In Amendment -- I think it was 48, and, for some stocks,
40 we put it at 75 -- The ABC was going to be 75 percent of the OFL,
41 but then, for other stocks, where we've had assessments, and then
42 going back to older methodology, we used the 75 percent of the
43 FMSY proxy, and so I'm not sure where gray snapper falls out within
44 that, but we've done it two ways, and I know the Science Center
45 preferred the 75 percent of the OFL value, just because it was
46 easier computationally.
47
48 **DR. FROESCHKE:** Peter, that was for --

1
2 **MR. HOOD:** Sorry. He said OY, and so --
3
4 **DR. FROESCHKE:** Yes, and we didn't address any of --
5
6 **MR. HOOD:** Okay. Not with OFL. I take back what I said.
7
8 **CHAIRMAN NANCE:** Okay. Will.
9
10 **DR. PATTERSON:** My apologies, and Francesca can clear this up,
11 but, for the 2024 values, I just divided the ABC by the OFL, and
12 I got 0.75, but, as you move down the list, that ratio changes,
13 and so it could in fact be computed at F -- At 0.75 times F 26
14 percent SPR, and we just need clarification, so that we can correct
15 the motion.
16
17 **CHAIRMAN NANCE:** Katie.
18
19 **DR. SIEGFRIED:** Yes, and it's 75 percent of the fishing mortality,
20 and so we just wanted to double-check the code. I actually
21 encourage --
22
23 **CHAIRMAN NANCE:** So we need to go back to how Roy has written it.
24
25 **DR. SIEGFRIED:** Right.
26
27 **CHAIRMAN NANCE:** Okay.
28
29 **DR. SIEGFRIED:** I did encourage Francesca to exclude the FOY from
30 the table, because of the conversation we had for scamp, and so
31 that is 75 percent, and so the SSB OY that's in the table is the
32 75 percent, and it's not something calculated with FOY, and that's
33 why we excluded that, but we can include that again, if it doesn't
34 create any confusion.
35
36 **CHAIRMAN NANCE:** John.
37
38 **DR. FROESCHKE:** I would just suggest that we go to two decimal
39 places and save ourselves some trouble.
40
41 **CHAIRMAN NANCE:** Yes.
42
43 **MR. RINDONE:** It would be 6.23.
44
45 **CHAIRMAN NANCE:** Okay. Dr. Gallaway.
46
47 **MR. RINDONE:** And 7.55.
48

1 **DR. GALLAWAY:** It's a minor point, but I think it would be -- The
2 motion would be clearer if the last sentence was below the table.
3 In other words, the table followed the 2024 to 2028 and then, after
4 you look at that, then the "alternatively". That would be my
5 suggestion.

6
7 **CHAIRMAN NANCE:** That's a good -- Thank you. Will.

8
9 **DR. PATTERSON:** Do we also need to go to two decimal places in the
10 table?

11
12 **CHAIRMAN NANCE:** Yes, and we'll fix all of those.

13
14 **MR. RINDONE:** We told her to go to three, because we go to three
15 for a lot of other things, and so --

16
17 **CHAIRMAN NANCE:** Go ahead, Katie.

18
19 **DR. SIEGFRIED:** I will just add to the fine-scale comments, and
20 sometimes, when we work with Ryan afterwards, we take it out
21 further, because it's in million pounds, and so, if you tell us -
22 - We can put it here, and then you won't need to revisit us for an
23 Excel spreadsheet, or we can make it simple here, and then you
24 revisit us with the request.

25
26 **MR. RINDONE:** I would like to just leave it at three significant
27 figures for all of it, as a matter of a fact, and then, if we're
28 going to do any rounding, then we can just do the rounding at that
29 time, and so we get different information sometimes from the reg
30 writers about their preference is, and so I would prefer three
31 significant figures.

32
33 **CHAIRMAN NANCE:** Well, let's put three back in the bottom. It's
34 going to be the same. Okay. There may be a little wordsmithing
35 after, as far as the number of decimal places out, but I think the
36 motion, as-is, I think people understand what we're trying to do
37 here. I've read the motion. **We've made a few changes after, just**
38 **wordsmithing, but is there any opposition to this motion? Seeing**
39 **none, the motion carries without opposition.**

40
41 Okay. I think that's -- Thank you for that presentation and for
42 that. Let's go ahead and break for fifteen minutes, and we'll
43 come back and see if there's any other items that we want to talk
44 about just for a minute. We'll go ahead and come back at 10:30.

45
46 (Whereupon, a brief recess was taken.)

47
48 **CHAIRMAN NANCE:** I appreciate everybody sticking around, but the

1 only reason that I wanted to -- We have two more items that I
2 wanted to bring up, and we have public comment at the very end,
3 but I also wanted to revisit the interim analysis, just to make
4 sure that we, as an SSC, if there's any -- We had the red grouper
5 interim analysis this time, and we chose not to take any action on
6 that, but I wanted just a general discussion on interim analysis
7 and what its purpose is, how long do we feel it's useful, are there
8 things that we can change to make it more useful, and so, anyway,
9 I will open the floor up for a general discussion. Ryan, please.

10
11 **OTHER BUSINESS**

12 **DISCUSSION OF INTERIM ASSESSMENTS AND SEDAR PROCESSES**

13
14 **MR. RINDONE:** Thank you, sir. We were actually just talking about
15 this in the back of the room, and I think I mentioned this
16 yesterday, but I think it's worth adding to Jim's discussion about,
17 you know, from how long out from the terminal year of the last
18 stock assessment do you guys want to be considering the interim
19 analysis as something more than just a quick health check, because,
20 clearly, you know, the further away we move, the stronger, and
21 likely less defensible, some of those assumptions that are made
22 about recent recruitment things tend to get, and, without running
23 that data through the stock assessment again, we're just not going
24 to know, and so just to add that to consideration of that
25 discussion.

26
27 **CHAIRMAN NANCE:** Let me ask. From the Center's perspective, the
28 interim analysis -- We've set that up, and we have an index that
29 we track, and that gives us an indication of where that stock is
30 with that index, and is there any way to just run a quick -- I
31 know there's a lot of changes in an assessment, and is it possible
32 just to run quick assessments? I know that, for each of us, quick
33 is different.

34
35 **DR. SIEGFRIED:** There's some proposals out there for some funding
36 to look at ways to get better uncertainty in our projections and
37 ways to potentially better inform projections, by doing, you know,
38 more uncertainty analyses in our assessments, and, at that point,
39 we would be more confident in projections, and we could do like -
40 - We could consider starting to research like mini-assessments, is
41 what you're talking about.

42
43 Right now, I don't think that we have that, and that doesn't
44 actually happen any easier than going ahead and updating an
45 assessment, but, while I have the floor, can I make a few comments
46 about interim assessments?

47
48 **CHAIRMAN NANCE:** Absolutely, yes. Please.

1
2 **DR. SIEGFRIED:** So we don't tend to support these projections past
3 -- You know, three to five years is what we've always here is where
4 we have the most confidence in our projections, and we've seen --
5 Like red grouper is an example, where we're way past that, and
6 we're using interim, you know, data to update, and so that's not
7 more desirable than doing an interim analysis with an index that's
8 updated yearly, and so we certainly aren't saying to choose
9 projections over an interim analysis, and so that's number one.

10
11 The thing that I am concerned about is using interims instead of
12 setting a schedule that includes an update of the assessment that
13 the interim is for, because you could potentially just keep going,
14 especially if we update the OFL and the ABC, and then, if
15 everything is just going on fine, we could potentially provide
16 catch advice and miss some signals in the index, and then be too
17 late to catch a down-tick of that stock, and so I do think it's
18 important to make interims a temporary solution, instead of a
19 permanent solution.

20
21 The other thing that I need to talk to our director about is more
22 Science Center direction about, you know, what timeframe we would
23 recommend, based on maybe the life history, or the management
24 goals, for each species, as far as how long to average our index
25 results, because like we were looking at red grouper, and, if
26 there's a down-tick, and then we only use three years, we're going
27 to get a different answer than if we use the five years, and we
28 may not capture some negative trend in the stock the next year, or
29 the year after that, and so I think we still need to do a little
30 bit more work, at the Center, to decide what that timeframe should
31 be, but I don't think we have any hard-and-fast rules of how often
32 the assessment needs to happen versus how often an interim should
33 happen, and those are just concerns that I wanted to convey.

34
35 **CHAIRMAN NANCE:** Thank you, Katie. Josh.

36
37 **DR. KILBORN:** Thank you. I think that, you know, when we think
38 about these questions, we have to remember that each species
39 responds totally differently to the environment, and we've already
40 seen -- I have presented some work to the SSC already, and I'm
41 going to present some more at the next meeting here, looking at
42 some of the periodicity that some of these different species seem
43 to be following that's unexplained in some of the models.

44
45 The point is that I think, you know, we don't have a standardized
46 set of rules for this, and we probably shouldn't, because each
47 species does seem to exhibit different responses on these shorter
48 time scales, and so that's one point. The other question that I

1 have is do we actually have, right now, a list of all of the
2 species that we do these interim assessments for, or interim
3 updates, and what the specific methods that are used for each of
4 them are, so that we can kind of get a sense of what we already do
5 and whether or not we, you know, like what we're currently doing,
6 and then, you know, take that to the next step and see what we
7 might want to do, moving forward? Thank you.

8
9 **CHAIRMAN NANCE:** Ryan, please.

10
11 **MR. RINDONE:** Do we have a list? Yes. Does that list include the
12 methods that are used for each one? No. They're not all
13 necessarily done the same either, and so we've been doing the red
14 grouper one the longest, and I think it's probably at a point where
15 it's been performed the most consistently, because it's just been
16 done the most times, and we did one for gray triggerfish, and we've
17 done a couple of catch analyses for red snapper, and we didn't
18 really call them interim analyses, because they were a little more
19 Frankenstein than that, and I feel like I'm missing one, and we're
20 looking at gag, and that will use the video index.

21
22 Gag will be the next one that will have one done, but gag had to
23 wait until the conversion over to SRFS was done and the SPR proxy
24 was selected, and so, now that that's all ironed out, gag can get
25 done, and so the methods, I think, are what are a little bit more
26 variable, but I think the best example was our first example, was
27 red grouper, because it's been done consistently the same way.
28 Now, I think this is the fourth one, or the fifth one. It's the
29 fourth one.

30
31 **CHAIRMAN NANCE:** Thank you. David.

32
33 **DR. GRIFFITH:** Thank you, Mr. Chair. I'm just wondering what
34 triggers your decision to do an interim analysis, and is it sort
35 of environmental problem or some issue?

36
37 **CHAIRMAN NANCE:** Ryan, please.

38
39 **MR. RINDONE:** It could be. With red grouper, like we noted
40 yesterday, when we got SEDAR 61 back, red grouper wasn't overfished
41 or undergoing overfishing, but, boy, it was close, and we know
42 that red grouper has a particular susceptibility to episodic
43 mortality from red tide, and the majority, 99 percent, of the
44 biomass of red grouper in the U.S. EEZ occurs off the west coast
45 of Florida, which is certainly no stranger to red tide events, and
46 it's not if there will be another red tide, but when and how bad,
47 and so that was one of the reasons for doing the annuals for red
48 grouper, was so that we could keep some kind of a pulse on what

1 was going on, and, by using the NMFS bottom longline index, that
2 targets the larger half of the stock, if you will, a lot of the
3 spawners that were more offshore.

4
5 If there was a mortality event associated with red tide, we would
6 see it. If there was a large recruitment event that was leaking
7 its way into that larger, older portion of the stock, then we
8 should see that, too.

9
10 With red snapper, it had to do with getting the Great Red Snapper
11 Count data, and then the revision to those data that followed after
12 that. With gray triggerfish, the last gray triggerfish stock
13 assessment was stopped early, because of some data issues, and so,
14 to get some interim advice on that, a representative index of
15 abundance was chosen there, and we got an interim analysis for
16 gray triggerfish, which allowed an increase in catch, and that was
17 corroborated by what we've heard from fishermen about just
18 generally seeing more of them.

19
20 Then, for gag, we can't run a full stock assessment of gag every
21 year, as much as we might like to for gag and for red grouper, for
22 some of these species that we're really trying to keep a better
23 eye on, and it's just an extremely labor-intensive process,
24 obviously, and so we'll use the combined video index for gag to
25 get an idea of what's going on with that stock.

26
27 **CHAIRMAN NANCE:** Thank you. David, please.

28
29 **DR. CHAGARIS:** Just kind of a comment about the interim analyses
30 in general, and I've never been, you know, really satisfied with
31 them, because they're so disconnected from the stock assessment
32 and the population dynamics and all the other information we have,
33 and it seems like a way forward would be to tack on data, a new
34 year of data, onto the previous stock assessment.

35
36 You don't have to have complete data for all the sources of
37 information, and you can update the landings and the single index
38 and just estimate fishing mortality and recruitment deviations in
39 these interim years, keeping the other parameters fixed.

40
41 Now, I haven't done this, and so there may be some reasons why it
42 wouldn't work, but, from where I sit, I feel like that would be a
43 better approach, and something similar was done for yellowtail
44 snapper and presented last year, where they had this interim base
45 model, where it was sort of a partial update, and I would be much
46 more supportive, and interested, to see an approach like that
47 develop, and I understand that, you know, there is workload and
48 efficiency issues, but, I mean, if it takes two months to do an

1 interim assessment, it seems like we could utilize the stock
2 assessment model more, given two months' time to produce that.

3
4 I guess I'm interested in, you know, how the Center thinks -- I
5 mean, I know, in Stock Synthesis, you can add missing data, and
6 you can keep your selectivity parameters, you know, fixed at
7 whatever it was terminal year, and then just see what the model
8 estimates recruitment and fishing mortality in these interim
9 years, and that would give us a lot more information, I think.

10
11 **DR. SIEGFRIED:** One of the things that one of our associates is
12 doing is looking at what you're talking about, Dave, and the thing
13 that we were concerned about though is that, if you fix everything
14 else, how the SSC would accept that, view it, and, you know,
15 there's not a lot of decisions in it, and it's -- You know, we
16 wouldn't have to re-fit all selectivities and all retentions and
17 do all of the assessment work again, and we could just update those
18 few data sources.

19
20 It seems a little revolutionary, compared to the level of review
21 that we get for even our simple operational assessments, and so
22 that's doable, but we were -- At this point, we would need to test
23 it and sort of see, you know, under what circumstances it worked
24 and didn't work. I know the South Atlantic is doing -- They're
25 doing some research looking at their own version of an analysis
26 Hyung analysis that Clay and others had worked on to get the
27 original interim, you know, working in the Gulf.

28
29 One of the things that they found is that, if anything goes wrong
30 in the stock, the interim doesn't perform well, and that you need
31 other sources of data to actually get a good picture in the model,
32 which is interesting, because red grouper is our poster-child for
33 interims, and Skyler reminds me that it's seven times that she's
34 done a red grouper interim analysis, but what we're doing there,
35 it seems like, is making sure that there's not some sort of
36 negative effect of the episodic mortality on the stock and what
37 would happen in catch advice.

38
39 That brings it down to sort of what's your goal? What is the SSC's
40 goal, or the council's goal, in asking for the interim? Is it to,
41 you know, as someone asked, see what happened, based on what
42 happened in the environment, or is it to take advantage of a big
43 year class, and like what is the purpose of it?

44
45 Then there's also the delay and the incredible administrative
46 workload that the council staff has to undertake to get the catch
47 advice turned around in a quick way, and so it's a RESTORE project
48 that we hope gets funded, to do exactly what you're talking about.

1 Fingers crossed, but I want yours to succeed, too.

2

3 **CHAIRMAN NANCE:** Thank you. Will.

4

5 **DR. PATTERSON:** Thanks, Jim. My question was going to be to Katie,
6 about what proposals were in review and what was their approach
7 and objectives, because I think having an MSE that looked at this
8 would be really important, and I think perhaps one way to do it,
9 and, again, I don't know what the methods are in the proposal, is
10 to take, you know, one of these data-rich assessments and, you
11 know, compute for the time series of data and then remove
12 components of data going back in time and seeing how similar the
13 results are, and where you get greater uncertainty, or what's kind
14 of driving that.

15

16 I think that would be a useful way to examine, you know, the
17 utility of just updating the catch, and it's not -- You know,
18 you're not fixing everything back in time, but you're just in the
19 forward period, since the last assessment, and you would have to
20 fix the parameters, because the model couldn't fit it, and it just
21 seems to me that -- I agree with Dave that you're still -- The
22 stock dynamics are still in there, but it just doesn't fully
23 reflect the dynamics in the last few years, but it's probably a
24 better approximation of the full range of dynamics in the stock,
25 because you have it built into the model.

26

27 The interim analysis, to me, has its greatest utility in the red
28 grouper type of scenario, where there is a red tide that has been
29 observed, and you're looking at an index that you think has
30 important information, useful information, to guess whether the
31 spawning stock biomass is taking a hit or not, but these ideas of
32 chasing strong recruitment, and trying to update catch advice based
33 on an index, you know, that might be slightly going up, that, to
34 me, there's a lot of uncertainty there, and I think the uncertainty
35 in the approach is greater than the potential increase in catch
36 advice, at least in the examples that we've seen.

37

38 I think that's not the best way to use this approach. I mean, if
39 you -- It seems, to me, that the interim analysis is most useful
40 to track when you think there's a really negative episodic event
41 or to examine whether you think you need to do an update
42 assessment, because there is something going on that is beyond the
43 scope of the data in the previous assessment.

44

45 For many of these species, even ones like red snapper, that, you
46 know, can live to be sixty, a lot of the recreational fishery, in
47 particular, is in small, young fish, three and four-year-old fish,
48 that are barely recruiting to the fishery, and so, you know, the

1 same thing is true in red grouper, and so if you -- They don't
2 live quite as long, but the same issue of small, young fish, and
3 so, if we're just going to shave down these recruitment pulses,
4 then that goes against the life history of the species.

5
6 I mean, we're meant to be getting to higher biomass levels, and so
7 the stock bounces around, and the recruitment deviations are just
8 part of the issue, and we're not chasing them all the time, and so
9 I think that's probably where the greatest value in this approach
10 is, is to suggest when more substantial analysis has to be done,
11 because we perceive there's an issue.

12
13 **CHAIRMAN NANCE:** Thank you. Katie.

14
15 **DR. SIEGFRIED:** Will, the South Atlantic group did the MSE that
16 you're asking about, and that's where the results come from that
17 say basically that it does an okay job if you -- They tested a
18 number of management procedures as well, but that the interim can
19 do a good job if there's nothing episodic happening in the stock,
20 and so I can -- They just presented to the South Atlantic SSC in
21 October, and the publication, I think, is in review, or accepted,
22 but so that research is happening, and that was motivated by the
23 use of interims that the Gulf started, and the South Atlantic
24 started to want to consider, and so I think we can -- I can provide
25 that to this SSC, as a document, and then we can discuss it at the
26 next meeting, or whenever Ryan has time, but, yes, that's exactly
27 what they did.

28
29 **CHAIRMAN NANCE:** Thank you, Katie. Carrie, please.

30
31 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair. I guess, within
32 the current SEDAR box, we do not have an option to ask for an
33 update assessment right now, and that is my understanding. We can
34 ask for a research track, followed by an operational assessment,
35 and we can ask for an operational assessment, or, outside of the
36 SEDAR process, we can ask for an interim analysis, and so we no
37 longer have these updates available to us to ask for, is my
38 understanding, through SEDAR.

39
40 Regarding the yellowtail snapper assessment, I don't think that
41 was really an interim analysis, like we've been using it, and it
42 was updating the data and then rerunning the model, I believe,
43 versus looking at an independent index, or numerous indexes, and
44 then adjusting the catch advice up or down.

45
46 On gag, the reason -- Well, I guess there's several reasons we
47 haven't been able to do the interim analysis on gag, but, right
48 now, the council has not selected an allocation or an ABC to

1 adjust, should that be the case, the ABC up or down, and so that's
2 another thing that we'll have to keep in mind as we're going
3 through this FES or SRFs or what other type of assessments we're
4 putting the recreational units in. We have to have those decisions
5 before the Science Center can conduct an interim analysis.

6
7 **CHAIRMAN NANCE:** Thank you. Katie, please.

8
9 **DR. SIEGFRIED:** Just -- I am probably similarly, or equally,
10 frustrated with the limitations of the types of assessments that
11 are requestable, but the closest thing to an update is an
12 operational assessment with no topical working groups, and so, in
13 the research track operational guidance, that's the closest that
14 we can get to it, but it's certainly not like what Dave, and
15 others, were recommending, where it's a subset, in order to get,
16 you know, some sort of -- It's a little different, to me, than an
17 update. A true update is updating all of the data sources, and
18 it's not just picking the key data that could influence catch
19 advice and fixing all of the other parameters.

20
21 **CHAIRMAN NANCE:** John Mareska, please.

22
23 **MR. MARESKA:** Thank you, Mr. Chairman. I guess I'm just echoing
24 a lot of points that have already been made, but just recommending
25 that, you know, we don't need to look at an interim assessment
26 every year, or two years, just to avoid that tendency to maybe
27 chase some of those high data points, and maybe look at it two or
28 three years, and then I was going to suggest that, if we see some
29 kind of trend, that we request exactly what Dave was talking about,
30 and some kind of an updated operational assessment doesn't sound
31 possible now.

32
33 Also, I would suggest something similar to Something's Fishy, or
34 check with, you know, the Reef Fish AP, to see what's going on in
35 the fishery, so we have that outside information to kind of also
36 inform the indices that we see, particularly the fishery-
37 independent index, from the bottom longline. Thank you.

38
39 **CHAIRMAN NANCE:** Thank you, John. Ryan.

40
41 **MR. RINDONE:** I just wanted to comment about the idea of, you know,
42 an operational assessment that didn't have any topical working
43 groups and just remind the SSC that, you know, on the frontend of
44 that is a huge data load to get all of those data that went into
45 that assessment.

46
47 **DR. SIEGFRIED:** Sorry, Ryan, but this was an operational assessment
48 that's supposed to be without topical -- So, like Spanish is coming

1 up, and that has no topical working groups, and so that's like the
2 closest that --

3
4 **MR. RINDONE:** Right, but, still, even at the front of Spanish was
5 gathering all of the past life history data and evaluating those,
6 making sure there weren't any changes to those, gathering all of
7 the directed fleet landings, and everything that happens on the
8 frontend of an assessment happens for an operational assessment,
9 regardless of whether there are topical working groups, or
10 regardless of how many there are.

11
12 That body of work is part of why these things end up on -- The
13 operational assessments are on the SEDAR schedule, and why we have
14 to work with the Center for budgeting for the amount of time it
15 takes to get all of that stuff together.

16
17 So, if we were doing something like just updating the landings, it
18 still requires all the landings to be updated and examined and
19 then input into the model, and then, like Dr. Siegfried was talking
20 about, the follow-up from that, and so it's not -- It's not quite
21 as straightforward, but it's also not to say that, at some point
22 in the future, some of those facets couldn't be more automated,
23 which the Center has been working on for a number of years now,
24 and has made some progress, and so just food for thought.

25
26 **CHAIRMAN NANCE:** Thank you. Jim.

27
28 **DR. TOLAN:** Thank you, Mr. Chairman, and a lot of things, again,
29 have been covered, and I like to think -- This may be boasting,
30 but I like to think that I have a little bit of an idea of what's
31 going on within Stock Synthesis, and I will certainly defer to the
32 Science Center folks, as far as what goes on in there, but, in
33 terms of the placement of the indexes into the Stock Synthesis and
34 what is spinning out at the end, unless -- In my mind, unless you
35 have a really good connection between what the index is telling
36 you and what the stock assessment ends up with -- I've always been
37 really, really squishy about setting catch limits, or setting
38 management advice, on the backside of just an index.

39
40 While I think the solution that Dave brought up would be preferable
41 to -- You know, we may have to set a lot of parameters and just
42 fix them, but, at the end of a stock assessment, we, as a group,
43 are happy with those parameters as they stand now, and so adding
44 more data to it, and getting a better feel for what the data is
45 telling you, to me, is a better idea for setting catch advice than
46 just what's the index say, and so that's just my thing, and I've
47 always been really uncomfortable with catch advice just out of the
48 index, and so thank you.

1
2 **CHAIRMAN NANCE:** Thank you, Jim. Doug Gregory, please.
3

4 **MR. GREGORY:** Thank you, Mr. Chair. I am reiterating some of this
5 too, and, with the stock assessments, as Jim was talking about,
6 you know, we started out with only fishery-dependent data, and we
7 all know the potential biases with that, and so the holy grail was
8 to get fishery-independent indices that could help tune the stock
9 assessments, and now we have that, which we didn't have in the
10 beginning, but we evaluate, and we see the variability, and the
11 lack of precision, in some of these indices, but we don't worry
12 about it so much, because it's probably the best we can do, but,
13 now that we're at the interim level, where we're actually setting
14 a catch level based on an index, I am more concerned about the
15 lack of precision of the index.
16

17 This longline index for red grouper, three data points out of the
18 last twenty years exceeds the confidence intervals of the last ten
19 years, and so we've got such wide confidence intervals that the
20 thing that scares me is we start talking about, oh, the stock went
21 up one year, and it went down year.
22

23 With gray snapper, the last year of recruitment was down, and that
24 alarmed some people, and we're chasing our tails, because,
25 statistically, there is no difference between these numbers in the
26 last ten years for red grouper indices, and I don't want to throw
27 the baby out with the bathwater, but I do go along with the idea
28 of use these as a health check, as a heads-up if something might
29 be going wrong, and let's take a closer look at the indices, if we
30 can, and how to maybe improve the precision, but not use it to
31 change quotas year after year.
32

33 I understand why we went to interims, and, back then, we had less
34 of a difficulty getting stock assessments than we seem to now,
35 because of the change in the SEDAR definitions, and there are no
36 more updates, and no more benchmarks, and it's all operational and
37 research, but that's a conundrum we're in.
38

39 The SEDAR people, and NMFS, have to figure that out, with the
40 councils, but I don't think the interim approach for setting ABC
41 is the answer to having less-frequent stock assessments, and I
42 think this needs to be reevaluated, and I understand the reluctance
43 to try to use the indices to set OFL, and then have the SSC set
44 ABC based on these uncertainties, but that might be even more
45 complicated, and so I think they're good for health checks, but I
46 don't think they're good for setting annual ABCs every two years.
47 Thank you.
48

1 **CHAIRMAN NANCE:** Thank you, Doug. Ryan.

2
3 **MR. RINDONE:** Partially to Doug's and partially to Jim Tolan's
4 points, and, like with red grouper, I mean, I take all those points
5 well, especially since what we're hearing from the fishermen, and
6 seeing on the water, is a lot of younger, smaller fish that likely
7 wouldn't be captured by the NMFS bottom longline survey, and, while
8 we saw overages in the recreational sector for 2020 and 2021, or
9 2021 and 2022, excuse me, you know, primarily, where a lot of that
10 recreational fleet is operating is in waters that are going to be
11 shallower than thirty meters.

12
13 Where the NMFS bottom longline survey is operating is in waters
14 there and deeper, or like at and deeper than thirty meters, and so
15 there's going to be a difference in the length compositions that
16 are observed from the bottom longline, versus what's being observed
17 from what the fishermen are telling us that they're seeing, and
18 so, in part of our messaging, and in talking about these things,
19 that's certainly something to convey.

20
21 I think it's also another reason to look at, if possible, more
22 than one representative index, if there's a way to do that, because
23 -- Just like with red snapper, and the NMFS bottom longline survey
24 isn't capturing the younger, smaller red snapper that are present
25 in waters nearer to shore, and so it's a similar issue across
26 multiple species, and so, if there's a solution that could be
27 mapped to that, to try to get a more holistic image of what's going
28 on, then that certainly would be helpful.

29
30 **CHAIRMAN NANCE:** Thank you. Will.

31
32 **DR. PATTERSON:** Thanks, Mr. Chair. Your point is well taken,
33 Carrie, in talking about the sort of box that the council is in to
34 try to get updated advice. I imagine that can be pretty
35 frustrating. It's frustrating for us on this side, looking at the
36 type of science products that we have to review to provide advice
37 to the council, but, you know, I'm wondering, and we've had this
38 discussion before, about whether, you know, it's time to consider
39 not tweaking SEDAR, but like a radial re-envisioning of what the
40 peer review process for assessments are in our region.

41
42 The system isn't working, and we've talked about -- I mean, from
43 what I know, the idea of having these research track assessments
44 would be then that you could update the information, and that
45 should be good for a while, maybe five or ten years, depending on
46 the species, but there were folks who were concerned, when that
47 new approach was announced, that it would just cause more delay,
48 and for two reasons, one because there were some thoughts that the

1 research track process would probably take longer than what was
2 envisioned, and then the second was that there wasn't going to be
3 management advice produced by the research track assessments, but
4 instead then there would be an operational assessment that would
5 follow thereafter.

6
7 We got a great product in scamp, and, I mean, it was -- Especially
8 given the data available, and I thought that was a really solid
9 assessment, but it took a long time to produce, and part of it was
10 COVID, you know, that happened in that time period, but now we're
11 looking at red snapper, and the deadline for just the research
12 track, and pulling into that, is being extended and extended,
13 because of, you know, running into issues with model convergence
14 and trying to get different data sources to work together.

15
16 Something that complex, of course you're going to run into things
17 that cause delays, and so I just -- I recently was made aware of
18 a council motion, from a few years ago, to totally scrap SEDAR and
19 move forward, and apparently it had a lot of support at the
20 council, and I had never heard that, and I don't know what happened
21 with that, but, you know, I just wonder -- We do think so much
22 differently here than in other regions, and other regions have
23 more throughput, and I don't think it's just the amount of
24 personnel available to do assessments.

25
26 It does frustrate me, when we seem to have these sort of
27 bureaucratic, self-imposed handcuffs on what we can and can't do,
28 and that doesn't seem to be very useful, to me.

29
30 **CHAIRMAN NANCE:** Ryan.

31
32 **MR. RINDONE:** Dr. Patterson would absolutely enjoy coming to a
33 SEDAR Steering Committee meeting and seeing the dynamics that are
34 at play there, and it's a -- It's one of those situations where
35 it's a single program that is serving five masters, and six if you
36 include Atlantic HMS. It's the Gulf Council, the South Atlantic,
37 the Caribbean, Atlantic States Marine Fisheries Commission, Gulf
38 States Marine Fisheries Commission for menhaden, and then Atlantic
39 HMS.

40
41 It's a behemoth, and, because it has to serve so many masters, it
42 puts it in a situation where what it provides to all, for equity,
43 is less, and so something that was more regionally specific was
44 played with, a little bit, when we had some BP oil spill money, in
45 2011 through 2013, which is actually how I initially got hired,
46 was being the Gulf's specific SEDAR coordinator and catering to
47 this region.

48

1 That did help a little bit, but SEDAR has experienced level funding
2 for a decade at this point, which was a little bit less of a
3 problem recently, because we moved to a more webinar-based
4 approach, but, in general, the services that are available to be
5 provided to all cooperators are limited, in that regard, and
6 they're also limited by the fact that one Science Center is serving
7 all six of those masters, as well as having to participate in ICCAT
8 and other international obligations.

9
10 Your point is extremely well taken, and each of the cooperators is
11 very sensitive to it, and has probably had some of the same
12 thoughts at different points, but it is definitely resource
13 limited, at the moment.

14
15 **CHAIRMAN NANCE:** Steven Saul, please.

16
17 **DR. SAUL:** Thank you, Mr. Chair. I think this is a really important
18 discussion. To these points, there is actually -- Before the
19 categories of SEDAR changed, which was I can't remember when, maybe
20 four or five years ago or whenever, and you all can remind me, but
21 we used to actually update the assessments with additional data
22 streams and rerun them.

23
24 When I worked for the Center, both as an FTE and an intern, I did
25 that for gag and vermilion, or not gag, but for triggerfish and
26 vermilion, and we've done it for red snapper and other species as
27 well, and, to Ryan's point, I think that I agree, very strongly,
28 that that's the way to go, ideally, in terms of trying to update
29 catch advice and such, particularly because it also maintains a
30 sort of integrated assessment approach that Magnuson advocates
31 for.

32
33 To Ryan's point a few moments ago, five minutes ago or so, it's
34 not that simple, because you have to re-crunch the numbers for
35 landings, and, you know, you can just put the landings stream in,
36 and what we used to do is re-estimate everything, landings and
37 catch per unit effort time series and size distributions, and we
38 did not update the assumptions that went into the way that those
39 numbers were used to develop those indices and size distributions,
40 et cetera, and landings, and so we just took the old code and reran
41 it on top of the new data, to update those input streams into the
42 models, and then we would rerun the stock assessment models.

43
44 That cannot be done nearly as quickly as these sort of index-based
45 approaches. However, I think that -- I also, as someone else
46 mentioned a few minutes ago, have been pretty uncomfortable with
47 taking one fishery-independent index and applying it to try and
48 develop catch advice based solely on that, and I think we're

1 probably -- I understand the rationale for doing it, both from a
2 time consideration and also from the episodic event perspective,
3 for sure, but I think it really misses a lot of the dynamics that
4 are going on with the stock, and I think that that's too bad, and
5 I think that we're probably missing information.

6
7 I would be curious to have clarification from folks, just to
8 clarify if that change in doing things was -- Is reflected, or is
9 due to, the fact that these types of assessments, or the assessment
10 categories, have changed.

11
12 Then I strongly agree with Will's comment, and I think that we do
13 need to reconsider these sort of SEDAR categories of assessment.
14 I realize that imposes probably quite a bit of additional workload
15 on the Center, but I think it would -- In terms of, if they have
16 to update assessments, in the way that we used to do, like I was
17 just describing, but those updated models, I think -- Not I think,
18 but they would provide much more comprehensive advice, with respect
19 to setting, you know, policies and catch limits and such.

20
21 The other important point to reiterate is that, as Ryan mentioned,
22 our region is special, compared to the other management regions
23 and the other NMFS Science Centers around the country, in that the
24 Southeast Center is tasked with not only, you know, reef fish in
25 the Gulf and the Atlantic and the Caribbean, but also the highly
26 migratory species, and so, when you look at the staff to workload
27 ratio of the Southeast Center, including the Miami Lab and Beaufort
28 and Pascagoula and Pensacola, et cetera, and you compare that with
29 the other regions, like the Pacific Northwest, or the Alaska
30 Region, certainly, et cetera, the Northeast, those regions have a
31 much more focused, or somewhat more focused, sort of group of
32 species that they're charged with assessing, and they have more
33 staff.

34
35 I mean, there's just -- The ratio of workload to staff is
36 different, and so I'm not sure how to get around all of this, but
37 I feel strongly that we should try to get back to a way of updating
38 these models as a way to provide interim advice.

39
40 Now, there is a danger in that, which is, if you had these
41 additional years of data, you could destabilize the model, and you
42 hope -- That should not happen, and you hope that does not happen,
43 and, most of the time, it did not happen, but that's also something
44 to be aware of, which could extend timelines and such.

45
46 Then, lastly, these sort of -- I'm glad that people are starting
47 to look at these approaches, from a sort of academic perspective,
48 to see what -- To really understand how they function, or operate,

1 and I think it would be really useful, at some point, for these to
2 be sort of tested against some kind of simulation model, to really
3 see how these interim approaches are performing in comparison to,
4 you know, fully -- To updating existing assessment models with
5 additional years of data.

6
7 **CHAIRMAN NANCE:** Thank you, Steven. Ryan, go ahead, and you'll
8 have the last comment.

9
10 **MR. RINDONE:** Oh boy. I better make it good. I appreciate Dr.
11 Saul's comments, and he's absolutely right about the differences
12 between the Southeast versus other regions, and so some of us, Dr.
13 Chagaris, Dr. Toland, Dr. Patterson, Dr. Nance, and myself went to
14 the National SSC Meeting last August and got to rub shoulders with
15 some of the other SSCs and representatives of some of the other
16 Science Centers, and we got to talk to them and see how a lot of
17 their processes function up there, and they are very different
18 from how things happen in the Southeast and the way that they have
19 some of their scientific work structured.

20
21 I think that word is the important part of it, is "structured".
22 In a lot of cases, they're assessing the same species at some
23 certain interval, you know, within every year, or every other year,
24 whatever it is, and that particular Science Center just -- They
25 turn that out, kind of like our Science Center presently turns out
26 the red grouper interim analysis, and they might just automatically
27 do a stock assessment on this crab species, or this bottom fish,
28 or this whatever it is, every year or every other year, whatever
29 it is, and they are --

30
31 In a lot of cases, they're in some pretty data-rich environments,
32 if we're talking about like the Pacific Northwest, and the Pacific
33 in general, and the New England area, and so they have a lot of
34 data, and they have more commercially-focused fisheries, and so
35 the uncertainty about the majority of their landings is less, and
36 so it's a little bit less of a lift to crank those assessments
37 out.

38
39 They also have more people, and those fisheries are, in some cases,
40 worth considerably more than say the Gulf king mackerel fishery,
41 and so those are some things to consider about the differences.

42
43 When we initially transitioned from the benchmark process to the
44 research track process, the goal was to be able to produce much
45 more comprehensive, and just higher-quality holistic assessment
46 products, through the research track process, without it having
47 the same deadlines tied to it that the benchmark process did. The
48 benchmark process was advertised as being able to be done within

1 about a year, and we were seeing that stretch to fifteen months,
2 or eighteen months, depending on the species and what was involved.
3 Red snapper is in a separate category of its own, obviously.

4
5 Then we would do the operational assessments, and the idea was
6 that we could ask for anything in a research track, and then an
7 operational assessment that was supposed to be more streamlined,
8 but new data could still be considered in it, and the operational
9 would encompass both the standard and the update.

10
11 In practice, the reality of it is that the council doesn't request
12 an assessment because it has nothing to do, and it's requesting
13 that because there's something specific it wants to know, and it
14 probably wanted to know it yesterday and not two years from now,
15 when the assessment is completed and the SSC has reviewed it and
16 the council can start working on catch advice.

17
18 Having that gap between when the science is completed and the
19 management can begin is a continuing problem, and the interim
20 analysis process helped bridge that a little bit, but, like we
21 observed with red grouper at this meeting, there is a limit to how
22 many times you can request one of those before you just get to a
23 point where you guys are not going to be comfortable with it.

24
25 The throughput that we were hoping that would be improved through
26 the research track process hasn't been realized yet, but the
27 interim analysis method has proven useful, so long as we're --
28 Apparently so long as we're not so far out, you know, some distance
29 away, from the terminal year of the stock assessment, and so, when
30 we're thinking about requesting these, I think you guys definitely
31 need to think about that. I think that's what I had.

32
33 **CHAIRMAN NANCE:** Thank you. I will give Carrie the very last word,
34 but, before she -- I just want to thank -- I thought we had a great
35 discussion on that, and there are things that we need to think
36 about as we move forward, and that was a great discussion. Carrie.

37
38 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair, and so we do
39 have a Steering Committee meeting in February, and so, if there
40 are -- I have taken some notes here, and I will look at the summary,
41 but, if there's a motion, or anything like that, that you want us
42 to carry forward to the council, and then consideration of SEDAR,
43 regarding, you know, reconsideration of some type of update,
44 because of these limitations, perhaps, of the interim analysis, or
45 something like that, I think that could be extremely helpful, or
46 maybe we need to have some agenda time, where we're discussing,
47 you know, research track to interim assessment, which is outside
48 of SEDAR, at some point in the future, but I do think we're going

1 to be talking about topical working groups, and that process, and
2 perhaps limiting those for operational assessments, which I have
3 mixed feelings about, and so, you know, if this group is ready, a
4 motion could be helpful for us to take to the council, and then to
5 that meeting, if we're ready, or we can consider further
6 discussion.

7

8 **CHAIRMAN NANCE:** Will.

9

10 **DR. PATTERSON:** I think the conversation here has been useful.
11 Katie has just told us about this research that has been completed
12 now in the South Atlantic, who has some very similar issues to us
13 with reef fish, and reef fish assessments, and I know that Ryan
14 has expressed the intention to have sort of regional research
15 updates in the next few SSC meetings, toward the end, and, if I'm
16 not mistaken, Dave Chagaris is going to talk, next time, about
17 some of his red grouper EwE research, and Josh Kilborn is going to
18 talk about the life history stuff that he just mentioned, and I
19 don't know what else is on the agenda, but --

20

21 **MR. RINDONE:** Steve Saul is going to have a discussion about
22 socioeconomic factors and incorporating them into Stock Synthesis
23 is another one, and then Sean is going to talk about greater
24 amberjack discard mortality rates and give an update about the
25 greater amberjack count.

26

27 **DR. PATTERSON:** Okay, but I'm wondering if, with those two, Josh
28 and Dave's research, if we could combine that with the Klibansky
29 et al. research and really focus on this idea of interim assessment
30 and the MSE that's been done in the Atlantic and at least be more
31 informed about what the results of that have been, and take
32 advantage of that work, and then perhaps we would be at a point
33 where we could suggest maybe reconsidering the current approach
34 and provide some positive advice, as far as potential ways to move
35 forward.

36

37 **CHAIRMAN NANCE:** Carrie.

38

39 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair, and so I think
40 I might have missed the South Atlantic research that you were
41 discussing, but I think that management strategy evaluation --
42 That's for dolphinfish, and is that what you're referring to? No?

43

44 **DR. SIEGFRIED:** I actually emailed Nikolai, Dr. Klibansky, to ask
45 if he would be willing to present it to this group, and he presented
46 it to the South Atlantic. As a presentation buildup, I think it
47 was snowy grouper, black sea bass, red porgy, and vermilion
48 snapper, and it was to look at the performance of interim catch

1 advice, and the title is "Evaluating Procedures for Updating Catch
2 Advice of Reef Fishes Between Stock Assessments with a Management
3 Strategy Evaluation". Cassidy led the MSE on dolphinfish, and so
4 they've been very productive on the MSE front.
5

6 **CHAIRMAN NANCE:** Okay. I'm not really sure -- I'm not ready for
7 a motion, and I'm not sure if somebody else is, but I think, from
8 the discussion, Carrie, you can kind of see where we're heading,
9 but, again, thank you for that discussion, and I think this is
10 important, from the interim analysis standpoint, of what we see
11 those doing and how we want to improve our ability to make
12 decisions, and so, with that, let's go ahead and have our last
13 agenda item of public comments. If we have any individuals here,
14 or online, that would like to -- Okay. Let's go ahead and have
15 our public comment section. Bob Zales, please.
16

17 **PUBLIC COMMENT**

18

19 **MR. ZALES:** This is Bob Zales, and I have listened to -- I caught
20 most of this conversation about the whole SEDAR process and
21 everything with that, and that's the first thing that I am going
22 to mention.
23

24 I know the council has got an outreach section, and the Fisheries
25 Service has one, but I can tell you all, from my many years of
26 dealing with all this stuff, that, when you think Fisheries
27 Service, you think Fisheries Service is pretty much the same across
28 the board, and clearly it's not, and the average laymen, laypeople
29 like me -- The less you're involved with stuff, you really don't
30 understand how the difference in the Science Center in Miami,
31 versus the Science Center wherever, in Alaska or whatever, or up
32 in New England, how they operate.
33

34 People -- As an example, you've got the South Atlantic Council
35 does stuff, and the Gulf Council does stuff, and each does
36 different SEDAR things, and, even though they may work on the same
37 species, they come up with different conclusions.
38

39 People don't understand how that happens, because they think that
40 everything is done standardized, and it's clearly not, and so I
41 would suggest that somebody look at putting out some kind of
42 outreach thing to try to explain the differences between the
43 different regions, the different Science Centers, how the
44 different SSCs operate, so that people have a better understanding,
45 because I represent people across the country, and so I've got
46 people on the west coast asking me, well, why do you all do things
47 like that over in the Southeast, and then I've got people here
48 saying why do they do this up in Alaska, and so on and so forth.

1 It's very confusing to people, because they would think that the
2 service is the service, and, like I said, it's clearly not.

3
4 The other thing, and I'm going to reiterate the issue on the red
5 grouper thing, and I sent out an email this morning to the council,
6 because, currently, on the agenda for the next meeting, that starts
7 in a couple of weeks, red grouper is not on there, and we're
8 requesting that a discussion happen, based on the motion you all
9 passed on Tuesday, because, clearly, we have a serious issue with
10 the fact that the recreational sector continues to exceed quotas,
11 and they continue to have excessive discard mortality, and it is
12 adversely affecting the commercial sector, even though they say,
13 oh, we're closing the recreational side.

14
15 Well, what you do, when you have excess discard mortality, is you
16 reduce the entire quota for everybody, which means the commercial
17 sector gets punished for what the recreational sector is doing,
18 and that shouldn't be. That's not fair and equitable, and that
19 needs to be looked at, and I don't know if this is something that
20 you all need to put out there for a future discussion or whatever,
21 to see how you can address this, but there is clearly a problem
22 with recreational sector overages, and the fact that they don't
23 have to have a payback with red grouper makes it even worse.
24 That's pretty much all I've got to say. Thank you, all. Of what
25 I listened to the meeting, it was pretty good.

26
27 **CHAIRMAN NANCE:** Thank you. Any questions from the SSC? Carrie,
28 please.

29
30 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair. Bob, we will
31 have a discussion of the interim analysis during the council
32 meeting, under the SSC summary. I think that's going to be at the
33 end of the Reef Fish Committee agenda.

34
35 **CHAIRMAN NANCE:** Thank you, Carrie. Michael Drexler, please.

36
37 **MR. MICHAEL DREXLER:** Good afternoon. Thank you, Chair. Thank
38 you for the chance to talk, and thank you for everyone's work at
39 the SSC meeting, and I thought it was a great meeting. I just
40 wanted to chime-in and build on some comments that were made about,
41 you know, some of the concerns maybe about the performance of the
42 interim assessment and where those might fit in a big-picture
43 sense.

44
45 There was a suggestion to create a list of kind of what's been
46 done, and how they've been applied, et cetera, so that the SSC can
47 help understand, you know, how effective they are. I think that
48 suggestion is a good one, and, you know, our council is very stock-

1 specific, which I know is news to no one here, but we don't really
2 have a process step, anywhere in it, to take a cross-sectional
3 look about what's going on, and, you know, there's a lot going on.

4
5 There are patterns happening across multiple stocks. You know, I
6 think we've seen this in some of the status shifts in the stocks,
7 these recruitment regime, or production regime, shifts, and all
8 the technical interactions and target switching that's happening.

9
10 I would suggest something closer to biennial process, maybe just
11 for interim assessments, would be a really valuable tool for the
12 SSC, to help understand, diagnose, and respond to current
13 conditions in the stocks and for the council to better understand
14 what's happening across all of the managed stocks.

15
16 I think, right now, the best synthesis they get is the catch report
17 across all the stocks on an annual basis, and maybe that could be
18 built-out to include things like interim assessments and current
19 status determinations, in addition to catch performance, and so
20 that's just a suggestion, to kind of create a process step to take
21 that big-picture look, and maybe something like that could turn
22 into a more regular specs process that I know other councils do,
23 and some of the east coast councils do take this annual kind of
24 health-cross-sectional check of all their stocks, and so that's
25 something that has occurred, but an interim assessment, and the
26 advice, would be a really great place for that information to land,
27 paired with status determinations, catch advice, and all the other
28 information that's available for stocks that don't have a regular
29 interim update. I appreciate your conversation and work around
30 this, and that's my comment. Thanks.

31
32 **CHAIRMAN NANCE:** Dr. Drexler, thank you. We appreciate you being
33 on, and thank you for your comments. Any questions from the SSC?
34 Okay. Seeing no other public comments, we'll -- Captain Schmidt,
35 go ahead, please.

36
37 **MR. SCHMIDT:** Good morning. I actually wasn't planning on making
38 any comments, but, as you got into the discussion about the interim
39 analysis, and then also some of the comments from Captain Zales
40 regarding how differently the regional councils work, and the
41 different Science Centers, the other night, I was next door, at
42 the ultra-romantic Tampa Airport Westshore Hilton Lounge, and I
43 had a couple of adult beverages with a few of you that are sitting
44 here at the table, and this discussion came up.

45
46 It seems that -- I have a lot of friends in the Northeast, and
47 they fish in the groundfish fishery, and their fisheries are
48 managed completely different than the way things happen here at

1 the Gulf Council, and they have a more timely process, and what I
2 had to say the other night was that -- These were my comments the
3 other day, that we start to see a downtrend, and you do a stock
4 assessment, and stock assessments used to be done a lot quicker
5 than they are now.

6
7 It's taking a year-and-a-half or two years to do an assessment,
8 through the SEDAR process, and then, by the time it gets to the
9 council, and then by the time it goes to public comment, and they
10 have their six or seven meetings, then we've already seen an upturn
11 in the fishery.

12
13 The other thing is fisheries monitoring. If there is a way that
14 we could improve that, because one of my discussions the other
15 evening was that, you know, we have to wait, in the charter
16 industry -- Sometimes we don't know until May when our season is
17 going to be for red snapper.

18
19 Now, we know it's going to open on June 1, but, if I have a customer
20 that calls and wants to book trips on July 22, we have no idea,
21 and some of these people start calling in January, and so, yes,
22 there's a lot of improvement that could be done to the process,
23 and I would imagine, with the advances in technology that are
24 available today, that maybe some of those things could be applied.
25 Thank you.

26
27 **CHAIRMAN NANCE:** Thank you very much for those comments. Any
28 response from the SSC? We'll go ahead and close our meeting, and
29 I appreciate greatly each of you being here and being able to have
30 great discussions, and I appreciate those that are online, and
31 we'll go ahead and close the meeting now.

32
33 (Whereupon, the meeting adjourned on January 12, 2023.)

34
35 - - -
36