

1 GULF OF MEXICO FISHERY MANAGEMENT COUNCIL

2  
3 MEETING OF THE STANDING & SPECIAL REEF FISH, SOCIOECONOMIC &  
4 ECOSYSTEM SCIENTIFIC AND STATISTICAL COMMITTEES

5  
6 GMFMC Office

Tampa, Florida

7  
8 JULY 7-8, 2022  
9

10 **STANDING SSC VOTING MEMBERS**

- 11 James Nance.....
- 12 Luiz Barbieri.....
- 13 Harry Blanchet.....
- 14 Roy Crabtree.....
- 15 Benny Gallaway.....
- 16 Douglas Gregory.....
- 17 David Griffith.....
- 18 Paul Mickle.....
- 19 Trevor Moncrief.....
- 20 Will Patterson.....
- 21 Steven Scyphers.....
- 22 Jim Tolan.....

23  
24 **SPECIAL ECOSYSTEM SSC VOTING MEMBERS**

- 25 Mandy Karnauskas.....
- 26 Josh Kilborn.....

27  
28 **SPECIAL REEF FISH SSC VOTING MEMBERS**

- 29 Michael Allen.....
- 30 John Mareska.....

31  
32 **SPECIAL SOCIOECONOMIC SSC VOTING MEMBERS**

- 33 Luke Fairbanks.....
- 34 Cynthia Grace-McCaskey.....
- 35 Jack Isaacs.....

36  
37 **STAFF**

- 38 John Froeschke.....Deputy Director
- 39 Beth Hager.....Administrative Officer
- 40 Lisa Hollensead.....Fishery Biologist
- 41 Natasha Mendez-Ferrer.....Fishery Biologist
- 42 Emily Muehlstein.....Public Information Officer
- 43 Ryan Rindone.....Lead Fisheries Biologist/SEDAR Liaison
- 44 Bernadine Roy.....Office Manager
- 45 Carrie Simmons.....Executive Director
- 46 Carly Somerset.....Fisheries Outreach Specialist

47  
48 **OTHER PARTICIPANTS**

1 Lisa Ailloud.....SEFSC  
2 Leann Bosarge.....GMFMC  
3 Andrew Bryant.....AL  
4 Shannon Calay.....SEFSC  
5 Michael Drexler.....Ocean Conservancy  
6 Tom Frazer.....GMFMC  
7 Mike Grieco.....FL  
8 Peter Hood.....NMFS  
9 Eric Schmidt.....FL  
10 Katie Siegfried.....SEFSC  
11 Mike Travis.....NMFS  
12 Yuying Zhang.....FL

13  
14  
15

- - -

TABLE OF CONTENTS

1  
2  
3 Table of Contents.....3  
4  
5 Table of Motions.....4  
6  
7 Introductions and Adoption of Agenda.....5  
8  
9 Approval of Verbatim Minutes and Meeting Summary: May 10-11,  
10 2022, Meeting.....5  
11  
12 Scope of Work.....5  
13  
14 Selection of SSC Representative for the August 22-25, 2022, Gulf  
15 Council Meeting in Corpus Christi, Texas.....5  
16  
17 Review: Alternative Model Run for SEDAR 72 Base Model Using  
18 Florida’s State Reef Fish Survey.....8  
19  
20 Review of Discards Data for Gulf Gag, Red Grouper, Greater  
21 Amberjack, and Red Snapper.....74  
22  
23 Review: Alternative Model Run for SEDAR 72 Base Model Using  
24 Florida’s State Reef Fish Survey (cont.).....88  
25  
26 Presentation: A Decision Support Tool for Evaluating the Impacts  
27 of Short and Long-Term Management Decisions on the Gulf of  
28 Mexico Red Snapper Resource.....94  
29  
30 Public Comment.....108  
31  
32 Discussion: Acceptable Biological Catch Control Rule  
33 Modifications.....112  
34  
35 Review: Alternative Model Run for SEDAR 72 Base Model Using  
36 Florida’s State Reef Fish Survey (cont.).....131  
37  
38 Presentation and Discussion: Wenchman Data Evaluation and  
39 Consideration of Stock-Specific Catch Limits.....148  
40  
41 Other Business.....200  
42  
43 Public Comment.....201  
44  
45 Adjournment.....203  
46  
47

TABLE OF MOTIONS

PAGE 45: Motion that the SSC recommends the yield at F 40 percent SPR as the appropriate MSY proxy and the basis for stock status determination criteria for Gulf of Mexico gag grouper. [The motion carried on page 51.](#)

PAGE 52: Motion that the SSC determines that the SEDAR 72 Gulf of Mexico Gag Operational Assessment State Reef Fish Survey Run, based on the combined-sexes SSB, the corrected SRHS data, an MSY proxy of F 40 percent SPR, and the medium red tide scenario is consistent with the best scientific information available and should be used as the basis for stock status determination and management advice. Based on this assessment model, the stock is determined to be overfished and undergoing overfishing. [The motion carried on page 61.](#)

PAGE 69: Motion that the SSC determines that the yields corresponding to the rebuilding schedules based on  $T_{min}$ ,  $T_{min}$  plus one generation time (eight years for gag grouper), and  $T_{min}$  times two, are appropriately calculated and suitable for informing catch advice. [The motion carried on page 73.](#)

PAGE 144: Motion that the SSC determines that the yields corresponding to the rebuilding schedules based on  $T_{min}$  (twelve years at F equals zero),  $T_{min}$  plus one generation time (twelve years and eight years for gag grouper; total twenty years),  $T_{min}$  times 2 (twenty-four years) and 75 percent F 40 percent SPR (nineteen years) are appropriately calculated and five-year OFL and ABC yield streams associated with those rebuilding timelines are suitable for informing catch advice. [The motion carried on page 147.](#)

PAGE 179: Motion that, based on review of catches and historical records, the SSC recommends wenchman snapper be removed from the mid-water snapper complex. [The motion carried on page 186.](#)

PAGE 188: Motion to recommend the council ask GSMFC to work with the five Gulf states to compile historical landings for butterfish, wenchman, scad, and any other associated species from the mid-water trawl fishery for the Gulf SSC evaluation. [The motion carried on page 190.](#)

- - -

1 The Meeting of the Gulf of Mexico Fishery Management Council  
2 Standing and Special Reef Fish, Special Socioeconomic & Special  
3 Ecosystem Scientific and Statistical Committees convened on  
4 Thursday morning, July 7, 2022, and was called to order by Chairman  
5 Jim Nance.

6  
7 **INTRODUCTIONS**  
8 **ADOPTION OF AGENDA**  
9 **SCOPE OF WORK**

10 **SELECTION OF SSC REPRESENTATIVE FOR THE AUGUST 22-25, 2022 GULF**  
11 **COUNCIL MEETING IN CORPUS CHRISTI, TEXAS**  
12

13 **CHAIRMAN JIM NANCE:** Good morning, everyone. My name is Jim Nance,  
14 and I am the chair of the Scientific and Statistical Committee for  
15 the Gulf of Mexico Fishery Management Council. We appreciate your  
16 attendance on this webinar and input in this meeting.  
17 Representing the council, we have Dr. Tom Frazer.

18  
19 Council Staff in attendance include Carrie Simmons, John Ryan  
20 Rindone, Lisa Hollensead, Bernie Roy, Beth Hager, and Emily  
21 Muehlstein. Notice of this meeting was provided to the Federal  
22 Register, sent via email to subscribers of the council's press  
23 release email list, and was posted on the council's website.

24  
25 This week's meeting will include the following topics: Review of  
26 the Alternative Run for the SEDAR 72 Base Model Using Florida's  
27 State Reef Fish Survey; Review of Discard Data for Gag Grouper,  
28 Red Grouper, Greater Amberjack, and Red Snapper; Presentation of  
29 a Discussion Support Tool for Evaluating the Impact of Short and  
30 Long-Term Management Discussions on the Gulf of Mexico Red Snapper  
31 Resource; Discussion of the ABC Rule Modifications; and a  
32 Discussion and Presentation of the Wenchman Data Evaluation and  
33 Consideration for Stock-Specific Catch Limits. We'll also have,  
34 during this meeting, public comments.

35  
36 This webinar is open to the public and is being streamed live and  
37 recorded. A summary of the meeting and verbatim minutes will be  
38 produced and made available to the public on the council's website.  
39 For the purpose of voice identification, and to ensure that you  
40 are able to mute and unmute your line, please identify yourself by  
41 stating your full name when your name is called for attendance.  
42 Ms. Roy.

43  
44 **MS. BERNADINE ROY:** Lee Anderson. Luiz Barbieri.

45  
46 **DR. LUIZ BARBIERI:** Luiz Barbieri.

47  
48 **MS. ROY:** Harry Blanchet.

1  
2 **MR. HARRY BLANCHET:** Harry Blanchet.  
3  
4 **MS. ROY:** Dave Chagaris. Roy Crabtree.  
5  
6 **DR. ROY CRABTREE:** Present.  
7  
8 **MS. ROY:** Benny Gallaway.  
9  
10 **DR. BENNY GALLAWAY:** Benny Gallaway.  
11  
12 **MS. ROY:** Doug Gregory.  
13  
14 **MR. DOUG GREGORY:** Doug Gregory.  
15  
16 **MS. ROY:** David Griffith.  
17  
18 **DR. DAVID GRIFFITH:** David Griffith.  
19  
20 **MS. ROY:** Paul Mickle.  
21  
22 **DR. PAUL MICKLE:** Paul Mickle.  
23  
24 **MS. ROY:** Trevor Moncrief.  
25  
26 **MR. TREVOR MONCRIEF:** Trevor Moncrief.  
27  
28 **MS. ROY:** Jim Nance.  
29  
30 **CHAIRMAN NANCE:** Present.  
31  
32 **MS. ROY:** Will Patterson.  
33  
34 **DR. WILL PATTERSON:** Will Patterson.  
35  
36 **MS. ROY:** Sean Powers. Steven Scyphers.  
37  
38 **DR. STEVEN SCYPHERS:** Steven Scyphers.  
39  
40 **MS. ROY:** Jim Tolan.  
41  
42 **DR. JIM TOLAN:** Jim Tolan.  
43  
44 **MS. ROY:** Rich Woodward. Jason Adriance. Michael Allen.  
45  
46 **DR. MICHAEL ALLEN:** Mike Allen.  
47  
48 **MS. ROY:** John Mareska.

1  
2 **MR. JOHN MARESKA:** John Mareska.  
3  
4 **MS. ROY:** Luke Fairbanks.  
5  
6 **DR. LUKE FAIRBANKS:** Luke Fairbanks.  
7  
8 **MS. ROY:** Cynthia Grace-McCaskey.  
9  
10 **DR. CYNTHIA GRACE-MCCASKEY:** Cindy Grace-McCaskey.  
11  
12 **MS. ROY:** Jack Isaacs.  
13  
14 **DR. JACK ISAACS:** Jack Isaacs, the spiller of coffee, is here.  
15  
16 **MS. ROY:** Mandy Karnauskas.  
17  
18 **DR. MANDY KARNAUSKAS:** Here.  
19  
20 **MS. ROY:** Josh Kilborn.  
21  
22 **DR. JOSH KILBORN:** Josh Kilborn.  
23  
24 **MS. ROY:** Steven Saul. Tom Frazer.  
25  
26 **DR. TOM FRAZER:** Tom Frazer.  
27  
28 **MS. ROY:** Thank you.  
29  
30 **CHAIRMAN NANCE:** Thank you very much. We appreciate all those in  
31 attendance, and I know some of you tried to get here and couldn't,  
32 but I greatly appreciate your efforts in trying to get to the  
33 meeting in person. We will go ahead and look at the agenda. Is  
34 there any changes to the proposed agenda, as printed? Seeing none,  
35 is there any opposition to accepting and adopting the agenda, as  
36 printed? Hearing none, we will go ahead and adopt the agenda.  
37  
38 We've had a chance to look at the minutes and meeting summaries  
39 from our last meeting, and are there any proposed changes to the  
40 minutes or to the meeting summary? Ryan.  
41  
42 **MR. RYAN RINDONE:** Sorry, Mr. Chair, and I forgot we had something  
43 to toss on here from the last council meeting. For the agenda, to  
44 add appointment of up to five SSC members for the collaborative  
45 workgroup with the South Atlantic Council to explore catch limits  
46 for unassessed species.  
47  
48 **CHAIRMAN NANCE:** Perfect. Yes, and thank you for reminding me.

1 We'll go ahead and put that in Other Business.

2

3 **MR. RINDONE:** I knew there was something, and it was like rattling  
4 around up there.

5

6 **CHAIRMAN NANCE:** Thank you, and so we'll go back to the agenda,  
7 just for a moment, and so we proposed, Ryan, that we need to add  
8 that to the Other Business. We had talked about, at the last  
9 meeting, being able to have SSC members from the Gulf added to  
10 that review group, or looking at the catch limits for other  
11 species, when we talked about goliath grouper, and so we're adding  
12 those to Other Business. Katie, did you have anything on the  
13 agenda or on minutes?

14

15 **DR. KATIE SIEGFRIED:** Thank you, Mr. Chair, and I wasn't sure if  
16 I was supposed to bring this up, or if Ryan was going to, but I  
17 have a really brief presentation, right before Lisa's, about SEDAR  
18 72 that I would like to have added to the agenda.

19

20 **MR. RINDONE:** We're squeezing that right in there under the gag  
21 staff, since it's all germane to that discussion.

22

23 **DR. SIEGFRIED:** Okay. Thank you.

24

25 **CHAIRMAN NANCE:** Okay. Perfect. Thank you, Katie, and I'll make  
26 sure that we have you before we get to the main presentation.  
27 Thank you for that. With that change, is there any opposition to  
28 adopting the agenda with that change? Seeing and hearing none,  
29 we'll go ahead and adopt the agenda.

30

31 Is there any opposition or any changes that need to be made to the  
32 minutes and to the meeting summary from our last meeting, which  
33 was May 10 and 11? Hearing and seeing none, we'll go ahead and  
34 adopt the minutes and the meeting summary, without opposition.

35

36 For representation of the SSC at the meeting on August 22 through  
37 25 in Corpus Christi, Texas, I'll be happy to go do that one, and  
38 I will represent the SSC at that meeting. Without any further  
39 interruption then, we'll go ahead and move into our first agenda  
40 item, which is Agenda Item Number V, which is the Alternative Model  
41 Run for the SEDAR 72 Base Model Using Florida's State Reef Fish  
42 Survey. Ryan, would you please give us the scope of work, and  
43 then Dr. Siegfried will present for the Center.

44

45 **REVIEW: ALTERNATIVE MODEL RUN FOR SEDAR 72 BASE MODEL USING**  
46 **FLORIDA'S STATE REEF FISH SURVEY**

47

48 **MR. RINDONE:** Sure. Dr. Siegfried is going to start off with

1 talking to you guys about a correction that was made with regard  
2 to the headboat data that were used both in the SEDAR 72 base  
3 model, using the Marine Recreational Information Program, and the  
4 SEDAR 72 alternative model run using Florida's State Reef Fish  
5 Survey. It's just a few slides on that, and she's going to detail  
6 what that correction was and how it maps into both models.

7  
8 Then Dr. Ailloud is going to continue by presenting the revised  
9 results of those assessments to you guys, and recall the use of  
10 the Florida State Reef Fish Survey was a request from the council  
11 to use those private angling landings in place of MRIP's landings.  
12 The council requested this back in October of 2021, with  
13 diagnostics to see how the SRFS data would perform for gag, which  
14 is currently overfished and undergoing overfishing, regardless of  
15 which model, and so the headboat data issue doesn't have any -- It  
16 doesn't create any difference in that stock status determination.

17  
18 Dr. Ailloud will go through everything with you guys, including  
19 revised management benchmarks and stock status estimates and  
20 projections. You guys should consider all of this information,  
21 and, if you find that the State Reef Fish Survey run is consistent  
22 with the best scientific information available, then you can  
23 recommend it as such, and, if you think it appropriate, you can  
24 recommend revised catch recommendations, as appropriate, for that,  
25 also.

26  
27 Another consideration that we've provided some background research  
28 for you guys to consider is the definition of the proxy for the  
29 fishing mortality at maximum sustainable yield. One of the reasons  
30 for this is that there's a difference in the estimate of stock  
31 productivity that is inherent, based on which data stream you use  
32 for the private angling landings, and the stock productivity would  
33 be estimated to be higher under MRIP, compared to SRFS, and so,  
34 because you have different data streams that tell you -- That paint  
35 just a little bit different picture of the stock's productivity,  
36 you might want to revisit that proxy estimation, and so we're  
37 provided some empirical published research for you guys to look at  
38 for that, and Dr. Ailloud and Dr. Siegfried are both going to touch  
39 on that a little bit, also.

40  
41 In November of 2021, when you guys looked at all this stuff  
42 originally, you had made the determination that  $F_{max}$ , while  
43 appropriately calculated in the model, was not consistent with the  
44 biology of the stock, and just fishing wide-open-throttle like  
45 that was clearly not to the benefit of the stock. Gag seem to  
46 have a susceptibility to episodic mortality from red tide, and  
47 recruitment has been down for a little longer than the last decade,  
48 and so you guys thought some additional conservation measures were

1 necessary to rebuild the stock from its current depleted condition.  
2 I think that maps us to Dr. Siegfried's presentation, Mr. Chair.

3  
4 **CHAIRMAN NANCE:** Thank you very much. I appreciate, Ryan, that  
5 scope of work, and that really did a great job of outlining what  
6 our purpose is today, to be able to look at this, and so, first,  
7 we'll have a presentation from Dr. Siegfried, and then from Dr.  
8 Ailloud, and so, Katie, go ahead and start your presentation,  
9 please.

10  
11 **DR. SIEGFRIED:** Thank you, Mr. Chair. I'm sorry that I couldn't  
12 be there in-person, and we have Shannon there for you, and  
13 hopefully she can answer any questions in the off time that I can't  
14 answer during the actual sessions, but what I'm here to present to  
15 you is just what happened with the headboat data.

16  
17 We very recently learned that the headboat data were pulled with  
18 a code, and it's a SASS code that omitted one headboat area, Area  
19 23, from the landings, and it covers northwest Florida and Alabama,  
20 and so that's going to affect gag, what we're presenting in SEDAR  
21 72. The issue was found in that code when the new analyst for the  
22 headboat survey was trying to run the CVs for SEDAR 68, which is  
23 scamp.

24  
25 There is very little difference, okay, and so on the left is the  
26 headboat Gulf landings in number, and the red line is the -- Sorry.  
27 I accidentally cut off the legend, and the red line is the  
28 corrected, when Area 23 is included in the landings stream, and  
29 the blue line is what was provided previously for SEDAR 72. On  
30 the right is a little bit of perspective for you of what the total  
31 Gulf recreational landings are for SEDAR 72, and, as you can see,  
32 the blue line and the orange line are very, very close. An average  
33 of about 0.5 percent difference in the total landings is what we  
34 have for you here, and then a maximum difference, by year, of 1.6  
35 percent, and so it's very small.

36  
37 It affects two species, scamp and gag, and, because the operational  
38 assessment for SEDAR 68 hasn't been reviewed by the SSC, it's less  
39 of an urgent matter for you to attend to, and that model is being  
40 rerun with the updated data, and you will see it with the corrected  
41 data in September.

42  
43 The gag landings and discards, once this error was found, were  
44 pulled with the corrected code, and it includes Area 23, and that  
45 is what Lisa will be using, or what she has used in all of these  
46 reruns that she has done over the last week-and-a-half that she  
47 will present to you today.

48

1 Although the difference is small, we wanted to rerun all of the  
2 gag models for you, because they are so -- We did this because gag  
3 is so close, in the rebuilding time, between the MRIP-FES-based  
4 model that was reviewed, late last year, and what is in this SRFS  
5 run that the council requested. This rebuilding timeline is still  
6 up for discussion, and, even though it was a really small change,  
7 we wanted to insert this small change in the data, to make sure  
8 that you see all of the information that you need to affect that  
9 timeline for rebuilding, and so it seems like a small change, but,  
10 as you'll see in the presentation with Lisa, it did happen to make  
11 a difference in the rebuilding timeline.

12  
13 We did investigate other -- I shouldn't say "we". The new analyst  
14 for the headboat program did look into other species, and it is  
15 only for scamp and gag, and so we've contained the issue with that  
16 code, and we have made the corrections for you. Are there any  
17 questions about that?

18  
19 **CHAIRMAN NANCE:** Katie, thank you very much for that presentation.  
20 Any questions from SSC members? Doug Gregory, please.

21  
22 **MR. GREGORY:** Oh my god, right out of the gate.

23  
24 **CHAIRMAN NANCE:** Yes, and you should have left your hand down for  
25 a minute.

26  
27 **MR. GREGORY:** I seem to recall that there was some aspect of the  
28 headboat data that was used in the private rec data analysis, and,  
29 if I'm correct, was that aspect of the headboat data reevaluated?

30  
31 **DR. SIEGFRIED:** Lisa will go over that for you in her presentation.  
32 What she had to do is use the new data to influence the historical  
33 calculations, and is that what you're talking about, Doug?

34  
35 **MR. GREGORY:** I don't recall the exact thing, and I think it was  
36 the catch per unit effort from headboats was imputed to some aspect  
37 of private anglers, and, if that was in 72, then, you know, we  
38 should look at it again.

39  
40 **CHAIRMAN NANCE:** Doug, I think you're right, and I think what Katie  
41 is saying is Lisa took that into account, and that's why 72 is  
42 going to be presented also, with both the MRIP-FES data and the  
43 new data from Florida. Katie.

44  
45 **DR. SIEGFRIED:** Yes, with the historical catches reconstructed the  
46 same way they were before, and the headboat landings did have an  
47 effect on those ratios, and so that is corrected, and that's why  
48 we're showing you the old model today.

1  
2 **MR. GREGORY:** Thank you very much.  
3

4 **CHAIRMAN NANCE:** Any other questions? Paul, please.  
5

6 **DR. MICKLE:** Thank you. I'm surprised that it's such a -- I guess  
7 there's a lot of headboats in that area, and I just would think  
8 there would be a larger change, with the addition, and I just want  
9 to say that this is very easy to do. I'm a victim of it, and, in  
10 my case, it was a spatial omission, by accident, analyzing things,  
11 and it got to a point, with some of our service support, for  
12 another line office of NOAA, with NCEI, under NESDIS, and we  
13 actually built-in internal safeguards now, to try to make sure  
14 that, as data changes hands, and we come up with a new idea, and  
15 do a different analysis, or things like that, or new data comes  
16 in, that things aren't bumped-out by mistake, whether it be  
17 handling or analysis, or sometimes your code will just do it, and  
18 I don't really understand it, but it's just a really easy thing to  
19 actually do, and you really -- Unless you build-in fail safes, you  
20 don't catch it, really, a lot of the times.  
21

22 My question is are you all looking into stuff like that, where  
23 this maybe was spatial data, broken up, it seems, with the headboat  
24 data, with the zones, and are you building-in types of internal  
25 policies, or checks and balances to appropriate this, so it doesn't  
26 happen in the future? Thank you.  
27

28 **DR. SIEGFRIED:** Yes, Paul, and I appreciate that comment. I think  
29 everybody who has coded has made mistakes in the past, and it's  
30 unfortunate, but I appreciate that comment. Yes, actually. With  
31 the realignment, the Center is focusing a lot on automation and  
32 quality control and error checking in all of our code. We're  
33 trying to get, and Shannon is there too, but we're trying to get  
34 more eyes on code, and we're trying to get these error checks and  
35 automations moving from SASS code to R code or something where  
36 everybody is using the same code, and we can have more than one  
37 analyst looking at each data product.  
38

39 What we had to do, for this particular error, and I actually looked  
40 at the code with the new analyst, and we had to run it and then  
41 produce a table and eyeball what was going on with the SASS code,  
42 but, with the R code, he caught it right away, and so we are  
43 working towards making sure that this doesn't happen, and I think  
44 the reason we found it is because that's what we're doing at the  
45 Center right now.  
46

47 **CHAIRMAN NANCE:** Thank you. Paul, a follow-up question?  
48

1 **DR. MICKLE:** Thank you, and I appreciate that. I have to do a  
2 plug, I guess, just to brag about NESDIS and NCEI. You know, they  
3 do petabytes worth of data, handling, archiving, storing, and it's  
4 really amazing, and so I always encourage the line offices just to  
5 reach out and have a conversation, and get out of your box a little  
6 bit and just have a friendly conversation, and that's all they do,  
7 is data. They do nothing else on this earth, and it's pretty  
8 amazing, and so those resources are there, and I encourage folks  
9 to utilize them, because I have really learned a lot, since working  
10 with them, and so I just wanted to say that.

11

12 **CHAIRMAN NANCE:** Thank you, Paul. Ryan.

13

14 **MR. RINDONE:** Thank you, Mr. Chair. Just to a comment that Dr.  
15 Mickle made about thinking about, or wondering about why those  
16 landings weren't more significant, that part of gag's range is not  
17 where a lot of the biomass is really located, and most of it is in  
18 west, central, and southwest Florida, and those regions, and  
19 basically from the Big Bend further on south.

20

21 They do catch them up there, and they occasionally catch them in  
22 Texas, but very small numbers of fish, and it wouldn't be like  
23 what we would expect from headboat fleets leaving out of west  
24 central Florida, and so the landings that Dr. Siegfried showed are  
25 only, really, marginally different, you know a percent-and-a-half  
26 to -- I think it was 0.6 to 1.5 percent, and that would seem  
27 expected, based on our knowledge of distributions and landings.

28

29 **CHAIRMAN NANCE:** Thank you, Ryan. Seeing no other questions,  
30 Katie, thank you. I appreciate that presentation, and we'll go  
31 ahead and turn the time over to Dr. Ailloud. Lisa, if you're  
32 ready, we'll go ahead and look at this presentation. I appreciate  
33 your efforts in providing this for us.

34

35 **DR. LISA AILLOUD:** Good morning, everyone. Thank you, Katie, for  
36 the introduction on the headboat issue. I will dive into this a  
37 little bit deeper, and so, first off, I do want to apologize for  
38 the last submission of this presentation, and this error caught me  
39 a little bit off-guard, and I had to make sure that I reran models  
40 and diagnostics, so I can show you accurate results.

41

42 That being said, you will see that most of the information that is  
43 in the report that was submitted a couple of weeks back still  
44 stands, with a few changes to the rebuilding timelines, like Katie  
45 alluded to, but, other than that, in terms of data fits, you will  
46 see some very similar patterns, and so that's reassuring.

47

48 I am going to go over just a reminder of what the council request

1 exactly was for this run, and I'm going to detail what exact  
2 changes were made to SEDAR 72 to address this request, and then  
3 I'll go over model results, diagnostics, and projections showing  
4 both the SEDAR 72 and the SRFS run side-by-side, so you can see  
5 the differences that appear.

6  
7 There was a council request put forth to substitute the Florida  
8 private boat landings and discard time series in the SEDAR 72  
9 assessment from the FES units to the SRFS units, and part of the  
10 TORs was also to detail the methodology used to approach this, the  
11 results, diagnostics, and production results.

12  
13 What were the changes to the data inputs? As you all are aware,  
14 we have a State Reef Fish Survey that is running concurrently with  
15 MRIP, and it started in May of 2015, and so I've put, on the upper-  
16 right corner there, the annual estimates of landings coming from  
17 MRIP and SRFS for those four years, and you can see that there is  
18 quite a difference in magnitude, and thus the request to see how  
19 this substitution to SEDAR 72 affects the rebuild.

20  
21 What time series did I use? Well, there was a time series provided  
22 to the stock assessment team, which is in SRFS units, and it's an  
23 exercise where a single calibration factor was produced, using  
24 those data points from those four years, to convert the MRIP time  
25 series in each year into a SRFS currency, and so you have,  
26 essentially, a single ratio, a single factor, that is applied to  
27 the full time series, and so you can think of it as a scaling-down  
28 of about one-half, and so it's not affecting the trend of MRIP,  
29 but it does affect the magnitude.

30  
31 I show, on the right-hand side, the private plus shore fleet that  
32 is structured in the Stock Synthesis model, and you can see in red  
33 is the time series using the MRIP data for Florida private, and  
34 then, when we substitute that portion with SRFS, and we use the  
35 SRFS variance estimates, we obtain that teal, teal blue, color on  
36 the bottom, and so the top is the catch, and the bottom is discards,  
37 and you can see that, really, it kind of scales everything down,  
38 by about half.

39  
40 I do want to point out that, in the SS model, the recreational and  
41 private shore fleet includes more than just Florida private, and  
42 it includes private and shore modes from Florida, Alabama,  
43 Mississippi, Louisiana, and Texas. That being said, if you look  
44 in any one year, the Florida private portion is usually around 95  
45 percent of the total catches for that year for that fleet, and so,  
46 in essence, most of it had to be recalibrated to SRFS, but whatever  
47 was remaining stayed in MRIP currency, because we don't have a way  
48 to convert that at this stage.

1  
2 Now, any adjustments that were made during SEDAR 72 and decided by  
3 the panel at the time were applied here, and that includes the  
4 discussions on the 1983, a very large peak in the MRIP private  
5 landings that was observed and that was seen as an outlier and  
6 very sensitive to one of the intercept values in the intercept  
7 surveys for that year, and it would adjust it downward, at the  
8 time, for SEDAR 72, using the -- Replacing the value from 1983  
9 with the geometric mean from 1981, 1982, 1984, and 1985, and so I  
10 did the exact same exercise here for the SRFS data and adjusted  
11 that number down.

12  
13 Because we're using a single calibration factor through the whole  
14 time series, that peak was apparent, right, and so I did need to  
15 lower it down the same way we had done in the past, and then one  
16 more change that was done is to adopt those CVs provided by the  
17 SRFS time series and use those in place of the 0.2 that we were  
18 using prior and replace those in the time series of catches and of  
19 discards, and we also had CVs for discards coming from SRFS.

20  
21 Now, this is what, I believe, Doug just alluded to. There is,  
22 also, an impact, and I will come back to it to, with headboat, and  
23 so there's kind of a two-step --

24  
25 **MR. RINDONE:** Lisa, can you hear me? We lost the last about twenty  
26 or thirty seconds of -- As soon as you changed slides, and so, if  
27 you want to start this one over. The slide that's up right now,  
28 if you want to start that slide over.

29  
30 **DR. AILLOUD:** The last adjustment that had to be done for having  
31 the SRFS time series replaced is to adjust the historical time  
32 series of recreational landings, which is 1963 to 1980. If you  
33 recall, that one is calibrated against a mean CPUE from the  
34 recreational, the total recreational CPUE, from 1981 to 1985, and,  
35 given that we're adjusting the private fleet data during that time,  
36 it is affecting the CPUE calculation, and so I had to recalculate  
37 the CPUE for that time, of course making some assumptions about  
38 the relationship between the MRIP and the SRFS CPUE, given that  
39 there was no SRFS effort estimates for that time, and there was no  
40 survey operating, but we could make assumptions and then  
41 recalculate the CPUE and scale down those historical estimates to  
42 reflect that change.

43  
44 Then, finally, this allows us to get a total recreational catch  
45 estimate for each year for 1963 to 1980, and we have to take the  
46 extra step to divide it up between the modes, and this was done  
47 the same way it was done in SEDAR 72, which is to look at the  
48 apportionment by mode from 1981 to 2019, take the average, and

1 then use those ratios to divide up between private, headboat, and  
2 charter, for that chunk of time, from 1963 to 1980.

3  
4 You can see that I have boxed it in yellow here. The historical  
5 time series, what it does is it scales down the influence of the  
6 private catches on that historical time series and scales up,  
7 slightly, the influence of the charter boat and headboat relative  
8 to SEDAR 72.

9  
10 Moving on to the headboat issue, like Katie pointed out, those  
11 modifications were pretty minor, and the error accounted for about  
12 less than a percent, mostly less than a percent, change in the  
13 total recreational catch time series, through time, and you can  
14 see here exactly what it does to the headboat time series, and so  
15 the original time series is shown in red, and you see that, in a  
16 few years, if you add the data that was dropped, you get the blue  
17 line, and those are the corrected time series.

18  
19 You have your landings, on the top-left, for headboat, and your  
20 discards on the top-right, and so, for discards, only the time  
21 series from 1986 to 2007 was affected, because they use a different  
22 methodology beyond that, and so it's a pretty minimal impact there  
23 as well. That being said, like I mentioned, because we are  
24 adjusting headboat, and because, in the historical time period, we  
25 use the ratio of headboats to charter boats to private to assign  
26 -- To apportion the historical catches by mode, it did change  
27 slightly the ratios used in the historical time series to apportion  
28 the catches.

29  
30 I show the results here, and you see a larger change in the  
31 headboat, where the new time series assigns slightly higher catches  
32 to headboats prior to 1980, and, if you look at charter and  
33 private, it's really hard to see. Since the magnitude of catch is  
34 larger, the impact is actually much smaller, and so there is a  
35 slight difference, but it's not a big change.

36  
37 What I want to do now is just show you, step-by-step, differences  
38 between the SEDAR 72 and the SRFS run, in terms of what the  
39 corrections with the headboat did, and so, here on the left, in  
40 the panels, you can see the changes in the data input and how --  
41 What the difference in magnitude of change is for each of these  
42 models.

43  
44 What did it do to the actual model when I replaced the corrections  
45 for the headboats? I did have issues with the private and shore  
46 fleet selectivity parameters. A couple of the parameters from the  
47 double normal shape started bounding, hitting the bounds, and they  
48 were -- They were parameters that already had a high level of

1 uncertainty in the SEDAR 72 model, and it just pushed them towards  
2 that bound, and we don't want a model that has any parameters  
3 really bounding in a base model, and so I investigated what those  
4 selectivity parameters were doing, if the bounding made a  
5 difference, meaning, if I push it off the -- Just going to one, as  
6 I push it off of one, as it was in SEDAR 72, does it really affect  
7 the results, or is it just kind of moving around aimlessly, because  
8 there's not much to anchor it down, and the answer was they were  
9 not that influential, but I did not want any bounding parameters,  
10 and so the decision was to fix those two parameters in the model  
11 so that it wouldn't cause any further issues.

12  
13 That is really the only major modeling issue that I ran into, and,  
14 in terms of changes to the process, the forecasting process, given  
15 that there were corrections made to headboats, it did affect the  
16 interim catches that were input in the forecast, and so I did have  
17 to update those, and we see the numbers listed here, and so they  
18 are slightly higher, given the corrections in the headboat, and  
19 the other change I had to make is that the 2021 red tide value  
20 that we put in our projections -- If you recall, that value is  
21 actually scaled to the magnitude of the 2005 estimated red tide in  
22 those models.

23  
24 I just had to rescale it to this new estimate of 2005 red tide,  
25 which was slightly different, but, as you can see, those numbers  
26 are really close, and so SEDAR 72 moved it from 0.152 to 0.147,  
27 and so fairly minimal.

28  
29 This is just to illustrate the bounding issue that I was talking  
30 about, and you can see here the ascending limb wanting to go to  
31 one, and I did check, and it had no impact on the actual fit to  
32 the age and length composition, and the reason is that section of  
33 the selectivity curve falls where the discards would be.

34  
35 However, we do not have any size information on discards for the  
36 private and shore fleet in the model. We don't have that kind of  
37 data collected, and so it doesn't have a lot of information. It  
38 relies on the ratio of discarded amounts to landed amounts to  
39 figure out where that limb should go, and it does have a little  
40 bit of play with the retention curves in the later years of the  
41 model, where we have management actions coming in that restrict  
42 the timeframe of the recreational season.

43  
44 It's a difficult parameter for the model to estimate properly,  
45 and, as you can see, just moving it down, or fixing it, to what it  
46 was in SEDAR 72 just allows the model not to be so unstable and  
47 without changing the actual fit to the important data stream.

48

1 In terms of fits -- Sorry that it's a little small, but I wanted  
2 to make sure that you kind of got the big picture all in one slide,  
3 and these are all the fits to the indices, and so you have two  
4 lines here, and you can't really see the difference, because they  
5 overlap. The lines are for the original model, before the headboat  
6 correction, and the new model after the headboat correction, and  
7 so the good news is correcting the headboat did not affect our fit  
8 to the indices.

9  
10 Then the same pictures here, but we're looking at the trends in  
11 recruitment, in exploitation rate, and in spawning stock biomass  
12 combined, and you can see here, again, the overlaps between the  
13 old model and the corrected model are really close, and you can  
14 see some small differences. For example, the magnitude of the  
15 2018 red tide shifts the exploitation rate for 2018 up a bit, or  
16 down a bit, sorry, with the corrected data, but we're still within  
17 the very large uncertainty band, and so it's not a significant  
18 difference.

19  
20 **CHAIRMAN NANCE:** Lisa, let's go ahead and see if there's any  
21 questions on data inputs. Any questions from the SSC on the --  
22 Okay. You did a great job on explaining those changes, and I  
23 appreciate that. It doesn't look like there is any questions, and  
24 so let's go ahead and go to the model results.

25  
26 **DR. AILLOUD:** Okay. Thank you. Model results, you all have the  
27 report, and I didn't want to make this presentation too long, and  
28 so I will get to the bottom line, which is, on one end, I just  
29 presented that the headboat corrections had a minimal impact on  
30 the model results and model fits, and, on the other, which you've  
31 seen in the report, is that, in the end, the SRFS run also has  
32 nearly identical fits to the data as in SEDAR 72. By that, I mean  
33 fits to the indices, to length composition, and age composition,  
34 and all of that is detailed in the report, and I will be working  
35 on updating those reports to reflect the headboat correction, so  
36 we have the correct one for our record, but a lot of those  
37 comparisons with the SEDAR 33 update model still hold. Now, I  
38 will go over what differs, and so next slide, please.

39  
40 **CHAIRMAN NANCE:** Lisa, Roy has a question.

41  
42 **DR. CRABTREE:** Lisa, in the fit to the recreational catch  
43 estimates, are you using the CVs on that, or are you using a fixed  
44 CV?

45  
46 **DR. AILLOUD:** The private fleet is now using a CV from the SRFS  
47 dataset, but, everything else, I didn't alter the CVs, and so there  
48 was a fixed CV on headboat, and then -- I would have to check, but

1 I believe charter was a combination of fixed back in time and --  
2  
3 **DR. CRABTREE:** I am mostly interested in the private.  
4  
5 **DR. AILLOUD:** So the private CVs changed, because we were able to  
6 use the SRFS CVs. However, those were fairly large, and so they  
7 still allowed a fair amount of movement around the catches and  
8 discards, in the same way that we had done in SEDAR 72, which we  
9 had allowed fairly large CV around.  
10  
11 **DR. CRABTREE:** So the SRFS CVs aren't significantly tighter than  
12 the --  
13  
14 **DR. AILLOUD:** No.  
15  
16 **DR. CRABTREE:** Okay.  
17  
18 **DR. AILLOUD:** In the recent time, a little bit, in the last few  
19 years, but there are some years where they are even larger.  
20  
21 **DR. CRABTREE:** Okay. Thank you.  
22  
23 **CHAIRMAN NANCE:** Okay, Lisa. Go ahead. Thank you.  
24  
25 **DR. AILLOUD:** Now I will go over what has changed, and what has  
26 changed is looking at the resulting time series of estimates of  
27 the quantities that we're interested in, and so the spawning stock  
28 biomass on the left-hand side, the recruitment on the top-right,  
29 and then the recruitment, in terms of deviations.  
30  
31 What did happen is a scaling-down of the population, and so, if  
32 you're using the SRFS dataset, you're essentially scaling down the  
33 virgin population by a little less than half, compared to the SEDAR  
34 72 run. Now, interestingly, the trend, and even the magnitude of  
35 the spawning stock biomass, starting where the data series enters  
36 in the 1960s, is very close between the two runs. There is some  
37 slight differences, with maybe a slightly larger drop in SEDAR 72  
38 in 2005, and maybe a slightly larger drop in 2014 coming from the  
39 SRFS run, but, essentially, the trend matches really well, and the  
40 depletion level in the terminal year is very close between the two  
41 assessments, and I think we're around -- The total spawning stock  
42 biomass is around 2 percent of virgin in the terminal year,  
43 regardless of the datasets used.  
44  
45 As expected, the recruits also are scaled by about half, and, using  
46 the SRFS data, the virgin level of recruitment is about half of  
47 that that it was in SEDAR, and so the whole -- The time series of  
48 recruits is also a magnitude lower, and then, if we look at the

1 actual recruitment deviations, those are -- The patterns are  
2 actually quite similar, and there are some slight differences post-  
3 2010, where the SRFS run is seeing some recruitment deviations  
4 that are closer to zero, and actually overlap with zero in some  
5 years, and so average recruitment, versus, in SEDAR, you had some  
6 more negative values for the recruitment deviation in 2011 through  
7 2013.

8  
9 As I mentioned, the depletion is similar, if you look at this graph  
10 using fraction unfished for total spawning stock biomass. The  
11 2014 red tide is a little more pronounced in the SRFS run, and you  
12 can see that reflected in the graph for the exploitation rate on  
13 the right-hand side.

14  
15 I dug a little bit more into this 2014 red tide, and I think what  
16 it's -- What seems to be happening is, if you recall, there were  
17 some time blocks at the end of the model for the recreational  
18 fleets, and there were three time blocks to define the changes in  
19 the length of the fishing season for the recreational fleet, and  
20 the fishing season was most restrictive in the 2011 to 2012 time  
21 block. In 2013, those restrictions were lifted a little bit, and  
22 so it's a little bit of a longer season from 2013 to 2015, and  
23 then, in I believe it's 2016 or 2017, the recreational fishing  
24 season expanded yet again, to be much longer in time.

25  
26 What you would expect is, essentially, that the amount of fish  
27 discarded above the size limit would be highest when the season is  
28 most restrictive and then gradually lessen, and this is what that  
29 retention asymptote shows, on the top two panels there. You can  
30 pay attention simply to the asymptote of those curves, and so, if  
31 they are at one for a certain time block, it's saying that 100  
32 percent of the fish from that fleet, from the private fleet, are  
33 being retained, if they're above the size limit, and, if it goes  
34 below that, it says that some of those size limits -- Fish that  
35 are above the size limit are actually having to be discarded,  
36 because they are fishing outside of the legal fishing season.

37  
38 Those are retention parameters that, you know, co-occur with a  
39 couple of red tides. We have the 2014 red tide and the 2018 red  
40 tide, and so it's not -- It's difficult for the model to estimate  
41 those, and it was already a challenge in SEDAR 72, and it's still  
42 a challenge with the SRFS run, but the SRFS run does seem to be  
43 able to estimate the 2013 time block to have an asymptote a little  
44 bit below one, which we would expect, and what that, in turn, does  
45 is that it assigns a little more fish kill to the 2014 red tide,  
46 compared to SEDAR 72, where it wasn't able to define the height of  
47 that asymptote for the private fleet.

48

1 There's a bit of a tradeoff here, but, overall, it doesn't affect  
2 the total exploitation rate so much as just partitioning those  
3 dead fish towards a fleet versus a kill from the red tide.

4  
5 Moving on to diagnostics, these are the diagnostics. Again, I  
6 have -- Sorry. I think I switched those, and I meant to have SEDAR  
7 on the left and SRFS on the right, and I don't mean to make you  
8 struggle, and so those show -- The bottom line is the jitters are  
9 fine. Those models are fairly -- They are well-behaved, and there  
10 is no alternative model with a lower negative loglikelihood, and  
11 there is not much movement, actually, as you start to play around  
12 with initial values and rerun the model, and so this is for 100  
13 runs, and you can just focus on the final plot of each of those,  
14 which is total likelihood. You see that there are a few runs that  
15 converge to a different solution, but it was a worse solution than  
16 the base model run.

17  
18 In terms of the retrospective analysis, both models, SEDAR 72 and  
19 the SRFS run had very well-behaved retrospective patterns, and  
20 what I mean by that is there is no directionality or large gradual  
21 changes, as new data is entered into the equation, and so nothing  
22 to signal here. We were happy with SEDAR 72, and we're still happy  
23 with the SRFS run. This is the spawning stock biomass. Now you  
24 have the recruits, and you see a similar pattern. There's some  
25 movement in the end here, but nothing strong or directional, and  
26 one more slide, and that is the exploitation rates.

27  
28 This diagnostic here is the likelihood profile, and we have SEDAR,  
29 again, on the left-hand side, and SRFS on the right. What I did  
30 here is blow it up, so that, on the top, you can see the shape of  
31 that total likelihood definition around the maximum likelihood  
32 estimate of  $R_0$ , which is around 9.5 for SEDAR and 9.1, I believe,  
33 for SRFS, and then, on the bottom panel, I zoomed-in, just so you  
34 can kind of see what is going on and what each dataset is telling  
35 you about  $R_0$ .

36  
37 I put a little dotted line as the likelihood unit, which is  
38 anything below that is not significantly different from one  
39 another, and the main message here is that those two models seem  
40 to have a fairly similar profile with -- Something we observed  
41 back in SEDAR 72 was a level of disagreement between the length  
42 data and the age data, where the length data tends to pull toward  
43 the lower estimate of  $R_0$ , versus the age data tends to favor a  
44 higher estimate of  $R_0$ , and all the other datasets are somewhere in  
45 the middle.

46  
47 This disagreement between length and age is a little bit  
48 exacerbated with the SRFS run, and you see those orange and kind

1 of greenish-yellow lines pulling farther apart, but, again, the  
2 other datasets are fairly close to each other and in agreement to  
3 the maximum likelihood estimate, and so that data conflict is still  
4 there, and, unsurprisingly, we haven't touched the length or age  
5 data, but, overall, nothing too alarming coming out of this SRFS  
6 run.

7  
8 In conclusion, for the model comparison of SEDAR 72 and the SRFS  
9 run request, the use of the SRFS time series scales down the  
10 population size and recruitment estimates by about half, which is  
11 similar to the ratio used for calibration of the private Florida  
12 landings, but it does not seem to change the actual trajectory of  
13 the stock all that much, or the terminal year, the SSB over SSB  
14 virgin ratio.

15  
16 The diagnostics all look good, and, like I mentioned, the only  
17 real difference that I could detect was a slight increase level of  
18 disagreement in the likelihood profile at R0 for the SRFS run,  
19 but, all in all, very similar models.

20  
21 **CHAIRMAN NANCE:** Let's go ahead, and I'm going to see if there's  
22 any questions on the model itself. We've talked about the data,  
23 and we've talked about the models. Any questions the SSC at this  
24 point of the presentation? I think it was an excellent job in  
25 comparison of the SEDAR 72 model and this new model, and so it was  
26 very well done. Doug Gregory, please.

27  
28 **MR. GREGORY:** Thank you, Mr. Chair. I'm always amazed at how you  
29 all can balance so many analyses and get it all done. Can we go  
30 back to Slide 17? This is tangential, but it influences my way of  
31 thinking, or interpreting, what we're going to talk about next.

32  
33 You know, there's been some questions, by some people, as to why  
34 the last stock assessment, 33, was so much different than this one  
35 and why the population was healthy then, and it's in such dire  
36 straits now, and so I've been bouncing back and forth and looking  
37 at that and just trying to interpret the information.

38  
39 If we look at the spawning stock biomass trend here, we see that  
40 big decline in 2006, which, coincidentally, was right after the  
41 big red tide event, which I'm sure was not the first red tide we've  
42 had in the last thirty or forty years, but it was certainly big  
43 enough to get everybody's attention, and so it appears that that  
44 red tide, or something around that time period, dramatically  
45 reduced the spawning stock biomass.

46  
47 Now, looking over at the recruitment graph, surprisingly,  
48 recruitment wasn't really affected by that red tide. Recruitment

1 was high for gag throughout the 1990s and 2000s. Recruitment was  
2 substantially reduced in 2011, which, in my mind, is coincidentally  
3 the year after the oil spill, and so it's possible the oil spill  
4 affected recruitment of a stock that was already at a low level,  
5 and we see, if we go back to the spawning stock biomass graph, we  
6 see, after 2011, the stock is even at a lower level, and, given  
7 all of the variability in the recruitment -- I did compare the  
8 nine years prior to 2011 and then 2011 to 2019, and the prior years  
9 were twice as high in recruitment, more than twice as high. If  
10 you look at the SRFS data, it was four times higher, if you look  
11 at the SEDAR 72 data, and they're statistically different.

12  
13 It seems, to me, that something affected recruitment in 2011, and  
14 then maybe it was the subsequent red tides that have kind of kept  
15 the population depressed, and that's the trajectory that I see as  
16 to what's been going on with the population, and maybe the  
17 assessments are just now catching up with all this.

18  
19 The other thing that I want to point out, in SEDAR 72, we made a  
20 decision to include male biomass in the assessment, whereas,  
21 previously, only female biomass was included, and, in 2014 and  
22 previously, that made a dramatic difference in the conclusion of  
23 the stock status. In other words, with female biomass only, stocks  
24 were healthy, and that was our conclusion in SEDAR 33. When you  
25 combine males, it is not healthy.

26  
27 The issue of sex ratios is real and irrefutable, and that was  
28 brought to the attention of the stock assessment analysts back in  
29 the 1990s, mid-1990s or late 1990s, and, at the time, their  
30 response was, well, that's fine and good, but we don't see it in  
31 the recruitment, and I want to point that out again. All  
32 throughout the 1990s, and 2000s, even though the sex ratio was  
33 low, and dramatically low, recruitment was not affected by that,  
34 and so that makes me wonder what's the appropriate way to go with  
35 that, because we don't see the evidence of lower recruitment when  
36 we had small sex ratios.

37  
38 We do see it now, but it could be due to these other factors of  
39 the oil spill and subsequent red tides, rather than the sex ratios,  
40 and so I just wanted to point out those two things. Thank you  
41 very much.

42  
43 **CHAIRMAN NANCE:** Thank you, Doug. Any other comments or questions?  
44 It doesn't appear so, and so let's go on to the projections.

45  
46 **DR. AILLOUD:** Thank you, and thank you, Doug, for those comments.  
47 We did have some discussions about the oil spill during the  
48 development of SEDAR 72, and we just didn't have quite enough

1 information, but I think you're right that there is datasets now  
2 for age and length that are showing impacts of certain events that  
3 are detrimental that we didn't have those datasets as clear in the  
4 1990s, and so we are learning more, it appears.

5  
6 Moving on to projections, I just want to start off with reference  
7 points, because there's a bit of a difference here in what I am  
8 presenting versus what you have in your report, and that's because,  
9 when I received the scope of work for the SRFs run, there was  
10 mention to include Fmax as a comparison to FSPR 30. However, we've  
11 had lengthy discussions about Fmax with the SSC, and the SSC had  
12 recommended not to use Fmax for SEDAR 72.

13  
14 We did have a call with -- The Southeast Center had a call with  
15 the SSC Chair and Vice Chair, and there was a request made to also  
16 present SPR 40 percent, alongside FSPR 30 percent, and remove Fmax  
17 from this presentation, since those discussions had already  
18 occurred, and so I will show today the results from both of these  
19 FSPRs and also just remind the group of the conversation we had  
20 around SPR in I believe last fall, so that it's fresh in  
21 everybody's minds.

22  
23 Again, the issue with SPR -- What is it measuring? It's measuring  
24 the fraction by which the F reduces the recruits lifetime  
25 reproductive output, and the big issue, like Doug mentioned, is  
26 that, if you do use SSB female biomass only to measure this  
27 reproductive output, and you have a protogynous hermaphrodite,  
28 then your long-term F may result in some relatively low biomass  
29 levels of males, which can affect long-term yield, and so we've  
30 had this discussion before, and the SSC had decided that, given  
31 the uncertainty surrounding the relative contribution of males to  
32 the reproductive output, it was safer to use combined SSB to define  
33 the spawning stock biomass, and so those are males plus females,  
34 where a kilogram of males is equivalent to a kilogram of females  
35 inside the assessment model.

36  
37 The idea was to provide some buffer, to avoid depleting males in  
38 a state where we are uncertain, really, of the importance of males  
39 to this reproductive output contribution.

40  
41 Now, when deciding what SPR to use, there is the paper that we've  
42 mentioned in the past by Harford et al. that provides a simulation  
43 framework that bases its exploration on a couple of factors, and  
44 one is the differences between gonochoristic species and  
45 hermaphroditic stocks, comparing the two and also adding to the  
46 simulation the uncertainty that we usually have surrounding  
47 steepness and determining -- Giving some level of guidance as to  
48 which level of SPR would be -- Would give you the highest

1 probability of achieving this long-term MSY that we seek.

2  
3 Now I'm just going to summarize the results of the Harford paper,  
4 and it is in the background documents, but I thought that it might  
5 be nice to just show it in one slide, and so what are the results  
6 from this in the simulation framework, and I do have to mention  
7 that this simulation uses SSB females as the measure for the SPR,  
8 but it does paint the picture of what happens the more you know  
9 about steepness and the way you change the level of this SPR.

10  
11 The graph on the right-hand side shows a summary of the results.  
12 What you have here is, on the top row, a situation where you're  
13 very certain about -- You're certain and you're correct about the  
14 steepness level for your stock, and the middle ground, the middle  
15 panel, is where you are less certain about steepness, and so you  
16 might be -- You're making an assumption, but you might be off by  
17 a bit, and then the last one is you really don't know what steepness  
18 is for that stock, and it really could be anything.

19  
20 Then the panels, the columns, the second and third ones, show the  
21 results of the simulation in terms of which FSPR achieves -- Gets  
22 closer to, you know, a B over BMSY of one or a C over CMSY of one,  
23 and so what you bring your eye to is that X mark, where it's been  
24 0.8 and 1.2, and so you're right around one, and which one of the  
25 SPRs maximizes your chance of reaching that.

26  
27 The conclusion of the paper is that, for hermaphroditic stocks, it  
28 is an FSPR 50 percent in the middle ground, where you were less  
29 certain about the steepness level, and that shifts around a little  
30 bit to an FSPR 40 percent, if you're really certain about your  
31 steepness and that that steepness is around 0.8, and then, if you  
32 have a lot of uncertainty, then it's a more precautionary SPR of  
33 60 percent. That is the rundown of the guidance from that paper.

34  
35 Now let me go through the projection results, and then that will  
36 be the last portion of the presentation here. Again, we have the  
37 same projection settings as I had shown for SEDAR 72, and so your  
38 selectivity and retention are set to the levels from 2019, and  
39 that was because there is a minimum size limit change in the  
40 commercial fishery in the last year, and so that's what we're  
41 projecting forward.

42  
43 The recruitment is pulled directly from the Beverton and Holt  
44 stock-recruitment relationship, which again assumes a steepness of  
45 0.85 and a sigma R of 0.6. The interim landings are shown here  
46 for each of the fleets, and I was able to update those compared to  
47 the projections that I showed either in the fall or winter, and so  
48 now we actually do have final estimates for 2020 and 2021.

1  
2 Some of these 2021 estimates were called provisional, but I talked  
3 to the analyst that said they're very close, and there are going  
4 to be very minor changes in the future to those numbers, and then,  
5 in 2022, obviously, there is no estimates yet, but I used the  
6 three-year average of landings from 2019 to 2021, as recommended  
7 by the SSC.

8  
9 You see, in blue, that the headboat values are slightly changed,  
10 to reflect the correction, and you see, in red, the difference  
11 between the interim landings from FES versus the SRFS run, and,  
12 finally, the allocation ratio, again, is the 39/61 from Amendment  
13 30B, and so that is unchanged from when it was calculated back  
14 when we were using the CHTS units, and then the red tide value,  
15 which is scaled to the 2005 estimates, and remember that value is  
16 informed by the Ecosim model, and so externally to SS, but there  
17 is a 2021 red tide introduced into the projections, and the value  
18 for that red tide is slightly different between the SRFS run and  
19 the SEDAR run, and SEDAR is shown in red.

20  
21 **CHAIRMAN NANCE:** Roy, please.

22  
23 **DR. CRABTREE:** Can you back up to the previous? So the allocation  
24 ratio, the 39 -- I guess that's 39 commercial and 61 rec, and is  
25 that what is in the regulations, or in the FMP, for the allocation?

26  
27 **DR. AILLOUD:** Yes, that is the current allocation.

28  
29 **DR. CRABTREE:** Okay, and so that's based on MRIP historical  
30 landings?

31  
32 **MR. RINDONE:** That's from 1986 to 2005.

33  
34 **DR. CRABTREE:** But what currency?

35  
36 **MR. RINDONE:** That was from 30B, which would have been 2014, and  
37 so that would have been CHTS.

38  
39 **DR. CRABTREE:** All right, and so it's not -- The allocation ratio  
40 is not in the same currency as the assessment we're looking at,  
41 and I know we've had this issue before, but aren't we going to end  
42 up needing to do the projections over again, using whatever change  
43 to the allocation ratio, because, presumably, if the council  
44 follows what they've done with red grouper -- If they stick with  
45 the same years, the landings are going to change, and so those  
46 percentages are going to change, and is that correct?

47  
48 **MR. RINDONE:** If you apply the SRFS data to those historical years

1 for 1986 to 2005, you will get a slightly different allocation  
2 scenario, and Lisa has the data to be able to show you what that  
3 looks like.  
4  
5 **DR. CRABTREE:** Okay, but, I mean, we very well might end up needing  
6 to rerun projections, based on a different ratio.  
7  
8 **MR. RINDONE:** Right. We may.  
9  
10 **DR. CRABTREE:** Okay.  
11  
12 **MR. RINDONE:** Then, and Dr. Frazer can comment on this more, but,  
13 at its --  
14  
15 **DR. CRABTREE:** Well, I know that no one knows now, but I'm just  
16 making sure it's clear in my mind that that may change and have to  
17 be revisited.  
18  
19 **MR. RINDONE:** Sure, and you guys can -- You can obviously make  
20 recommendations based on different settings too, and so you could  
21 say that, under these scenarios, OFLs and ABCs are appropriately  
22 calculated, and decisions about allocation are, obviously, the  
23 council's prerogative, and so, depending on what scenario the  
24 council decides to go with, this is the appropriate value that  
25 corresponds to that, and you've done that in the past.  
26  
27 **DR. CRABTREE:** Right, and I would leave that to the council, to  
28 tell us what ratios they want to evaluate, and then the Center can  
29 redo the projections based on those, but I assume that will be  
30 coming.  
31  
32 **CHAIRMAN NANCE:** Thanks, Roy. Tom.  
33  
34 **DR. FRAZER:** I think, in the short-term -- I mean, the council  
35 discussion indicated that they don't want to mess with the  
36 allocation ratios.  
37  
38 **CHAIRMAN NANCE:** Thank you, Tom. Luiz, please.  
39  
40 **DR. BARBIERI:** Right, and so I was going to say that, Tom, because  
41 that was the council's explicit statement, at the last meeting,  
42 but there's also the issue that we're going to actually have to  
43 develop a rebuilding plan.  
44  
45 **CHAIRMAN NANCE:** Yes.  
46  
47 **DR. BARBIERI:** So that formal rebuilding plan will take a little  
48 longer to develop, and that might be able to incorporate all the

1 allocation decisions that the council eventually makes, because,  
2 right now, we are going with an interim rule until this  
3 implementation of this rebuilding plan.

4  
5 **DR. FRAZER:** I think that's right. I mean, moving forward, you  
6 might play with those, but, in the short-term, I think the ratio  
7 is fixed.

8  
9 **CHAIRMAN NANCE:** Okay. Thank you. Lisa, please.

10  
11 **DR. AILLOUD:** Thank you, Ryan, for clarifying, and the  
12 recalculation of that ratio was using the same methodology as was  
13 used in the Amendment 30B, but using SRFS data, and that brings  
14 the ratio to about 35/65, and so it is fairly close. Obviously,  
15 with FES, that would be a different picture, which shifting much  
16 more towards the recreational sector.

17  
18 This is the summary table, and you have your typical reference  
19 points here shown, and I show here -- On the left-hand side, you  
20 have the SEDAR 72 results, on the right-hand side, the SRFS run,  
21 and, for each of those, you have your FSPR 30 percent projections  
22 against your FSPR 40, and so you can see the differences in the  
23 FMSY proxy between the two, and you can also see the differences  
24 in -- The stock status is unchanged, and it is overfished and  
25 overfishing occurring in all scenarios. However, there are  
26 differences in how long it takes to rebuild with an F of zero, and  
27 in terms of how rebuilt the stock is relative to virgin conditions  
28 in the first year of rebuild, depending on the SPR chosen.

29  
30 **CHAIRMAN NANCE:** Okay. Thanks. Just for my own brain here, the  
31 SEDAR 72 data that are presented are the updated with the change  
32 in headboats, correct?

33  
34 **DR. AILLOUD:** That's correct.

35  
36 **CHAIRMAN NANCE:** Okay, and so these are -- While it may have been  
37 a little different with the last SEDAR 72 that we looked at, I  
38 wanted to make sure that everyone realizes that, when we say SEDAR  
39 72 here, these are the values with the updates, and then it's  
40 compared against the SRFS run, which are the values that we just  
41 were given this last time.

42  
43 **DR. AILLOUD:** With the headboat corrections, yes.

44  
45 **CHAIRMAN NANCE:** Thank you very much. John.

46  
47 **MR. MARESKA:** I was just curious if, during these model runs, did  
48 you allow the model to estimate steepness on its own, and was there

1 any difference between the SRFS run and the SEDAR 72 run?  
2

3 **DR. AILLOUD:** No, I did not attempt that. It wasn't attempted  
4 during SEDAR 72, and it wasn't in the TORs for this operational,  
5 and so I don't have an answer for that.  
6

7 **CHAIRMAN NANCE:** Mike.  
8

9 **DR. ALLEN:** Lisa, I had a question about this. On this table, for  
10 the R0 values to be so much higher for the SEDAR 72 than the SRFS  
11 run, but the projections, at the end of the time series, to end up  
12 in the same place, it would seem to me that the stock would have  
13 to be more productive in the SRFS run, to start with a lower  
14 biomass and end up in the same place, and the steepness was set at  
15 the same for both runs, and so I'm curious, and is there anything  
16 in this model that's changing the productivity of the stock between  
17 the runs, and, if so, why not?  
18

19 **DR. AILLOUD:** The level of the spawning stock biomass in the  
20 terminal year of the assessment is very close between the two runs,  
21 and so, if you apply a Beverton-Holt, using the same steepness  
22 value -- If you look at the recruitment differences -- The problem  
23 is the level of recruitment is very low now, and the ratio between  
24 the recruitment of the SRFS run and the SEDAR 72 run is -- I have  
25 to pull up the other table, but there's a magnitude difference,  
26 but everything is at a low level, right, because double a low level  
27 is still pretty low, but the biomass in the final year is really  
28 close between the two runs.  
29

30 **DR. ALLEN:** Right. I see that, and I understand -- That makes  
31 sense to me, but for -- I mean, typically, if R0 is higher, then,  
32 to produce the same kind of trajectory -- Excuse me. If R0 is  
33 lower, to produce the same trajectory, you would need a higher  
34 productivity, a higher steepness, or something else, like size at  
35 maturity or something else changing, and maybe I'm not thinking  
36 about it right, but, when I saw the difference in R0 between the  
37 two runs, the SEDAR and the SRFS run, I thought that that -- To  
38 end up in the same place, it should be a difference in  
39 productivity, with a higher productivity in the SRFS run.  
40

41 **DR. BARBIERI:** Mr. Chairman?  
42

43 **CHAIRMAN NANCE:** Yes, Luiz.  
44

45 **DR. BARBIERI:** Just an idea here, and, Mike, because, for both  
46 assessments, right, you have steepness fixed, and you have M fixed  
47 and the same, and so it's very difficult for the model to adjust  
48 the productivity, going forward, other than adjusting the R0 in

1 the virgin biomass, and it did, right, but, really, it's given no  
2 additional information that would allow it to adjust the trajectory  
3 it's going to follow.

4  
5 **DR. ALLEN:** So productivity is not changing between the two, but  
6 they end up in the same place, I guess because the SRFs run has  
7 lower landings overall through the time series.

8  
9 **DR. BARBIERI:** Right, and, to that point, because this is going to  
10 be an interesting discussion for us going into the ABC Control  
11 Rule, right, and, if they're using a fixed steepness and an SPR  
12 proxy, and having fixed M as well that is input into the model, we  
13 are basically defining the stock productivity, right?

14  
15 **DR. ALLEN:** Yes, and that's basically my question.

16  
17 **DR. BARBIERI:** So, when we look at the ABC Control Rule, being  
18 able to estimate MSY directly and have a valid estimate of  
19 steepness makes a huge difference, and, right now, we are not  
20 properly accounting for that in our ABC Control Rule.

21  
22 **CHAIRMAN NANCE:** Thank you.

23  
24 **DR. ALLEN:** Thank you, Luiz.

25  
26 **CHAIRMAN NANCE:** Thank you, Mike. I think, before we get into our  
27 next slides and our discussion, which is going to be our main part  
28 of this, let's go ahead and take a fifteen-minute break, and we'll  
29 come back at 10:40 Eastern Daylight Time. Thank you.

30  
31 (Whereupon, a brief recess was taken.)

32  
33 **CHAIRMAN NANCE:** Okay. We're ready to start, and we appreciate  
34 all that are on the call. Let's go ahead, and I think this is  
35 kind of a point in the presentation, a point in our discussions,  
36 where we need to kind of talk about what we want to do next. Let's  
37 talk about the model itself and whether this model run that we've  
38 seen, the SRFs run, if there are any issues with what we've seen  
39 within this model. Let's open it up for discussion. Roy.

40  
41 **DR. CRABTREE:** Well, so we reviewed the basic structure of the  
42 model previously and found it acceptable to us for use, and I think  
43 that these new runs are -- There are no issues with them that I've  
44 seen, and so I think they're acceptable. I guess the issue comes  
45 down to how you choose to monitor the fishery going forward, and  
46 I believe that the State of Florida, and I think the council, want  
47 to use the SRFs State Reef Fish program as the basis for monitoring  
48 the fishery, and so, in that case, I think it's appropriate to use

1 the model runs that use landings based on the SRFS system, which  
2 we have now.

3  
4 I don't think we're getting into judgment calls about FES versus  
5 SRFS, and it's really an issue of making sure that the system  
6 you're using to monitor it and the reference points and the ABCs  
7 and the catch levels are all based on a common currency and that  
8 it's done consistently throughout, and I think the Center has done  
9 -- I think Lisa did a great job with the presentation, and I think  
10 the Center has done a great job with pulling all this together for  
11 us.

12  
13 **CHAIRMAN NANCE:** Thank you, Roy. Luiz, please.

14  
15 **DR. BARBIERI:** Thank you, Mr. Chairman, and I don't disagree with  
16 Dr. Crabtree's points. I think that this is all true, but I just  
17 wanted to expand a little bit the discussion, because this is  
18 something that we are discussing also at a regional level of what  
19 the transition team process is trying to achieve and what the  
20 actual MRIP program, working with a variety of partners, is trying  
21 to achieve, in terms of identifying development of these  
22 specialized surveys that would be applied to sample and monitor  
23 more of what's considered more specialized fisheries.

24  
25 The idea here is that this survey was explicitly developed for the  
26 purpose of monitoring this sector of the fishery, taking into  
27 account that you have a much smaller proportion -- The number of  
28 samples, proportional samples, targeting reef fisheries when you  
29 look at the overall universal sampling that MRIP has to accomplish  
30 between the inshore, nearshore, and offshore species, and then you  
31 have differences there, and so, to me, this is kind of like a  
32 natural progression that falls in line, for example, with the large  
33 pelagics survey that the MRIP program has implemented in the  
34 Northeast Atlantic and the Mid-Atlantic regions, basically because  
35 it realizes that, for sampling those large pelagic species, a  
36 generalized survey, like MRIP, may not be picking up all the signal  
37 and doesn't have the appropriate level of coverage, right, of that  
38 fishery, and precision then is compromised.

39  
40 **CHAIRMAN NANCE:** Thank you, and I think, in this case, we really  
41 have, basically, the same modeling approach that we used in SEDAR  
42 72, and we've adjusted the currency that we're looking at here,  
43 and the SRFS data allows us to do that, because it's Florida-  
44 centric, really, and so I think that's good, and so we have a model  
45 that we've looked at, and we talked about that at our meeting in  
46 January, I think, where we looked at the SEDAR 72 base model, and  
47 all we're doing here is we have now a model comparison, and we  
48 have FES data that we've used in what we're calling SEDAR 72, and

1 then we have the SRFS data, which we're calling the SRFS run, and  
2 comparison of those two, but the model really is basically the  
3 same entity we've used in the past. Roy.

4  
5 **DR. CRABTREE:** Yes, and I didn't see anything that indicated the  
6 fits were significantly different between either of the two runs,  
7 and so it's more a matter of scaling.

8  
9 **CHAIRMAN NANCE:** Yes, and I think the scaling was very apparent in  
10 the presentation that was done, and so we're seeing, with landings  
11 and things like that, catch, that we're about half of what we were  
12 with the FES data. Any other discussion on the model itself?  
13 Will, please.

14  
15 **DR. PATTERSON:** Thank you, Mr. Chair. Previously, we've had  
16 presentations about FES in general, and we've talked about FES in  
17 different assessments, those data series, and they've been  
18 accepted as BSIA, and so I agree with almost everything that Roy  
19 said earlier.

20  
21 The one difference of opinion that I have is that it seems to me  
22 that, by switching to the SRFS, or SRFS run, as the best available  
23 science, we're implicitly saying that the SRFS data are best  
24 available and FES is not, and so I think we are clearly choosing  
25 one data stream versus the other, and, you know, we should -- I  
26 think we should make that explicit and not necessarily just  
27 implicit.

28  
29 **CHAIRMAN NANCE:** Thank you, Will. Ryan, to that point?

30  
31 **MR. RINDONE:** Thank you, Mr. Chair. Yes, to Dr. Patterson's point  
32 on that, the SSC, this SSC, the Gulf SSC, has never given a blanket  
33 assertion that MRIP constitutes BSIA for all stocks. Every stock  
34 assessment that you guys have reviewed has been on that single  
35 completed stock assessment project and not -- So it's been species-  
36 specific. I think that past history of decision-making allows you  
37 the flexibility to decide, for certain species, if certain surveys  
38 maybe are more appropriate for that species than others without,  
39 at the same time, saying something like, oh, well, clearly this  
40 one is just, in general, better than this other one. You guys  
41 have addressed everything in a very case-by-case manner, and so,  
42 whichever direction you decide to go in that decision, that's been  
43 your history of decision-making.

44  
45 **CHAIRMAN NANCE:** Thank you, Ryan. Roy.

46  
47 **DR. CRABTREE:** Well, just, Will, I don't think we need to make a  
48 determination, or a statement, about which survey is the best

1 available science, and I think the presentation we heard at the  
2 last meeting about best available science sort of indicated that  
3 we're not making those calls based on individual surveys. I'm  
4 looking at the context of this assessment model, that's gone  
5 through this process and been reviewed and is configured in certain  
6 ways.

7  
8 There are different runs provided, and that's the best available  
9 science that we have. Now, if you believe that you're going to  
10 monitor using SRFS, then that would be the basis for setting the  
11 ABCs and all, but I don't think we want to make a judgment here  
12 about which recreational survey is better than the other, and I  
13 think that leads us down a rabbit hole that we don't need to go  
14 down, and shouldn't.

15  
16 **CHAIRMAN NANCE:** Thank you. Luiz, please.

17  
18 **DR. BARBIERI:** My only question here is whether NOAA legal counsel  
19 -- You know, we need documentation here, from us, as to what those  
20 requirements would be, in terms of which run is going to be  
21 considered the base run to provide stock status determination and  
22 catch advice and whether they need us -- You know, because we  
23 already made a determination previously, and whether we need to  
24 say not which one is the best, but that this one is consistent  
25 with the best available science.

26  
27 I don't know if that's a requirement, but I remember both Mara and  
28 Shep always telling us that this is something that is necessary  
29 for the SSC to make a recommendation to that effect, if we consider  
30 a base run for stock status determination and catch advice, and is  
31 that the case?

32  
33 **DR. CRABTREE:** Well, I don't know, and I don't know if there's  
34 anyone from GC listening or not, but think about what we're seeing  
35 with the assessment and the presentations that we've had. I  
36 haven't seen anything presented to me that bears on the issue of  
37 which one of these surveys is closer to the real estimate, FES or  
38 SRFS. I mean, that's really not what we're talking about here  
39 today. I think that where we're going is they want to use the  
40 SRFS system to monitor this fishery, and, in that case, I think  
41 that's the appropriate base run to use for setting catch level  
42 advice, but that's not making a judgement about which survey is  
43 the best.

44  
45 **DR. BARBIERI:** Mr. Chairman, if I may, this is not really to  
46 determine which one is the best, and I don't see it that way,  
47 because this is not a question that we are prepared to answer,  
48 right, and there is an effort taking place now that the goal is to

1 eventually address that accuracy and precision of all the different  
2 surveys that we have in the Gulf, and that effort is ongoing, but  
3 I think, since we made, as an SSC -- I am thinking about process  
4 here, you know what's needed in terms of process, because we made  
5 a determination before that we need to pick a different base model  
6 if this is going to be based -- You know, used for stock status  
7 determination and management advice, if we need to say that this  
8 is consistent with the best available science.

9  
10 **CHAIRMAN NANCE:** Ryan, please.

11  
12 **MR. RINDONE:** Thank you, Mr. Chair, and so, Dr. Barbieri, something  
13 that you said is exactly the point. When Dr. Lynch came and gave  
14 us the presentation about how the SSC should be making its  
15 recommendations of BSIA to the agency and to the council and to  
16 God and country, if you will, Dr. Lynch had said explicitly that  
17 the SSC's recommendation should be described as this completed  
18 product, which includes multiple analytical products and different  
19 data streams, et cetera, or even multiple models bound together,  
20 is consistent with the best scientific information available.

21  
22 It doesn't reference it as being that one thing is necessarily  
23 better than another, that things are taken on a case-by-case basis,  
24 and it's based on whatever is available at the time, and so, when  
25 you guys are considering what you want to do, it's based on what  
26 is available to you at the time, or, in this case, at this meeting,  
27 and, for this stock, with the data that have been presented and  
28 the analyses completed with this work product, and it means that  
29 it is consistent with it. It doesn't mean that something is  
30 necessarily inherent better than the other, but that it represents  
31 the best product available at the time.

32  
33 **CHAIRMAN NANCE:** Roy, to that point?

34  
35 **DR. CRABTREE:** Exactly, and so I look at this table, and these  
36 numbers are all consistent with the best available science here,  
37 and the ABC we gave, based on the FES run, is consistent with the  
38 best available science, but our task here to present an ABC that  
39 incorporates the SRFS run, and now we have that, and we can give  
40 them that. They're all consistent with the best available science,  
41 but we're not making a judgment call about which one is the best  
42 survey. That's not our job here.

43  
44 I think we just need to be careful how we say it, and how we word  
45 it, and be clear that we're not saying one recreational survey is  
46 superior to the other one, because we don't have any basis to make  
47 that decision, and that's my only --

1 **CHAIRMAN NANCE:** Tom, to that point?  
2

3 **DR. FRAZER:** Well, a couple of things, and I just to gain some  
4 clarity from Luiz, and so, I mean, we talk about the two different  
5 surveys as if they're just completely independent of one another,  
6 and they're not, right, and so that's important to keep in mind,  
7 but, also, moving forward, you know, there's -- You're thinking  
8 about monitoring the fishery, moving forward, using the SRFS data,  
9 right, and so we're trying to make our lives as least complicated  
10 as possible, and so there are some advantages to, in my mind,  
11 looking at the SRFS data and, ultimately, creating a model run, or  
12 a series of model runs, that provide the projections in those  
13 units, because we're going to monitor in those units, but I just  
14 want to make sure that people understand that they're not  
15 completely independent of one another.  
16

17 The assumption is -- Whether we make a decision about which one is  
18 best or not, the assumption is that you are having supplemental  
19 information that are coming from the state that, in theory, should  
20 provide increased precision in your estimates. I haven't seen  
21 that yet, but, in theory anyways, that's what I would be thinking,  
22 and so there's a number of reasons to consider using the SRFS data,  
23 moving forward.  
24

25 **CHAIRMAN NANCE:** Luiz, to that point, please?  
26

27 **DR. BARBIERI:** To that point, Mr. Chairman, yes, exactly, Dr.  
28 Frazer, and I feel that this doesn't really compare the surveys.  
29 It's not that, and it's simply a process. You know, it's  
30 cumulative in nature, and so, the last time, we actually had a  
31 formal motion that was accepted and approved by this committee  
32 that declared that the SEDAR 72 base model represents the best  
33 scientific information available and is suitable for management.  
34

35 If now we're going to use a different base run, and this is why I  
36 was thinking about the legal consequences of this, that we have  
37 to, again, reaffirm that now additional information that we have  
38 obtained, that we didn't have the last time, right, that we can  
39 use now, and that this information is consistent with the best  
40 scientific information available and provides other conveniences  
41 that Dr. Frazer and Dr. Crabtree have brought up, in terms of  
42 monitoring the fishery and greater precision, et cetera.  
43

44 **CHAIRMAN NANCE:** Thank you. Doug.  
45

46 **MR. GREGORY:** Thank you, Mr. Chair. I agree with Luiz that -- In  
47 his statement that is consistent with the best scientific  
48 information available that we concluded, because the two analyses

1 are so similar. It's not like we have a choice here. What we did  
2 last year I think stands pat, and I think what we found, that using  
3 the state data with gag -- That it makes no difference in the  
4 outcome of the analysis.

5  
6 Now, if the outcomes were different, we would have something to  
7 decide. At this time, I think we should ask, or encourage, the  
8 state and National Marine Fisheries Service to use the state data  
9 whenever they're analyzing species that are predominantly from  
10 State of Florida waters, and what means -- If it's 90 percent, 95  
11 percent, from the state waters, I don't know, but, going forward,  
12 we need to look at both runs.

13  
14 We don't drop one over the other, and, so far, FES has stood its  
15 ground, and it's proven itself to be on track with any alternative  
16 that we can throw at it, and so I think we've got more important  
17 decisions to decide today, like F 30 percent or F 40 percent, males  
18 and females, Fmax, and those have a much more dramatic influence  
19 on the recommendation of the SSC than this does, and so thank you  
20 very much.

21  
22 **CHAIRMAN NANCE:** Thank you, Doug. Trevor, please.

23  
24 **MR. MONCRIEF:** I'm glad we had the conversation, at least to this  
25 point, about the two surveys and the findings and everything else.  
26 The one thing I was going to mention is, in my mind, when you look  
27 at the whole picture, and you look at, you know, everything that's  
28 going to occur after the decision is made, in my mind, you've got  
29 a survey here that is strictly for the State of Florida, that  
30 covers the species with targeting sampling, and likely will end up  
31 being robust to changes that we have, or that are going to be  
32 promulgated, on the fishing season.

33  
34 In my mind, I mean, we're not saying which survey is better, or  
35 which one is worse or anything else like that, but we do have this  
36 thought process of we're making a decision, and the ramifications  
37 after that are that, if we go with the state-derived data, we've  
38 got a better, you know, pathway to continue monitoring this  
39 fishery, and so that's all I was going to say, is that, you know,  
40 it seems like SRFs might be a little bit more robust to the changes,  
41 and especially the management changes, we're about to see coming  
42 on the stock.

43  
44 **CHAIRMAN NANCE:** Thank you, Trevor. Will.

45  
46 **DR. PATTERSON:** I was just going to say that I think there seems  
47 to be consensus here, except perhaps for myself. You know, I don't  
48 see the science as the modeling exercise alone, and it actually

1 includes the data that go into the model, and the model results  
2 here do differ. If you look at the benchmarks, they're not  
3 substantially different between the two, and the F current, for  
4 example, as a ratio to the overfishing threshold, is a pretty  
5 similar, but, when you look at R0 and spawning stock biomass 0,  
6 there's quite a bit of difference there.

7  
8 That's going to have implications for rebuilding timelines and  
9 levels, and, in the end, we accepted SEDAR 72 as best available,  
10 with the FES landings, and now we're saying -- If the direction  
11 holds, which I think it's headed, we would be saying that the SRFS  
12 run should be utilized instead, and I don't think it's just as  
13 simple as saying that's how it's going to be monitored, because  
14 these are the landings estimates, and we're not just monitoring  
15 them. We're estimating what the landings are in the fishery.

16  
17 That would be stating, whether it's by the SSC or by the council  
18 or whomever, that SRFS provides more reliable landings estimates  
19 for this fishery, and I fully understand what Ryan said earlier  
20 about not a blanket acceptance of FES earlier, and, you know, the  
21 difference that we see between these two -- It's a little bit due  
22 to the headboat issue that was pointed out earlier, but it's mostly  
23 due to a change in what the landings data stream is. Again, I  
24 don't want to belabor that anymore, but I just feel differently  
25 about what we would actually be saying by that.

26  
27 **CHAIRMAN NANCE:** Thank you, Will. Your points are well taken, for  
28 sure. Any other discussion on this topic? Okay. I think let's  
29 go ahead and -- Let's stay on this slide, I think, and I'm having  
30 a quandary in my brain here whether we go to projections or whether  
31 we talk about FSPR. Ryan, go ahead.

32  
33 **MR. RINDONE:** Yes, that. I think that needs to be -- Because,  
34 ultimately, you guys are trying to trend towards making a  
35 recommendation about what is in fact consistent with BSIA, and  
36 what you technically have in front of you right now are four  
37 models. You have two that use MRIP, one under 30 percent SPR and  
38 one under 40 percent SPR, and two that use SRFS, 30 percent and 40  
39 percent SPR.

40  
41 They all have a fixed steepness, and they all have medium red tide  
42 severity from the Ecosim model input into them, but those are the  
43 main differences. Whether you're assuming a historically larger,  
44 more productive stock, as is characterized by MRIP, or a smaller,  
45 not quite as productive stock, as characterized under SRFS, and  
46 so, at this point, considerate of some of the things that Doctors  
47 Siegfried and Ailloud mentioned about productivity and  
48 hermaphroditic species and references to Bill Harford's work and

1 that of his colleagues about whether you should have some  
2 additional consideration of that FMSY proxy, and so, once you guys  
3 get past that, and you narrow down a singular model of those four,  
4 then I think you could get to that consistent with BSIA motion.  
5

6 **CHAIRMAN NANCE:** Okay. Thank you for that clarity. Let's go ahead  
7 and discuss -- So, as Ryan pointed out, we do have four models, in  
8 a way. We have SEDAR 72, with both FSPR 30 and FSPR 40, and we  
9 have those same within the SRFs runs. Doug, please.

10  
11 **MR. GREGORY:** Thank you, Mr. Chair. Going off that, the report  
12 itself also includes a number of tables with Fmax, and the  
13 presentation does not, and I think that is -- The presentation  
14 includes a new analysis with SPR 40, and so the presentation, in  
15 that sense, is incomplete, to me, because I think Fmax should still  
16 be on the table.

17  
18 **CHAIRMAN NANCE:** Last time, and from my recollection, when we met  
19 in January, and we talked about moving into males and females  
20 combined sexes, and the Center presented a great analysis showing  
21 why Fmax had been used previously, that we, as an SSC, took Fmax  
22 off the table, because it seemed insistent with where we wanted to  
23 go with our analyses, and Fmax was going to produce something that  
24 was like an SPR 6, or something like that, if I'm recollecting  
25 correctly, and so I'm not sure it's wise to have Fmax on the table,  
26 and that's why it wasn't presented.

27  
28 Now, if there are others, and I will give the option here. If  
29 there are others on the SSC, and, Doug, I will include you for  
30 sure, and, if there are others that want to see Fmax discussed and  
31 back on the table, certainly I would entertain that.

32  
33 **MR. GREGORY:** Well, just let me continue my train of thought.

34  
35 **CHAIRMAN NANCE:** Go ahead, Doug. Yes.

36  
37 **MR. GREGORY:** If you look at the tables in the report, 27, 28, 29,  
38 30, one table for each stock assessment run and for each assumption  
39 of proxy of 30 percent or Fmax. When you look at the F 30 percent  
40 tables, it shows that the stock itself, spawning stock biomass,  
41 was overfished since the 1970s. If you look at the Fmax tables,  
42 it shows that it didn't become overfished until after 2005.  
43 Coincidentally, the big red tide.

44  
45 I just find it hard to believe, and I understand what you're  
46 saying, and I understand why we made the decision we made, and  
47 maybe we should talk about that, because now we're being -- We're  
48 facing a similar situation between F 30 and F 40, and we're kind

1 of being pushed into F 40, it seems like, but just look at the  
2 analysis. Look at the data coming out of the model.

3  
4 It doesn't make sense, to me, that overfishing -- That the stock  
5 has been overfished since the 1970s and that management had no  
6 substantial impact on that for all these years. That just does  
7 not make sense, and that's the only reason that I bring Fmax up,  
8 because the results of modeling F 30 percent just does not make  
9 sense to me. Thank you.

10

11 **CHAIRMAN NANCE:** Thank you, Doug. Katie.

12

13 **DR. SIEGFRIED:** Thank you, Mr. Chair. I just wanted to address  
14 the comment about the presentation and the concern. I mean, as  
15 Doug stated, the Fmax projections are in the report. However,  
16 there still needs to be the understanding that those aren't with  
17 the updated headboat data, and, when we met with council staff and  
18 the SSC Vice Chair, and I think, Jim, you weren't able to attend,  
19 but you were briefed about what we discussed, but that F 40 was  
20 looked at because of the fact that now both of these runs had a  
21 Tmin of ten, which is basically shutting down the fishery, and so  
22 we wanted to reconsider F 40, which the Science Center presented  
23 two SSC meetings ago.

24

25 It's not like it's coming out of nowhere, but there is no physical  
26 way for Lisa to have done all of that in the last week, and I don't  
27 mean to be defensive, but all of that is there for you to discuss,  
28 except for the headboat correction for Fmax, and we were actually  
29 pretty confused about why Fmax was asked for in the TORs, when it  
30 was rejected by the SSC, but she did carry those out anyway, and  
31 I just wanted to give some background to the group about the status  
32 of the presentation and why we would be bringing FSPR 40 when it  
33 wasn't requested in the TORs. Thanks.

34

35 **CHAIRMAN NANCE:** Thank you, Katie, and I was on that call where we  
36 talked about SPR 30 and 40, and I wasn't able to make the call  
37 where we talked about the headboat issue.

38

39 **DR. SIEGFRIED:** You're right. Sorry about that.

40

41 **CHAIRMAN NANCE:** No, you're fine. You're fine, and we've had so  
42 many calls that it's easy to be confused. Ryan.

43

44 **MR. RINDONE:** Thank you, Mr. Chair, and so I was on that call also,  
45 and an important -- Probably the most important reason that F 40  
46 percent was being considered though was because, under SRFS, SRFS  
47 is estimating that the stock is less productive than it is under  
48 MRIP, and, considerate of the fact that gag have simply not been

1 recruiting well over the last twelve, thirteen, fourteen years,  
2 and they don't seem to be rebound from red tide very well, and it  
3 just lines up a lot with what Harford et al. had discussed, in  
4 multiple publication about this, that, for a species like gag, it  
5 might be more appropriate to have a more robust spawning stock  
6 biomass, to be able to weather the storm, if you will, of having  
7 these multiple red tides.

8  
9 We seem to get one every few years, and we have no idea how bad  
10 they will be in any given year, but, you know, gag don't do a great  
11 job of swimming out of them, and they don't seem to have that red-  
12 grouper-like response to recruitment that follows a red tide. Red  
13 grouper, for whatever reason, seem to recruit very well following  
14 red tides, and gag don't, and so, considerate of the lower amount  
15 of productivity estimated from the SRFS run and these other things  
16 that I mentioned, that was why all of the Harford background  
17 material was provided and we had asked that the Center do a run at  
18 40 percent SPR.

19  
20 **CHAIRMAN NANCE:** Thank you, Ryan. Katie, just -- You know, I  
21 really do appreciate all that the Center has done this past week,  
22 and, Lisa, I appreciate all the nights that you spent being able  
23 to accomplish that. Doug, please.

24  
25 **MR. GREGORY:** Thank you again, and I reinforce what you just said  
26 about all the work and what the Center has done, and I'm not trying  
27 to detract from that. I see the conundrum we're in, and it's the  
28 ten-year rule. The ten-year rule is an arbitrary determination by  
29 National Marine Fisheries Service in their standard guidelines.  
30 It is not in the Magnuson Act, and here we are being pushed into  
31 a direction of management, based on that one arbitrary rule.

32  
33 It would be nice if we could -- If the council, or the Regional  
34 Office, could stand up to those guidelines and say we realize that  
35 this is the situation, but it's not productive to close the  
36 fishery. Therefore, we have a rebuilding plan. Even though an F  
37 of zero, F equals zero, under Fmax, it could be rebuilt in ten  
38 years, that's not appropriate. I think we could make an argument  
39 that we should be able to manage this fishery reasonably and  
40 logically, without being dictated to by an arbitrary ten-year rule.  
41 Thank you.

42  
43 **CHAIRMAN NANCE:** Thank you, Doug. Shannon, please.

44  
45 **DR. SHANNON CALAY:** Thank you, Chair. I wanted to make a couple  
46 of clarifications. One, there has repeatedly been a statement  
47 that the SRFS run indicates a stock with a different productivity.  
48 Because many of the stock-recruitment parameters are fixed,

1 steepness is fixed, in this case, that's not entirely true, but  
2 what is certainly true is that the magnitude of the landings  
3 changes substantially, and so the FES run had much higher removals,  
4 and, therefore, it starts with a higher SSB0 and R0 to maintain  
5 those through the model, to maintain that historical record of  
6 removals. It really is more, in this case, a feature of the  
7 removals that we're assuming, rather than a change in productivity.  
8

9 However, you know, if we had started from a benchmark model, and  
10 we had investigated the changes in steepness, you might see exactly  
11 the effect that Ryan is describing, and so I just wanted to make  
12 that clarification, and then the second clarification, or  
13 statement, really, that I wanted to make, on the part of the  
14 Science Center, is that I am not a lawyer.  
15

16 Certainly we have investigated, other times, whether we could  
17 create rebuilding plans that -- F equals zero assumes no discards,  
18 which is clearly not likely to happen, right, and you would have  
19 to shut down even the dead discards, and so we have had these  
20 conversations with GC, General Counsel, and certainly they are of  
21 the opinion that the National Standard Guidelines do dictate that,  
22 if you can recover in ten years, you are required to, at F equals  
23 zero, and so I don't know. It would be better to discuss that  
24 with a lawyer, or a General Counsel representative, and I think  
25 SERO has those folks on staff who could address that question.  
26

27 **CHAIRMAN NANCE:** Shannon, thank you. Roy, to that point?  
28

29 **DR. CRABTREE:** Well, just to -- I want to be clear that this is  
30 not about NMFS guidelines. The ten-year provision is in the  
31 Magnuson Act, and so it's not something NMFS can change. The issue  
32 of how exactly you determine that, okay, that's guidelines, but  
33 the ten-year is a requirement of the Magnuson Act.  
34

35 **CHAIRMAN NANCE:** Thank you, Roy. Katie, please.  
36

37 **DR. SIEGFRIED:** Thank you, Mr. Chair. I appreciate being able to  
38 speak on these topics, and I know I'm not on the SSC, and I  
39 appreciate Roy's comment there, because I did have conversations  
40 with folks at SERO, just this week, about this ten-year rule and  
41 how we determine the ten years.  
42

43 That's something that Lisa will go over in the presentation, and  
44 we want to make that explicit, how that was calculated, for you  
45 all to take a look at, and then, you know, we also lamented, as  
46 colleagues often do, about this ten-year rule, because it's not  
47 good for anybody, and it's never a good result, and it's difficult  
48 to understand how it works the same like for pollock as it does

1 for a multi-species fishery like in the Southeast.

2  
3 We share your frustrations about that, and we often talk about it,  
4 and we've been asked to provide feedback about it at our level of  
5 NMFS, and so just so that you know we share those opinions.  
6 Hopefully we can address those specifications, like Roy just  
7 outlined, explicitly with this SSC, because I think that is so  
8 important.

9  
10 Then, to Ryan's point about Harford, I do think it's worth talking  
11 more about why we're considering FSPR 40 percent. Like I said  
12 earlier, we did bring this up when we presented the base run for  
13 SEDAR 72, because we were moving to total biomass, and we wanted  
14 to sort of understand the impacts of our proxy choices, and, when  
15 we moved from Fmax to F30, we talked about this before, and so,  
16 you know, Lisa already showed you some of those slides, but, you  
17 know, we're prepared to talk in more detail about what the  
18 assessment and data would support, given the Harford simulations.  
19 It's not just a matter of productivity, and it's a matter of what  
20 we assume for this hermaphroditic stock and what we think our data  
21 are telling us. Thank you.

22  
23 **CHAIRMAN NANCE:** Thank you, Katie. Harry, please.

24  
25 **MR. BLANCHET:** A lot of what I would comment on, Shannon already  
26 pointed out, and so I guess the concern that I have is, in the  
27 table that we're looking at right now, where we are right now is  
28 we have an SSB over B0 of about two-point-something percent.

29  
30 The point is that, if you close gag to all fishing, that's all  
31 fishing off the west coast of Florida, essentially, because,  
32 otherwise, you're not going to be able to achieve that ten-year  
33 rebuild, and that seems like a fairly big challenge. I'm  
34 struggling with it. Sorry.

35  
36 **CHAIRMAN NANCE:** Harry, thank you. Roy.

37  
38 **DR. CRABTREE:** Well, I think we ought to set aside the ten years,  
39 for the moment, and focus on the reference point. I think we have,  
40 in past discussions, and I think the literature and the Science  
41 Center have been clear that Fmax is simply not an appropriate  
42 reference point, but the issue of what SPR is appropriate -- This  
43 is something we've been talking about for at least the last ten to  
44 twenty years, and I think, if you look at the information in that  
45 paper that was briefly discussed by the Center -- I mean, no one  
46 knows exactly what SPR is, the correct one, because we don't really  
47 know what MSY is, but it's clear to me that 30 percent is likely  
48 to be on the low end of SPR, and probably something in the realm

1 of 60 percent is getting on the upper end, and so I would say that  
2 40 percent is probably more towards the middle of the range of  
3 likely proxies, and 30 percent is probably at the lower end.

4  
5 Now, ultimately, the council will have to change this, and they  
6 will have to make a decision about what the reference point is  
7 going to be, because it's in the FMP, and the council has to change  
8 the FMP, and so they would have to go through an amendment process  
9 and look at a reasonable range of alternative SPRs, and I don't  
10 think Fmax is worth evaluating, except it may have to be, as the  
11 status quo, because I don't think it's been changed from that, but  
12 it does seem to me that 40 percent is worth evaluating.

13  
14 I think we can weigh-in on that, that we maybe think that's closer  
15 to the median distribution, and so it might be more appropriate,  
16 but I don't think you can say that 30 percent is obviously wrong,  
17 or inappropriate, and I think though it's more aggressive, and  
18 it's probably more out on one of the limbs of probability. 40  
19 percent, or even 50 percent, is probably more likely to be closer  
20 to what the real number would be, if you could estimate it.

21  
22 **CHAIRMAN NANCE:** Thank you, Roy. Luiz, please.

23  
24 **DR. BARBIERI:** Thank you, Mr. Chairman, and I agree completely,  
25 Roy. I mean, the idea here, when choosing a proxy, right, is try  
26 to find something that captures the vulnerability of the stock and  
27 the life history attributes, right, and so, in this case, I think  
28 we've seen, given the issue with the sex ratio and the mating  
29 system that gag exhibits and the susceptibility and vulnerability  
30 to red tide events, that going with something like the SPR 40  
31 percent would be appropriate.

32  
33 Of course, having that confirmation, looking at the Harford paper,  
34 helps, because then we see a broader range there, and we see where  
35 the mode, or the more likely value, for that proxy would be, but  
36 this is not something that is coming out of nowhere. I mean, you  
37 may remember that the SSC had this discussion, way back when, when  
38 the original SEDAR 33 was presented to the committee, and, at that  
39 point, this discussion of going potentially with an SPR 40 percent  
40 was already had, because of those vulnerabilities and because, at  
41 that time, the erosion of the proportion of males in the population  
42 and the vulnerabilities and the life history associated with this  
43 mating system.

44  
45 Basically, it made the committee feel like a more conservative  
46 reference point was appropriate, and so I will be in support of  
47 something -- Us recommending to the council a change to SPR 40  
48 percent.

1  
2 **CHAIRMAN NANCE:** Thank you, Luiz. Any other comments to that  
3 point?  
4

5 **MR. GREGORY:** Yes, Mr. Chair.  
6

7 **CHAIRMAN NANCE:** Doug, please. I'm sorry. I see your hand up  
8 now. Thank you.  
9

10 **MR. GREGORY:** Just one short thing about the Magnuson Act. The  
11 Magnuson Act says that rebuilding should occur in ten years or  
12 less, unless environmental conditions, management requirements,  
13 blah, blah, blah, dictate otherwise. The F equals zero equivalent  
14 to ten years is in the National Standard Guidelines and not the  
15 Magnuson Act.  
16

17 That said, I don't disagree with the logic that Roy and Luiz are  
18 putting forward. My only concern is that the result of going to  
19 30 percent SPR, and not even talking about the result of 40  
20 percent, which has not been modeled and presented to us, as far as  
21 the spawning stock biomass trajectory, but I find it hard to  
22 believe that the spawning stock biomass of gag grouper has been  
23 below 50 percent since the mid-1970s. That's just incredible, and  
24 that's what we're accepting, going forward, that this population  
25 has been overfished since before the Magnuson Act and that Magnuson  
26 management hasn't done much of anything to rebuild it. That's  
27 been my main concern, and so thank you very much.  
28

29 **CHAIRMAN NANCE:** Thank you, Doug. Certainly uncertainty has been  
30 pointed out with all of these estimates, and I think, from a  
31 logical standpoint, you know, an FSPR 30, versus an SPR 40, I think  
32 what I heard in the presentation was that an SPR 40 provides a  
33 buffer that allows us to avoid depleting the males, which is kind  
34 of what we've seen in the assessments thus far, is we started out,  
35 I think, with SEDAR 33, if I'm not mistaken, where we used female  
36 only, and this last one, as was presented in some of the life  
37 history information, is that we've seen a big depletion of the  
38 males, and I think that's coming to be an issue, and that's why we  
39 looked at not having a female-only value, but we looked at males  
40 and females, and we got off of Fmax and went to SPR 30.  
41

42 I think, with the SRFS runs, we're looking at those, and we may  
43 not be as higher level of landings and those types of things, but  
44 I think it's good to have a discussion on whether we want to  
45 recommend an FSPR 40, which I think is conservative.  
46

47 It's not as conservative as some of the literature shows it may  
48 be, but certainly it's better than Fmax, and we looked at SPR 30

1 last time, and we were comfortable with it, but maybe we want to  
2 look at SPR 40, which is a little more conservative level, and  
3 avoid really depleting the males in this fishery. Any discussion  
4 on that? Luiz.

5  
6 **DR. BARBIERI:** Thank you, Mr. Chairman. Actually, I can offer a  
7 motion, if you would be willing to entertain one at this point?

8  
9 **CHAIRMAN NANCE:** Absolutely.

10  
11 **DR. BARBIERI:** I will send this to Bernie, and I didn't yet,  
12 Bernie. **The SSC recommends F 40 percent SPR as the FMSY proxy and**  
13 **the basis for status determination criteria for Gulf of Mexico**  
14 **gag. Accordingly, the SSC recommends that projections based on F**  
15 **40 percent SPR --** Let me just email this to you, Bernie. I'm  
16 sorry.

17  
18 **CHAIRMAN NANCE:** Bernie, I am always amazed how fast you're able  
19 to put in something while they're speaking. It's okay.

20  
21 **DR. BARBIERI:** Bernie, my apologies. That was my fault.

22  
23 **CHAIRMAN NANCE:** So we've sent that. Just a moment, and we'll  
24 have that up, but Luiz has sent his motion to meetings, to be able  
25 to put it up there.

26  
27 **DR. BARBIERI:** I guess the only correction there would be either  
28 we change the "MSY", in the text that I sent you, to "FMSY", or we  
29 change the "yield at 40 percent" to --

30  
31 **CHAIRMAN NANCE:** Go ahead and read your motion, Luiz, please.

32  
33 **DR. BARBIERI:** **The SSC recommends -- Let's change that to yield at**  
34 **F 40 percent SPR.**

35  
36 **CHAIRMAN NANCE:** Yield at 40 percent SPR.

37  
38 **DR. BARBIERI:** **As the MSY proxy and the basis for status**  
39 **determination criteria for Gulf of Mexico gag. Accordingly, the**  
40 **SSC recommends that projections based on F 40 percent SPR and the**  
41 **medium red tide scenario be used to establish OFL, ABC, and**  
42 **rebuilding schedules.**

43  
44 **CHAIRMAN NANCE:** Okay. Thank you. Do we have a second for this  
45 motion? Mike Allen has seconded that. Is there discussion,  
46 please? Ryan is going to -- Did you send them to Bernie, or are  
47 you going to go ahead and --

48

1 **MR. RINDONE:** I am just going to blab them at you, and you can --  
2  
3 **CHAIRMAN NANCE:** That's fine.  
4  
5 **MR. RINDONE:** The SSC recommends the yield at F 40 percent SPR as  
6 the appropriate MSY proxy and the basis for stock status  
7 determination criteria, or stock status determination criteria for  
8 Gulf of Mexico gag grouper. Accordingly, the SSC recommends that  
9 -- You still need your consideration of BSIA, if you're going to  
10 be recommending catch limits, Luiz, and so how you want to  
11 incorporate that in here I guess would be some artistic license.  
12  
13 You could say, accordingly, using projections based on F 40 percent  
14 SPR and the medium red tide scenario -- Say, accordingly,  
15 projections, and so delete "using", and I am butchering this thing,  
16 and so you stop me whenever you want.  
17  
18 Projections based on F 40 percent SPR and the medium red tide  
19 scenario are consistent with BSIA and should be used to establish  
20 OFL, ABC, and rebuilding schedules, because, ultimately, the  
21 council can make the decision about the pace of rebuilding, et  
22 cetera, and so, now that I have gone through there with a hatchet  
23 and a shovel --  
24  
25 **CHAIRMAN NANCE:** Luiz and Mike, are you comfortable with those  
26 changes?  
27  
28 **DR. BARBIERI:** Yes, no concerns. Thank you, Ryan.  
29  
30 **CHAIRMAN NANCE:** Okay. Thank you. Roy, please.  
31  
32 **DR. CRABTREE:** The one thing then that's left out of here is the  
33 recreational landings to use, whether we're going to base on SRFS  
34 or the FES, and I think either one is consistent with the best  
35 available science, but I think, given the direction we're going,  
36 where the desire is to go, I think, somewhere in here, we could  
37 say using the SRFS landings series are consistent with the best  
38 available science and should be used to construct the values.  
39  
40 **DR. BARBIERI:** I had a separate motion, Roy.  
41  
42 **DR. CRABTREE:** Okay. It could be done that way.  
43  
44 **DR. BARBIERI:** It doesn't matter. I just had a separate one.  
45  
46 **CHAIRMAN NANCE:** I think, in my mind, this motion is kind of where  
47 we want to go with what we're talking about. Whether we use SRFS,  
48 or whether we use MRIP-FES, I think this is a recommendation, and

1 then we could have a separate motion to -- If we wanted to say  
2 which one we felt more comfortable with. Ryan.

3  
4 **MR. RINDONE:** I guess the only thing, from a how I have to use  
5 this to write the rebuilding plan perspective, it certainly would  
6 be nice for it all to be packaged into one thing, for the council  
7 and for GC and for me. Where it says, "accordingly", you could  
8 swap "accordingly" out with "using" -- Then insert that survey,  
9 because all of that information pins down which model you're going  
10 to use, right, and so which data stream are you using for the  
11 private angling landings, which proxy are you using for F at MSY,  
12 which severity are you using for the red tide removals, and all of  
13 that translates into a model.

14  
15 You guys were given four models, essentially, two FMSY proxies  
16 each for MRIP and for FES, and so, by specifying in here which  
17 fishery-dependent index you're using for the private angling  
18 landings, that tells me, and everybody else, exactly which model  
19 it is that you are recommending be used for providing catch advice  
20 and establishing a rebuilding schedule.

21  
22 **DR. BARBIERI:** If I may, Mr. Chairman.

23  
24 **CHAIRMAN NANCE:** Yes, please.

25  
26 **DR. BARBIERI:** I don't disagree one bit, Ryan, and so I sent you  
27 the separate motion, which had additional language, right, and  
28 perhaps you can merge the two together.

29  
30 **CHAIRMAN NANCE:** What I think Ryan was saying is, using projections  
31 based on SPR 40, SRFS data, and -- I mean, if we put that in there  
32 between "F 40 percent SPR" and "the medium red tide" --

33  
34 **MR. RINDONE:** Luiz, what if --

35  
36 **DR. BARBIERI:** Right, and I don't disagree. I mean, the thing is,  
37 when I was trying to write this, I was trying to say, okay, which  
38 decision comes first, right, in terms of accepting the model,  
39 versus making a decision, and I was conflicted as well, and so  
40 this is not bothering me one bit, but I was trying to cover, with  
41 the second motion, the use of the data series as well as, you know,  
42 consistent with BSIA, as well as stock status determination,  
43 because we have a new base run, right, and so I was trying to be  
44 explicit about that, but how we're going to mesh this -- Maybe we  
45 can take a break and try to mesh it.

46  
47 **CHAIRMAN NANCE:** Ryan, go ahead, please.

1 **MR. RINDONE:** Maybe what you do is this motion is just the first  
2 sentence, and then the next motion is a blend of the second  
3 sentence and the smaller text below it, which we could work on  
4 next, and so, by defining what you think is the more appropriate  
5 MSY proxy, that gets at part of the point of the discussion of  
6 this agenda item, which was to determine if you guys thought it  
7 was appropriate to modify your recommendation for an FMSY proxy  
8 for gag, because, regardless of which model is used, that's an  
9 important decision that has to be made anyway, and so you could  
10 take up this part of it first, and then we could go back up the  
11 other one.

12  
13 **CHAIRMAN NANCE:** I think that's -- I would like to do that. Luiz  
14 and Mike, is this one-sentence motion, what we're going to go with,  
15 is that okay with you two? I will be happy to read it, and we're  
16 going to discuss it, and so, Harry and Doug, don't worry, and I'm  
17 not going to pass you up here.

18  
19 Let me just read this motion, and we'll keep it open for  
20 discussion, but this will be the first motion that we'll have on  
21 the table. **It says the SSC recommends the yield at F 40 percent**  
22 **SPR as the appropriate MSY proxy and the basis for stock status**  
23 **determination criteria for Gulf of Mexico gag grouper.** That motion  
24 was made by Dr. Barbieri and seconded by Dr. Allen. Harry, please.

25  
26 **MR. BLANCHET:** Thank you, Mr. Chairman. I know we have had some  
27 discussion about the rationale for 40 percent, but it is still a  
28 relatively rare benchmark to be used in our history, and one of  
29 the primary bases for its use is the Harford et al. paper, and I  
30 am trying to recall if we have ever given a full review of Harford.

31  
32 I know that it has been provided to the SSC on several occasions,  
33 and I can recall at least two, but I don't know if it has ever  
34 been thoroughly reviewed, and basically acted upon, and what I'm  
35 concerned about is that we have an adequate record that we have  
36 considered -- So that we have a good support for taking up a 40  
37 percent SPR as the proxy, and that's my concern, and, if people  
38 say that we've done that, then fine, but I just want to make sure  
39 that we have built a record there.

40  
41 **CHAIRMAN NANCE:** Thank you very much, Harry. Doug, please.

42  
43 **MR. GREGORY:** Okay, and my original thoughts were on the part of  
44 the motion that has now been pushed to the side, and so I do want  
45 to comment on that, when that comes up, but, to follow-up with  
46 what Harry has said, we did have a presentation by Harford in July  
47 of 2019, and that's in the minutes and the summary reports.

48

1 Part of the discussion then was, if I remember right, red grouper  
2 and gag grouper stood out as outliers in the grouper complex, and  
3 we had some questions for him to follow-up on, and I don't recall  
4 that being done, but, in general, yes, but I would go back to --  
5 I would rather go with the raw data that shows that recruitment  
6 has not, obviously, been impacted by low sex ratios, and so that  
7 concern is logical, but it has no real evidence of being real.  
8 Thank you.

9  
10 **CHAIRMAN NANCE:** Thank you, Doug. Mandy, please.

11  
12 **DR. KARNAUSKAS:** Thanks. I was going to basically make a point  
13 that Doug just did, that, if you look at Figure 3 of the Harford  
14 paper, gag is an outlier, and the draft shows that the selection  
15 of SPR 30 percent as a reference point is particularly inconsistent  
16 with the life history, and so I do think there is reason to  
17 recommend an SPR of 40 percent, where, in this case, it's  
18 warranted, as opposed to other species, where it might be less  
19 warranted.

20  
21 **CHAIRMAN NANCE:** Okay. Thank you. Tom, please.

22  
23 **DR. FRAZER:** I didn't hear all of what Harry was saying, and I was  
24 having a side conversation, but what I think he was saying is that,  
25 you know, regardless of how the SSC decides to go with this motion,  
26 if they adopt it, or recommend moving forward it, and it goes to  
27 the council, I think the council is going to want to know what  
28 data were used and what other information or life considerations  
29 underly the recommendation.

30  
31 **CHAIRMAN NANCE:** Roy.

32  
33 **DR. CRABTREE:** Yes, and, I mean, this will go to the council as an  
34 alternative in an amendment, and they will evaluate a range of  
35 reference points that will bring in all these papers and will  
36 certainly fall back before us to comment on again, and so this  
37 will be an iterative process and take a while. It will have to be  
38 very thoroughly explored.

39  
40 **CHAIRMAN NANCE:** Carrie.

41  
42 **EXECUTIVE DIRECTOR CARRIE SIMMONS:** Thank you, Mr. Chair. I think,  
43 Dr. Crabtree, could do that, but, now that the status determination  
44 criteria document has been approved, if they wanted to go with  
45 this new MSY that's recommended by the SSC, they could do that in  
46 a plan amendment, in the rebuilding plan, and not have to go  
47 through a range of alternatives.

48

1 Actually, if we did do that, I think we would have to do that after  
2 the rebuilding plan, because we have to develop, and probably take  
3 final action on, the gag rebuilding plan by June of next year, in  
4 order to meet the deadline for Magnuson.

5  
6 **DR. CRABTREE:** So you're saying then that any change to the  
7 reference point would have to come after the rebuilding plan is  
8 done?

9  
10 **EXECUTIVE DIRECTOR SIMMONS:** I'm saying a range of alternatives.

11  
12 **DR. CRABTREE:** Okay. I wasn't aware of that change, but that's  
13 fine, if the system is set up to allow that.

14  
15 **EXECUTIVE DIRECTOR SIMMONS:** Yes, and so it says, based on that  
16 status determination criteria document, and I think John is on, if  
17 he wants to add to this, and it says that, by allowing the council  
18 to adopt the new MSY proxy that is recommended by the SSC, and  
19 noting the change in a plan amendment, rather than by requiring a  
20 full action with a range of alternatives, and so we could do it in  
21 the rebuilding plan. If you wanted to come back later and look at  
22 a global MSY and ask for more analysis for gag, I think we would  
23 have to consider that later on, because of timing.

24  
25 **CHAIRMAN NANCE:** Okay. Thank you. Jim.

26  
27 **DR. TOLAN:** Thank you, Mr. Chairman, and this gets us a little  
28 more just to the motion. The way I'm reading this, and this goes  
29 back to something Ryan brought up a while back, but, before us, we  
30 have four potential alternatives. This one basically says we're  
31 going to narrow it down to two, and then the next motion we're  
32 going to take up is which of the two, the SEDAR 72 versus the new  
33 data stream, and so is that the way this is intended to be written?  
34 Okay. Thank you.

35  
36 **CHAIRMAN NANCE:** Paul.

37  
38 **DR. MICKLE:** Real quick, thank you, Mr. Chair, and it's toward the  
39 motion, and I feel like it just needs a little bit of  
40 justification. I know you will convey this motion to the council,  
41 and it's in the minutes, all of our discussion, but it seems like  
42 we took in a lot of discussion of a lot of factors of why we're  
43 making this motion.

44  
45 I always like it in the motion, because we're a science group, and  
46 I like the science that we talked about to be in the motion,  
47 because it carries its weight all the way through, word-for-word,  
48 for what the motions are to the council that we made. Anyway, the

1 other thing is it should be "FMSY proxy", if I'm not mistaken, for  
2 the motion. It's not? Okay. Gotcha. Thank you.  
3  
4 **CHAIRMAN NANCE:** Yes, and it's the yield at that F that is the  
5 basis for MSY. Any other discussion on this motion? I'm going to  
6 read it, and then we'll ask for the vote.  
7  
8 **The motion is the SSC recommends the yield at F 40 percent SPR as**  
9 **the appropriate MSY proxy and the basis for stock status**  
10 **determination criteria for Gulf of Mexico gag grouper. Is there**  
11 **any objection to this motion? Any opposition?**  
12  
13 **MR. GREGORY:** I oppose the motion.  
14  
15 **CHAIRMAN NANCE:** Thank you. Any others? **The motion carries with**  
16 **one opposition.** Let's go ahead and -- Do we have time to do this  
17 next one? Did you send it to Bernie? Okay.  
18  
19 **DR. CRABTREE:** I think the next motion has to do with projections,  
20 right?  
21  
22 **CHAIRMAN NANCE:** No, and let's see --  
23  
24 **MR. RINDONE:** (Mr. Rindone's comment is not audible on the  
25 recording.)  
26  
27 **DR. CRABTREE:** I know, and I'm wondering if it's not time to see  
28 them, or do we -- I guess that's my question, is should we see the  
29 projections, or is the next motion independent of the projections  
30 and we don't need to see them?  
31  
32 **DR. BARBIERI:** We can look at both sets of projections, but the  
33 next motion will be trying to define --  
34  
35 **CHAIRMAN NANCE:** The model.  
36  
37 **DR. BARBIERI:** The model, what we consider the base model, right?  
38  
39 **CHAIRMAN NANCE:** Right, and so let's go ahead and -- Do you have  
40 that motion? Bernie, do you have that motion that Ryan -- We have  
41 a motion. Luiz, do you want to make this motion? I am going to  
42 read the motion -- Go ahead, Luiz. Go ahead and read it.  
43  
44 **DR. BARBIERI:** I can, or you can. How about you do it, Mr.  
45 Chairman?  
46  
47 **CHAIRMAN NANCE:** I will read the proposed motion, and we can --  
48 It's a little bit unorthodox, but that's good. **The SSC determines**

1 that the SEDAR 72 Gulf of Mexico Gag Operational Assessment State  
2 Reef Fish Survey run, based on the combined-sexes SSB and the  
3 corrected State Reef Fish Survey data and MSY proxy of F 40 percent  
4 SPR and the medium red tide scenario is consistent with the best  
5 scientific information available and should be used for the basis  
6 of stock status determination and management advice. Based on  
7 this assessment model, the stock is determined to be overfished  
8 and undergoing overfishing. Luiz.

9  
10 **DR. BARBIERI:** So moved, Mr. Chairman.

11  
12 **CHAIRMAN NANCE:** Okay, and so that motion was made. Do we have a  
13 second for this motion? Will.

14  
15 **DR. PATTERSON:** I will wait for the second to discuss. Thanks.

16  
17 **CHAIRMAN NANCE:** Thank you very much, and that first part is long,  
18 but I like it, because it's very specific, and it doesn't give any  
19 room for not knowing what this model run is, and so we have a  
20 second by Will for discussion, and I will go ahead and open it up  
21 for discussion. Will, please.

22  
23 **DR. PATTERSON:** I'm sorry, Jim, but I didn't second the motion. I  
24 said I would wait until it was seconded.

25  
26 **CHAIRMAN NANCE:** I'm sorry. I'm sorry. My fault. Do we have a  
27 second for this motion? Jim Tolan seconds the motion. Will, for  
28 discussion, please.

29  
30 **DR. PATTERSON:** This is a question for Luiz. I don't understand  
31 what is meant by "is consistent with the best scientific  
32 information available" versus explicitly stating it accepts this  
33 as the best scientific information available.

34  
35 **CHAIRMAN NANCE:** Ryan.

36  
37 **MR. RINDONE:** Thank you, Mr. Chair. That's based on the language  
38 that was advised to us from NOAA Headquarters, from Dr. Patrick  
39 Lynch, at the last meeting about the way in which the SSC should  
40 be making these recommendations, because, ultimately, the  
41 prerogative for defining what is in fact BSIA is beholden to the  
42 agency, because it's the agency that ultimately has to interpret  
43 it and defend it in court.

44  
45 The SSC makes recommendations to the agency and to the council  
46 about what is consistent with BSIA, and so we are trying to craft  
47 these motions in a manner that is consistent with the process and  
48 based on the advice of Dr. Lynch at the last meeting.

1  
2 **CHAIRMAN NANCE:** Thank you, Ryan. Any other discussion or  
3 questions on this motion? Jim, please.  
4  
5 **DR. TOLAN:** There is really four parts to this, and two of them  
6 don't change from the original model run, and it's still combined  
7 sexes, and it's still the medium red tide scenario, and are those  
8 necessary?  
9  
10 **CHAIRMAN NANCE:** I think it is, only, from my perspective, so that  
11 there's no one that is going to say I wonder if they used what we  
12 did last time.  
13  
14 **DR. TOLAN:** True, but that's pretty well covered in the report.  
15  
16 **CHAIRMAN NANCE:** Well, but since this motion -- You're going to  
17 have to go back to the report to look at it, and so I think, from  
18 the motion standpoint, I like it, in the fact that there's not any  
19 question about what this is implying.  
20  
21 **DR. TOLAN:** Thank you, Mr. Chairman.  
22  
23 **CHAIRMAN NANCE:** Thank you. Mandy, please.  
24  
25 **DR. KARNAUSKAS:** Thank you, Chair. I just had a question on the  
26 State Reef Fish Survey and how we're getting to the conclusion  
27 that that is consistent with the best scientific information  
28 available. To my knowledge, and I could be missing something, I  
29 don't know of any information, or analysis, that would lead us to  
30 believe that that is more accurate than the MRIP, and my  
31 understanding was that the certification process is still going  
32 on, and so I'm just curious, from the rest of the SSC, how we are  
33 getting to the reliance on the State Reef Fish Survey.  
34  
35 **CHAIRMAN NANCE:** Luiz, to that point?  
36  
37 **DR. BARBIERI:** Yes, and, Mandy, actually, this is not trying to  
38 address accuracy in the results between the two surveys. I mean,  
39 it's been demonstrated that the SRFs survey is actually likely to  
40 be more precise, because it was developed specifically for this  
41 stratum, this component of the fishery. Instead of being a  
42 generalized survey that is surveying both inshore, nearshore, and  
43 offshore stocks, and it's a more general monitoring program, and  
44 this one is more focused and directed.  
45  
46 The survey has been certified by MRIP, formally, and it went  
47 through the formal review, peer review, process and certification  
48 process, and, this past February, we worked with the Gulf States

1 Commission and the NOAA Fisheries Office of Science and Technology  
2 on conducting a transition process and developing a transition  
3 plan for all the Gulf surveys that are being developed as  
4 supplemental or substitute surveys in the Gulf.

5  
6 The recommendation, during that workshop, and this is reflected in  
7 a subsequent report that was released as a result of that workshop,  
8 was that this survey be used as the most appropriate for assessment  
9 of this specific stock, and so does that answer your question,  
10 Mandy?

11  
12 **DR. KARNAUSKAS:** Yes. Thank you for giving me that additional  
13 background.

14  
15 **CHAIRMAN NANCE:** Okay. Roy, please.

16  
17 **DR. CRABTREE:** That's fine, and I'm okay with the motion. To me,  
18 the SRFS survey -- It probably has some advantages, in terms of  
19 monitoring the stock and things, and, whether it's most appropriate  
20 for this species -- It may be for monitoring the catch levels and  
21 those kinds of things, and, I mean, I would prefer not to go down  
22 the path we're on, but it's the path we're on, and it's where we  
23 are, and so I will support the motion.

24  
25 Just I think the record is pretty clear that we aren't making a  
26 judgment call about one survey is better than the other. In this  
27 case, we think -- I know that's not in the motion, but it's more  
28 how people are saying things, and I think, clearly, there are some  
29 advantages, in terms of precision and things, that would argue  
30 this is a good survey to use to track this henceforward, and that  
31 makes sense and all.

32  
33 **DR. BARBIERI:** Just to repeat, this is not to compare the surveys,  
34 right, and, I mean, this recommendation is consistent with the  
35 result of a study by the National Academies of Science that really  
36 was put in place to evaluate, especially for in-season management  
37 and using smaller geographic scales, which surveys would be most  
38 appropriate, and so this is consistent with those recommendations.

39  
40 **CHAIRMAN NANCE:** Okay. Trevor, please.

41  
42 **MR. MONCRIEF:** I just wanted to say that, I mean, if we've got  
43 members of the SSC that are speaking to that point, and our group  
44 is kind of teetering between these, just -- I think we should  
45 probably give it some thought, or at least the folks that are on  
46 the call that are going to be dealing with the rulemaking process  
47 and everything else should kind of give it a thought, as to how  
48 this motion will be perceived not only by stakeholders, but the

1 council and everybody else, because there seems to be, obviously,  
2 some implicit understanding when the motion was passed, and so we  
3 probably need to make sure it's described specifically what we're  
4 doing.

5  
6 **CHAIRMAN NANCE:** When I present at the council, I will try to do  
7 that, to my best ability, and I appreciate that, Trevor. Mike  
8 Travis, do you have a comment on the motion?

9  
10 **DR. MIKE TRAVIS:** Maybe more of a question that has been brewing  
11 in my mind for a while, but Mandy's question motivated me to bring  
12 these issues up, and so the first part of my question is, if we're  
13 relying on SRFS, how are we going to be monitoring the recreational  
14 gag landings that are coming in from Alabama and Mississippi and  
15 Louisiana, and then, similarly, how do we come up with consistent  
16 Gulf-wide effort estimates across the four states? Granted,  
17 there's not a lot, but they are definitely there.

18  
19 **CHAIRMAN NANCE:** Ryan, to that point?

20  
21 **MR. RINDONE:** Those would still be collected through FES, the way  
22 that they are now, and so, in the model that Lisa conducted, the  
23 private angling landings for the State of Florida are substituted  
24 out for SRFS. The data from the rest of the states, as collected,  
25 remains, but it constitutes less than 5 percent of the private  
26 angling harvest of gag in any given year, and so, insofar as it's  
27 relevant to the landings, it's a very small proportion of the  
28 landings.

29  
30 Similarly, like -- Luiz can speak to this too if he likes, but,  
31 for SEDAR 64, when we looked at yellowtail snapper, better than 99  
32 percent of the landings are from the State of Florida, but there  
33 are occasionally some landings for that stock that come from places  
34 like Texas or North Carolina, et cetera, but it's a very, very  
35 small fraction, and it has little to no consequence at all on the  
36 trajectory of the stock's performance at the time or trends in  
37 landings or anything like that, as to whether they're included.

38  
39 **DR. TRAVIS:** I don't think that answered my question though. I'm  
40 asking about monitoring the landings and getting them into  
41 consistent units, similarly with the effort. How do we get them  
42 into consistent units?

43  
44 **CHAIRMAN NANCE:** It's just a calibration, but, Roy.

45  
46 **DR. CRABTREE:** Well, my understanding of what the assessment did  
47 is it used the FES values from the other states and the SRFS values  
48 from Florida, and so I assume, when the landings are totaled up,

1 they will combine the FES values from the other states and the  
2 SRFS values from Florida, because that's how the assessment handled  
3 it, but the other state landings are very small, and they're not  
4 likely to have much impact on things, but it seems, to me, that  
5 you would do it the way the assessment did it.

6  
7 **DR. TRAVIS:** So they effectively added up apples and oranges?

8  
9 **DR. CRABTREE:** There are issues with all of these ways of doing  
10 it, Mike, but my understanding is that is how the assessment did  
11 it.

12  
13 **CHAIRMAN NANCE:** Yes. Okay.

14  
15 **DR. TRAVIS:** Okay. I didn't hear that explained along the way,  
16 and so all right.

17  
18 **CHAIRMAN NANCE:** Thank you. Any other discussion from the SSC for  
19 this motion? Will.

20  
21 **DR. PATTERSON:** Thank you, Mr. Chairman. So we've heard a couple  
22 of rationales here for utilizing the SRFS data stream versus the  
23 FES, and Roy had mentioned that, if the fishery is going to be  
24 monitored in the SRFS landings estimates, at that scale, then,  
25 obviously, you would want to have the assessment done similarly.

26  
27 Luiz talked about the National Academy's work and the certification  
28 going on with all the state surveys, and he mentioned that SRFS  
29 was more precise, given how it's designed for this sector, and  
30 it's a more specialized survey, versus a more generalized survey,  
31 for MRIP, but, to me, if you're going to change an important data  
32 stream, such as recreational landings, the first question I would  
33 ask is are the new data, or the new approach, more accurate?

34  
35 Precision is important, but we can see, and Shannon makes a good  
36 point about fixing steepness and that idea of stock productivity  
37 not changing, but we're still scaling by changing the landings  
38 stream, and, because steepness is fixed, the only thing this model  
39 can do is change  $R_0$  or spawning stock biomass 0.

40  
41 We are changing what we're estimating the stock can produce on an  
42 annual basis, right, and we're changing the magnitude of historic  
43 catch, and we would be changing then what we think the magnitude  
44 of the future catch can be, and so, while precision is important,  
45 I think accuracy is more important to evaluate, and do we get a  
46 more accurate -- Does the new data stream provide more accurate  
47 estimates, and, in doing so, do we sacrifice precision?

1 It sounds like we gain precision, but I don't see anything that  
2 suggests anything about accuracy, and, you know, Luiz explained  
3 some of this in his response to Mandy's question, but, you know,  
4 I don't think we've actually reviewed this.

5  
6 **CHAIRMAN NANCE:** Thank you, Will. Luiz, to that point, please?

7  
8 **DR. BARBIERI:** Will, this is an ongoing question, right, that's  
9 being addressed, and so there is an effort now in the Gulf taking  
10 place, and this is being coordinated between the Gulf States  
11 Commission and NMFS Office of Science and Technology and developing  
12 a process for putting together a number of studies that will  
13 collect additional data that would allow us to measure the  
14 difference, potential difference, in accuracy of these different  
15 surveys.

16  
17 What happens is, from a statistical perspective, it's very  
18 difficult, if not impossible, for you to tell, because you don't  
19 know what the true value is, right, and so you just have estimates  
20 from different surveys, and it's not uncommon, when you discuss it  
21 with the professional survey statisticians, for this to happen,  
22 and it happens in several fields that they deal with, where you  
23 have different data collection programs, different surveys, and  
24 they produce different estimates, and that has to do with a whole  
25 variety of sampling and non-sampling issues that can come into  
26 play there.

27  
28 For that purpose, then the review, the discussion by the NMFS  
29 statistical consultants, basically arrived at, well, we cannot  
30 tell which one is the most accurate without collecting additional  
31 data and develop some additional studies, right, that can address  
32 specific issues that might be leading to different outcomes here.

33  
34 That is in process, and I believe that we have a timeline now of  
35 approximately five years, and Congress has appropriated, I believe  
36 \$2 million to this purpose, right, that this funding is going to  
37 be ongoing. Some conversations that I have heard have mentioned  
38 that there will be a contract with the American Statistical  
39 Association, so we can have, you know, top-of-the-line survey  
40 statisticians involved in developing these studies and the review  
41 of the outcomes, to then arrive at that final resolution there,  
42 but, at this point, Will, we don't know.

43  
44 **CHAIRMAN NANCE:** Thank you, Luiz. Trevor.

45  
46 **MR. MONCRIEF:** I will echo that sentiment. I mean, as we keep  
47 seeing all the different surveys and everything else like that, I  
48 don't think there's ever going to be -- We don't have it in our

1 hands right now to be able to say which one is more accurate than  
2 the other.

3  
4 Now, each group has their own thought processes, and there is data  
5 streams to be able to evaluate to do the comparisons, but I think  
6 we're a little ways off to be able to have a definitive,  
7 quantitative statement of which one is more accurate, and so I was  
8 going to go back to the point about the apples and oranges in the  
9 different states and how they're being added up.

10  
11 I mean, at the end of the day, the landings from Florida, as Ryan  
12 said, vastly outweigh any of the landings from anywhere else, and,  
13 to turn that colloquial statement -- It's not necessarily apples  
14 and oranges, because it's assuming they kind of have the same  
15 weight here, and they really don't. I mean, in reality, what  
16 you're doing is adding up apple and orange seeds. You're adding  
17 up straight up apple and orange seeds, because the quantity that's  
18 coming out of Florida is just so vast that the landings from the  
19 other states are negligible and have no impact.

20  
21 While I understand the concern, and it certainly would be a concern  
22 for other stocks that have more landings across other states, I  
23 don't think that's necessarily a grave concern for this stock, and  
24 so I just wanted to add that in.

25  
26 **CHAIRMAN NANCE:** Thank you, Trevor. I'm going to read -- Any other  
27 discussion? I am going to go ahead and read the motion. Harry,  
28 please.

29  
30 **MR. BLANCHET:** This is to Will's point about -- Dang it. Now I  
31 just lost where I was at. There. It's back. This is to Will's  
32 point about the differences between the two surveys. If you take  
33 a look at our current conditions, in terms of F compared to  
34 benchmarks, or spawning stock biomass compared to benchmarks, at  
35 a given FSPR proxy, they are not identical, but, whichever survey  
36 you use, we're in very much the same position, and the changes are  
37 at the second decimal place.

38  
39 I think that -- To say that it is consistent with the best  
40 scientific information available is not a hard reach, because they  
41 are so consistent when you're comparing a given harvest versus a  
42 benchmark, and so the benchmarks move, and the harvest estimates  
43 move, and the resulting ratios are pretty consistent, whichever  
44 metric you're using for landed harvest. Thank you.

45  
46 **CHAIRMAN NANCE:** Thank you, Harry. I'm going to read the motion  
47 and go ahead and take a vote. Josh, please.

48

1 **DR. KILBORN:** Thank you, Mr. Chair. Just I'm curious, because one  
2 of the implications of making this decision of whether or not to  
3 use FES versus SRFS comes back to a different number with respect  
4 to the spawning stock biomass, the virgin spawning stock biomass,  
5 and that's going to have implications for the rebuilding target,  
6 and so, you know, I guess I echo some of the original sentiments  
7 that we need to think about this a little harder and get some  
8 better review put in front of us, but I'm curious, and just what  
9 does the group think about how that's going to affect the different  
10 rebuilding strategies and the future projections? You know, we  
11 also haven't looked at any of the projection information before  
12 we're making this decision, and I wonder if that's wise as well.  
13 Thank you.

14  
15 **CHAIRMAN NANCE:** Thank you, Josh. Doug, please.

16  
17 **MR. GREGORY:** Thank you. I agree with Joshua and Harry that we  
18 haven't looked at the analyses, and making this decision before  
19 even reviewing the analyses seems like we've got the cart before  
20 the horse, and I also agree with Harry, and I think that we really  
21 should not be throwing the FES assessment, SEDAR 72, out the  
22 window, given that there's no real difference in the result, the  
23 impact, the management impact, of the two, but it could have  
24 unknown ramifications in the future, and so I am very much opposed  
25 to this motion, particularly at this time.

26  
27 **CHAIRMAN NANCE:** Thank you, Doug. Jim.

28  
29 **DR. TOLAN:** Very quick, and thank you, Mr. Chair, and this really  
30 gets back to the point I made about splitting this into two motions  
31 and the four choices we have before us, and I think this clearly  
32 gets us down to one of those models, and the MSRA table clearly  
33 shows that it's overfished and undergoing overfishing, and so  
34 there's nothing that we're throwing out. We're just saying, of  
35 the four options, here's what the SSC thinks is the best path  
36 forward. Thank you.

37  
38 **CHAIRMAN NANCE:** Thank you. Okay. Let's go ahead and -- I'm going  
39 to read the motion, and then, Bernie, we'll do a roll call vote on  
40 this one. **The motion reads: The SSC determines that the SEDAR 72**  
41 **Gulf of Mexico Gag Operational Assessment State Reef Fish Survey**  
42 **run, based on the combined-sexes SSB, the corrected SRHS data, an**  
43 **MSY proxy of 40 percent SPR, and the medium red tide scenario, is**  
44 **consistent with the best scientific information available and**  
45 **should be used as the basis for stock status determination and**  
46 **management advice. Based on this assessment model, the stock is**  
47 **determined to be overfished and undergoing overfishing.** Let's go  
48 ahead and take that -- There we go. Thank you, Bernie.

1  
2 **MS. ROY:** Jim Tolan.  
3  
4 **DR. TOLAN:** Yes.  
5  
6 **MS. ROY:** Trevor Moncrief.  
7  
8 **MR. MONCRIEF:** Yes.  
9  
10 **MS. ROY:** Doug Gregory.  
11  
12 **MR. GREGORY:** No.  
13  
14 **MS. ROY:** John Mareska.  
15  
16 **MR. MARESKA:** Yes.  
17  
18 **MS. ROY:** Jack Isaacs.  
19  
20 **DR. ISAACS:** Yes.  
21  
22 **MS. ROY:** Will Patterson.  
23  
24 **DR. PATTERSON:** No.  
25  
26 **MS. ROY:** Paul Mickle.  
27  
28 **DR. MICKLE:** Yes.  
29  
30 **MS. ROY:** Benny Gallaway.  
31  
32 **DR. GALLAWAY:** Yes.  
33  
34 **MS. ROY:** Harry Blanchet.  
35  
36 **MR. BLANCHET:** Yes.  
37  
38 **MS. ROY:** Luke Fairbanks.  
39  
40 **DR. FAIRBANKS:** Yes.  
41  
42 **MS. ROY:** Mandy Karnauskas.  
43  
44 **DR. KARNAUSKAS:** No.  
45  
46 **MS. ROY:** Steven Scyphers.  
47  
48 **DR. SCYPHERS:** Yes.

1  
2 **MS. ROY:** Jim Nance.  
3  
4 **CHAIRMAN NANCE:** Yes.  
5  
6 **MS. ROY:** David Griffith.  
7  
8 **DR. GRIFFITH:** Yes.  
9  
10 **MS. ROY:** Roy Crabtree.  
11  
12 **DR. CRABTREE:** Yes.  
13  
14 **MS. ROY:** Luiz Barbieri.  
15  
16 **DR. BARBIERI:** Yes.  
17  
18 **MS. ROY:** Mike Allen.  
19  
20 **DR. ALLEN:** Yes.  
21  
22 **MS. ROY:** Cynthia Grace-McCaskey.  
23  
24 **DR. GRACE-MCCASKEY:** Yes.  
25  
26 **MS. ROY:** Josh Kilborn.  
27  
28 **DR. KILBORN:** No.  
29  
30 **CHAIRMAN NANCE:** Thank you. **It looks like the motion carried.** We  
31 appreciate the discussion for this. We'll go ahead and break for  
32 lunch, and we'll take the other motions after lunch. We'll come  
33 back and reconvene at 1:15 Eastern Daylight Time. Thank you. Have  
34 a great lunch.

35  
36 (Whereupon, the meeting recessed for lunch on July 7, 2022.)  
37

38 - - -

39  
40 July 7, 2022

41  
42 THURSDAY AFTERNOON SESSION  
43

44 - - -

45  
46 The Meeting of the Gulf of Mexico Fishery Management Council  
47 Standing and Special Reef Fish, Special Socioeconomic & Special  
48 Ecosystem Scientific and Statistical Committees reconvened on

1 Thursday afternoon, July 7, 2022, and was called to order by  
2 Chairman Jim Nance.

3  
4 **CHAIRMAN NANCE:** Welcome back, everybody. I hope you had a good  
5 lunch. We'll go ahead and restart, and I think what we'll do now  
6 is we'll look at projections, and, Bernie, I think our last slide  
7 was Slide 32. Dr. Ailloud, are you online? Okay. It's good that  
8 Shannon has interpreted it for us.

9  
10 **DR. AILLOUD:** Yes. Sorry, and I was muted.

11  
12 **CHAIRMAN NANCE:** That's good. We're glad to have you back unmuted.  
13 Let's go ahead, I think, and we'll go -- Let's go through the rest  
14 of the projections.

15  
16 **DR. AILLOUD:** Okay.

17  
18 **CHAIRMAN NANCE:** Thank you. Okay, and so, for the F rebuild  
19 scenario, and Katie mentioned this, and so I just wanted to make  
20 explicit how those timelines are calculated, to make sure we're  
21 all on the same page, and so I calculated T<sub>min</sub>, which is the  
22 minimum time required to rebuild under no fishing, F of zero.

23  
24 The F of zero starts in 2023, which is the first year of management  
25 for gag, and, to determine whether the stock is rebuilt in a  
26 certain year, we pull out the estimates of spawning stock biomass  
27 at the beginning of the year, and so, on January 1, what is the  
28 estimate of spawning biomass, and how does it compare to our SSB  
29 MSY proxy, and whether or not it exceeds one and shows that the  
30 stock is rebuilt.

31  
32 Given that, I have set out, again, everything in comparison here  
33 with SEDAR 72. Again, everything is headboat corrected here, and  
34 SEDAR 72 is on your left, and SRFS is on the right. This is the  
35 FSPR 30, and these are the OFL projections.

36  
37 Now, these are the F zero projections for the FSPR 30, and, as  
38 we've discussed, the timeline -- This kind of small change in data  
39 did tip the scale a little bit for the SEDAR 72, where it originally  
40 needed eleven years to rebuild, and now it needs exactly ten, and  
41 you see that it reaches a ratio of one in 2033, and, for the SRFS  
42 run, it also takes ten years, which is not surprising. Like we've  
43 been discussing, really, we're looking at a scale difference here,  
44 and so the change from SRFS to FES does not affect, really, the  
45 rebuilding timeline, and it just affects the scale of the yield  
46 and the scaling of the population.

47  
48 I provided also SPR 40, as requested, and those are the OFL

1 projections, and the F zero, and so, F zero -- For an FSPR of 40,  
2 it takes slightly longer to rebuild. It takes thirteen years under  
3 a SEDAR 72 run and twelve years under the SRFS run, and so  
4 establishing this Tmin of thirteen and twelve years.

5  
6 I went ahead and ran the projections with a Tmin times two, since  
7 that was the preferred approach back when we were looking at older  
8 SEDAR 72 models, and it's the longest timeframe of rebuilding that  
9 is allowed if we need more than ten years to rebuild under an F  
10 zero, and, on the next slide, you just have the rest of that table  
11 listed here.

12  
13 Now, I did add a -- If you saw in the report, I created some tables  
14 that show the change in retained yield through these projections  
15 and the change in discards, and I provided these tables as well in  
16 the presentation, at the end, as extra slides for your reference,  
17 and so I'm happy to discuss any of that as well, if there are  
18 questions, and I know there's been a lot of discussion as to what  
19 happens to the discards and what is the assumption that is being  
20 held for these projections.

21  
22 **CHAIRMAN NANCE:** Thank you. Roy, please.

23  
24 **DR. CRABTREE:** Thanks, Lisa. But what troubles me about the  
25 projections is the lack of accounting for red tide, and we've been  
26 having two or three red tides a decade, historically, and so the  
27 natural mortality -- I think what the assessment uses is M equal  
28 to 0.159, but, actually, M is substantially higher than that, if  
29 you include the red tide mortality in it, yet, when we do the  
30 projections forward, it seems to me that we're, on average,  
31 underestimating the natural mortality rate, and so, for example,  
32 I look at that recovery at F zero, where it recovers in ten years,  
33 but I'm pretty sure that it would not recover in ten years, if you  
34 threw a red tide or two into the mix, and I think it's difficult  
35 to make any defensible argument that it's reasonable to assume  
36 that we're going to have a decade without any red tide at all, and  
37 so, really, to me, what I see with that is that it's very unlikely  
38 that this stock could recover in ten years or less, even at zero  
39 fishing, and so I wonder --

40  
41 I don't know if there's a solution to deal with this that is  
42 helpful in the timeframe or not, but it does seem, to me, for a  
43 stock like this, where we have this red tide component, that the  
44 natural mortality rate, overall, is actually higher than the M  
45 used in it, and there's got to be some way to factor that into the  
46 projections, or, otherwise, it seems, to me, that we're making  
47 unrealistic assumptions, and do you have any thoughts on that,  
48 Lisa, or have you all talked about that?

1  
2 **DR. AILLOUD:** Yes, we've definitely discussed it internally. I  
3 mean, that's why there was a push to include that 2021 red tide,  
4 at least, because we do have an ecosystem model to stand on to  
5 make an objective decision on what point estimates to add.

6  
7 The issue is that, for one, we don't have a good understanding of  
8 the magnitude and frequency, and I will say that, even the recent  
9 red tide, like the 2018 one -- If you look at the estimated red  
10 tide magnitude in the model, there is quite a bit of uncertainty.  
11 It's possible the impact is being overestimated and will come down,  
12 and it's possible that it's the other way around, and so I think  
13 we want to include that sort of uncertainty in the future. I don't  
14 think, within this timeframe -- At least we weren't able to address  
15 that within the timeframe, and I don't know if Katie or Shannon  
16 would like to add anything.

17  
18 I do have just one minor point though, to add to kind of the  
19 complexity of the red tide, and someone alluded to the fact,  
20 earlier, that red grouper seem to have some pretty good recruitment  
21 following red tide events, and we are seeing that in gag.

22  
23 It's not as obvious, but we're seeing it in the stock assessment  
24 model, and we're seeing it in the ecosystem model as well, and,  
25 you know, if we start to think about what the impact of the red  
26 tide is in the projections, in terms of a higher M, then there's  
27 the counterargument of maybe the recruitment could be boosted a  
28 little bit as well the following year, due to decreased  
29 competition, and so it's not as straightforward of an answer, but  
30 it's definitely something that we want to address, and so I will  
31 let other people from the Center, if they want to add to it.

32  
33 **CHAIRMAN NANCE:** Thank you. Dr. Calay.

34  
35 **DR. CALAY:** Well, I do think that Roy's point is well taken. I  
36 mean, obviously, if there are additional sources of mortality, be  
37 it episodic natural mortality or discard mortality, that we are  
38 not incorporating into these projections, or are higher than we  
39 assumed, then it would delay the recovery plan, and so that is a  
40 true statement.

41  
42 Of course, our time is very limited, and, in fact, the time it's  
43 taking to do additional gag requests has already been delaying the  
44 gray snapper assessment, which Lisa is also the lead on, and so  
45 there is that issue.

46  
47 I do think though that this could be addressed. Once we establish  
48 OFLs and ABCs, we could address how well we are meeting the

1 recovery plan by looking at interim assessments, essentially, that  
2 we do with some frequency, and so there is a possibility of -- I  
3 do think we need to recognize that, whenever our projections  
4 underestimate the total removals, the rebuilding plan will be  
5 delayed.

6  
7 I do think it's quite plausible that there will be red tide events,  
8 and I do think it's quite plausible that the discards will be  
9 higher than we assumed, and I think, if we find those to be true,  
10 it would be wise to conduct an interim assessment.

11  
12 **DR. CRABTREE:** Yes, and I'm certainly not -- I don't want to hold  
13 anything up, but it is an issue, but I do think -- I think you  
14 could make a compelling case that, based on what we have, the  
15 stock, at F zero, cannot recover in ten years, and I think you  
16 could make the argument and get around the ten-year requirement,  
17 based on that, but it would be a more here's the projection, and  
18 then here's what we know, and here's how this works, and that's  
19 why it's not realistic, but, anyway, that's just a problem that I  
20 see with the nature of these, and I don't have a solution.

21  
22 **CHAIRMAN NANCE:** Thank you, Roy. Shannon, the discards are  
23 estimated at the same rate as landings, correct?

24  
25 **DR. CALAY:** Well, essentially, we assume that, if you reduce the  
26 landings, you will reduce the discards by the same proportion,  
27 but, in fact, what tends to happen, if you reduce the retained  
28 landings, is the discards actually increase, because of the catch-  
29 and-release, and so that is something the Science Center is  
30 actively working on, is better -- Providing information that's  
31 more consistent with the management choices that are likely to be  
32 made.

33  
34 Our projections currently assume that you will actually reduce  
35 effort, but, in fact, we only control retained landings, and so  
36 that is a research area that we're working on as we speak.

37  
38 **CHAIRMAN NANCE:** Okay. Thank you. I think, as we look at these  
39 projections, these are the minimum, certainly, and so we need to  
40 take that into account, from our management perspective. Thank  
41 you for that insight. Mandy, please.

42  
43 **DR. KARNAUSKAS:** I agree with Roy's point that this is a minimum,  
44 because we're not accounting for the red tide mortality, and I  
45 don't really have a solution to this problem. As Shannon and Lisa  
46 mentioned, it's something that the Science Center has been trying  
47 to figure out for a long time, how to incorporate red tide into  
48 the stock assessment and the projections, but I did want to

1 highlight that there is another Harford analysis that was done, a  
2 management strategy evaluation, where he looked at the amount of  
3 buffer you would have to put on the annual catch limit in order to  
4 account for red tides of unknown future frequency and magnitude,  
5 and he looked at, you know, how relative percent buffers from the  
6 ACL would lead to long-term management outcomes, in terms of  
7 preventing overfishing and keeping the stock from being  
8 overfished.

9  
10 I don't know if it's in the SSC's purview, as part of this  
11 discussion, to recommend ACL buffers, but the analysis is highly  
12 relevant to this discussion, and it's something that we might just  
13 want to bring attention to.

14  
15 **CHAIRMAN NANCE:** Thank you. If you have a copy of that paper,  
16 Mandy, maybe you could forward that to Ryan, and he could  
17 distribute that.

18  
19 **DR. KARNAUSKAS:** Yes. Will do.

20  
21 **CHAIRMAN NANCE:** I think it would be nice to be able to look at,  
22 for sure. Katie, please.

23  
24 **MR. RINDONE:** It's actually up, and it's the 2016 paper that is on  
25 the website.

26  
27 **CHAIRMAN NANCE:** Thank you.

28  
29 **DR. SIEGFRIED:** Thank you. I have a question for Roy, and I don't  
30 dispute what he's saying. What I'm looking for is, given the fact  
31 that this was an operational, and we, many times, have said that  
32 we needed to -- That it would be better to address this red tide  
33 issue in a research track, and so we really had to stick to what  
34 has been done in the past and really streamline that effort, and  
35 Dave Chagaris was part of our panel and everything.

36  
37 We have expressed that it's a need to do more research on this,  
38 but, at this point, with that constraint, and given that we have  
39 to establish a rebuilding timeframe, what would you need from the  
40 Center to explain that this is a floor? Is there anything else  
41 that we can provide that's not like a slew of projections, but  
42 some sort of uncertainty?

43  
44 **CHAIRMAN NANCE:** What Roy brought up was an issue that he has as  
45 far as projections in general with these stocks, but, as far as  
46 something you can do overnight and present to us tomorrow, or even  
47 in the future, I don't think there's a way to be able to do that,  
48 and it's simply something that we need to, in the future, kind of

1 think about and look at.

2  
3 **DR. CRABTREE:** What really, I think, highlighted it, for me, were  
4 the projections of the ten years and the notion that, at F equals  
5 zero, it could recover in ten years, and so you potentially shut  
6 the fishery down. Well, that seems, to me, to be very, very  
7 unlikely, and, depending on how much that became an issue with  
8 management, I think you could look at that and say that's an  
9 underestimate of the likely natural mortality removals, and so  
10 it's almost certainly not going to happen.

11  
12 If that was the case, there may be things that the Center could  
13 provide that are more just explanations of how these things come  
14 together, but I don't know if that becomes an issue that really  
15 drives the bus or not.

16  
17 Now, I think the issue that Shannon brings up about assuming the  
18 equal proportion reductions in landed F and discard F, that's a  
19 real issue that I think we need to talk about, because, almost  
20 certainly, if we just follow these projections to set the catch  
21 levels, we're going to be setting the catch levels too high,  
22 because it's highly unlikely that you're going to get the  
23 reductions in discard Fs, and that becomes a problem, because the  
24 catch levels, I suspect, out of the projections are going to be  
25 really low to begin with, but the fact is that they're probably  
26 too high to effectively end overfishing.

27  
28 **DR. SIEGFRIED:** A follow-up, Mr. Chair, if I may?

29  
30 **CHAIRMAN NANCE:** Yes, please.

31  
32 **DR. SIEGFRIED:** We -- Like Shannon mentioned, this is an active  
33 area of research in the Center, and a few questions we have that  
34 we can present at a future SSC, or have you all mull over in the  
35 meantime, is sort of, okay, we cannot assume the same -- That  
36 effort reduces and the discards reduce in a straightforward fashion  
37 that way. We can assume discarding stays the same as it was at  
38 the end of the time series, but one of the concerns we have,  
39 internally, is how would we -- What information, or data, do we  
40 have to inform an increase in discarding, subsequent to a decrease  
41 in landings?

42  
43 We don't -- I don't think we have enough real-world examples in  
44 our region to inform that percentage change, but it certainly --  
45 I mean, it's an easy thing to model, but very little data exists  
46 to inform the model, and so it would really be a lot of speculation,  
47 and we're looking into ways to account for that, absent of the  
48 data. We can't just wait for ten years and see what happens,

1 right, but, if you all have ideas about that, like Shannon said,  
2 we're actively investigating this and would like your feedback.

3  
4 **CHAIRMAN NANCE:** Roy.

5  
6 **DR. CRABTREE:** Well, just on the face of it, it would seem, to me,  
7 that a starting place, and a more realistic place, would be to  
8 assume that the discard Fs remain unchanged and then figure out  
9 how much you have to reduce the landed F in order to get the total  
10 F to where you want it to be, and I don't know how you would  
11 predict what the discard Fs -- How they would change, and that  
12 gets awfully complicated, but it's more realistic, to me, to assume  
13 they're going to remain the same than to assume they're going to  
14 be magically reduced by some fraction, but this has been a problem  
15 here, and we've had these issues in the South Atlantic, and the  
16 only assessment I can recall where we dealt with it was red  
17 snapper, when we did do something, and I don't remember exactly  
18 what, with the discard Fs.

19  
20 **DR. SIEGFRIED:** The discards only run in the South Atlantic?

21  
22 **DR. CRABTREE:** Yes, and I think, in the Gulf, we did treat the  
23 discards differently in the red snapper assessment.

24  
25 **DR. SIEGFRIED:** As separate fleets. Okay. Well, I just wanted to  
26 throw that out there, and I appreciate the ability to comment.

27  
28 **CHAIRMAN NANCE:** Thank you, Katie. Harry.

29  
30 **MR. BLANCHET:** My only thought on that how you handle the discards  
31 is essentially apply your closed season effort rates and associated  
32 discard rates to the entire year, and I don't know whether that's  
33 going to move things up or down, but I'm sure that this is one of  
34 those things that they will have already considered, and so I'm  
35 just throwing it out.

36  
37 **CHAIRMAN NANCE:** Thank you. Any other discussion on the  
38 projections? From the SSC, how do we want to move forward in  
39 providing guidance to the council? Luiz.

40  
41 **DR. BARBIERI:** I have to read this one more time here. Let me --  
42 The second part --

43  
44 **CHAIRMAN NANCE:** Go ahead and bring that other slide back up,  
45 Bernie.

46  
47 **DR. BARBIERI:** That motion that was being built. In this case,  
48 basically, it's stating that the SSC evaluated the scientific

1 methodology used to develop the projections, and it's deferring to  
2 the development of the rebuilding plan, right, because, depending  
3 on different rebuilding timelines that the council may want to  
4 adopt, but the methodologies are acceptable, and they would have  
5 to be consistent with, you know, the reference point choices that  
6 we made explicitly in the previous motion.

7  
8 **CHAIRMAN NANCE:** Thank you. Do you want to make this as a motion?  
9

10 **DR. BARBIERI:** Yes, Mr. Chairman, I do.  
11

12 **CHAIRMAN NANCE:** Okay. Let me read what the motion states. **It**  
13 **says the SSC determines that the yields corresponding to the**  
14 **rebuilding schedules based on  $T_{min}$ ,  $T_{min}$  plus one generation time**  
15 **(eight years for gag grouper) and  $T_{min}$  times two are appropriately**  
16 **calculated and suitable for informing catch advice.** Do I have a  
17 second to that motion? Mike Allen seconds the motion. Is there  
18 discussion, please? Roy.  
19

20 **DR. CRABTREE:** My only hesitation, Luiz -- I mean, I think the  
21 Center did them exactly right, but, when we say, "appropriately  
22 calculated", how are we taking into account though that, in those  
23 projections, the reductions in the F discards are probably  
24 unrealistic, and that means the yields are probably higher than  
25 they can be in that case, and does that -- How do we jibe that  
26 fact with appropriately calculated and how we set the catch level  
27 advice?  
28

29 **DR. BARBIERI:** Well, if I may, Mr. Chairman.  
30

31 **CHAIRMAN NANCE:** Yes, please.  
32

33 **DR. BARBIERI:** Well, we don't explicitly address those things at  
34 this stage, where we are, given that this is an operational  
35 assessment that we know about the constraints, the timelines  
36 involved, and that this issue is unlikely to be addressed in the  
37 short term, because it's still being thought out as an active area  
38 of research within the Center, and this may not be appropriately  
39 addressed in the short-term.  
40

41 I don't think that this methodology that was used for these  
42 projections is any different, that I can think of, of any of the  
43 other ones that we have approved over the last year or year-and-  
44 a-half, and so I think that we have identified what I would say -  
45 - It's almost like research recommendations, or perhaps some goals  
46 to be achieved into the future, whereas, as for right now, I think  
47 we have appropriately configured projections that can serve  
48 management advice.

1  
2 **CHAIRMAN NANCE:** Shannon.  
3  
4 **DR. CALAY:** Thank you, Chair. I had not been intending to interrupt  
5 your motion, and I did just want to say that the likeliest way  
6 that we can incorporate discards, in the future, is to create  
7 discard-only fleets, like we have done for red snapper, and that  
8 does require some actually restructuring of the stock assessment  
9 models, and so that does require time, and we should probably start  
10 transitioning to a future like that as soon as possible, but, right  
11 now, you're correct that the red snapper assessment is the only  
12 one, currently, that has discard-only fleets associated with it,  
13 and, for the other assessments, they do assume that discards will  
14 scale in accordance to the change in landings.  
15  
16 **CHAIRMAN NANCE:** Jack.  
17  
18 **DR. ISAACS:** I was just curious, and what do we know about the  
19 percentage of the fish that are discarded that perish?  
20  
21 **CHAIRMAN NANCE:** Shannon, I don't know if you --  
22  
23 **DR. CALAY:** I think that's a great question for Lisa.  
24  
25 **CHAIRMAN NANCE:** Off the top of your head?  
26  
27 **DR. CALAY:** I can't remember what SEDAR we're in, half the time.  
28  
29 **CHAIRMAN NANCE:** Lisa, I don't know if that's a -- If you can grab  
30 that quickly.  
31  
32 **DR. AILLOUD:** You're asking about the mortality rate of the fish  
33 that are discarded?  
34  
35 **DR. ISAACS:** That's correct.  
36  
37 **DR. AILLOUD:** Let me double-check that. I don't want to give you  
38 a wrong number.  
39  
40 **MR. RINDONE:** It also varies based on time of year, and so during  
41 -- Like, when the season opens in June, the water nearshore is  
42 hot, and so people are having to go further offshore, to deeper,  
43 cooler water, to find fish that are going to bite, and so, in  
44 hundred-plus, thirty-meters-plus, depth, you're going to be  
45 subjecting fish, more likely, to barotrauma, and you're going to  
46 be releasing them in bathtub water at the surface, and,  
47 anecdotally, and I guess there have been a couple of studies on  
48 some other species, we've seen that fish, especially large reef

1 fish, released in warm water, after being brought up like that,  
2 fare more poorly, being released in that hot surface water, than  
3 cooler water.

4  
5 As the season progresses, effort tends to drop off in July, August,  
6 September, and then, once those cold fronts start to show up in  
7 October, a lot more of the effort starts to shift to nearshore  
8 fish, which start to bite as that water cools off, and we're  
9 talking twenty meters and less now where most of this effort is  
10 being directed, and it's almost exclusively females.

11  
12 I don't think there's been any males recorded in any recent  
13 empirical studies, and Sue hasn't found any males inside of twenty  
14 meters. The commercial guys we've talked to, and the charter guys,  
15 none of them have either, but, generally, those fish release  
16 better, and the fight is shorter, because, a lot of times, they're  
17 actually coming off the bottom to feed, and so, as people are  
18 casting to them and drifting baits back to them, they're coming  
19 off the bottom, and so they're being caught in shallower depths  
20 that release better, and so, ostensibly, their survival should be  
21 improved, compared to the June open, when some of that effort is  
22 directed to the deeper water, and so, on the average, on the --

23  
24 **CHAIRMAN NANCE:** Lisa.

25  
26 **DR. AILLOUD:** The assumption that we have in the model -- We have  
27 a different mortality rate for commercial and recreational, and  
28 they are based on empirical data, and they're based on differences  
29 in depth of fishing. For the commercial, it's 25 percent of the  
30 fish die that are returned to the water, and, for the recreational,  
31 it's 12 percent.

32  
33 **CHAIRMAN NANCE:** Thank you for finding that.

34  
35 **DR. ISAACS:** Thank you. That 12 percent is lower than I would  
36 have suspected. Of course, I'm not a biologist, and so you  
37 shouldn't give any weight to my opinion on that matter, but thank  
38 you for that data. I appreciate it.

39  
40 **CHAIRMAN NANCE:** Carrie.

41  
42 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair. I had a  
43 question about the motion, and perhaps I missed it. The Tmin plus  
44 one generation time, was that presented at this meeting?

45  
46 **CHAIRMAN NANCE:** I think it is on there.

47  
48 **EXECUTIVE DIRECTOR SIMMONS:** I thought it was the Tmin times two

1 or the Tmin, and perhaps I missed it.  
2  
3 **CHAIRMAN NANCE:** I know I've seen it, and I don't know where it  
4 was. I think it's in the paper. In the report, it's there, and,  
5 in the presentation, it's not.  
6  
7 **EXECUTIVE DIRECTOR SIMMONS:** But not for 40 percent.  
8  
9 **CHAIRMAN NANCE:** Yes. We have -- These tables are in the report,  
10 and it's -- We have the FSPR 40 percent.  
11  
12 **DR. BARBIERI:** But not in the report. Right, Carrie?  
13  
14 **CHAIRMAN NANCE:** I thought it was.  
15  
16 **EXECUTIVE DIRECTOR SIMMONS:** No, the 40 percent is not in there  
17 yet, I don't believe, and maybe Lisa can help us, but I think they  
18 were going to add that after, because it was such a late request  
19 for this meeting, and I think it's just Fmax and 30, the yield at  
20 30 percent SPR, I believe.  
21  
22 **CHAIRMAN NANCE:** Do you have the Tmin plus one generation 40  
23 percent, Lisa?  
24  
25 **DR. AILLOUD:** I don't have them, but I can run it right now.  
26 Because of time constraints, I just showed the F rebuild that was  
27 the previous preference, but, if you would like, I can run it and  
28 then circulate it.  
29  
30 **CHAIRMAN NANCE:** Let me ask you this though. From a motion  
31 standpoint, I'm not sure that seeing it affects what we're  
32 informing the council of, or does it? Luiz.  
33  
34 **DR. BARBIERI:** Well, right, because this is really about the  
35 methodology that was applied, and, Lisa, correct me if I'm wrong,  
36 if you change the methodology that was used, right, between the F  
37 30, the Fmax, and the F 40 percent used for the projections?  
38  
39 **DR. AILLOUD:** We're just changing the benchmarks, and, for these  
40 Tmin ones, we're just changing the year in which we want the stock  
41 to rebuild, but everything else stays the same.  
42  
43 **DR. BARBIERI:** Right, and so, for this motion, I think we are  
44 covered, because the methodology is the one that we have already  
45 reviewed.  
46  
47 **EXECUTIVE DIRECTOR SIMMONS:** Okay, and so I've got you, and so  
48 you're just trying to give the council the same range of decision

1 points they had at the last meeting.  
2  
3 **CHAIRMAN NANCE:** Yes.  
4  
5 **EXECUTIVE DIRECTOR SIMMONS:** Okay. I just didn't see it in the  
6 presentation. Thanks.  
7  
8 **CHAIRMAN NANCE:** Okay. Thank you. Any other comments on the  
9 motion? Let me read the motion. **The SSC determines that the**  
10 **yields corresponding to the rebuilding schedules based on T<sub>min</sub>,**  
11 **T<sub>min</sub> plus one generation time (eight years for gag grouper), and**  
12 **T<sub>min</sub> times two are appropriately calculated and suitable for**  
13 **informing catch advice. Is there any opposition to this motion?**  
14 **Seeing none, and hearing none, the motion carries without**  
15 **opposition. I think -- Go ahead, Luiz.**  
16  
17 **DR. BARBIERI:** Well, just to confirm, because I think Dr. Simmons'  
18 point was a valid one, that we would have to have -- Just to be  
19 clear for Lisa, right, that if we could have all three sets of  
20 projections, the numbers produced, right?  
21  
22 **CHAIRMAN NANCE:** Yes, and I think -- Lisa, so that would be able  
23 to have those -- Well, I kind of have an idea of what the T<sub>min</sub>  
24 plus one generation would be, but it would be good to have those  
25 available for that. I think that ends --  
26  
27 **DR. TOLAN:** Mr. Chair, real quick?  
28  
29 **CHAIRMAN NANCE:** Yes. Jim.  
30  
31 **DR. TOLAN:** That table is in there, and it's Table 43 in the  
32 report, but it's T<sub>min</sub> plus one generation, but it's under the F 30  
33 percent SPR, but it is there.  
34  
35 **CHAIRMAN NANCE:** Thank you, and I forgot that it was we had them,  
36 with time constraint, adding the FSPR 40 percent and the 40 percent  
37 SPR. Okay. Thank you. I think that -- Lisa, I don't think you  
38 have anything else, correct?  
39  
40 **DR. AILLOUD:** That is it for the presentation, but could I ask for  
41 a clarification?  
42  
43 **CHAIRMAN NANCE:** Okay, and so I think we're --  
44  
45 **MR. RINDONE:** Go ahead, Lisa.  
46  
47 **DR. AILLOUD:** I just want to check what is needed from me at this  
48 point, because, longer-term, I'm going to update the report with

1 the headboat corrections and every single of those F rebuild  
2 scenarios, but do you need anything from me like by tomorrow? Do  
3 you need any of these alternative runs?  
4

5 **CHAIRMAN NANCE:** No.  
6

7 **DR. AILLOUD:** Okay. Thank you.  
8

9 **CHAIRMAN NANCE:** You're very welcome. I can see your smile.  
10 Again, thank you, and you did a great job on this, and this was  
11 one that was, I know, late nights and early mornings while you're  
12 running this, and so the SSC greatly appreciates your efforts.  
13

14 **DR. AILLOUD:** Thank you.  
15

16 **CHAIRMAN NANCE:** We will go ahead and move on to Item Number VI,  
17 which is review of discard data for gag grouper, red grouper,  
18 greater amberjack, and red snapper, and, Ryan, would you give us  
19 the scope of work for those, please?  
20

21 **REVIEW OF DISCARDS DATA FOR GULF GAG, RED GROUPEr, GREATER**  
22 **AMBERJACK, AND RED SNAPPER**  
23

24 **MR. RINDONE:** Katie, are you still going to give this one?  
25

26 **DR. SIEGFRIED:** Yes, and we're letting Lisa stop talking.  
27

28 **MR. RINDONE:** All right, and so, on pins and needles, Dr. Siegfried  
29 is excited to present to you the data available on discards for  
30 gag, red grouper, greater amberjack, and red snapper, and these  
31 have been derived from all the most recent stock assessments, both  
32 completed and ongoing, for these species. This was the most  
33 efficient approach, in order to get all of this information  
34 together in a reasonable amount of time, and all of these species  
35 have been assessed in the last couple of years, and so these data  
36 are pretty contemporary.  
37

38 These data are presented annually by species and directed fleet,  
39 like commercial vertical line, longline, charter/for-hire,  
40 private, et cetera, and fishing sector, and they should be -- They  
41 are presented based on the currency that they were reported in,  
42 and so whether it's CHTS or FES, as applicable, and all of these  
43 are actually in FES at this point, and so, prior to -- When this  
44 request was initially made, red snapper was going to be in CHTS,  
45 but the Center was able to work on this information for SEDAR 74  
46 and provide it from there.  
47

48 The council's purpose in having the SSC review all of these data

1 is to improve its understanding about the magnitude of these  
2 discards and differences between the directed fleets to assist the  
3 council in its consideration of measures to reduce future discards  
4 for these species.

5  
6 Further, greater amberjack and gag are currently overfished and  
7 undergoing overfishing, and these data may help the council to  
8 rebuild those stocks, while continuing to allow fishery access,  
9 and so you guys should look at this stuff and provide a  
10 recommendation, as appropriate.

11  
12 I guess, as recent as the last council meeting, the council  
13 received a presentation from Mr. Nick Haddad from the Return 'Em  
14 Right program, which is -- It's an educational campaign to inform  
15 recreational anglers, both private and for-hire, about release  
16 techniques and provide them with the gear and the means to be able  
17 to do a better job of releasing fish to improve discard mortality,  
18 and so this all kind of folds into together with the council's  
19 overarching goal of trying to look at ways to reduce discard  
20 mortality. Mr. Chair.

21  
22 **CHAIRMAN NANCE:** Thank you. Dr. Siegfried, we're ready for your  
23 presentation. Bernie, if you can bring it up.

24  
25 **DR. SIEGFRIED:** Thank you, Mr. Chair, and thank you, Bernie. I  
26 was so focused on gag that I forgot that I was next. In addition  
27 to what Ryan just outlined for you, I think some of what this will  
28 help you, and the council, understand more about is the difference  
29 in discarding across the fleets.

30  
31 We need to pair this information with improvements and research on  
32 our projections, but I wasn't entirely sure what this request was  
33 trying to get at, until I talked more with council staff, and there  
34 may -- You know, this may not fully address what was -- What the  
35 actual intention of the memo was, but we did our best, in light of  
36 all of our other workload, and so what I'm going to show you is  
37 the discards using the most recent assessments for greater  
38 amberjack, gag, red grouper, and red snapper.

39  
40 In case you needed to have the actual language of the memo -- I  
41 think the most important things are that the discards were  
42 requested annually by species and directed fleet, fishing sector,  
43 and then as far back in time as the available data allow.  
44 Oftentimes, it's more than twenty years.

45  
46 I just wanted to provide a little bit of context on our response,  
47 and we do receive a lot of responses, especially this year, and we  
48 have an incredible assessment load in the Gulf and on the data

1 providers across the region in the Southeast, and so, in order to  
2 re-pull all of the discard data, it would have -- We would have  
3 had to delay an assessment, or take one off the books, to redivert  
4 those data folks to that task, and so, instead, what we asked was,  
5 okay, if I go ahead and just ask the analyst from each of the  
6 assessments for the time series that they put into their model,  
7 will that suffice, and so, you know, in the negotiations, or the  
8 discussions, that was deemed appropriate, at least it seems for  
9 now, though, in some instances, our fleets, or fishing sectors,  
10 are pooled, and we can't separate those data without doing a pull,  
11 or redoing a working paper, and so this is what we responded to  
12 that memo, and I will present the best that we could do.

13  
14 The data were pulled by each assessment analyst in the Gulf  
15 Fisheries Branch from their assessment input files and not the  
16 model estimates, or from working papers, if I could get to a little  
17 bit finer resolution, depending on the species, and then I cross-  
18 checked these data that my staff provided with the assessment  
19 report, trying to just, you know, make sure that there weren't any  
20 issues in what we were showing you here, and I realize why you  
21 asked for this, because it's a whole lot of work just to go through  
22 each of the stock assessment reports and try to get units, fleets,  
23 and discard estimates by year. I probably need to figure out a  
24 more streamlined way to do this, and I think, with our automation,  
25 we will get there.

26  
27 The units, or the fleet structures, may be different across  
28 assessments, and you will see that, and so whether we use fish,  
29 thousands of fish, metric tons, whether we use numbers or pounds,  
30 and that may differ, and then whether we group like charter boat  
31 and headboat or we just have a recreational fleet, and that may  
32 differ, but we have tried to group all commercial and all  
33 recreational modes together for you, because that seems to be a  
34 general question, is which sector tends to discard more. Then the  
35 terminal years will vary, depending on when the assessment was  
36 completed, and so they don't all come to the same terminal year.

37  
38 The first species I will present today is greater amberjack. Our  
39 commercial discards for this assessment were from the vertical and  
40 longline fleets. They were available from 1993 to 2018, and they  
41 were used in the SEDAR 70 base model. The units are pounds whole  
42 weight, though it was provided, in a working paper, in both weight  
43 and numbers, which I provided here, after I cross-checked with the  
44 analyst.

45  
46 The recreational discards were input as a combined charter boat  
47 and private boat fleet, as well as a separate headboat fleet, and  
48 the recreational data were available from 1981 to 2018, and they

1 were used in the SEDAR 70 base model. All recreational discards  
2 are in numbers and in MRIP-FES units or the Southeast Region  
3 Headboat Survey units.

4  
5 What I have here, by year, in blue is the longline discards, and  
6 orange is the vertical line discards, and it's in pounds whole  
7 weight. I think the general gist here is that longline -- The  
8 longline fleet discards fewer fish, or fewer pounds of fish, than  
9 the vertical line, and then it gives you the general magnitude  
10 there.

11  
12 The greater amberjack recreational discards are definitely a  
13 different magnitude, and you can compare that in the document as  
14 well as in the presentation, but this is in fish, rather than  
15 pounds whole weight, and so there needs to be more work into  
16 understanding what the assumption is about the weight of each fish  
17 that is discarded by the recreational fleet, in order to compare  
18 with the commercial discards, but, here, we have charter boat and  
19 private boat mode in orange, which is a lot larger magnitude  
20 discarding than the headboat, which is in blue, which discards  
21 very few fish, and this is in units of individual fish.

22  
23 For gag, we have commercial discards from both the vertical and  
24 longline fleets from 1993 to 2019, and they were used in the SEDAR  
25 72 base model, and you saw that today. Units are in thousands of  
26 fish, and I probably left that -- I should have included it for  
27 all of them, but there's a table in Figure 4 of the document, if  
28 you want to refer back to it.

29  
30 The gag recreational discards are available from 1993 to 2019 as  
31 well, and they are used in that SEDAR 72 base model. The units of  
32 thousands of fish are consistent across-the-board and presented in  
33 MRIP-FES units and the headboat units for the recreational fleets.

34  
35 In thousands of fish, our gag commercial discards for the  
36 commercial vertical line, plus other types of gears, are in blue,  
37 which discards more fish than the commercial longline, which is  
38 very low, and you see it there in orange, and then the next slide,  
39 in thousands of fish, will show that the largest contributor to  
40 discards is the private and shore mode.

41  
42 Again, this is in MRIP-FES units, and I used this before all of  
43 these new requests came through for SRFS and the headboat  
44 correction, and so, here, we would have to correct this, but, as  
45 you can see, it's difficult to even tell how much headboat is  
46 discarding there, compared to private and shore, and then charter  
47 boat is sort of in between the two, though much closer to headboat  
48 than to private shore, and this is, again, in thousands of fish.

1  
2 For red grouper, the commercial discards are available from 1990  
3 to 2006 for trap gear. Vertical line and longline discards are  
4 available from 1993 to 2017, and the recreational discards are  
5 available from 1981 to 2017, and I should have added there that  
6 they are in MRIP-FES units or headboat units, and all of the SEDAR  
7 61 discards are in numbers of fish.

8  
9 Here are the three commercial fleets, and I will start with the  
10 biggest one, in numbers, and the commercial longline is in orange.  
11 The commercial trap has a peak there, in gray, in the mid-1990s,  
12 but it's generally lower than commercial longline, but, in  
13 everything but those couple of peak years, it's pretty similar to  
14 the commercial vertical line, which is in blue, and you will see  
15 the magnitude of the axis of numbers.

16  
17 Red grouper recreational discards was not broken out by mode, and  
18 we just have one time series for you here, and it's in numbers,  
19 and it's quite a bit larger than the commercial fleets.

20  
21 The red snapper data are preliminary at this point, and I think it  
22 was this week that was our second post-data workshop call, and we  
23 still have -- I think the deadline for the working papers is coming  
24 up, and so these data for red snapper are not yet finalized. There  
25 are three areas of stock ID for SEDAR 74, the western, central,  
26 and eastern, and the commercial discards are available from 2007  
27 to 2019. The recreational discards are available from 1981 to  
28 2019, and it depends on the mode, but, for those of you that  
29 participated, the MRIP Transition Team influence and the state  
30 survey influence sort of came together for SEDAR 74, and so we've  
31 got a mix of MRIP-FES units, headboat survey units, or state  
32 surveys calibrated to MRIP-FES units for our recreational  
33 discards.

34  
35 There are also closed and open season discards, and all of those  
36 data were not complete at the time of this presentation and the  
37 document that you have on the server, but the ones that I had were  
38 available from 1997 to 2019, and all red snapper discards are  
39 reported in numbers, for this go-round.

40  
41 I mentioned the western, central, and east because I have  
42 identified each of them, with western with a W, central with a C,  
43 and eastern with an E, and here's all the commercial discards. We  
44 start on the left with handline east, handline central, and  
45 handline west in blue, orange, and gray. They tend to be larger,  
46 until around 2014, and then the handline west and the handline  
47 east become more similar to what is discarded in the longline fleet  
48 in the east, and then the longline central and longline west are

1 in blue and green, and they are all in numbers.

2  
3 This is our recreational discards, and I know it's busy, because  
4 we have the three regions, but we have our MRIP charter boat, our  
5 MRIP private boat, and our headboat modes here, all indicated by  
6 the east, west, or central identifier there. In general, it looks  
7 like the central region private boat mode tends to discard more  
8 overall, though it looks like the private boat in the west is  
9 coming in hot for it, and it's the second-largest magnitude, and  
10 then it looks like charter boat in the central is the next. The  
11 rest of them seem to be pretty low and pretty consistent with each  
12 other's magnitude there.

13  
14 These are the closed season discards that we had at the time of  
15 writing the document and putting together the presentation. It  
16 looks like, here, our private boat mode, in the closed season, in  
17 the central region has the largest number of discards for that  
18 closed season.

19  
20 The rest of them seem to be pretty consistent, and it's all sort  
21 of bouncing around there at the bottom. I could -- There is other  
22 ways to plot this, if I knew what some of the questions I was  
23 trying to answer were, and, obviously, I could eliminate the  
24 private closed in the central, to get a better idea of the other  
25 regions, but all of that kind of work can be done when we have a  
26 better idea of what we can answer with these data for you.

27  
28 That's what we have in our recent assessments, and I did get help  
29 from Lisa, Nancie, LaTreeese, and Skyler to pull all those  
30 assessment time series from those different assessments, and I  
31 welcome questions or any information about, you know, what these  
32 types of data can do for you in considerations in the future.  
33 Thank you.

34  
35 **CHAIRMAN NANCE:** Thank you very much for that presentation. We've  
36 never really looked at the data like this, and it's good to be  
37 able to see that, and it seems like there's some of the fisheries  
38 have quite a large amount of discards, and I know, as Jack pointed  
39 out, or talked about, the number of deaths from these discards is  
40 different, and so, while this is the discard rates -- I think  
41 looking at closed seasons and things like that is how we -- It's  
42 good to be able to see that, so we can maybe make some comments  
43 and things on what we would be able to do to discourage that. Any  
44 questions? David.

45  
46 **DR. GRIFFITH:** I just noticed that most of the commercial discards,  
47 over time, seem to be going down, whereas the recreational ones  
48 seem to be going up, or are much more -- They tend to fluctuate

1 quite a bit, and I was just wondering what accounts for that, and  
2 are there certain gear types that are, you know, being put into  
3 practice among the commercial guys to reduce the number of  
4 discards, or other kinds of fishing practices that maybe the  
5 recreational group could adopt, or is it a data issue? I'm just  
6 curious about that. Thanks.

7  
8 **DR. SIEGFRIED:** Mr. Chair, should I just answer after, or do you  
9 want to --

10  
11 **CHAIRMAN NANCE:** No, and you're welcome to respond to those. Thank  
12 you, Katie, for asking.

13  
14 **DR. SIEGFRIED:** Okay. Sure, and so I don't think that I have all  
15 of the information to answer that question for you, and I think  
16 that getting the fishermen's take on how or why they may have  
17 changed their behavior, if it coincided with regulations, if they  
18 perhaps changed gear, or they changed target species, and all of  
19 those seem to be more dynamic for the recreational fleets than for  
20 the commercial fleet, at least, just in the data that I've looked  
21 at, but I would -- If there are fishermen in the room, it would be  
22 really nice to hear some of how or why they changed their behavior,  
23 and I did not line up the regulations with any changes, and I  
24 didn't line up any, you know, multispecies considerations or  
25 anything else that I would do if I had that question, to start,  
26 and so I'm not sure.

27  
28 **CHAIRMAN NANCE:** Thank you, Katie. Trevor.

29  
30 **MR. MONCRIEF:** Thank you, Mr. Chair, and, Katie, I can only imagine  
31 that you probably have a good idea of what I'm about to ask, and  
32 has -- Did you all look at all at any of the wave-specific effects,  
33 or the wave-specific estimates, that might be driving some of these  
34 peaks that we're observing, and, if you could, can we go back to  
35 that slide for amberjack?

36  
37 **CHAIRMAN NANCE:** It's one more down. How about that one?

38  
39 **MR. MONCRIEF:** Yes, and so you kind of observe peaks in 2001, and  
40 I think it's 2010, and, I mean, have you all given any thought to  
41 what might be driving that?

42  
43 **DR. SIEGFRIED:** Thanks, Trevor. I didn't actually look at wave-  
44 specific, and I would have to look back at the working paper for  
45 amberjack, and I'm not sure if the rec folks put together that  
46 nice working paper for this or it started with scamp, and I hope  
47 you know what I'm talking about, and there's a nice new template  
48 for the working paper that goes wave-by-wave and looks at any kind

1 of peaks and explains the number of intercepts and all of that.

2  
3 I would think that we would have to understand more from the  
4 amberjack fishermen of what time of year, meaning which wave they  
5 might have been more likely to do more discarding, if it was  
6 because they were fishing less for amberjack, or they filled their  
7 quota, and so what the reason is that they would have been  
8 discarding, and like that peak in, what is it, 2001, and, I mean,  
9 I know it was a heavy regulation time, and so I would have to  
10 really look across-the-board at what the other regulations were  
11 and what other species amberjack fishermen fished for and the  
12 timing of those fisheries in the context of the amberjack.

13

14 **MR. MONCRIEF:** Do you mind if I respond, Mr. Chair?

15

16 **CHAIRMAN NANCE:** Please do, Trevor. Thank you.

17

18 **MR. MONCRIEF:** So I'm looking at the numbers, and, essentially,  
19 what we're seeing is that there's huge spikes in the wave-specific  
20 estimates in given waves for Alabama and Florida and some of the  
21 other states, and so what you see is this pattern of between years  
22 you have this anywhere from three to tenfold increase in observed  
23 discards, and we see the same pattern in landing as well, but the  
24 season for amberjack wasn't implemented until 2010, if I remember  
25 reading the assessment report correctly, and, essentially, what  
26 you see is that you have relatively -- Let's call them somewhat  
27 stable fisheries, in the sense that they're not restricted by the  
28 amount of days, not nearly as they are in this recent decade, but  
29 we still start to see that pattern, in those stable fisheries,  
30 with, you know, three to tenfold shifts in discard counts and  
31 harvest estimates.

32

33 It just seems like, especially with greater amberjack, since it's  
34 not observed readily in the surveys, over time, it's one of those  
35 that is susceptible to that volatility of estimates, and it might  
36 be a good candidate to look at when we're talking about, you know,  
37 trying to figure out ways to decrease discards or anything else,  
38 and I mean, that's a clear example of we might shift regulations  
39 however we want to, and do whatever we need to do, but you might  
40 not see the effect, simply because the outputs themselves are too  
41 volatile to really observe, and then, if I could, for red snapper,  
42 and do you mind if we go down to that slide, and I'm sorry for  
43 droning on on this one.

44

45 **CHAIRMAN NANCE:** No, that's fine. Red snapper I think was almost  
46 to the end, Bernie. One more down. That one, Trevor?

47

48 **MR. MONCRIEF:** Yes, and so you had that plot, and then there was

1 the out-of-season stuff, and the same pattern kind of evolves as  
2 you look there. I mean, what's driving that 2017 peak is the May-  
3 June wave from Florida, which you can argue that there was some  
4 increased participation, because of season or anything else like  
5 that, but there simply weren't enough days in that time period to  
6 be able to have that large of a spike, and the out-of-season, I  
7 think -- When I look back at it, it seems to be driven mostly by  
8 a November-December landings for one state, and I can't find it  
9 right now, and I apologize, but, I mean, the gist of it is that  
10 there seems to be some specific wave pattern that is not  
11 necessarily proportional over time that really starts to drive all  
12 the volatility that we're seeing here.

13  
14 The thought of deriving some regulation, or coming up with some  
15 method to be able to reduce discards, it seems like we need to,  
16 you know, tackle the first issue, which is figuring out the  
17 patterning and are the estimates produced -- Are they actually  
18 relative to the fishery and how they're operating. Thank you for  
19 that time, and I'm sorry that I took up so much of it.

20  
21 **CHAIRMAN NANCE:** Trevor, do you think those drive spikes, or do  
22 they also contribute to trends?

23  
24 **MR. MONCRIEF:** For me, I think, for the most part, they drive  
25 spikes. They do add into the trend over time, if you have them  
26 spotting through, but kind of what you see with amberjack -- Not  
27 only with harvest, but also it looks like with discards, is that,  
28 when you have this volatility that occurs, and it hits two states  
29 in a year, rather than just one, all of a sudden you see that  
30 observed spike, and so that 2001 -- There was elevated estimates  
31 coming out of Florida, but there was also an elevated estimate  
32 that came out of Alabama that added into it.

33  
34 When this stuff hits in two states, when these big waves hit in  
35 two states, it drives a spike, and I think, given the seminars  
36 that MRIP put on, and John Foster did an excellent job of  
37 explaining the process and everything else, and everything that  
38 goes into it, and I have to applaud them for it, and they break  
39 down the variables for the estimation from APAIS and FES, and it  
40 shows some of the ratios that are used to build the estimates that  
41 are gathered through the APAIS surveys.

42  
43 I think there's diagnostics there to be able to look and see what's  
44 truly affecting this, and I know it's probably too much to add  
45 onto you all's plates, and I know it's something we're looking at,  
46 as far as the transition process goes, but I just -- As we run  
47 through these and discuss them, I just wanted to bring that up,  
48 just so everybody is on the same page, or at least you all

1 understand my thought process, when it comes to a lot of these.

2

3 **CHAIRMAN NANCE:** Thank you. Jim Tolan, please.

4

5 **DR. TOLAN:** Mr. Chairman, after Will, and he's had his hand up for  
6 a while.

7

8 **CHAIRMAN NANCE:** Okay. Will.

9

10 **DR. PATTERSON:** Thanks, Mr. Chair. Thanks, Jim, and thanks, Katie,  
11 for the presentation. I was looking through the scope of work on  
12 this item, and so Katie mentioned, early on, that, as the Center  
13 scientists were trying to address this request, they made a  
14 decision that there wasn't sufficient time, or personnel time,  
15 available to actually go to the assessments and pull the output.

16

17 In the request, it sounds like that's -- The estimates of discards  
18 from the assessments is what the council was after, and it's not  
19 clear, as Katie mentioned, what the purpose of that data request  
20 was, but it seems to me, especially for just red snapper, as an  
21 example, the recreational, the self-reported discards, and then  
22 multiplied through by whatever effort estimate being applied,  
23 currently FES, and we had a discussion, earlier today, in Florida  
24 about gag and SRFS, and so, obviously, that changes the estimates  
25 of discards in that fishery, or it would change the estimate of  
26 discards in that fishery, but, for red snapper, the estimates of  
27 recreational discards, especially private rec discards, can change  
28 considerably. You know, they can be quite a bit different,  
29 historically, and have been quite a bit different, coming out of  
30 the assessment versus the data inputs into the assessment.

31

32 I know, Katie, you mentioned that you guys didn't think you had  
33 the time, or the ability, to pull folks away from other ongoing  
34 tasks to look at that assessment output, but I wonder if you peeked  
35 any of that, maybe even just for red snapper, to see what the  
36 difference is in the discard estimates coming out of the assessment  
37 versus the input data.

38

39 **DR. SIEGFRIED:** Thanks, Will. I didn't actually do that in a  
40 systematic way. What I did note, when I looked at it, was that he  
41 fits to the input discards is very different depending on which  
42 assessment we're looking at, and like, for 74, as you know, we  
43 haven't gotten to the point where we've started to fit these data.  
44 I would have to go back to the previous assessment to take a look,  
45 and so I've seen it where, you know, they're consistently  
46 underestimated or consistently overestimated, and I didn't put  
47 anything like that together.

48

1 I may have misheard you, and I hope I didn't misspeak, and we have  
2 had calls with council staff to figure out what they really wanted  
3 us to present, and I was under no impression that they wanted the  
4 estimates. I thought that it was the data that were provided to  
5 the assessment, and so, if we misinterpreted that, that's been a  
6 misinterpretation for quite a long time.

7  
8 The other thing that I wanted to add to what you said, Will, is  
9 that it's difficult to look at all this and make too many  
10 judgments, because there is a lot of caveats there. You know,  
11 these are the pre-discard mortality values, and these are in  
12 different units, and so it's hard to compare commercial with  
13 recreational.

14  
15 As Trevor noted -- You know, what it sounded like Trevor was  
16 looking at was the sort of wave-by-wave validity of these  
17 estimates, as opposed to what I thought the council alluded to,  
18 was that they wanted to look at the difference in discards between  
19 commercial and rec, and adding another layer of complication on  
20 that of what the estimates are, versus what the inputs are, would  
21 be a whole other can of worms. Does that answer your question?

22  
23 **DR. PATTERSON:** Yes, and so, basically, you guys didn't really  
24 look at it in any systematic way. As far as the idea of what  
25 estimates the council is looking for, I just -- My thoughts there  
26 were informed by the text that Ryan put together in the scope of  
27 work, and maybe I was reading that too closely and thinking it was  
28 the assessment-based estimates and not just the input estimates.

29  
30 Regardless, whatever the SSC decides to recommend here for the  
31 council, or to comment on the data that Katie and team have pulled  
32 together here, I think we have to be careful to note as many of  
33 these caveats as we can and just say that, you know, you can't  
34 just look at these at face value and that there are some issues or  
35 doing that, or potential issues in doing that.

36  
37 **CHAIRMAN NANCE:** Thank you, Will. Point well taken. Jim.

38  
39 **DR. TOLAN:** Thank you, Mr. Chairman. I too would like to thank  
40 Katie for her presentation, and I think, from a regional  
41 perspective, and a by-mode perspective -- Or not by mode, but by-  
42 fleet perspective, it really opens you up to where a lot of this  
43 discard mortality is coming from, and the question that I have has  
44 to do more with the scale, and it's not going to change the pattern  
45 at all, but I just wanted to be clear that, for some of these fish,  
46 the scale is eight to ten million.

47  
48 These are some pretty big numbers, and so I don't have much

1 experience fishing for gag or red grouper, because I'm on the Texas  
2 side of the Gulf, but ten-million red grouper? Is that kosher?  
3 The red snapper numbers, I could probably see, but, even for the  
4 highest years, if you add them up together for some of these  
5 fleets, you're still not pushing ten-million fish, and I would  
6 think the biggest numbers would come from red snapper, but I just  
7 wanted to make -- Again, it's not going to change the pattern and  
8 where it's coming from, but I wanted to make sure the scale is  
9 indeed correct. Thank you.

10

11 **CHAIRMAN NANCE:** Any response? Go ahead, Katie, or, Luiz,  
12 anything? No? Okay.

13

14 **DR. SIEGFRIED:** I don't think it solves anything that Jim just  
15 asked, but I did double-check that scale, because that occurred to  
16 me as well, and I wanted to make sure that I wasn't missing  
17 something, and I wasn't there for the full red grouper assessment,  
18 but, you know, the scale will drop because of discard mortality,  
19 but this is still the data that are being provided that are put in  
20 before that discard mortality decrements the data, and so, like I  
21 said, that's not helping your concern, Jim, and I'm just adding to  
22 the conversation.

23

24 **DR. TOLAN:** Thank you, Katie. I'm glad you looked at that.

25

26 **CHAIRMAN NANCE:** Okay. Yes, Jack.

27

28 **DR. ISAACS:** This is just kind of a human dimensions thing about  
29 the mortality, and it might be -- This is kind of far afield from  
30 what you're talking about here, but I thought I would bring it up  
31 anyway, because it might be interesting. It could be interesting  
32 to assess anglers' perceptions of the mortality rate.

33

34 We did this, in the last year or two, in Louisiana for seatrout,  
35 and we found that a significant portion of the fishing public were  
36 more pessimistic about the mortality rates for those fish, among  
37 discards, than our biology leads us to believe, and that, in turn,  
38 seemed to influence their willingness to support, or oppose, a  
39 tightening of the regulations for seatrout if they thought that a  
40 large number of the fish that they threw back were going to die  
41 anyway, and why not let them keep them, and so that could be  
42 interesting, if you're moving forward with these species, to try  
43 to keep that in mind too, is the acceptance among the public for  
44 that sort of thing.

45

46 **CHAIRMAN NANCE:** Okay. Thank you. Trevor.

47

48 **MR. MONCRIEF:** I've just got two more comments, but have you all

1 looked at the correlation between landing and discards? I know  
2 that was talked about to be assumed for stocks outside of red  
3 snapper, to a degree, and has there been any investigation of that  
4 relationship?  
5

6 **DR. SIEGFRIED:** I didn't look into that for this data pull, except  
7 for to see, in the most recent working paper, that there was a  
8 comparison, and I think it might have been for greater amberjack,  
9 but I didn't pull those together. Sorry, Trevor.

10  
11 **MR. MONCRIEF:** Yes, and I don't think it was part of you all's --  
12 I was just wondering if there was something, at some point, that  
13 had been looked at. I mean, one of the reasons I bring it up is,  
14 with amberjack, we had a -- Mississippi had a huge landings number  
15 that was up to like 300,000 pounds, and we had zero discards  
16 associated with that time period, and it was just because there  
17 was a limited number of surveys that we counted just harvested  
18 fish, but it was extrapolated out.

19  
20 Then the other question I have would be is there any reason why  
21 there would be a difference between the pattern that I'm observing,  
22 or that was provided in the table, and what I can observe on the  
23 MRIP query? My specific question would be to gag grouper.

24  
25 The observed peak for gag for discards looks like 2017, but, in  
26 the table, it's 2016, and I wasn't sure if there was something  
27 that occurred there, and that might not be something you can answer  
28 off the top of your head, but I was just trying to go back and  
29 look at the data that was available, and it looked like 2017 was  
30 the peak, because of the single-wave estimate that was near 1.6  
31 million, and that was three-times higher than the other estimates,  
32 but do you have any idea of what might have occurred there?

33  
34 **DR. SIEGFRIED:** I can take a look at it in the presentation, and  
35 I thought that the -- You said for gag recreational? It looks  
36 like it's a 2016 peak, but I will check the document again. Thanks.

37  
38 **CHAIRMAN NANCE:** Any other discussion on this item? I think it's  
39 interesting, you know, and I think it brings in some points from  
40 each assessment. As we look at the stocks, we need to pay attention  
41 to discards and where they're coming from and the magnitude. I  
42 think, while we see it on each assessment, sometimes, when we're  
43 kind of comparing -- I don't really look at it like this, but some  
44 of these trends are very telling, from a sector standpoint. Mandy.

45  
46 **DR. KARNAUSKAS:** Thank you, Chair. Just quickly, to kind of add  
47 to some of the comments that have been said, and I'm still not  
48 sure what the council is looking for in this request. I mean,

1 according to the scope of work, we're supposed to assist the  
2 council in its consideration of measures to reduce discards, and  
3 I do appreciate the information that's been pulled together by the  
4 Science Center, but, in my mind, this information just really isn't  
5 sufficient for us to be able to make meaningful progress into  
6 reducing discards.

7  
8 I mean, it tells us that recreational discards are very large, or  
9 they can be very large, and they fluctuate from year-to-year, but,  
10 other than that, I'm not sure what advice we can give the council.

11  
12 In my mind, to meaningfully reduce discards, we need to understand  
13 fleet behavior, why people discard, what drives them to discard,  
14 and then think about what sorts of management flexibilities would  
15 lead to, you know, incentivizing fewer discards, and I think that  
16 you would need to explore some novel data collection and management  
17 flexibilities to really get at that.

18  
19 I recall, for example, a presentation, and I think it was given to  
20 the SSC, if not the council, by the Science Center for a pilot  
21 study, an exempted fishing permit, to get some additional data  
22 from the private rec sector in trading for additional fishing days  
23 out of season, and that was by Zander Gordon, and so approaches  
24 like that, where we can actually get the data that are going to  
25 tell us why people are discarding and look into flexibilities that  
26 might help reduce these discards. Other than that, I'm not sure  
27 what advice the SSC can give the council, based on this  
28 information. Thank you.

29  
30 **CHAIRMAN NANCE:** Thank you, Mandy. Tom.

31  
32 **DR. FRAZER:** If we're done with this topic, I was just going to go  
33 back to something, and so I'll wait.

34  
35 **CHAIRMAN NANCE:** Okay. From my perspective, I just think this  
36 gives me a pause, in the fact that, while we make recommendations,  
37 scientifically, we need to be looking at -- Be looking at where we  
38 could make recommendation of discards and things like that, where  
39 to look, and maybe give some advice of, if we can, how to reduce  
40 those things and that type of thing, but certainly it's telling to  
41 be able to see these numbers, but I'm not sure what we can, as a  
42 body, recommend. Katie, I appreciate you bringing this to our  
43 attention. Jim.

44  
45 **DR. TOLAN:** Thank you, Mr. Chairman. Just a real quick sidenote,  
46 as it relates to a bunch of these species, and I made this point  
47 the other day, in our red snapper call, that, the more we look  
48 into the discard mortality numbers, and the more good science we

1 have about it, the more those numbers creep up and up and up.  
2 Every single time you do an assessment, they get higher and higher,  
3 all the time, and so some of these numbers, while they took me  
4 aback, I'm not all that surprised by them. Thank you.

5  
6 **CHAIRMAN NANCE:** Thank you. Katie, I appreciate your presentation.

7  
8 **DR. SIEGFRIED:** Thank you, Mr. Chair.

9  
10 **CHAIRMAN NANCE:** Tom, on a different issue.

11  
12 **REVIEW: ALTERNATIVE MODEL RUN FOR SEDAR 72 BASE MODEL USING**  
13 **FLORIDA'S STATE REEF FISH SURVEY (CONT.)**

14  
15 **DR. FRAZER:** I just wanted to -- I am trying to think about a  
16 smooth transition from the information that comes out of this  
17 meeting and the council meeting in August, right, and so, with  
18 regard to the SEDAR 72 kind of base model runs, so I recognize  
19 that we have a motion, a couple of motions, on the table, one that  
20 says that the SSC is going to recommend an SPR of 40 percent and  
21 then use the SRFS data stream and then consider a number of  
22 rebuilding plans, right, and so -- But, because -- All of that  
23 will feed, ultimately, into the assessment, but, in the short term,  
24 right, we're forced with this situation where I think the council  
25 is going to have to make a decision on an interim rule in August,  
26 in order to get it implemented in time for 2023.

27  
28 In order to do that, by the end of this meeting, there probably  
29 will have to be some specifics with regard to the catch advice,  
30 like what is the OFL that's being recommended, and the ABC, and  
31 what would -- Under the various rebuilding times as well, and so,  
32 anyway, I didn't want to leave this meeting and all of a sudden  
33 get to the council meeting and realize that we don't have that  
34 information explicitly here.

35  
36 **CHAIRMAN NANCE:** Ryan.

37  
38 **MR. RINDONE:** Just to that effect, what we did at the last meeting,  
39 or, well, I guess in January, when you guys looked at this last  
40 time for the MRIP run, with the 660,000 pounds, or it was actually  
41 661,901, when not rounded, but anyway, and that was the yield  
42 recommendation which corresponds to F rebuild, which corresponds  
43 to the ABC.

44  
45 The current management is that the ACL is equal to the ABC, and  
46 then the sector allocations work their way down from there, and  
47 so, for the interim rule, none of that was adjusted, but Dr. Frazer  
48 is right that, to make the rebuilding plan, we need an OFL, and I

1 think Lisa is working on pulling some of that stuff together now.

2  
3 **CHAIRMAN NANCE:** Did you send a note to her to do it? It seemed  
4 like, when we last talked to her, we left her with not anything to  
5 do tonight.

6  
7 **MR. RINDONE:** Right, as far as like creating new projections or  
8 anything like that, but, again, the yields that she showed you  
9 correspond to F rebuild, which corresponds to what the ABC would  
10 be.

11  
12 **DR. BARBIERI:** If I could interject here real quick, she does have  
13 OFL projections for F 40 on Slide 36, and so that we have.

14  
15 **DR. FRAZER:** So the OFL projections in the F zero one, and the OFL  
16 projections, it looks like, are the same as they are for 2023 or  
17 whatever, the next year, for all of these, and so those yield  
18 streams are OFL, and it's not ABC, and that's how I am interpreting  
19 this, but I could be wrong.

20  
21 **DR. BARBIERI:** Slide 36 is that 420,000 pounds for --

22  
23 **CHAIRMAN NANCE:** Katie, to that point.

24  
25 **DR. SIEGFRIED:** If we could pull up that other presentation.

26  
27 **DR. FRAZER:** I'm not sure what it is, but I just wanted to make  
28 sure that we have the numbers.

29  
30 **CHAIRMAN NANCE:** Let's go ahead, and we're going to take a fifteen-  
31 minute break here, and so we'll come back at ten minutes to three,  
32 and so 2:50, if my math is correct, and then we will come back to  
33 this item and what we need and how we move forward. Thank you.

34  
35 (Whereupon, a brief recess was taken.)

36  
37 **CHAIRMAN NANCE:** We're back from break, and we appreciate everybody  
38 being on. What we were talking about, right before the break, is  
39 to make sure we had the correct numbers to be able to go to the  
40 council with. We've got our F rebuild numbers, and we've asked  
41 the Center just to confirm what we think they are. Right now, it  
42 looks like it's Slide 38, isn't it?

43  
44 **MR. RINDONE:** 36 is the OFLs, and 38 is the F rebuild.

45  
46 **CHAIRMAN NANCE:** Thank you. Go down to Slide 36, and so OFL  
47 projection, with what we're recommending, is 2023, and so it's  
48 0.42 for yield on OFL, and then, on Slide 38, the ABC would be

1 0.39.

2

3 **MR. RINDONE:** Lisa is working up the non-rounded values for these,  
4 if you guys would like to use the non-rounded values, given how  
5 small these are in the initial years. Typically, the SSC doesn't  
6 make catch limit recommendations beyond five years, and the  
7 expectation should be that the SSC should expect the council to  
8 request interim analyses at some interval, either annually or  
9 every-other-year or something, and I think that's a reasonable  
10 expectation, and then the next assessment of gag comes up in a few  
11 years, and I can look at the SEDAR schedule real quick and tell  
12 you when that is, but, obviously, there is some delay between doing  
13 the assessment, reviewing it, and then implementing management.

14

15 **CHAIRMAN NANCE:** Okay. Thank you, and so we've taken care of that.  
16 Go ahead, Ryan.

17

18 **MR. RINDONE:** Bernie, can you -- Somebody has got their hand up,  
19 and I will stop talking.

20

21 **CHAIRMAN NANCE:** Doug.

22

23 **MR. GREGORY:** Thank you. I just want some clarification. I  
24 thought we -- The motion earlier recommended three different  
25 scenarios that the council could choose from, and I didn't realize  
26 it was recommending a specific scenario of ABC rebuild. What did  
27 I get wrong here?

28

29 **MR. RINDONE:** Doug, you're correct. It's three different  
30 scenarios. We're just using Tmin times two as the example here,  
31 and so, under Tmin, where fishing mortality would be set equal to  
32 zero, the yield is zero, and so the ABC would be equal to zero  
33 until the stock had rebuilt, in either twelve or thirteen years.

34

35 Under the Tmin times two example, if the council were to choose  
36 that, under the SRFS run for F 40 percent SPR, the OFL would be  
37 equivalent to approximately 420,000 pounds, and then the ABC to  
38 390,000 pounds, and that ABC corresponds to F rebuild, and, right  
39 now, the council has the ACL set equal to the ABC, and so, at least  
40 for the purposes of the interim analysis, if the council goes with  
41 Tmin times two, which would be expected, and that's what they were  
42 going to go with the last time, then the ACL would be set equal to  
43 approximately 390,000 pounds, and then it would be divided up,  
44 thereafter, based on sector allocations and all the rest of it.

45

46 **MR. GREGORY:** Thank you.

47

48 **CHAIRMAN NANCE:** You're welcome. Katie.

1  
2 **DR. SIEGFRIED:** Thank you, Mr. Chair. Ryan might have gotten to  
3 some of these in what he was just saying, and I apologize if I say  
4 it again, because I'm doing too many things at once, but so the  
5 first question is, okay, you have that one value from 2023 for the  
6 scenario of T<sub>min</sub> times two, and Lisa can produce that value for  
7 the other two scenarios that were in the motion, and it looks like  
8 she's doing that now, based on our conversation, and so it seems  
9 like a table might be best to accompany that motion, or to -- For  
10 the SSC to just have in their documentation.

11  
12 **MR. RINDONE:** Yes, and I will put that in the summary too, Katie.

13  
14 **DR. SIEGFRIED:** Okay, and then how many years? That is couched in  
15 another question about interims, but we often don't just provide,  
16 you know, the 2023 value and you all take that and then that's it.  
17 Obviously, there is sometimes averaging over some years, but it  
18 sounds like the interim will probably be requested each year, and  
19 we've already gotten a request for this interim, once this  
20 rebuilding timeline is set up, because we have to figure out how  
21 to -- Which index to use and how to parse out that spatial data  
22 from the video index indices. Is there -- Would the table need  
23 to be like 2023 to 2027, just so you have all those years that we  
24 typically provide, or is 2023 sufficient?

25  
26 **CHAIRMAN NANCE:** I think, Katie, go ahead and do 2023 to 2027,  
27 because that would give us that range that we typically look at  
28 from an SSC standpoint.

29  
30 **DR. SIEGFRIED:** Okay, and then, sort of to what Roy was commenting  
31 on before about the red tide, the potential impact of red tide, I  
32 assume that our interims would be able to detect a drop in the  
33 stock due to something like that, whatever type of episodic  
34 mortality it was, and is it safe to assume that we'll be getting  
35 annual requests for interim analyses for gag until the next  
36 assessment, and, if so, how quickly is a new yield value able to  
37 be put into place from that, just so we can get timing of all of  
38 the different data sources that we need to consider?

39  
40 **CHAIRMAN NANCE:** Dr. Frazer.

41  
42 **DR. FRAZER:** I think it's a pretty safe assumption that you're  
43 going to get a request from the council for a regular interim  
44 analyses for gag.

45  
46 **CHAIRMAN NANCE:** John.

47  
48 **MR. MARESKA:** Katie, these values in these tables, are these in

1 metric tons or pounds?

2

3 **DR. SIEGFRIED:** Lisa, are they -- I think they're thousand pounds.  
4 It's looks like she's muted. Million pounds. Thank you, and so  
5 the yield, the second-to-last column, is in millions of pounds.

6

7 **EXECUTIVE DIRECTOR SIMMONS:** Is that gutted weight, Katie?

8

9 **CHAIRMAN NANCE:** It's usually millions of pounds gutted weight, I  
10 think, yes, but Katie can verify that.

11

12 **DR. SIEGFRIED:** Yes, it is.

13

14 **CHAIRMAN NANCE:** Carrie, do you have a -- Yes, please.

15

16 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair, and so,  
17 regarding the interim analysis, I think, because we have so many  
18 moving parts, and we now have the SRFS rerun, and one thing that  
19 we may be asking for in the near future, and came up with at the  
20 council meeting in June, is asking for a health check, just looking  
21 at that fishery-independent index, or a couple of them, if you  
22 have those for gag, and letting us know which way the stock is  
23 going, or that is trending, and we did talk a little bit about  
24 that, because the council will just be putting in place, hopefully,  
25 those interim rule measures and then working on that rebuilding  
26 plan, and so we may not tie that first interim analysis with catch  
27 advice, but we'll be working on that letter, and I know that a lot  
28 of folks are interested in seeing and hearing what's on the water,  
29 hearing that, that the stock is recovering, and I think it would  
30 be nice to see that fishery-independent index in the fall, if we  
31 could, or indices. I'm not sure what we have for gag.

32

33 **DR. SIEGFRIED:** To that point, Mr. Chair?

34

35 **CHAIRMAN NANCE:** Yes, please.

36

37 **DR. SIEGFRIED:** Thank you, Carrie. I appreciate that, and I think  
38 what it sounds like it will be safe to assume is that we should  
39 just plan on performing the interim for gag each year when we're  
40 able to get those indices, the data completed and the indices  
41 computed, and I think the response to the council, for the last  
42 request, said that the data -- It might be because of problems  
43 with 2021 data and personnel issues, but that those data aren't  
44 available until November, and I'm looking back, but, whatever that  
45 memo response said, we can plan on doing an interim each year at  
46 the same time, and whether it's a health check or it's used for  
47 updating management advice, and, I mean, it's a rebuilding stock,  
48 and I assume that we want to keep up with the health of it too,

1 and so that's assumed.

2

3 **CHAIRMAN NANCE:** My understanding is the reason that it hasn't  
4 been produced yet is we hadn't decided on the units that we were  
5 going to do the rebuilding plan in, and the council was working on  
6 the interim rule, and so, once those decisions were made, then we  
7 could put an official request in, with here's the ABC, and ask for  
8 revised catch advice, and the allocations and all those types of  
9 things are kind of up in the air, and so that's why that wasn't  
10 able to be produced yet, was my understanding, and so, yes, if you  
11 guys could do something in the fall, when those fishery-independent  
12 indices would be available, I think that would be great, because  
13 we're looking at some dramatic cuts, and I think people are telling  
14 us they're catching more gag, but, you know, the quotas are still  
15 not being filled, based on what we have on the books right now.

16

17 I think, if it's going up, that's good news, but maybe not trending  
18 up as high as everyone else is seeing on the water, or it is going  
19 back down, and I think that would be very useful information to  
20 have, as soon as we can, and help us convey some of this information  
21 to the council and the public.

22

23 **CHAIRMAN NANCE:** Katie, is the values you look at the same as we  
24 use for red grouper, and so they would be done about the same time?

25

26 **DR. SIEGFRIED:** I'm looking back at the response to the council  
27 request, and so the indices for gag -- There is the issue with the  
28 combined index that incorporated Panama City, Pascagoula, and the  
29 Florida state folks' survey, and, right now, there is even a  
30 procedural workshop to understand better how to combine those, and  
31 gag used them individually, rather than a combined index.

32

33 The request we got from the council said please investigate which  
34 index to use, in preparation for this interim, and that is what -  
35 - We're waiting for the data to be completed from all three of  
36 those regions, those survey sections, so that we can figure out  
37 how to best replicate the index that was used in the gag assessment  
38 that we then can use for an interim, rather than the whole, and so  
39 it's different than red grouper, because it's not the combined  
40 index.

41

42 **CHAIRMAN NANCE:** Okay. Perfect. Thanks for that explanation. I  
43 think it's -- Both of these species, I think you can count on an  
44 annual request to be able to do that, and I think it's coming up  
45 with the index that's a good representation, so we can take a look  
46 at that each year. Trevor.

47

48 **MR. MONCRIEF:** If I remember correctly, the independent index for

1 gag have limited observations and so it would be interesting just  
2 to keep in the back of our minds of when we start seeing increases,  
3 or decreases, how looking into it and seeing, because there is  
4 such limited observations, how representative it might be.

5  
6 **CHAIRMAN NANCE:** That's a very good point. It would be good to be  
7 able to track what we think is happening with what is happening.  
8 Absolutely, and I think that's why we have those annual reviews,  
9 so we can take a look at that. Harry.

10

11 **MR. BLANCHET:** Thank you. I just wanted -- Talking about people  
12 seeing a change, in terms of the numbers of fish being taken, or  
13 on the water, when you say that, a lot of times, what we're talking  
14 about is maybe a change of people will think of it as, you know,  
15 it's somewhat better, or it's somewhat worse, that it was a year  
16 or so ago, and the status of this stock, right now, is at about  
17 the same level as red drum in some of the early assessments and  
18 red snapper in some of the early assessments.

19

20 In other words, in the tank, and, for this stock to recover, where  
21 there is currently one pound of spawning stock biomass, there will  
22 have to be something north of ten-times that biomass of spawning-  
23 age fish in the water for that recovery to occur, and so I think  
24 that, in terms of perspective of where we are, it's hard to  
25 comprehend, easily, just how much different that stock is going to  
26 have to be than where we are currently, and we have certainly seen  
27 changes in red snapper, in terms of distribution, abundance, size  
28 structure, et cetera, to say that this is possible in a Gulf of  
29 Mexico stock.

30

31 However, this is not something that we have seen in a very long  
32 time with this species, and so I think that the scale of where we  
33 need to go needs to be emphasized, if this assessment is anything  
34 near correct, and I see no reason to believe that it's not.

35

36 **CHAIRMAN NANCE:** Thank you, Harry. I appreciate all of those  
37 comments and discussion this item. We'll go ahead and move on to  
38 Item Number VII, a Decision Support Tool for Evaluating the Impacts  
39 of Short and Long-Term Management Decisions on Gulf of Mexico Red  
40 Snapper Resources. Ryan, go ahead and do the scope of work,  
41 please. We have Dr. Zhang, and we have her with us today to be  
42 able to present this. Ryan will do the scope of work, and then,  
43 Dr. Zhang, we'll turn it over to you for your presentation.

44

45 **PRESENTATION: A DECISION SUPPORT TOOL FOR EVALUATING THE IMPACTS**  
46 **OF SHORT AND LONG-TERM MANAGEMENT DECISIONS ON GULF OF MEXICO**  
47 **RED SNAPPER RESOURCES**

48

1 **MR. RINDONE:** Sure, and so Dr. Zhang is here to talk about this  
2 decision support tool for evaluating the impacts of short and long-  
3 term management decisions on the Gulf of Mexico red snapper  
4 resource. This too employs a management strategy evaluation  
5 conducted through computer simulation to evaluate the effects of  
6 management decision and their effects on the stock and its  
7 stakeholders, and the purpose is to improve the evaluation of  
8 management decisions, with the goal of making progressively better  
9 decisions in time. You guys should consider the information that's  
10 presented, ask questions of Dr. Zhang, and make any  
11 recommendations, as appropriate.  
12

13 **CHAIRMAN NANCE:** Thank you. Dr. Zhang. Thank you.  
14

15 **DR. YUYING ZHANG:** First, thank you for the invitation. My name  
16 is Yuying Zhang, and I'm an Associate Professor at the Florida  
17 International University, and, today, it's my honor and pleasure  
18 to introduce our new tool, the decision support tool for the Gulf  
19 of Mexico red snapper.  
20

21 I'm sorry that, after a long day of discussion, that everybody  
22 maybe wants to have dinner, but I still need to hold you here, but  
23 I will try to make it as fast as possible. Actually, a couple of  
24 years ago, I was here to introduce this tool, but, at that time,  
25 it was just like a design, and, right now, we have already finished  
26 the development, and we are wrapping up, and, this summer, I am  
27 writing the tutorial, the support documents, and the manuals, and  
28 I think we will officially release that in 2022.  
29

30 First, I want to introduce the team for that, or, actually, the  
31 collaborators and my university team provided a lot of help. Dan  
32 and Matt, they are the stock assessment scientists of the red  
33 snapper, and Laura Picariello of the outreach, Dr. Yong Chen with  
34 a lot of help in the scoping and design and is right now helping  
35 us to promote the use of this tool. Luiz gave us a lot of  
36 suggestions with management, and Chris helps with the workshops on  
37 the east coast, and Juan gave us a lot of suggestions on the  
38 socioeconomic components.  
39

40 Actually, there should be a post-doc here. However, because the  
41 market is so hot, we have two -- We still cannot find the right  
42 person, and so I'm doing the whole programming, with my programmer,  
43 and so I know every detail of this tool. If you have any questions,  
44 just shoot me an email.  
45

46 Today, I think I only have thirty minutes to introduce this, but,  
47 on July 26 and August 7, we will have two workshops, half-day  
48 workshops, one in Galveston and one in Tampa, here, and so, if you

1 are interested, please send me an email, and I will give you the  
2 detailed agenda, and everybody is welcome to join.

3  
4 Also, I think, in 2017, when this project -- Before it got funded,  
5 the director kept asking me why I chose red snapper, and, at that  
6 time, because Dan and Matt -- When they helped me polish my  
7 proposal, they used the words "controversial and contentious", and  
8 so I think a fish like that -- It's worth it to have a customized  
9 MSE for them, and that's why we were motivated to get this project,  
10 but, actually, my ultimate goal is to develop a multispecies MSE,  
11 with the ecosystem-based management included. However, as the  
12 first step, we cannot go too big, and so let's do the single  
13 species first, and then we will move step-by-step.

14  
15 Okay, and so, in 2017, the NOAA RESTORE Act funded management  
16 decision support tools, and mine is one of them, and so, to be  
17 more specific, mine is an MSE tool. MSE, and everybody here are  
18 experts, and so there's no need to explain what that is, but, in  
19 case someone doesn't know that, we recorded a very detailed video  
20 and put that on the website. If you have a smartphone, you can  
21 just scan the URL, and you will get that.

22  
23 The core of MSE is the simulation, and the simulation itself is  
24 not difficult, and so I develop many models, like stock assessment  
25 models and the Bayesian models, statistical models, ecosystem-  
26 based models, and so those models -- You need to like tune the  
27 model at the end to get the model converged, and, to be frank, for  
28 me, 50 percent of the time, my model cannot converge, but, for the  
29 MSE, it's not that difficult.

30  
31 Sure, you just -- Like a witch, you put all the medicine into your  
32 hotpot, and it eventually will give you something, and you just  
33 wait there and see, and so, like for the MSE, we just preset all  
34 the constraints, and it will run it for like one generation or  
35 like fifty or 100 years.

36  
37 Although the MSE is not difficult, it's really complicated, and so  
38 there are many components that we have to take care of. For  
39 example, like the red snapper, we know it's so complicated, and  
40 so, in addition to the common -- The biological reference points,  
41 harvest control rule, and people like you guys may be more  
42 interested in like the allocation among the fishing sectors, among  
43 states, like what is the size regulations, and what is the fishing  
44 season, and so all of this has to be considered.

45  
46 Then you may also be interested in like OFL and ABC for this, and,  
47 also, when you implement those strategies, you need to think about  
48 all the uncertainties, and it's like the observation error and

1 process error and implementation error and assessment error and so  
2 on, and so the fisheries scientists provide fishery managers the  
3 results of the MSE, but, the managers, they may not pick the best  
4 one. They may pick like the most robust one. That means that, if  
5 something goes wrong, that the fishery may not go too bad.

6  
7 Now you can see that we tried to incorporate as many uncertainties  
8 as possible in this tool, and, also, for the output, and so the  
9 total catch, the catch variation, the SSB at the end of your  
10 management period, and the lowest SSB, those are the things that  
11 the performance measures will care most, but, in addition to that,  
12 there may be others, and so, for example, we tried to add like a  
13 socioeconomic performance, to see what the landing value could be.

14  
15 Unfortunately, we find that some historical -- The price, and I  
16 know that we find that the price is not highly correlated with the  
17 demand. That means that, the more you catch, it seems like the  
18 price gets high, and so I was told this may be because the red  
19 snapper is highly affected by the imports from Mexico, and so that  
20 is some direction, and we can work on that in the future.

21  
22 Now many people always ask me like what are the advantages of your  
23 tool comparing to competing tools, and, first, I want to say that  
24 I'm not competing with anyone, and we are all contributing to the  
25 fisheries management, but my tool does have some measures that  
26 other tools don't have.

27  
28 First, I will talk about the model structure. Our model, the main  
29 code is written by R, and my programmer keeps asking me why I  
30 didn't use C, because C is much faster, and the reason -- Actually,  
31 have C as early as 2011, when I developed MSE for the tuna, and I  
32 already had C software, and it's very quick, but the reason that  
33 I choose R is because many fisheries scientists are familiar with  
34 R, and we wanted them to use this as long as possible, and so  
35 that's why I chose R.

36  
37 The second reason is because the MSE is based on the official stock  
38 assessment model, and we have the R package that can read the stock  
39 assessment result, and so I want to utilize that, and so that's  
40 the main reason we use R, and then my main model has been sent out  
41 to NOAA Fisheries scientists, and they are kindly helping me review  
42 that, and they agree that this tool is factually correct and  
43 consistent with the council management framework.

44  
45 In the future, if the stock assessment gets changed, or some  
46 management procedure gets changed, we can work together to modify  
47 the main code to make it continue working and update it.

1 I will go back to the model structure, and so this is -- The first  
2 side is the conceptual flow chart, and all MSEs work from this  
3 reference, but, actually, in the middle side, this is our flow  
4 chart, and it's more complex than that. It's so complex that you  
5 cannot see the detail, and so I put another URL here, and, also,  
6 this flow chart is on our website for you to examine.

7  
8 Actually, this flow chart has already been simplified. For  
9 example, Ryan and I discussed the details about the carryover and  
10 the penalty, and, here, I didn't indicate that clearly in the flow  
11 chart, because some of the alternatives, preferred alternatives,  
12 haven't been released yet, and so, once it becomes management, I  
13 can upload my flow chart, to make it updated, but, right now, all  
14 these preferred alternatives have been embedded in the code.

15  
16 Another thing I mentioned is so this is consistent with the  
17 management, and so I will give you some examples. The first is  
18 the OFL and ABC, right, and so, in our tool, you can test the  
19 different probabilities of this overfishing, by changing this --  
20 Right now, the default is forty, but you can change that. By the  
21 way, the <http://gomredsnappermsetool.flu.edu> is the URL of our  
22 tool, and so you can go there and try it, and, if the glossary is  
23 not friendly to use, we have a glossary to list all of them.

24  
25 The second example is about the assessment error, and, to be frank,  
26 many MSEs are not complete, and they don't consider assessment  
27 error. I am not blaming other people, and, also, my publication  
28 for the tuna work didn't include assessment error, and so let's  
29 see the concept.

30  
31 This is the basic concept, and so what are those imperfect MSEs  
32 always missing? They are usually missing the lower part, and so  
33 the difference is, for the imperfect MSE, they also come from the  
34 biological reference point and harvest control rule, but, when  
35 they get input into the operating model, they just are projecting  
36 for like one generation or hundreds of years, but, however, this  
37 part is missing the feedback component.

38  
39 Usually, the full loop should be the general data from the  
40 simulated fishery, and you just estimate and update the parameters  
41 and then go through this process again, and so, to be consistent  
42 with the stock assessment and management, for example, if you use  
43 stock assessment that goes every three to five years, then, in the  
44 management, when you mimic it, you also have to simulate it, to  
45 have that every three to five years.

46  
47 Then what if your stock assessment is not perfect? Then this is  
48 the place you should apply the assessment error, and so there are

1 two ways to apply the assessment error. One is the full MSE, and  
2 so this is to strictly mimic what the truth is. Like, for example,  
3 if a stock assessment is SS, then you call SS every three to five  
4 years, and then you update your parameters.

5  
6 This, of course, is very good, but it's very, very, very time  
7 consuming, and so another shortcut MSE is that you can assume some  
8 stochastic process and incorporate this assessment error based on  
9 some historical experience. The good thing is that it can save  
10 time, but, in cases there is some parameter that has never come  
11 before, you may not consider that in your simulation.

12  
13 Right now, our tool is built on the shortcut MSE. The main reason  
14 is that I tried to save the computing time, but if, in the future,  
15 we want to incorporate it, to call SS, it's just very easy, and  
16 it's just changing some code, and then we call the SS stock  
17 assessment model.

18  
19 I also mentioned that we integrated the carryover and the penalty,  
20 and so this box mainly comes from the generic amendment, and it's  
21 about like 184 pages, and we summarized that, and so our constraint  
22 -- This is the main constraint, but our constraints are not limited  
23 on this, and we have more.

24  
25 Briefly speaking, for the carryover, we have three options. The  
26 first is no carryover, or there is some carryover, but the  
27 carryover will only apply to the sectors and components who did  
28 well in the previous years. Then we also make sure the ABC won't  
29 exceed the 95 percent of OFL, or it won't exceed 50 percent of the  
30 difference between the ABC and OFL.

31  
32 As for the penalty part, we have two, and so the first is no  
33 penalty, and the second is that we tried to be consistent with the  
34 2015 amendment, and so, in the amendment, they say, because red  
35 snapper right now is under some rebuilding plan, and so that's why  
36 -- Our default is that, before 2032, we will have this rebuilding  
37 plan and we will have a penalty.

38  
39 Last week, or, actually, last month, Mike Drexler and I tried some  
40 analysis, to see if each state -- If they increased their catch  
41 like 50 percent or more, what would be the consequence, and, to  
42 our surprise, this penalty can help protect this fishery, and so,  
43 if you guys are interested, I can demonstrate to you what this  
44 would look like.

45  
46 Then, also, to be precautionary, we also consider those buffers  
47 when estimating these ACTs, and so, because of the IFQ -- So our  
48 default buffer for the commercial sector is zero, but, for the

1 federal for-hire and the private angling, we give them the  
2 different -- Like 9 percent and 20 percent default buffer.

3  
4 If the end user is interested, they can try other combinations,  
5 and, last month, I sat in on the Gulf Council meeting, and I am  
6 very happy that my setting is the same as what it is, and this is  
7 because my collaborators -- They are all experts, and so they gave  
8 me a lot of information to make it consistent with the management  
9 procedure.

10  
11 Now I have finished the first advantage, which is our model  
12 structure, and then the second advantage is our user-friendly  
13 interface, and so our end users have a very broad spectrum, and so  
14 someone can have no background on MSE, and someone may be like an  
15 expert, and they just isolate themselves in a room for two weeks,  
16 and they can develop their own MSE, and so, for those two different  
17 -- For people with different backgrounds, we're thinking how to  
18 give them the features to convince them to use my tools, instead  
19 of developing their own.

20  
21 For people with few or little background, this user-friendly  
22 interface can help them a lot. As you can see, the process is so  
23 complicated, because the management of the red snapper is  
24 complicated, but we kind of make them into groups, and each group  
25 we try to make as simple as possible. From this page, you can see  
26 this is the simple list, the input, that we designed for the people  
27 with no background.

28  
29 We have designed about seven management options, and so they are  
30 either allocations or regulations or like penalties, and so we  
31 just kind of sorted them, and then they can also try different  
32 combinations of the natural mortality and the recruitment  
33 scenarios, and, as for general input, we just set it as a default  
34 from the stock assessment. By the way, this is the simplest one.  
35 Later, we will have a professional version, to give them something  
36 different to try.

37  
38 This is what the default assessment looks like, and so now we will  
39 move on to a professional version, and so, in the professional  
40 version, the management option -- The seven ones are the same, but  
41 the difference is, from natural and recruitment, they will have  
42 more scenarios that they can choose from, and then, from Step 1 to  
43 5, that's the input from the stock assessment, and so this is  
44 automatically reading from the official stock assessment.

45  
46 I will give you a picture of what does a general input look like,  
47 and, so for example, the last stock assessment ended in 2016, and  
48 so, right now, the projections automatically started from 2016,

1 and we assume that we will have a stock assessment every three  
2 years, and that's the default, but you can change it, and then,  
3 because we consider uncertainty, you can see the results is from  
4 100 runs, or more runs, and you can set the observational error  
5 for the distribution and so on.

6  
7 For this biological reference point -- Sorry. Biological  
8 parameters, and they are just read from the latest stock  
9 assessment, but, if you do not agree with that, you can also modify  
10 that, and so we give the end users a lot of freedoms to modify.

11  
12 Then it was input, and you will have the output, and so we use  
13 very powerful data visualization tools to create more than twenty  
14 figures for each scenario, and so, for example, like this one is  
15 the -- It's from the line gradient chart, and so this one can show  
16 you to compare what does the total annual catch and SSB look like,  
17 and, of course, we have a very classic Kobe plot, and, by the way,  
18 those plots are dynamic plots, and so that means, when your mouse  
19 to these charts, it will show you what the data looks like, and so  
20 this is very convenient when you compare among different scenarios.

21  
22 Now we use, for example, some -- We use these like stepped lines,  
23 and then we use some bars, and, in this version, we use the shaded  
24 area to indicate the uncertainty, and so all of this can give you  
25 the results of the management in different perspectives.

26  
27 Another advantage of our model is we can compare different  
28 scenarios. For many other tools -- Like, if you close it, the  
29 result cannot be saved, but, in our model, everything is saved  
30 there, and, another day later, you come back, and it is still  
31 there, and you can compare your scenarios with other people's  
32 scenarios, and so, for example, we give them the features that  
33 they can select the scenario and compare horizontally, and then we  
34 use these lines and a radar plot and a bar plot to compare them.

35  
36 Our tool actually provides a platform for the end users to  
37 communicate, and so there are several ways they can do it. The  
38 first is through -- I mentioned that I have two versions for them  
39 to try, and when they save the results, and so all these features  
40 are typical for registers, and so, when they register, they can  
41 save twenty scenarios.

42  
43 When they save twenty scenarios, with this feature, they can show  
44 three scenarios to the public, and so, for example, if I turn this  
45 off, even if you're not allowed in, you will see this scenario,  
46 and you can compare this with yours.

47  
48 Then, when you compare results, you can download the PDF, and so

1 there is two formats of PDF, and the first is, if you just show  
2 the results of one scenario, the first part is the output, what  
3 does the figure look like, and the second component is what your  
4 input is. Here, if this input is not the same as before, we use  
5 a red color to highlight that, and so then the people will know  
6 what the consequence of the management strategy and why it caused  
7 that.

8  
9 If you are comparing multiple scenarios, we also highlight the  
10 differences of these scenarios, and so this gives people a more  
11 convenient way to compare, and then we designed three goals  
12 Previously, what I mentioned is typical for a register, but, for  
13 some people, they really care about their privacy, and they don't  
14 want to register, and it's still fine.

15  
16 If you go to our website, you can just -- The default setting is  
17 like you login as a public user, and a public user can also create  
18 a simplified MSE scenario. The difference is they cannot save it.  
19 The scenario will be automatically deleted after twenty-four  
20 hours, and so that's -- Because we encourage people to try, and  
21 then we encourage them to register.

22  
23 We want to collaborate with the fisheries scientists, like NOAA  
24 Southeast Fisheries Science Center and the council people, and so,  
25 for those users, if they become like the administrator, we give  
26 them more authority. For example, every several years, when they  
27 have a new stock assessment model developed, they can just update  
28 the stock assessment model, and then everything in the backside,  
29 the projections, will be updated. Also, as an administrator, they  
30 can just have different features, and just delete all or add more  
31 users.

32  
33 One more thing that I forgot to mention is we also spent a lot of  
34 time to avoid some error, and so, for example, if someone starts  
35 a new scenario, and they run it, and then, the second time, they  
36 change some input, and they close this website, or maybe, when you  
37 run it, the website just has some error and it disappeared, and  
38 so, in this case, in the database, your input and your output might  
39 be different, and so we spent a lot of time on that. In our tool,  
40 in case this happens, your scenario name will be highlighted by  
41 yellow, and so that means it will give the end user a reminder  
42 that you have to rerun this scenario.

43  
44 The advantage of our MSE tool is every component is independent,  
45 and so, for example, the website is written by Python and Linus,  
46 and the database is written by the MongoDB, and this is a new  
47 generation, the database, that can get at the scenarios, get at  
48 the results and the input pretty quick, and we have the user-

1 friendly interface, and it's written in JavaScript and html. Then  
2 the operating model -- We used R, and, also, in the future, when  
3 we use the full MSE, we will call the SS.

4  
5 In the future, if the stock assessment scientists -- If they want  
6 to modify -- If it's slightly changed, we just can modify R. If,  
7 for example, some database changes, then we can add some things in  
8 the MongoDB, and then, if the user-friendly interface needs to  
9 change, then we just use html to write some new features, and so  
10 this is very flexible, and it's expandable.

11  
12 Now another advantage that I want to talk about is the computing  
13 time. As I mentioned, many fisheries scientists don't integrate  
14 the assessment error, not because they don't want to, but it's  
15 because, if they do that, it will dramatically increase the running  
16 time, and so what we do is we set a parallel computing. I can  
17 give you an example. Without considering the assessment error,  
18 each run takes like one minute, but, if you count in the assessment  
19 error, even if there's a shortcut MSE, it will increase the time  
20 to be twenty-five minutes.

21  
22 I don't think people will be very interested in the tool if it's  
23 twenty-five minutes, and so what I do is, after setting this  
24 parallel computing to the maximum, the sixteen CPU, it reduces the  
25 computing time from twenty-five minutes to five minutes. In the  
26 future, if I can -- For example, if NOAA, or some other institute,  
27 can host this tool, and it gives me, for example, like a 100 CPU,  
28 it will reduce the computing time to be less than one minute, and  
29 so this one way. Then the second way I'm thinking to save time  
30 is, because there are more and more people that use this tool --  
31 My design is, for the people first to run this, it may take five  
32 minutes, but, if the second people use that with the same input,  
33 it will copy the result from the first guy, and so the result will  
34 come up in less than one second.

35  
36 The advantage of that is, right now, at the beginning, it may take  
37 time, but, me, as a PI, I can run it in my spare time, like solve  
38 it enough times, solve enough scenarios, and, as more and more  
39 people use our tool in the future, the computing time will be  
40 dramatically reduced.

41  
42 Although our tool hasn't been released right now, there is work  
43 that has already cited our work, and so, for example, this is a  
44 National Academy book that came out in 2021, and, in the Chapter  
45 5, pages 154 to 156, it cited this, and, also, my collaborators  
46 have written some of their work, and they already cited this work.

47  
48 The reason I came here is because I want to promote the use of the

1 tool, and I also want to let people know this tool and start a  
2 collaboration. There is several ways we can do that. The first  
3 is, previously, I mentioned that our tool can compare several  
4 scenarios, but I was ambitious, and I was thinking to let it  
5 compare thousands of scenarios. For example, you may run thousands  
6 of scenarios, and you just project the catch and the SSB, to see  
7 what they look like.

8  
9 To tell you, in the past year, I spent a lot of time on that, and  
10 this function does work. The problem is each run takes five  
11 minutes, and, if each run takes five solid minutes, it cannot  
12 work. Plus, the server -- If you stop connecting, it will drop,  
13 but this work is already there, and, in the future, when we have  
14 enough scenarios saved there, I can unhide this part to the users,  
15 so they can use it.

16  
17 The other ways that we can use -- For example, we can do the  
18 customized MSE for all these commercially-important species,  
19 although I have devoted myself here, but I cannot do it for all  
20 species, and so, if some researchers -- If they have some MSE tool,  
21 they can utilize my framework, so they don't have to spend a lot  
22 of time on the interface or that part, and we can work on that  
23 together, or we can work on the multispecies MSE for the ecosystem-  
24 based fisheries management, and, also, we can develop more  
25 visualization tools, to give people more insight, and we can also  
26 provide this platform for stakeholders to communicate.

27  
28 This is just a brief introduction to my tool, and so I would like  
29 to thank Frank and the NOAA RESTORE Act and John, and he is the  
30 technical monitor of this project, and he gave me a lot of the  
31 suggestions. Then Ryan helped me with the complex process  
32 procedure. LaTreese and Nathan gave their suggestions too, and  
33 all these other programmers who contributed to this project, and  
34 I appreciate everybody here listening to my tool. If you have any  
35 questions, then just ask me.

36  
37 **CHAIRMAN NANCE:** Thank you very much. We appreciate that  
38 presentation. Any discussion or any questions from the SSC? Luiz.  
39

40 **DR. BARBIERI:** Thank you, Dr. Zhang. I mean, this is very, very  
41 nicely reviewed, but, just in terms of, you know, what comes next,  
42 if this is completed now, what's the next step that you have in  
43 mind, in terms of either continuing this project or taking some  
44 other direction?

45  
46 **DR. ZHANG:** Okay and so, first, for red snapper, I still want to  
47 work on that, and so, when I wrote the proposal, I did an  
48 accounting, but, because we haven't hired the post-doc, the salary

1 for the post-doc right now is saved, and, right now, I am just in  
2 negotiations, and we are trying to maintain this website for at  
3 least five years, or maybe ten years, and, in this time, we can  
4 continue to modify that.

5  
6 I contacted LaTreese, who is doing the stock assessment right now,  
7 and she told me that one thing is the red snapper -- That they are  
8 considering from having it from two stocks into three stocks, and  
9 so it gives me a little bit of a headache, but I have to do a lot  
10 of modifications, but it's not as difficult as is thought, because  
11 we just need to modify the R and the interface a little bit, to  
12 make it updated, and so I will want to work on the red snapper  
13 part.

14  
15 Then, today, we talked about many other species, like gag grouper,  
16 and so I think the ecosystem-based management is our ultimate goal,  
17 but it's too far away, and so we have to do it step-by-step. Right  
18 now, when people just sit here discussing, why not let me or other  
19 researchers -- We start with single-species management first, and  
20 then we can do a kind of like a pathway. If we start with a single  
21 species, then we just have some ecosystem-based indicator, and so  
22 that means, when we do the ecosystem -- We call the ecosystem-  
23 based model to run it and to make sure that, when you protect some  
24 species, it won't affect the others.

25  
26 Then the next step is that we do a true multispecies stock  
27 assessment, but everything we can do together. Like, for example,  
28 the interface is developed, and the next step is just to change  
29 the core, and so we can make it into blocks and do it step-by-  
30 step.

31  
32 **CHAIRMAN NANCE:** Jim.

33  
34 **DR. TOLAN:** Thank you, Mr. Chairman, and thank you for the  
35 presentation. Having been one of the SSC members that was here  
36 when you initially laid this out for the proposal, way back when,  
37 I'm glad to see that you've really made progress on it, and you  
38 have a working tool now that can be released, and so  
39 congratulations to you, and I'm glad you brought up the point about  
40 having a three-stock model, because I was going to apologize to  
41 you, because I was one of the workgroup leaders that really pushed  
42 for that to be a three-stock model for Gulf red snapper, and so,  
43 having heard that it's not going to be that big of a change, and  
44 that difficult to change your model, I was really -- I was going  
45 to apologize to you, but I'm glad to see that you've made so much  
46 progress on it, and so thank you.

47  
48 **DR. ZHANG:** It's fine, and I think our purpose is to make the

1 fisheries resource better and better, and so, if the stock  
2 assessment scientists make sure it's worth it to do the three-  
3 stock, I would like to collaborate with them to update it.

4  
5 **CHAIRMAN NANCE:** I also remember your presentation, when you first  
6 proposed this, and you have come a -- I'm very impressed with the  
7 model, with the tool, that you have developed. It would be  
8 interesting to see how to use this in the future and to be able to  
9 -- Right now, I think you run different scenarios, to see the  
10 outcome and things like that, and how to integrate that into  
11 management. I'm going to put Shannon on the spot just for a  
12 second, but was -- Maybe I'm dreaming here, but was there intent  
13 by the Center to have an MSE person at one time, I think?

14  
15 **DR. CALAY:** Yes, indeed, and that's a national initiative, and so  
16 each Science Center has an MSE point of contact, and ours is  
17 Cassidy Peterson, and I did pass on her name to Yuying.

18  
19 **CHAIRMAN NANCE:** Thank you. Josh.

20  
21 **DR. KILBORN:** Thank you very much, and thank you for the  
22 presentation. This is really an interesting tool. I'm curious  
23 how difficult it would be to actually kind of do this for another  
24 species, or several species. Thank you.

25  
26 **DR. ZHANG:** The first is I can give you some idea, from the budget.  
27 In 2016, I wrote a \$300,000 budget to MARFIN, and it got rejected,  
28 and, in 2017, NOAA very generously gave me \$500,000, and so the  
29 difference is the extra \$200,000 is for this framework of this  
30 user-friendly interface, but, since this has been developed, to  
31 move it to another species is not difficult at all, and so it's  
32 just a copy-and-paste, and then we need to work together to go  
33 through the management procedure to update the interface and the  
34 database.

35  
36 The core side is written by R. As I said, some person can just  
37 stay in a room for like two weeks, or maybe like one month, and  
38 they can get it, and so it has a really big potential to promote  
39 the use for other species.

40  
41 **CHAIRMAN NANCE:** I think the tool is the way it is because of your  
42 enthusiasm. I think you put a lot of effort into this.

43  
44 **DR. ZHANG:** Yes, and it kind of blocked my other research.

45  
46 **CHAIRMAN NANCE:** I think you've done excellent. Mike.

47  
48 **DR. ALLEN:** Congratulations, Dr. Zhang, on this. This looks like

1 a fantastic tool, and I'm wondering your thoughts on -- I like  
2 that you did a professional and a standard version, and it made me  
3 think about the utility of this for teaching, for classes, and  
4 stock assessment classes, and I could see like competitions, where  
5 students would get in groups and work on different scenarios, using  
6 the model, and have you thought about using it in that way?

7  
8 **DR. ZHANG:** Yes, and, actually, not only for class, because the  
9 citizen education, for like fishermen or other stakeholders, they  
10 can all play with this tool, because it's a simulation, and so  
11 even like what kind of extreme management you apply, it doesn't  
12 cause any harm to the real fishery, and so just feel free to play  
13 with that, and everybody register, and they have three scenarios  
14 they can share, and twenty they can save, and it's just a tool.

15  
16 **DR. ALLEN:** That's fantastic.

17  
18 **CHAIRMAN NANCE:** Any other questions?

19  
20 **DR. ZHANG:** Again, I appreciate you guys being here and listening,  
21 and, if you have any chance to help us with this tool, please do  
22 it, and I will be very appreciative.

23  
24 **CHAIRMAN NANCE:** Just one quick one, and when are you going to be  
25 in Galveston?

26  
27 **DR. ZHANG:** Galveston is July 26.

28  
29 **CHAIRMAN NANCE:** Okay. Thank you, and where at in Galveston?

30  
31 **DR. ZHANG:** I think it's Texas A&M.

32  
33 **CHAIRMAN NANCE:** Over on the campus, over in Pelican Island?

34  
35 **DR. ZHANG:** I am not very good at --

36  
37 **CHAIRMAN NANCE:** That's where I'm from, and so I will look to --  
38 So July 26.

39  
40 **DR. ZHANG:** Yes, and I can email you the detailed agenda.

41  
42 **CHAIRMAN NANCE:** I will send you an email, so you know mine, and  
43 I will be happy to do that, but I will probably come over to that,  
44 since I live in Galveston.

45  
46 **DR. ZHANG:** Great.

47  
48 **CHAIRMAN NANCE:** Okay. Seeing no other comments or

1 recommendations, thank you very much for being here and being able  
2 to explain that.

3

4 **DR. ZHANG:** Thank you.

5

6 **CHAIRMAN NANCE:** As far as our agenda, we're a little bit ahead of  
7 time, which I think is kind of good, in some ways, and we may opt  
8 to close early today, instead of starting something and getting  
9 into a discussion and have to quit it, and so I'm going to offer  
10 public comment now. Anybody that would like to address the SSC  
11 publicly, we'll be happy to take those comments, and we'll do that  
12 now, and then we'll also have a period tomorrow, after our meeting  
13 tomorrow afternoon. First, we have Eric Schmidt, who is here, and  
14 we'll go ahead and take his comments. We appreciate you being  
15 here.

16

17

#### **PUBLIC COMMENT**

18

19 **MR. ERIC SCHMIDT:** Thank you. Be kind. Remember that I brought  
20 doughnuts this morning.

21

22 **CHAIRMAN NANCE:** They were delicious.

23

24 **MR. SCHMIDT:** Well, it is World Chocolate Day. I have two things  
25 that I want to address, the gag grouper and the red snapper. First  
26 of all, on the gag grouper, I listened to the comments from Mr.  
27 Blanchet, and he seems to think that maybe fishermen have a very  
28 short-term memory of how things were, and I don't mean anything  
29 personal, but it's, well, maybe we're catching more gags than we  
30 were last year, and, okay. Well, that's fine, but I go back  
31 thirty-nine years.

32

33 What I am seeing, in our fishery, is, after 2018, in the Fort Myers  
34 area, we had a catastrophic red tide. Outside of 1979, this was  
35 probably the worst event that I have ever witnessed. Out to forty  
36 miles, the water was blood red, and, I mean, everything was dead,  
37 and I have never seen dolphins and turtles and pelagic species,  
38 like tarpon and kingfish, that died in a red tide, and so Port  
39 Charlotte, which is by Ponte Gorda and Boca Grande Pass, that has  
40 been identified as a nursery for gag grouper.

41

42 I saw video after video after video, online, of the juvenile gags  
43 that were killed in the red tide, and so we had a very, very hard  
44 hit, and it was terrible. Now what we've seen here, four years  
45 later, when I'm charter fishing, is we have seen an absolute  
46 amazing recruitment, and we have a lot of year-one and year-two  
47 fish moving through the fishery, a lot. In certain times of the  
48 year, fifty or sixty throwback gag groupers.

1  
2 Now, offshore, it's a little different story. We're seeing a lot  
3 of fish, and I'm hearing a lot of anecdotal information from  
4 fishermen, and from divers, and I'm still not seeing the large  
5 fish, the really large fish, the large males, in numbers that we  
6 used to see, and I will be the first to admit that.

7  
8 However, what's going to happen here, as we move down the  
9 management process, and I know you're constrained by federal law  
10 to do something here, the law of unintended consequences is going  
11 to play into place. The commercial quota is going to be probably  
12 reduced to somewhere around 150,000 to 199,000 pounds. The quota,  
13 right now, is currently a million.

14  
15 As of right now, we've already caught 50 percent of the quota, and  
16 so that fishery already will have been closed probably by April 1.  
17 June, the longline fleet gets pushed out to thirty-five fathoms.  
18 Now, once you get past thirty-five fathoms, that's where your  
19 larger fish live. You're going to have a discard mortality issue,  
20 and you're going to be throwing away all the large fish that you  
21 actually want to protect. I don't know any way around that, but  
22 that is going to be a problem.

23  
24 The other issue is any new entrants into the commercial fishery  
25 are not going to have any access to IFQ shares. This year, there  
26 is no fish available on the market. I know people that just got  
27 into the business, and they cannot lease shares. People are  
28 holding onto their red grouper, and nothing. Nothing is available.

29  
30 Three years ago, red grouper was fifteen-cents a pound, when I  
31 leased it. Last year, it was seventy-cents, and this year it's  
32 \$3.50, and that's on a 15 percent change in allocation, if you  
33 took 15 percent from the commercial side and put it over on the  
34 recreational side.

35  
36 Now you're talking about an 80 percent reduction, and so, even if  
37 it's available, it's going to be priced out of sight. Fishermen  
38 are not going to be able to afford to lease it, and so you're still  
39 going to have an issue with discards.

40  
41 Now, to the red snappers, I participated in the SEDAR red snapper  
42 process, and I was on the phone call on Tuesday, and, to Jim Tolan,  
43 you brought up something, on one of the slides, about the number  
44 of recreational discards growing exponentially, and I can point to  
45 the fact that the recreational sector is growing exponentially.  
46 We have absolutely no idea what the universe of vessels are.

47  
48 You can look at the number of vessels that are registered in the

1 State of Florida, but that doesn't necessarily mean that every  
2 single one of those vessels is a fishing boat. Just because you  
3 have a forty-two-foot Yellowfin, it doesn't necessarily mean that  
4 -- You can take it and go to the sandbar, and you don't have to go  
5 offshore and go red snapper fishing with it, but what I will advise  
6 the SSC, and I have made this perfectly clear in every portion of  
7 the SEDAR process, and I testified to this at the council process  
8 in Fort Myers last week, and the majority of the sampling that has  
9 been done for red snapper has been in the northern Gulf.

10  
11 It's been from the Big Bend to Louisiana, and then occasionally in  
12 Texas. From Tampa southward, we have really been ignored, and  
13 there has been some sampling, but not in the same percentage-wise,  
14 and we have a fishery. We have a very good fishery, and everybody  
15 seems to think that, well, you know, when -- I've been told, over  
16 the years that, well, you know, when the red snapper come back.  
17 Well, obviously, you have not fished out of Fort Myers or Naples  
18 or the Dry Tortugas and gone out to 200 feet of water, because our  
19 fish are there. There's not a problem catching them.

20  
21 Our fish are large, and they're much larger than anything that's  
22 being sampled in the northern Gulf, and there's a reason for that.  
23 We have to run a long ways, and we have to go fifty, sixty, seventy  
24 miles. If you get to Panama City, or Destin, you've got eighty  
25 feet of water at the sea buoy, and those fish get fished off real  
26 quick, because those boats are doing three trips a day, and so,  
27 yes, the average size of those fish are going to be skewed, but  
28 the average size of our fish are exceptionally larger.

29  
30 On Tuesday, one of the last questions that I asked was how much  
31 sampling had been done for a particular part of the survey in the  
32 eastern Gulf, and the biologist told me none, and so we do  
33 participate. We have participated in the rebuilding process. We  
34 would just like to be included, so that our data is factored in,  
35 so that we can continue to participate in the fishery. Thank you.

36  
37 **CHAIRMAN NANCE:** Thank you. I have, Eric, a question, and I'm  
38 concerned about gag discards, also. Do you have any  
39 recommendations of how to prevent that from occurring at that  
40 level?

41  
42 **DR. SCHMIDT:** I have thought about this quite frequently, and I  
43 don't know how you get around it. I really don't know how you're  
44 going to do anything other than just kill gags, because, on our  
45 coast -- Now, in the northern Gulf, you can go target gags, and  
46 you don't have the red grouper fishery, but, from Tampa south, you  
47 catch them in the same area, and so I can't put a post-it note on  
48 my hook and say, you know, no gags, but, yes, it's a shame.

1  
2 Now, if the season were open, they would be harvested anyway, but  
3 the whole purpose of taking this bite, and the reduction, is to  
4 make the stock healthy again, and this really is not going to --  
5 In my opinion, it's not going to do what it's supposed to do.  
6

7 **CHAIRMAN NANCE:** Any other questions for Eric? Tom, please.  
8

9 **DR. FRAZER:** Eric, with regard to the sampling issue, you know,  
10 are we talking about the fishery-independent sampling, like the  
11 bottom longline survey, or are we talking about the MRIP sampling,  
12 or the state sampling? I'm not sure who you were talking to and  
13 where we're not getting any data.  
14

15 **MR. SCHMIDT:** Well, what I was looking at is when -- It was a  
16 variety of sampling, and I would always ask the question of where  
17 -- How many samples were conducted here, and where was the primary  
18 thing, where was the primary sampling conducted, and, with  
19 everything, it was primarily done in the northern Gulf, whether it  
20 be the longline survey --  
21

22 Now, there was MRIP recreational sampling that was done in the  
23 eastern Gulf, but, for factual fecundity estimates and samples and  
24 so forth, the majority of it was done -- Like age-at-length, and,  
25 when you're only going to an area, and the majority of those  
26 samples are coming from fish that get to see hooks three times a  
27 day, and the average size gets smaller and smaller and smaller,  
28 you know, that's going to skew the average size, and so that's why  
29 some people have said, well, there's fewer fish now, and the fish  
30 are getting smaller, and, well, that's because the season is  
31 getting longer.  
32

33 Last year, it was sixty-three days. This year, it's seventy-nine,  
34 and so you run three trips a day, seventy-nine days, and most of  
35 those boats in the northern Gulf do that, and, yes, those fish are  
36 going to get smaller and smaller.  
37

38 **CHAIRMAN NANCE:** Any other -- Thank you very much for being here.  
39 Do we have anybody else on the line? Okay. We will go ahead and  
40 adjourn for the day, and we'll be back here tomorrow at 9:00, and  
41 we'll start with the ABC Control Rule, and then we also have the  
42 wenchman data evaluation to consider. Thank you.  
43

44 (Whereupon, the meeting recessed on July 7, 2022.)  
45

46 - - -  
47

48 July 8, 2022

1  
2 FRIDAY MORNING SESSION  
3  
4 - - -  
5

6 The Meeting of the Gulf of Mexico Fishery Management Council  
7 Standing and Special Reef Fish, Special Socioeconomic & Special  
8 Ecosystem Scientific and Statistical Committees reconvened on  
9 Friday morning, July 8, 2022, and was called to order by Chairman  
10 Jim Nance.  
11

12 **DISCUSSION: ACCEPTABLE BIOLOGICAL CATCH CONTROL RULE**  
13 **MODIFICATIONS**  
14

15 **CHAIRMAN NANCE:** Welcome, everyone, to our second day of the SSC  
16 meeting. We appreciate your attendance, both in-person here and  
17 on the webinar. From the SSC standpoint, we received, from the  
18 Center last night, or yesterday afternoon, we received the OFL and  
19 ABC yields for gag grouper, based on the models and so forth.  
20

21 We had some questions on the projections that were used, and, in  
22 the greater amberjack, when we were looking at that and in the  
23 rebuilding plan, I think each of you can remember that the spawner-  
24 recruit curve was used to calculate recruitment for determining  
25 management benchmarks. However, the recent low rates were used in  
26 the projection period, and remember how it was real low for those  
27 last -- So that was assuming low recruitment will continue for the  
28 short-term, and so I think that may be one of the differences of  
29 why we're seeing not as big of a buffer in the gag as we did in  
30 the greater amberjack.  
31

32 Dr. Siegfried is going to look into that, and then, when she's  
33 ready to kind of tell us what the projections were for that, then  
34 she'll let us know, and we'll go ahead and take care of that. Any  
35 questions from the SSC on that topic right now? We'll get into  
36 that when Katie presents that. Katie, I appreciate you being able  
37 to do that for us.  
38

39 Today, we have, on the agenda -- Item Number IX is our first one,  
40 and we wanted to continue a little bit with our discussion about  
41 our ABC Control Rule modifications. Remember, last month, or the  
42 last meeting, we spent quite a while talking about that, and we  
43 made some motions.  
44

45 I wanted to maybe start our discussion -- I prepared a little  
46 presentation, and my idea behind it was to kind of refresh our  
47 memories of what we discussed, where we're trying to go, the  
48 motions that we made, and so forth.

1  
2 Also, last meeting, some of the SSC members that were here --  
3 There's a lot of old-time SSC members on here, and some have even  
4 been on since this ABC rule was created, and even before that, and  
5 there are some newer members that may not have that same historical  
6 memory, or have that, and some come in with these ABC Control Rules  
7 and things are maybe a little bit foreign and those types of  
8 things, and so I wanted to kind of discuss, just in general --  
9 Some of you are going to find this very elementary, and so just  
10 what we're trying to accomplish with this and maybe set the setting  
11 for maybe a little more discussion today. There may not be a lot  
12 to discuss, but, still, it opens up, and so, Bernie, could you  
13 bring up that presentation? Thank you.

14  
15 First, we put this together, and then I just wanted to go through  
16 it, just to have a general discussion amongst ourselves about what  
17 we're trying to accomplish with this modification.

18  
19 Last time, we had the honor to have Dr. Calay with us, and we have  
20 her here again, but it's always nice to be able to have her, and  
21 I think, if I'm not mistaken, you were on the SSC when the ABC  
22 Control Rule was put in place, and so it's nice to be able to have  
23 her with us and to be able to discuss with us.

24  
25 Anyway, she came last time and reviewed alternative approaches to  
26 the council's current allowable biological catch control rule for  
27 determining the scientific uncertainty between our overfishing  
28 limit and the ABC, and so she gave that presentation. As each of  
29 us know, each regional management council must establish an ABC  
30 Control Rule, and it's based on scientific advice from the SSC.

31  
32 The current ABC Control Rule has been in place since 2011, and the  
33 SSC can deviate from the ABC Control Rule, and we've done that in  
34 the past, on several occasions, but we must provide rationale, in  
35 order to do that. The ABC Control Rule is used by the SSC to  
36 provide catch advice, and that catch advice that we provide cannot  
37 be exceeded by the council when setting an ACL.

38  
39 Since I've been on, and I think for a while now, SSC members have  
40 expressed a desire to revisit the control rule, due to its tendency  
41 for generating narrow buffers between OFL and ABC that is not, or  
42 may not, be representative of the scientific uncertainty within  
43 the stock assessment. Many councils, including the Gulf of Mexico,  
44 use a tiered approach for their ABC Control Rule.

45  
46 For the Gulf Council, our Tier 1 is conditioned on a stock  
47 assessment being able to estimate a maximum sustainable yield, or  
48 its proxy, and being able to produce a probability density function

1 around the OFL, and so, when we look at those Tier 1 stocks, we  
2 have both of those conditions in place. We're able to estimate an  
3 MSY, or its proxy, and we have a probability density function, or  
4 PDF, around the OFL.

5  
6 The OFL equals the yield at the maximum fishing mortality  
7 threshold, and that's MFMT, and the ABC equals the yield at P\*,  
8 the percentile which represents the acceptable risk of  
9 overfishing, or risk tolerance, from the projected MFMT or F  
10 rebuild, in the case where stocks are subject to a rebuilding plan,  
11 and we're talking about that now with gag grouper, and so some of  
12 our stocks are not in rebuilding plans, and so we use just that  
13 risk tolerance approach, or we use F rebuild, if it's in a  
14 rebuilding plan.

15  
16 Under the council's current ABC Control Rule, the choice of P\* is  
17 informed by the performance of the stock assessment to encapsulate  
18 the true value of uncertainty in sustainable catch levels. A risk  
19 determination table is used to categorize criteria for selecting  
20 P\* values, and we've all seen that table that was produced to be  
21 able to come up with our P\* value, and that's what we're kind of  
22 using, which incorporates results from the stock assessment, uses  
23 the FMSY, or its proxy, the characterization of uncertainty, and  
24 the severity of retrospective patterns and the incorporation of  
25 environmental covariates, and so it has each of those components  
26 where we look at that table and say how certain we are, or uncertain  
27 we are, about those different things.

28  
29 The Southeast Fisheries Science Center proposes the risk of  
30 overfishing, or P\*, and scientific uncertainty, the width of the  
31 PDF, or sigma, be considered separately, and we've had those  
32 discussions with them. Currently, sigma calculations tend to  
33 underestimate the true scientific uncertainty, because, in our  
34 assessment models, some model variables are fixed without error,  
35 and the variance of some data inputs is predetermined, resulting  
36 in buffers between OFL and ABC that are narrower than the true  
37 uncertainty would otherwise suggest, and we've seen that in some  
38 of our last assessments.

39  
40 To address this issue, a comparison analysis of multiple stock  
41 assessment results can be performed to quantify scientific  
42 uncertainty over time, and this method was proposed by Ralston in  
43 2011. Results from the Ralston method indicate a minimum sigma of  
44 around 0.36 as appropriate for data-rich stocks, Tier 1 stocks,  
45 and allows for increased sigma to -- It allows for sigma to  
46 increase as data quantity, or quality, declines, resulting in  
47 larger buffers between OFL and ABC for lower tiers.

48

1 This is in stark contrast to some of the results from the Gulf  
2 Council's ABC Control Rule, which oftentimes uses a sigma value of  
3 0.1 for some of our stocks. Dr. Calay noted that the ABC Control  
4 Rule could reduce fishing mortality below MFMT proportionally as  
5 stock size declines below BMSY.

6  
7 Previously, the minimum stock size threshold, MSST, was based on  
8 natural mortality, or M. Rebuilding plans were required when the  
9 biomass of a stock was less than one minus M times BMSY. MSST is  
10 now set to be 50 percent of BMSY for many popular reef fish species.  
11 The stock may then be reduced to a point well below the level that  
12 produces MSY before any action is taken to reduce F.

13  
14 An update of the Ralston 2011 approach has been published by  
15 Privitera-Johnson and Punt, which was 2020. This study suggests  
16 using probability-based harvest control rules to incorporate  
17 scientific uncertainty and risk tolerance when setting catch  
18 limits by scaling buffers between catch limits and scientific  
19 uncertainty. This revised approach in the paper was based on  
20 calculations of scientific uncertainty on projected spawning stock  
21 biomass and OFLs, accounting for uncertainty in recruitment and  
22 among-assessment variation.

23  
24 OFL projections yielded a higher estimate of uncertainty, assuming  
25 a deterministic stock-recruitment relationship, and assuming a  
26 stochastic stock-recruitment relationship produced smaller  
27 estimates of uncertainty. Results from this updated method would  
28 result in a sigma min value of 0.5 for Tier 1 stocks. The Southeast  
29 Fisheries Science Center proposed using the Ralston method for  
30 calculating sigma min and assigned a default value of 0.4 for P\*  
31 for Tier 1 Gulf stocks.

32  
33 We had discussion last time, as you remember, and we came up with  
34 three different motions. The first motion is that the SSC  
35 recommends that the council request that the Southeast Fisheries  
36 Science Center develop sigma min using the Ralston approach method  
37 for Gulf of Mexico Tier 1 data-rich stocks, and that motion carried  
38 without opposition, with two absent, and so that was our first  
39 motion. What we would like the Center to be able to use -- Not  
40 just use the value from the Ralston approach, but actually to do  
41 the Ralston approach on Gulf stocks, so we could see what the sigma  
42 min value would be for our stocks.

43  
44 We then, after discussion, we had a second motion by the SSC, and  
45 it says the SSC recommends that the council request that the  
46 Southeast Fisheries Science Center evaluate the potential for  
47 setting ABC at 75 percent of FMSY or its proxy, without exceeding  
48 OFL, as outlined in Appendix A of the Restrepo 1998 report for

1 Tier 1 stocks.

2  
3 Remember the Restrepo had a similar ABC Control Rule type of thing  
4 that he proposed in 1998, and so we wanted to look and see what  
5 that would be able to do in our stocks, and that motion carried  
6 with one opposed and four absent.

7  
8 The last motion that was made, and I think, really, this motion  
9 encapsulates all the other motions, but this was the third one,  
10 and the SSC recommends the Gulf Council to request a management  
11 strategy evaluation to better account for scientific uncertainty,  
12 including imprecision and bias issues in reducing ABC from OFL  
13 estimated or projected from data-rich Gulf stock assessments.  
14 Approaches to be considered should be those of Restrepo 1998,  
15 Ralston 2011, and Privitera-Johnson and Punt 2020, among others,  
16 and that motion carried with two abstentions and four absent.

17  
18 That's kind of where we are now. Now, those -- As far as I know,  
19 Ryan, those letters from the council went to the Southeast  
20 Fisheries Science Center. Is that correct? Yes, and those papers  
21 were all on the last meeting's background material.

22  
23 **MR. RINDONE:** They are also footnoted in the last summary that I  
24 sent to you guys.

25  
26 **CHAIRMAN NANCE:** Yes, and so those are kind of -- That's kind of  
27 where we -- We have an ABC Control Rule that's in existence right  
28 now, and I think each of you had an opportunity to see that table.  
29 That was put into place in 2011, and what we're trying to do is  
30 move away from that, and sometimes we don't use that table, and  
31 we're just not comfortable with the P\* that come from that, and so  
32 we kind of do come up with some other things to be able to have a  
33 buffer around the ABC value, but these other -- There is some great  
34 science, I think, in these papers, and we'll look at those, to be  
35 able to come up with some things, and so we don't have anything.  
36 I think, Ryan, is the Center -- At our September meeting, we'll  
37 look at this? Shannon, I'm going to ask you to --

38  
39 **MR. RINDONE:** So our September meeting is already full.

40  
41 **CHAIRMAN NANCE:** Okay.

42  
43 **MR. RINDONE:** Let me bring it up real quick. There are several  
44 things that are on there.

45  
46 **CHAIRMAN NANCE:** Let me ask Shannon, and you did get -- I think  
47 the Center did receive letters from the council?

48

1 **DR. CALAY:** Yes, and we recently did receive the letters, and we  
2 certainly were aware of our commitment, and now it's just a matter  
3 of -- We could be ready as early as September with the first  
4 motion. The MSE will take more time, although it's possible that  
5 we can work with Yuying to utilize her platform, and so, anyway,  
6 Ryan, it's up to you to tell us when there's time on the agenda.  
7

8 **MR. RINDONE:** Not September. In September, we currently have  
9 several things on the list. We have the empirical dynamic models  
10 for shrimp, and we have the socioeconomic stock assessment  
11 workshop, alternative approaches for sector allocation  
12 determinations, the essential fish habitat dashboard review, the  
13 review of the scamp operational assessment, and we have a sliver  
14 of time carved out for any gag things that might pop up, because,  
15 you know, there could be some.  
16

17 Statements of work for lane snapper, gag grouper, and the kingfish  
18 assessments that will all start in a couple of years, and a  
19 discussion about allocation for kingfish for CMP Amendment 33, and  
20 that will be pretty much a full three days. I do not think that  
21 September is the time to really set aside, you know, at least a  
22 few solid hours to let you guys bang this around a little bit.  
23

24 **CHAIRMAN NANCE:** I think, last time, we had, I think, around six  
25 hours.  
26

27 **MR. RINDONE:** Yes, and I gave you a whole day the last time.  
28

29 **CHAIRMAN NANCE:** I think we were very productive with our  
30 discussions, and I think -- I'm very happy with what we have  
31 proposed to look at and move forward on the ABC Control Rule, and  
32 I think we're well suited to be able to move forward with those  
33 presentations and then our discussions, and so probably not  
34 September, but, after that, we would be able to have those and be  
35 able to have that discussion, and I think we'll need to block some  
36 time out for, obviously, the presentations and then discussions  
37 around those, so that we come up with a good agreement on how we  
38 want to proceed with the ABC Control Rule.  
39

40 I think, of all the things we do, I think setting these OFLs and  
41 ABCs are very important. I mean, they do impact the fisheries,  
42 and so I think we need to be, as a body, comfortable with what  
43 we're proposing and using, so that we can be able to move forward  
44 with that. Any discussion from the SSC? Jim, please.  
45

46 **DR. TOLAN:** Thank you, Mr. Chairman. In terms of the September  
47 meeting, and scamp is going to be coming up, and we'll review that,  
48 and it seems like scamp has gone on forever now, because I've been

1 part of that one for almost three years.

2

3 If we're not going to have a new set of ABC Control Rules, if we're  
4 going to set catch advice, are we going to sort of default back to  
5 the table that we have now for setting that catch advice, come  
6 September? I was just curious about that. Thank you.

7

8 **CHAIRMAN NANCE:** We would have that option, to use those tables,  
9 or, if we -- As we've done in the past, on several occasions, we  
10 could use other methods to calculate an ABC that would be different  
11 from what we're getting out of the P\* value from what we're getting  
12 out of the table.

13

14 **DR. TOLAN:** Jokingly, I was going to set an over-under on what the  
15 table would come out with, because I can probably tell right now  
16 what it's going to be.

17

18 **CHAIRMAN NANCE:** Jim, you probably -- You've been on that's been  
19 on this for a while, and I always appreciate it. You know, it's  
20 nice to come to a meeting and there's a lot of historical knowledge  
21 about -- I ask Luiz on several occasions, because sometimes I'm  
22 unsure why things are happening one way, and he reminds me of ones  
23 in rebuilding and those types of things, and so that historical  
24 knowledge is a great help, and I think many of you on the SSC have  
25 been in that historical vein, and so it's nice to be able to do  
26 that. Any other comments or questions or discussion? Roy.

27

28 **DR. CRABTREE:** I wasn't here at the last meeting, but I have looked  
29 through the minutes and all, and is there anywhere in any of this  
30 that we talked about or factored in somehow the age of the stock  
31 assessment? For example, you look at the uncertainty, and, if the  
32 terminal year is two years in the past, that's one set of  
33 uncertainty, but, if the terminal year is four to five years in  
34 the past, it seems to me the uncertainty is much greater, and it  
35 comes to my mind because of the gag assessment, and we were looking  
36 at something where I think the terminal year is four years ago,  
37 but that doesn't really seem to be factored in anywhere, and it's  
38 that the uncertainty is this, regardless of how -- You know, if  
39 you have a species that's relatively short-lived, it can be a big  
40 deal, and I just wonder if that's come up or if anybody else's  
41 control rules look at that kind of thing.

42

43 **CHAIRMAN NANCE:** Shannon. You might as well stay there.

44

45 **DR. CALAY:** I would have to get my computer so that I can read my  
46 chat.

47

48 **CHAIRMAN NANCE:** Okay. When you get done, why don't you bring it

1 up, and we would love to have you sit at the table. Your input is  
2 invaluable.

3  
4 **DR. CALAY:** All right. I can grab my stuff. When I have access  
5 to my chats, I sound much smarter. Okay, and so we did also work  
6 with Kristen Privitera-Johnson, who has a methodology to look at  
7 the effect of the projections, also, the uncertainty in our  
8 projections, from one assessment to the next, as part of the sigma  
9 min calculation, and so that's a partial way of getting at at least  
10 the performance of projections from one stock assessment to the  
11 next, but, you know, Roy is also correct that, as we project more  
12 and more years, and we're farther away from the terminal year of  
13 the assessment, our uncertainty does grow substantially, and it is  
14 not entirely clear that we are capturing that in the control rule,  
15 and so I think that we can bring part of that information to the  
16 next discussion of the ABC Control Rule from the Privitera-Johnson  
17 formulation of the sigma min calculation.

18  
19 **CHAIRMAN NANCE:** Right, and I think, Roy, also, on that, while we  
20 may be able to create sigma values and those types of things, and  
21 look at them, we also have the ability, through discussion, to  
22 make those larger, if we feel like the stock assessment is nine  
23 years old, and are we satisfied with what we're seeing and those  
24 types of things, and so I think we have those options to be able  
25 to change that.

26  
27 **DR. CRABTREE:** Yes, and I just don't recall us doing that in the  
28 past, and it's the same thing with, you know, projections. We'll  
29 give the council three or four years' worth of ABCs, but certainly  
30 the uncertainty surrounding them goes up, I think, quite a bit as  
31 you move out.

32  
33 **CHAIRMAN NANCE:** Luiz, please.

34  
35 **DR. BARBIERI:** Well, I sent you and Ryan -- Along those same lines,  
36 Roy, and I didn't think about that, but that's a very good point,  
37 but a quick outline, and I don't know if we can put it up on the  
38 board. I did not send it to -- I'm sorry. I didn't send it to  
39 Bernie.

40  
41 **CHAIRMAN NANCE:** He can send it to Bernie.

42  
43 **DR. BARBIERI:** The idea there is basically for us -- This is just  
44 some points for discussion, that, before we get the analytical  
45 products, right, that we have requested, and we start discussing  
46 more of like the mechanistic part of how that's going to come out,  
47 one thing that I thought would be good for us to discuss is how we  
48 want to apportion, right, some of this uncertainty assessment in

1 the control rule and what kind of criteria we would be using, and  
2 I think Roy brought up one point, which is the age of the assessment  
3 or how far back is the terminal year of data in the assessment,  
4 right, and so I'm thinking, here, about other things, and this is  
5 just to stimulate discussion and get us started on looking at this  
6 and seeing criteria that we can use.

7  
8 If we're going to use, for our Tier 1 stocks, and those are the  
9 stocks that have a quantitative model-based assessment, and so our  
10 Tier 2 and 3 and -- I mean, that's really non-model-based, and so  
11 that follows a completely different criteria, and so application  
12 of the P\* approach, and the Restrepo et al. sigma min values, would  
13 be applicable only to our current Tier 1 that's in our ABC Control  
14 Rule, and so we could sort out our stocks and look at the stock  
15 assessments for different stocks or different species based on  
16 different criteria.

17  
18 That criteria would, you know, develop qualitative points that  
19 would put them into those different values of sigma min, so we  
20 would have one standard deviation, or two, or whatever criteria we  
21 come up with, in terms of the number of standard deviations.

22  
23 **CHAIRMAN NANCE:** Right now, does that table -- Is it used for Tier  
24 1 and others?

25  
26 **DR. BARBIERI:** Right now, our ABC Control Rule -- That table, our  
27 risk determination table, that comes up with the P\* is only used  
28 for --

29  
30 **CHAIRMAN NANCE:** For Tier 1.

31  
32 **DR. BARBIERI:** It's only used for quantitative assessments that  
33 have model-based assessments, and, so, anyway, here, I'm thinking  
34 -- I think Will had proposed, or at least discussed, and I'm not  
35 going to say proposed, because I don't want to put words in his  
36 mouth, but, you know, we had discussed this issue of using the  
37 Restrepo et al. approach and setting ABC equal to a fraction, in  
38 this case 0.75, of OFL, and that was a proposal that was on the  
39 table.

40  
41 The other proposal was to use the Ralston approach, right, that we  
42 know it's imperfect in nature, but it would move us forward, in  
43 terms of trying to adopt a P\* approach, and so, in this case, we  
44 would just work on the sigma, on the uncertainty component, and  
45 the council would set the P\*, whatever P\* it decides to have, in  
46 terms of risk of overfishing, and then that buffer between OFL and  
47 ABC would be based on the actual assessment uncertainty, and that  
48 assessment uncertainty is going to be somewhat quantified by the

1 value of that sigma min that's going to be applied, right, and so,  
2 in this case, whether we use one sigma min, or two or three, we  
3 need to kind of discuss whether we want to sort out that a stock  
4 assessment for red snapper has one level of uncertainty that is  
5 very different than an assessment for scamp or an assessment for  
6 greater amberjack.

7  
8 When we go to through the assessment process, we know that several  
9 stocks have either data limitations, or parameter limitations, and  
10 sometimes we can use the actual uncertainty, the CVs, right, that  
11 we have a metric for that, and sometimes those values are imputed  
12 into the model, and they are fixed, and we discussed that  
13 yesterday, for natural mortality and steepness for gag, and we can  
14 see how influential that is, in terms of the outcome of that  
15 assessment and our ability to characterize uncertainty.

16  
17 Here, some criteria for discussion could be the data availability  
18 and quality and what kinds of data we have, right, in terms of  
19 landings and discards, whether we have indices in the assessment,  
20 if we have a fisheries-independent index or not, or if we just  
21 have scientific fisheries-dependent indices, the availability and  
22 quality of the composition, data age and length composition, and  
23 then several issues associated with life history, whether we know  
24 or not, in terms of all the reproductive parameters and discard  
25 mortality, et cetera.

26  
27 One that I think would be worth discussion would be stock  
28 productivity, right, and so whether we fix the parameters of the  
29 stock-recruitment relationship, steepness, or not, or if we can  
30 actually estimate MSY directly, and that's a big deal, in terms of  
31 us saying we have an idea of what the recruitment dynamics actually  
32 is, and we have an estimate for that, versus we don't, and we have  
33 to either fix that parameter or use an SPR proxy, and so, to me,  
34 this is something that's very influential and that our current ABC  
35 Control Rule hasn't really been able to appropriately handle.

36  
37 The difference there, the little discount that we give a  $P^*$  now,  
38 in my view is too small between you being able to estimated  
39 steepness versus not, and then the uncertainty characterization -  
40 - We know this, because, every time we are looking at some of these  
41 assessments, how many assessments we can actually use the actual  
42 CVs, the uncertainty associated with different data series, versus  
43 we don't have them, and we have to impute something different,  
44 right, a fixed parameter.

45  
46 The number of imputed CVs, and the number of fixed parameters, in  
47 the model I think would make a difference, in terms of our ability  
48 to -- So this is just like -- I was just trying to think of

1 criteria, and I think the age of the assessment --

2  
3 **CHAIRMAN NANCE:** Yes, I think the age of an assessment would be  
4 like kind of an uncertainty characterization. I mean, the older  
5 that assessment is, the more uncertain we are with the parameters  
6 that are being produced, and I think that number of fixed  
7 parameters -- You know, the Center always provides what are the  
8 fixed values and what are open to estimation and those types of  
9 things, and so any discussion on these, on Luiz's --

10  
11 **DR. BARBIERI:** I think one point of decision, a decision point,  
12 here for us is whether we want to have, you know, one value of  
13 sigma min that we can apply, right, for all quantitatively-assessed  
14 model-based stock assessments or if we're going to subdivide them,  
15 but, looking at these assessments, different types of assessments,  
16 we can see already there is a wide range in data availability and  
17 our ability to estimate parameters, and so I don't think we want  
18 to treat all of them the same, right, and that we want to kind of  
19 sort of them out and either we use one sigma or two sigma or  
20 whatever value -- However many values of sigma we want to use for  
21 the next higher level.

22  
23 **CHAIRMAN NANCE:** Like, for example, the Restrepo approach.

24  
25 **DR. BARBIERI:** Right.

26  
27 **CHAIRMAN NANCE:** It has that value, 0.75, and ABC is equal to 0.75  
28 of OFL, which is a standard mechanism to be able to do that, and  
29 sometimes we're comfortable with that, and other times we're not,  
30 and I think that's why that -- In 2011, the other approach, the  
31 other table, was created.

32  
33 I think there are four different groupings of discussion, I guess,  
34 and so the uncertainty around each of those, so that you can take  
35 a look at what the assessment is, what the catch is, whether we  
36 have fishery-dependent and independent surveys, those types of  
37 things. Josh, please.

38  
39 **DR. KILBORN:** Thank you. I'm curious, and what is the age  
40 distribution of our assessments, and how old is the oldest current  
41 assessment?

42  
43 **CHAIRMAN NANCE:** It must be big, because Ryan is laughing. Anyway,  
44 go ahead, Ryan.

45  
46 **MR. RINDONE:** The Spanish assessment is so old that all those  
47 Spanish are dead. We did the Spanish mackerel assessment --  
48 Actually, I think even older than that would be yellowedge grouper.

1 Some of those are still alive. Not many, but some of those are  
2 still alive.

3  
4 The yellowedge grouper assessment was done in 2011, with data  
5 through 2009, and management was taken on the results of that  
6 assessment I think towards the end of 2012, and so, at the same  
7 time, tilefish, the tilefish complex, was also assessed, using  
8 golden tilefish as the indicator for that three-species complex,  
9 since it's the one that is landed the most frequently in the Gulf.  
10 That assessment was -- It helped inform management, but the  
11 assessment itself had a lot of data limitations, and so with data  
12 through 2009 being the oldest at present.

13  
14 **CHAIRMAN NANCE:** Does that answer your question, Josh?

15  
16 **DR. KILBORN:** Yes, more or less. I mean, it tells me the oldest  
17 ones, but how about everything else? What's the distribution of  
18 the rest of the assessments look like? Are they fairly regularly  
19 updated, every three to five years, or do we have long stretches  
20 in between?

21  
22 **CHAIRMAN NANCE:** Well, sometimes -- You know, it depends on the  
23 species, and, as you see that SEDAR table, sometimes things are -  
24 - Some species are more rapidly evaluated than others, and being  
25 red helps, I think, in that evaluation on the table, but it's one  
26 of those things where we're planning out -- As the SSC looks at  
27 that table, you know, we're planning out five years and seeing  
28 what we want to input into that SEDAR stream to be able to get  
29 those assessments run.

30  
31 Sometimes we see another species that becomes volatile, and that  
32 gets put into the SEDAR table, and something else gets kicked out,  
33 and so it's just a matter of managing each of those species, the  
34 assessment for those, to be able to come up with OFL and ABC  
35 recommendations for the council.

36  
37 **MR. RINDONE:** Bernie, I sent you the SEDAR schedule, if you could  
38 toss that up there.

39  
40 **CHAIRMAN NANCE:** Shannon and then Roy.

41  
42 **DR. KILBORN:** Before that, I just want to --

43  
44 **CHAIRMAN NANCE:** Go ahead.

45  
46 **DR. KILBORN:** The point of my question was really to kind of  
47 determine if we need to spend a lot of effort on the age of the  
48 assessment issue, and if it sounds like, in general, we're in a

1 much better position with the age of our assessments, then we don't  
2 need to come up with a full slate of, you know, fine-scale, or  
3 finely-detailed options, for the age of assessments, if we really  
4 only have a few that are old, and most of them are, you know, about  
5 three years or so. That's all. Thank you.

6  
7 **CHAIRMAN NANCE:** Thank you, Josh, and I think that's a good point.  
8 I think what Roy's point is is more of, when we're looking at gag  
9 or something like that, which is one that is assessed more often,  
10 when we get to a point where it's three years old, we're kind of  
11 comfortable. When it's five years old, we're less comfortable,  
12 and those types of things, and so I think it's just a matter of  
13 knowing what the age is, and then we can make some determinations  
14 on that. Shannon, please.

15  
16 **DR. CALAY:** The Science Center is certainly aware that the  
17 assessment frequency is lower than desirable, and we are working  
18 on methodologies, including the interim assessment approach, to  
19 increase the assessment throughput and make them more -- Well,  
20 make them more current, right, make the terminal year more recent,  
21 and so the ABC Control Rule ought to think about -- Right now, our  
22 intention is to provide interim assessment advice more frequently,  
23 and we have a mechanism to estimate OFL and ABC using that interim  
24 assessment mechanism.

25  
26 We are working on other empirical approaches, and we're doing a  
27 test with shrimp, as we speak, to see if an empirical dynamic model  
28 can help us with OFL and ABC for shrimp, and so it may be necessary  
29 to consider whether we have a tier to accommodate those interim  
30 assessment and empirical approaches.

31  
32 **CHAIRMAN NANCE:** Ryan, to that point?

33  
34 **MR. RINDONE:** I was going to mention the interim analyses also,  
35 and, for some of these species, we get them annually, like for red  
36 grouper, and it would stand to reason that gag would likely be  
37 added to that list.

38  
39 Some species, it's just not feasible, at this time, to be able to  
40 do that, and the data are just not great. Like greater amberjack  
41 is an example, and it isn't necessarily that it couldn't be forced  
42 through it, but we probably would be that satisfied with how it  
43 goes, compared to what we're currently able to do for things like  
44 gag and red snapper. Well, not gag, but red grouper, red snapper,  
45 et cetera.

46  
47 The other thing to remember is that there is a number of reasons  
48 why the stock assessment schedule could change, and so it could be

1 that key data are in need of being revised, and we need to push  
2 something back to make time for something, or for -- Like, for the  
3 research track for greater amberjack, we know that there is the  
4 great greater amberjack count, or whatever specifically that  
5 project is being called, and we didn't want to start that effort  
6 before that large research project was able to be completed and  
7 those data able to be considered for that process..

8  
9 That would have been ill-timed, and so things will get moved around  
10 based on what we know of what's coming up, and sometimes Tom just  
11 doesn't like the schedule and moves things around, and so the  
12 council can weigh-in and say that they want to see something moved  
13 up ahead of something else, if there's something that's on the  
14 horizon from a management perspective.

15  
16 We recently had an agreement with the Florida Fish and Wildlife  
17 Conservation Commission to do an interim-style update for  
18 yellowtail snapper, which had some costs, in terms of analyst time,  
19 for doing some of the other FWC-run assessments, and so this is a  
20 very dynamic, ever-changing thing, this file that you see in front  
21 of you right now, and, as often as you guys feel inclined to weigh-  
22 in on it, you're certainly welcome to.

23  
24 The council welcomes your input, but what we don't have in here  
25 are the interim analyses, and, considering that we get, what,  
26 Shannon, probably at least a couple a year at this point -- I mean,  
27 what you see on here, you can add another two assessments to that,  
28 just based on what we normally get now, or for the interim analyses  
29 that we receive, and likely one more, if you add gag to that, and  
30 so we actually get a fair amount of analytical products that are  
31 strictly assessment-related from the Center and from FWC.

32  
33 **CHAIRMAN NANCE:** I think that's good, and I appreciate that,  
34 because those interim analyses allow us to see where we're at, and  
35 we have given some advice on OFL and ABC, and we're seeing if we're  
36 staying on track with those analyses. Roy, please.

37  
38 **DR. CRABTREE:** Yes, and I think the interim analyses are really  
39 important, but, you know, if you have an assessment, and then you  
40 do interim analyses for the next five years, you're updating one  
41 or two aspects, but a lot of things aren't being updated, and so  
42 you're still progressively seeing the uncertainty go up quite a  
43 bit.

44  
45 **CHAIRMAN NANCE:** Any other comments? Harry, please.

46  
47 **MR. BLANCHET:** This is not to that, but this is to Luiz's outline,  
48 and so I will defer until --

1  
2 **CHAIRMAN NANCE:** Go right ahead. I think we're back on that,  
3 Harry, and so please.  
4

5 **MR. BLANCHET:** Option 1, and get this might just be shorthand, but  
6 the Restrepo et al. approach is actually based on F and not on  
7 ABC, and so the F at ABC would be 75 percent of the F at OFL and  
8 not the harvest being 75 percent of the OFL harvest. Now, that's  
9 maybe being persnickety, and, if you go back to the Restrepo, you  
10 see the original, but I just didn't want that point to be lost in  
11 the discussion.  
12

13 **CHAIRMAN NANCE:** Harry, thank you so much. Luiz.  
14

15 **DR. BARBIERI:** Absolutely, Harry, and I was just kind of -- This  
16 is actually -- I have like a yellow sticky note on my desktop, and  
17 I was kind of jotting things down, and I wasn't thinking about the  
18 formalities of -- But you're absolutely right. I mean, since this  
19 is on the board, we want to make sure that the notation is correct,  
20 and so I appreciate that.  
21

22 **CHAIRMAN NANCE:** Thank you for that. If there is -- Tom.  
23

24 **DR. FRAZER:** I just have some general questions, and maybe they're  
25 for Shannon, but I'm just trying to understand how much time is  
26 involved in working through these various approaches, other than  
27 the Restrepo approach. I always look at it from a workload  
28 perspective, right, and, as you pointed out, we're trying to get  
29 more throughput with regard to assessments and things like that,  
30 and, whenever we make things more complicated, we add time, and we  
31 kind of limit our ability to process some things that might be  
32 more helpful, and so if you defaulted, for example, to an Option  
33 1, but you knew that you were going to have a couple of stocks  
34 that you dealt with a more detailed approach, like red snapper,  
35 red grouper, and gag, that might be a better approach, but I'm  
36 just curious about the workload.  
37

38 **DR. CALAY:** Well, our workload is enormous, at the moment, and a  
39 lot of that workload is not planned, or plannable, which makes  
40 life very difficult, because so much of our workload right now is  
41 driven by council requests, by SSC requests, which we haven't  
42 built-in that flexibility to our calendars.  
43

44 Our calendars are pretty much flat out just trying to meet the  
45 stock assessment schedule, and so we are always interested in  
46 finding parsimonious ways to conduct business, right, and that's  
47 one reason why the Center wanted to separate P\* from sigma min,  
48 because P\* is actually relatively irrelevant, as long as it's not

1 set at 0.5, right? As long as it's set at something rational, it  
2 doesn't have a big influence on the buffer. The sigma min does,  
3 and so it's something we were willing to try to better estimate  
4 with our actual Gulf stock assessments.

5  
6 You know, that said, there are even simpler approaches that are  
7 used, that have been recommended or are used, in other regions,  
8 and, you know, we can -- I think we've summarized some of those in  
9 previous discussions of the ABC Control Rule, and certainly those  
10 could be discussed anew.

11  
12 The Option 1 here that you see -- It may be that we actually did  
13 intend -- It's not from the Restrepo guidance to use 75 percent of  
14 OFL, and it as Harry said, and it's 75 percent of the FMSY.  
15 However, we have found that, when we use proxies, there are times  
16 when that 75 percent of has not performed -- It actually exceeds,  
17 in some cases, because -- It exceeds FMSY, because the shape of  
18 the yield per recruit curve is unusual, and let's put it that way,  
19 and so we've had a few unusual circumstances arise, and so that  
20 attempt -- Option 1 is to avoid that rare event, where the behavior  
21 of those projections are not what we expect.

22  
23 I would say that we are very -- The workload is high, and we have  
24 to prioritize requests that come to us. In many cases, we have  
25 had to simplify requests that come to us, and, therefore, the  
26 response has not been as useful as it could have been, and so we  
27 do need to really work to do the highest-priority work that can be  
28 the most useful to the council and the SSC. I think that's enough  
29 said.

30  
31 **DR. FRAZER:** Well, that's what I would like you to do as well,  
32 right, and, again, I just -- I mean, there is -- There are only a  
33 few stocks that we have enough information, really, to kind of  
34 work through a more complex process, and it would be -- It seems  
35 to me that we would kind of set a default at whatever the SSC  
36 chooses to do, but then identify those stocks that you want to get  
37 a little more depth, and that might help to, just right upfront,  
38 alleviate some of the workload issues and help streamline -- Put  
39 the appropriate folks on more assessments or something.

40  
41 **CHAIRMAN NANCE:** So there may be a standard type approach to many  
42 of the stocks, but then some of the stocks, where we have  
43 additional information, or issues that we are worrying about, that  
44 we would take a different approach on those, to be able to -- But  
45 that's not all of them. I think that, you know -- I think that's,  
46 from a workload standpoint, very acceptable, to be able to do that,  
47 and all these stocks are important. There's not any of them that  
48 aren't, but some we have information and we're able to do a better

1 evaluation, and others we're not. Jim, please.

2  
3 **DR. TOLAN:** Thank you, Mr. Chairman. As I look at the table, or  
4 not the table, but the information that Luiz has laid out, it  
5 almost looks like the backbone for the ABC Control Rule 2.0, but  
6 you touched on a very, very important point when you brought up  
7 stock productivity, and it's that steepness value, and I'm sitting  
8 here wracking my brain, and, of all the assessments that I've been  
9 a part of, I can't think of one, especially for the reef fish,  
10 that H has been well behaved, and I'm just curious. Can anybody  
11 think of one where we have a good handle on steepness?

12  
13 That's the hard part, because it's such an important parameter,  
14 and it's really a question for Shannon, but, if it's such an  
15 important parameter, and we think we know there's a stock-  
16 recruitment relationship, but really there isn't -- Does  
17 everything just sort of blow up after that, and we have to go with  
18 either Option 1 or Option 2, and we can't really pin down that  
19 buffer? Thank you.

20  
21 **CHAIRMAN NANCE:** Shannon, to that point, please?

22  
23 **DR. CALAY:** This has been an ongoing debate and discussion, of  
24 course, because, in most cases, if you actually look at the stock  
25 assessment spawner-recruit relationship estimates, there is very  
26 little evidence of a relationship between spawning stock and  
27 recruitment, and a lot of this is because, you know, we are -- Our  
28 data comes from a period where fishing is already very high, right,  
29 and we don't have any contrast in our data that shows a time where  
30 fishing was near zero, and we don't have length composition data  
31 and age composition data from low fishing conditions.

32  
33 What we've attempted to do, in some cases, is set steepness near  
34 one and then make strong assumptions about what the recruitment  
35 will be in the projections, or we have used meta-analyses to  
36 attempt to inform steepness with a prior, or, in some cases, we  
37 have attempted to estimate steepness, look at the likelihood  
38 profile, and then fixed it at a value close to the maximum  
39 likelihood estimate, and there have been other approaches as well,  
40 but what I'm really getting at is there is very little data to  
41 inform the shape of the spawner-recruit function in the Gulf, as  
42 well as the parameters that we need, but the National Standard 1  
43 guidance is actually moving away from spawner-recruit  
44 configurations that rely on steepness.

45  
46 We should see new guidance in the future that may help us, and it  
47 may not help us, and we don't know yet, but, yes, there is a  
48 debate, and it's handled differently in the South Atlantic versus

1 the Gulf, and there has been attempt, on the Science Center's  
2 behalf, to try to standardize that disparity so that we're not --  
3 You know, we don't have a place where we are willing to make  
4 assumptions about the spawner-recruit relationship and steepness  
5 and places where we're not.

6  
7 You're seeing some transitions, which in some ways is awkward,  
8 because maybe a previous stock assessment used a different  
9 approach, and so it's an open area of debate, and I think what  
10 would be very helpful is to come up with some guidance for what to  
11 do for the Gulf that is based on, you know, recent science  
12 recommendations, for example, because we are, right now -- I mean,  
13 Katie would maybe be a little better at saying this, but I think  
14 what we've tried to do, in recent assessments, is estimate the  
15 steepness.

16  
17 If it is estimable, we would use that estimate and just assume the  
18 shape of the spawner-recruit relationship, for example, is  
19 Beverton and Holt. If there is any ability for us to determine a  
20 rational steepness value from the likelihood profile, but it can't  
21 be estimated without, for example, instability in the jitter  
22 performance, we would fix it at the maximum likelihood estimate  
23 from our attempt to estimate steepness.

24  
25 That's been our standard procedure recently, and it's consistent,  
26 to some extent, or more consistent, at least, with what they're  
27 doing in the South Atlantic, but there is still debate about  
28 whether that is the most appropriate approach.

29  
30 **CHAIRMAN NANCE:** Thank you. Harry.

31  
32 **MR. BLANCHET:** I was intrigued by Shannon's comment about stocks  
33 that behave oddly when you're applying that 75 percent of F of F  
34 at OFL, and I recall at least one discussion about that in a stock  
35 assessment, some time ago, and it's -- Just like we currently have  
36 -- You know, we use the current table, except where there are  
37 exceptions, and I would think that we could still use some of that  
38 Restrepo approach with a boundary on it, such that, if your yield  
39 at 75 percent of the F at F at OFL is more than, I don't know,  
40 87.5 percent of the yield at OFL, then discount that approach and  
41 take a different approach, based upon whatever data you have  
42 available, to come up with a separate estimate, but maybe using a  
43 more generic yield function, rather than what is estimated by the  
44 stock assessment, something like that.

45  
46 As an approach, I don't want to just leave it off the table,  
47 because there are some known issues with it, and I think we can  
48 address some of those issues and it's still a reasonable approach

1 to leave as part of our levels of consideration. Thank you.  
2  
3 **CHAIRMAN NANCE:** You're absolutely right, Harry, and I think those  
4 are rarer events, for sure, but certainly the Restrepo approach is  
5 well founded in science, and it's an approach that certainly will  
6 be left on the table as we have discussions. What we wanted to do  
7 today is just have a general discussion with the SSC, and I want  
8 each of you to -- Remember the meeting summaries, I think, are --  
9 I mean, I applaud the council staff, when they put those together.  
10 I mean, they're well done, and they're useful.  
11  
12 I go back, and I'm able to revisit and relive those meetings,  
13 because of those, and so take a look at that, at the meeting we  
14 had last time, and I think it does a very good job of summarizing  
15 our discussions. If you're really a glutton for punishment, you  
16 can listen to the exact tape and those types of things, to really  
17 relive it, but the meeting summaries do a great job of that, and  
18 just kind of wrap your head around what we're trying to do here as  
19 we move forward with the modification of the ABC Control Rule.  
20  
21 As we see what the Science Center develops in the next few months,  
22 we'll be able to look at those and have a general discussion and  
23 be able to move forward. Any other closing remarks from any SSC  
24 members?  
25  
26 **DR. KILBORN:** Can I ask a quick question?  
27  
28 **CHAIRMAN NANCE:** Josh, absolutely.  
29  
30 **DR. KILBORN:** I'm just curious, and what is our kind of proposed  
31 timeline for working through this issue? I know we're looking at  
32 past the September meeting, and I'm just trying to figure out how  
33 long I have to do the homework.  
34  
35 **CHAIRMAN NANCE:** Probably at the SSC meeting in January, and so  
36 you can not do anything with it and then start looking at it in  
37 October, if you want to do that.  
38  
39 **DR. KILBORN:** No worries. Thank you.  
40  
41 **CHAIRMAN NANCE:** You're very welcome.  
42  
43 **MR. RINDONE:** Mr. Chair, I've gone ahead and put six hours down in  
44 January, and so basically a whole day, for you guys to chew on the  
45 products the Science Center is able to produce by that time.  
46  
47 **CHAIRMAN NANCE:** Okay. That's perfect.  
48

1 **MR. RINDONE:** If anybody on the SSC has any trouble finding any of  
2 these papers, please let us know, and we have a fully paid-up  
3 membership on just about everything, and we can pull any of these  
4 papers for you.

5  
6 **CHAIRMAN NANCE:** Okay. That's I think a good discussion this  
7 morning, and I really -- Last time, I thought we had a great  
8 discussion, and I appreciate all your input and your thoughts,  
9 because it's going to be a joint effort here to be able to come up  
10 with how to do this. Let's go ahead and take a break, and we'll  
11 come back at twenty -- I guess twenty after ten, Eastern Daylight  
12 Time.

13  
14 (Whereupon, a brief recess was taken.)

15  
16 **CHAIRMAN NANCE:** Okay. We will go ahead and get restarted here.  
17 I appreciate your patience, and we're going to have -- We will do  
18 gag grouper first, and so Katie is sending a couple of slides to  
19 the meetings, and, once we have those, then we'll be able to put  
20 Katie on. Following our discussion on gag grouper, then we then  
21 go into our last item of the day, which is a presentation and  
22 discussion on wenchman. Dr. Siegfried, we'll go ahead and turn  
23 the time over to you.

24  
25 **REVIEW: ALTERNATIVE MODEL RUN FOR SEDAR 72 BASE MODEL AND USING**  
26 **FLORIDA'S STATE REEF FISH SURVEY (CONT.)**

27  
28 **DR. SIEGFRIED:** Thank you, Mr. Chair. It's funny, because I would  
29 love to just talk about this stuff, but I thought it was really  
30 important to show you the tables and figures, which takes way  
31 longer than just talking, and so hopefully I've included everything  
32 you need.

33  
34 What I understood to be the question is we don't see a big buffer,  
35 or difference, between the OFL scenarios and the rebuild scenarios  
36 that Lisa sent on yesterday, and so what I've shown here are all  
37 of those scenarios that she sent yesterday in the bottom-left  
38 table, and then the table that she presented during her PowerPoint  
39 presentation on the right, and so that's SRFS Run FSPR 40.

40  
41 Now, the stock-recruit curve was used for both the benchmarks and  
42 the recruits that are assumed. If you look at the table on the  
43 right, the second column says "R", and that's the recruits, and  
44 you will see that changes based on the stock level. Those are  
45 pulled from the stock-recruit curve directly, and it's not any  
46 assumption about high or low recruitment, and so I wanted you to  
47 see that in the table there.

1 Then, in the bottom-left-hand, the other point that I wanted to  
2 make is that the time to rebuild is longer in these scenarios than  
3 it is for amberjack, which was the thing that you all were  
4 comparing it to, and so the top-left is the OFL scenario, and that  
5 F, that fishing mortality, is 0.098, and we have 0.42-ish million  
6 pounds gutted weight in 2023.

7  
8 The bottom-left is the -- I think it's the preferred scenario, and  
9 it's not technical language, but it's just what was requested  
10 previously, and the time to rebuild is 2047. Now, for gag, it's  
11 2027, and so it's quite a bit shorter time to rebuild, and so  
12 that's going to have an influence, and so the difference from OFL  
13 for that rebuild scenario is 6 to 7 percent, depending on the year.

14  
15 The upper-right-hand corner is -- The time to rebuild is 2043, and  
16 that's the T<sub>min</sub> times one generation time, or plus one generation  
17 time, and the F rebuild there is 0.08, and so that's very similar  
18 to the F rebuild in the bottom-left, which is 0.09, and then you'll  
19 see that difference from OFL is only 14 to 17 percent, depending  
20 on the year, and the bottom-right is the 75 percent of SPR 40.  
21 That time to rebuild is 2042, with an F rebuild of 0.07 and a 21  
22 to 25 percent difference from OFL.

23  
24 Now, for greater amberjack, this is a slide you all have seen, or  
25 a picture you all have seen, many times. The recent average  
26 recruits were used for the projection that was decided for catch  
27 advice, and the figure on the top-left is showing you how much  
28 lower than that is than if we pulled an average of the estimated  
29 or the assumed, and even different from that is what it would be  
30 if we pulled it from the stock-recruit curve, and so that recent  
31 average was used. In the bottom-right table, you will see that R  
32 doesn't change, like it does for the gag projections, and that's  
33 just stuck at 1650, and that was the recent average from 2009 to  
34 2018.

35  
36 That low recent average was assumed, and that's different from  
37 gag, and then there's also a much shorter time to rebuild, and  
38 that causes the rebuild yields to be lower than fishing a F OFL.  
39 If we have to recover in -- I mean, in this instance, it's 2022 to  
40 2027, and it's very short, as opposed to what we're putting forward  
41 for the rebuilding plan for gag, and so I think those are the main  
42 reasons that there is a much smaller buffer for gag between the  
43 OFL projected yields and the rebuild scenarios than there were in  
44 greater amberjack. Are there any questions? That's the last  
45 slide.

46  
47 **CHAIRMAN NANCE:** That's an excellent presentation, and so I know  
48 exactly what's happening. Any discussion from the SSC on what

1 Katie just presented? Bernie, why don't you keep the second slide  
2 up, because I think that's the one -- There you go. Perfect.  
3 Doug, please.

4  
5 **MR. GREGORY:** Thank you. Good morning. Good morning, Katie, and  
6 thank you for this. I've got a question. Let's say we have an  
7 ABC that's 10 percent lower than the OFL, and that's caused some  
8 concern, because 10 percent doesn't seem like much, but could we  
9 look at this in a different way, like interest rate or money in  
10 the bank? In the near future, we'll have 10 percent interest  
11 rates, maybe, but the spawning stock biomass is our bank.

12  
13 If we meet that 10 percent goal, over a number of years, even  
14 though it's still 10 percent less than OFL, and only 10 percent,  
15 it's cumulatively adding to the spawning stock biomass, and, to  
16 me, that seems to be a more -- Maybe a more appropriate concern,  
17 or not concern, but thing to look at, to determine how effective  
18 our ABCs are, and does that make sense to you, or is there a way  
19 to do that? Thank you.

20  
21 **DR. SIEGFRIED:** Good morning, Doug. I think a couple of things to  
22 add to that analogy is the interest rate is guaranteed, the amount  
23 in the bank, as long as it's not a money market or what has happened  
24 to my retirement lately, but that money is still going to stay in  
25 there, and you are guaranteed to get that interest each year, and  
26 I think part of what this buffer represents, for us, is some  
27 precaution, as well as a potential for rebuilding that stock.

28  
29 If everything happened -- If we actually only fished exactly 0.42  
30 million pounds gutted weight, and 0.62 million pounds gutted  
31 weight, then there wouldn't be any problem with fishing at OFL,  
32 and, if the stock did exactly what we thought it would do, there  
33 wouldn't be any problem, and so some of that buffer has to be for  
34 the uncertainty in the system and the prosecution of the fishery,  
35 but I think that, yes, it's a positive way to look at it, if those  
36 things are done perfectly and we don't have another red tide or  
37 some other episodic mortality, and then you are banking some of  
38 that SSB. Does that answer your question?

39  
40 **MR. GREGORY:** Yes. Thank you. One related question is, what we  
41 have here for ABC, is that F rebuild, or is OFL F rebuild?

42  
43 **DR. SIEGFRIED:** The F rebuild are the three other scenarios, where  
44 I have the values for F rebuild on the bottom-left table, the  
45 bottom-left scenario, and the right two scenarios. The OFL is  
46 showing what would happen if we just fished at FSPR 40 percent.

47  
48 **MR. RINDONE:** So, Doug, F rebuild is ABC, or what ABC would be

1 depending on the rebuilding timeline that's ultimately selected by  
2 the council.

3

4 **MR. GREGORY:** Okay, because I can't see the numbers on my screen.  
5 They're too small. I can't read them. Thank you.

6

7 **CHAIRMAN NANCE:** Doug, they would be the same numbers as the  
8 information that was sent last night.

9

10 **MR. GREGORY:** Well, I realize that, but I'm just harking back to  
11 some discussions we've had about F rebuild, ABC, and OFL and the  
12 relationships among the three. Thank you.

13

14 **CHAIRMAN NANCE:** Sure. Thank you, Doug. Shannon, please.

15

16 **DR. CALAY:** We have had a pretty storied discussion, over the  
17 years, about this, but it's interesting that OFL, from the agency's  
18 perspective, is always the overfishing limit, right, and so it's  
19 always determined by the yield when projecting at FMSY or its  
20 proxy, but the -- You know, if you are exceeding the F rebuild,  
21 you will delay the rebuilding of the stock, but it may not  
22 technically be overfishing, and so, at times, we have interpreted  
23 OFL to be F rebuild, but the agency interprets it otherwise, right,  
24 and the agency says that can be ABC, but OFL is in fact the yield  
25 stream from the projected FMSY or its proxy.

26

27 **MR. GREGORY:** Thank you. That's all I have. I appreciate it.

28

29 **CHAIRMAN NANCE:** Thank you, Doug.

30

31 **DR. SIEGFRIED:** Mr. Chair, just one comment?

32

33 **CHAIRMAN NANCE:** Yes.

34

35 **DR. SIEGFRIED:** It may be a little confusing to present it this  
36 way, because we don't normally show three options for ABC, and,  
37 also, creating a rebuilding plan is rare, and so I acknowledge  
38 that that might be a little confusing.

39

40 **CHAIRMAN NANCE:** I think what was confusing us this morning was  
41 just the buffers, and now you've given us a good explanation, and  
42 so, I mean, I'm very comfortable with what we're doing. John  
43 Froeschke, please.

44

45 **DR. JOHN FROESCHKE:** I guess I'm just trying to understand, a  
46 little more generally, and is it fair to say, based on the  
47 explanation, that, stocks with long rebuilding plans, you would  
48 expect the OFL to be much closer to ABC, in contrast to the shorter

1 stock rebuilding plans, for example gag and amberjack? Excuse me.  
2 Not gag. Amberjack and gray triggerfish. Then the other is just  
3 to clarify, in my own mind, and is this OFL an equilibrium value  
4 of some sort? I guess that was my understanding.

5  
6 **DR. SIEGFRIED:** The benchmarks were calculated using the stock-  
7 recruit curve as well in equilibrium, and so that is the  
8 benchmarks, and that's what we're fishing at, is an F at SPR 40  
9 percent. I looked back at the original amberjack, just because I  
10 was a glutton for punishment, and they are a much more similar OFL  
11 and ABC when the rebuilding plans started, because it was a longer  
12 timeline, if that helps.

13  
14 **CHAIRMAN NANCE:** I think the other big change, I think, is, this  
15 one, we're using the stock-recruitment curve as-is, whereas, in  
16 amberjack, we're assuming the low-recruitment scenario, which  
17 added a real additional buffer to that, and so it's both the low  
18 recruitment scenario and the length of time for rebuilding that is  
19 the difference between these two.

20  
21 **DR. SIEGFRIED:** Yes.

22  
23 **CHAIRMAN NANCE:** John, does that answer your questions?

24  
25 **DR. FROESCHKE:** Yes, and just one quick follow-up, and then I will  
26 butt out.

27  
28 **CHAIRMAN NANCE:** Absolutely.

29  
30 **DR. FROESCHKE:** In our status determination criterion though, if  
31 I recall, MSY is defined as a long-term value, and then, in years  
32 with a stock assessment, OFL is equal to MSY, but, in this context,  
33 it's not a long-term, i.e., what the maximum sustainable yield  
34 would be in perpetuity if the stock was at FMSY biomass.

35  
36 **DR. SIEGFRIED:** Yes, and it's not going to be that until we get  
37 all of the -- Everything to MSY, and so it's working its way in  
38 that direction, and so fishing at FSPR 40 percent right now is not  
39 going to give you, you know, equilibrium MSY, right now, because  
40 the stock is not able to produce that.

41  
42 **DR. FROESCHKE:** But, in the past, for other stocks, have you based  
43 the OFL, during a rebuild, off of a long-term equilibrium value  
44 for that?

45  
46 **DR. SIEGFRIED:** Well, the first time that amberjack was set, it  
47 was set based on the stock-recruit curve, and so that would be --  
48 That's what we talked about with amberjack before, was that was

1 the rebuilding plan was set based on. If we look -- We would have  
2 to time more time to do this, and it's in the document, but, if we  
3 look at say the SRFs run OFL, and you actually have the table all  
4 the way to 2047, which is when it rebuilds, you would see that the  
5 SSB matches SSB MSY, and they are at MSY, and then your F would  
6 probably jump up, because the stock was not at equilibrium  
7 condition, but that's so far in advance that projections are pretty  
8 unreliable at that point, but that's how we pull those benchmarks  
9 for SS, is by looking at what the stock would do in equilibrium.

10  
11 I think the amberjack, and this is something that -- Roy is there  
12 today, but I think it was his suggestion initially, is, if we're  
13 not recovering with the amberjack by 2027 -- In the past, and we  
14 haven't quite gotten there, maybe our assumption about recruits is  
15 overly optimistic, and so that's why the amberjack recruits were  
16 dropped, instead of assuming some sort of average or assuming some  
17 sort of stock-recruit curve, as we are with gag. The recruits in  
18 that plot on the second slide are much lower, on average, than  
19 what we're seeing for gag. I think that was an assumption for  
20 amberjack. Thank you.

21  
22 **CHAIRMAN NANCE:** Thank you. Harry.

23  
24 **MR. BLANCHET:** Thank you. This goes to that discussion about  
25 recruitment. A lot of the recovery is basically, if you look at  
26 the -- You would expect, just using the SRFs runs, essentially,  
27 from five years out, you're looking at something over five-million  
28 recruits, climbing to eight-million recruits. If you look at what  
29 we have seen in recent years, we haven't seen that, and so a lot  
30 of that projection is really counting on that spawner-recruit  
31 relationship to help carry you over the finish line.

32  
33 We don't really have anything solid, reliable recruitment indices,  
34 for a lot of these species, and, you know, it's kind of challenging  
35 to see that, because you're counting on chickens that haven't yet  
36 hatched, and you're counting a lot on those chickens to get you to  
37 your goals.

38  
39 The other point was the comment, the public comment, yesterday  
40 regarding discards, and are we assuming -- I am a little bit  
41 concerned that the approach we're taking with regards to discards  
42 might be, again, optimistic. Because of how it's being done in  
43 the assessment model, we may not be able to have as much directed  
44 harvest, or as much harvest, because we may be underestimating  
45 what this discards are. That's all.

46  
47 **CHAIRMAN NANCE:** Thank you, Harry. Roy.

1 **DR. CRABTREE:** I mean, Harry made some good points, and there is  
2 a lot of optimism built into what we're looking at here. As bleak  
3 as these catch levels look, and as harsh as it's going to seem to  
4 the fishery, but, I mean, you do see -- When you switch to the  
5 stock-recruitment curve, you get this big jump in recruitment,  
6 which may or may not actually happen, and then we are making  
7 assumptions that discards are going to come down substantially,  
8 and that's probably not going to be the case, and all of that  
9 indicates that these catch levels are set on the high side of where  
10 they should be.

11

12 **CHAIRMAN NANCE:** Thank you. Doug, please.

13

14 **MR. GREGORY:** Thank you. I don't really know why amberjack came  
15 back up, and I suppose somebody was comparing the two and wanted  
16 some explanations, but we have, with our recruitment estimates  
17 with gag, a similar, or more dramatic situation, than we had with  
18 amberjack. The last ten years of gag is less than a half of the  
19 previous ten years recruitment, and so I -- Dare do I ask what  
20 would all this look like if we used the same approach of assuming  
21 the last ten years average recruitment, instead of the spawning  
22 stock model? I know that's kind of probably a bomb, but it just  
23 came to mind. Thank you.

24

25 **CHAIRMAN NANCE:** Without even having to look at the data, I would  
26 think, if you're using that lower recruitment stream, it would --  
27 The ABCs would be a great deal lower than what we're seeing here.  
28 Roy.

29

30 **DR. CRABTREE:** Yes, and I suspect you would never rebuild, and  
31 that's kind of a conundrum of all of these things. If these  
32 increases in recruitment don't happen as the stock recovers, then  
33 you're never going to rebuild to what you're projecting, and  
34 something in the environment then must have changed. I don't know  
35 if that's what is happening with gag, and there is sure a lot of  
36 reasons to think that maybe it has with amberjack, but I'm not  
37 sure how you get around that issue.

38

39 **CHAIRMAN NANCE:** We have proposed -- Go ahead, Doug.

40

41 **MR. GREGORY:** That would put the burden on you, maybe, to come up  
42 with an explanation for the council as to why we're doing the two  
43 assessments differently, when both are dramatically overfished,  
44 and I'm sure it's just different meetings, different thought  
45 processes, but some people are out there looking for consistencies,  
46 and this is one that is not consistent.

47

48 **DR. SIEGFRIED:** Mr. Chair, to that point?

1  
2 **CHAIRMAN NANCE:** Yes, please, Katie.  
3

4 **DR. SIEGFRIED:** I'm looking at the recruitment timeline for gag,  
5 the deviations and sort of way that SS has to model those  
6 deviations, and we saw that really low year in 2011, but there are  
7 four years, in the last ten years, that are right on average, and,  
8 for amberjack, which, if you look at the second slide that Bernie  
9 has pulled up, it was below average for all ten years, and some  
10 are much farther below than, on average, what we saw for gag, and  
11 so the group didn't even discuss this, because it wasn't quite as  
12 dramatic.  
13

14 I mean, you all have the document, and you can take a look at the  
15 same thing I'm looking at, and I can give you the page number of  
16 the PDF, of the presentation, and it's page 17, but we didn't see  
17 the same thing for amberjack, and, also, the recruitment was low,  
18 except for four years for amberjack, since 1990, which is not what  
19 we saw for gag. We actually saw above-average recruitment in the  
20 mid-1990s through the mid-2000s, and so that's why it wasn't  
21 discussed, and I don't think it was ignored in one assessment and  
22 brought up in another assessment with the same pattern.  
23

24 **CHAIRMAN NANCE:** Doug, to that point?  
25

26 **MR. GREGORY:** Yes. When you go back to the 1980s, the recent  
27 landings do kind of match that, but, throughout the 1990s and  
28 2000s, those recruitments were more than twice as high with SRFs  
29 and four-times higher than the last nine years, and so you can  
30 take an average based on different years, but, if you compare the  
31 ten years prior to 2011 and the nine years since 2011, there's a  
32 dramatic difference, and, to me, the logic is the same as with  
33 amberjack. I think it's misleading to say that there is four years  
34 of kind of reaching the average, because that average is influenced  
35 by the 1980s and 1970s estimates of recruitment, and so not a big  
36 deal, but, to me, the patterns are similar, and the difference  
37 between the previous ten years and the current ten years is  
38 statistically significant, by the way.  
39

40 **CHAIRMAN NANCE:** Thank you, Doug. Josh.  
41

42 **DR. KILBORN:** Thank you, and so this is the second species, as  
43 long as I've been on the SSC now, that we've talked about this  
44 kind of issue, where there's a potential regime shift in the  
45 recruitment, and we've definitely seen evidence, previously, of  
46 just an ecological regime shift in the Gulf of Mexico, in general,  
47 over time, and so I think, you know, we might want to start thinking  
48 a little more broadly, in terms of, you know, whether or not

1 various species or complexes have undergone these regime shifts  
2 and are fundamentally acting differently now than they were in the  
3 past and we need to, you know, readdress the way that we're  
4 thinking about some of these fundamental issues.

5  
6 Again, this is -- I know that two does not make a trend, right,  
7 and two data points doesn't make a trend, but this is the second  
8 time in a year that we've discussed this issue, with two different  
9 species, and so I do think it's worth paying some additional  
10 attention to, moving forward. Thank you.

11  
12 **CHAIRMAN NANCE:** Thank you, Josh. I agree with that point. Mike.

13  
14 **DR. ALLEN:** Thank you, Mr. Chairman. I was just recalling our  
15 discussion about the amberjack, and it seemed like the case there  
16 was that there had been substantial management actions put in place  
17 without any recruitment response, and that was the argument for  
18 the regime shift, lower recruitment, using the lower recruitments  
19 moving forward.

20  
21 With gag, we haven't done that yet, right? We haven't had that  
22 management change, and I think it's reasonable, and it could turn  
23 out not to be true, but it's reasonable to assume, given the very  
24 low stock abundance that it is right now, that, when we enact some  
25 management changes, we're going to see a change in recruitment, in  
26 response to that.

27  
28 **CHAIRMAN NANCE:** Yes. Ryan, please.

29  
30 **MR. RINDONE:** Well, just to be fair, the terminal year in the  
31 assessment is 2019, and we have had to make assumptions in the  
32 projections about the landings that would have occurred in 2020,  
33 2021, and 2022. We don't know, specifically, what has happened  
34 with recruitment in 2020 and 2021, or this year, and we know what  
35 we've heard from fishermen, which was, that last fall and this  
36 spring so far, or this early summer, have been very good for gag,  
37 or at least for them being able to find and catch keepers, and  
38 maybe that means that, in 2018 and 2019, some of those fish have  
39 grown up and now been matriculated into being selected by the hook-  
40 and-line fishery, but, without that information, a lot of that  
41 just remains unknown, and those are assumptions that we have to  
42 make to make the projections work.

43  
44 When we say what things are like today, really, it's -- Today is  
45 the end of 2019, with assumptions made about the interim years,  
46 and, just to, I guess, bring back to the forefront of the  
47 discussions that this body has had several times about the current  
48 nature of some of the information that we're able to look at, and

1 it's always a little bit behind where we are now, and then, by the  
2 time we actually get through with management, it's even more so  
3 aged, and so just some food for thought, to muddle the waters a  
4 little more.

5  
6 **DR. SIEGFRIED:** Mr. Chair, to that point?

7  
8 **CHAIRMAN NANCE:** Yes, please, Katie.

9  
10 **DR. SIEGFRIED:** I appreciate all the conversation, and I brought  
11 up the regime shift thing when we were talking about amberjack,  
12 and so I think it's a good idea to keep an eye on that, but I do  
13 think Mike's comment is particularly apropos, because what we plan  
14 to -- Or what we hope to do is to monitor the stock very carefully  
15 with interim analyses, I mean any little change, any episodic  
16 mortality, any change in recruitment, any change in --

17  
18 We do have signal from very young fish in one of our video indices  
19 in the Gulf, and so we should be able to pick up these signals and  
20 be able to keep track of it with interims, and I hope that this  
21 explanation is sufficient, and I certainly don't mean to drag  
22 greater amberjack back up, and it was just part of the request, to  
23 look at the differences between the two, but, if there's anything  
24 else that I can provide to clarify, just let me know.

25  
26 **CHAIRMAN NANCE:** Perfect, and I appreciate the explanation. I  
27 mean, for my own personal thoughts here, I'm satisfied with the  
28 explanation, for sure, and I think, as we do the interim analysis  
29 -- As Mike mentioned, as we put this into play, we need to be  
30 careful and be able to watch the response of recruitment to this  
31 change, and, if we see that changing for the better, that's where  
32 we want to go. If we see no change, then we need to kind of  
33 reevaluate what we're doing and be able to make sure that we're  
34 following to get this stock rebuilt. Any other discussions from  
35 the SSC on this item? Carrie.

36  
37 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair. I guess, Dr.  
38 Siegfried, Katie, do we, in the report -- I think, when we went  
39 through amberjack, we had some very specific like projection  
40 settings that were detailed in the report, and is that something  
41 that we need to consistently do, it seems like, for gag, and I  
42 think we have, and I think we can do that here, but I just wanted  
43 to make that clear.

44  
45 Then my other question is, regarding what was presented for the 75  
46 percent of the F at SPR 40 or whatever, I don't think that was  
47 part of the SSC's recommendations, and so I don't know if the SSC  
48 did want to include that recommendation to the council, and would

1 you want to add that to your motion, or make it clear in the  
2 report, and I don't think we really discussed that in great detail.  
3 Thanks.

4

5 **CHAIRMAN NANCE:** Carrie, would you repeat that last part?

6

7 **EXECUTIVE DIRECTOR SIMMONS:** That bottom-right corner, and what is  
8 it?

9

10 **MR. RINDONE:** It's the yield at 75 percent of F at MSY, or its  
11 proxy, which is the -- So there's three scenarios that you can  
12 select from when T<sub>min</sub> is greater than ten years, and there is 75  
13 percent of F at MSY, T<sub>min</sub> plus one generation time, or T<sub>min</sub> times  
14 two. I guess you could also select T<sub>min</sub>, but that would be --  
15 That would hurt.

16

17 **CHAIRMAN NANCE:** I guess the question is we -- Yesterday, in our  
18 motion, we asked for T<sub>min</sub>, T<sub>min</sub> plus one generation, and T<sub>min</sub> times  
19 two, and I think, as a standard thing that the Center provides,  
20 the F equals 75 percent SPR 40 is a standard run that they typically  
21 do. I guess the question is do we want to include that in the  
22 package, and, if so, we need to probably include that in a motion,  
23 or, if we don't want to see this, we don't include it in a motion  
24 and we don't see it. Ryan.

25

26 **MR. RINDONE:** Well, Mr. Chair, I think the intent was to include  
27 the options that are available under the Act, and so this is one  
28 of the options that's available under the Act, and you guys have  
29 had the opportunity to evaluate it, and we certainly haven't heard  
30 anything mutinous on the record about it, and so, if there's  
31 nothing to contest that, we can simply update it.

32

33 **CHAIRMAN NANCE:** Carrie.

34

35 **EXECUTIVE DIRECTOR SIMMONS:** Well, I guess what I was trying to do  
36 is avoid confusion at the council meeting if the SSC wasn't  
37 explicitly recommending it. I mean, there is quite a bit of  
38 difference in the buffer, and so is that a recommendation or not?  
39 It wasn't included in the original motion, and we've had multiple  
40 discussions about this stock and amberjack, and so I think we just  
41 need to be clear, and that's all I'm trying to bring up.

42

43 **CHAIRMAN NANCE:** Luiz.

44

45 **DR. BARBIERI:** Thank you, Carrie, Dr. Simmons, and I really  
46 appreciate that point. I think that the intent of the motion  
47 yesterday, and our evaluation of this additional option today, is  
48 really to provide the council with the full latitude, right, of

1 determining the time horizon and the parameters for this rebuilding  
2 plan, and that we did not see anything technically faulty with  
3 these projections that would preclude the council from using each  
4 one of those options. I will defer to Dr Simmons and Ryan on  
5 whether, you know, we amend -- You know, we provide a different  
6 motion, a new motion, that would include this option, or --

7  
8 **EXECUTIVE DIRECTOR SIMMONS:** I guess, in my mind, the difference  
9 is the buffer, and, if we're so concerned about this, are you in  
10 support of it, and I think we could probably add that to the  
11 report, and Dr. Nance can talk about it with the council, but, I  
12 mean, we did not talk about it when we had the last assessment  
13 review with the council in the last six months, and so that's kind  
14 of why I'm trying to bring it up and make sure that we're clear on  
15 that their intent is here.

16  
17 **CHAIRMAN NANCE:** I think the key, in my mind, is that these  
18 scenarios are all based on the same projections, and it's just a  
19 different matter of one is T<sub>min</sub> plus one generation, one is T<sub>min</sub>  
20 plus two generations, and one is 75 percent FSPR 40, and so the  
21 model is creating these, or, excuse me, the projections are  
22 creating these, and there's nothing that we've seen that would  
23 invalidate this one, and so, from my perspective, it's a valid  
24 option, and, in our motion yesterday -- I think, when Luiz made  
25 that motion, it was outlining the general scenarios in the  
26 projections. We could include that in there, but I think it's not  
27 any different, from a scientific standpoint, to have it.

28  
29 **MR. RINDONE:** So I said, although not contained in the SSC's  
30 previous motion about the catch limits associated with the  
31 different rebuilding timelines, the SSC stated that it thought the  
32 catch limits associated with the timeline using 75 percent of F at  
33 40 percent SPR, which is one of the options when T<sub>min</sub> is greater  
34 than ten years, was a valid option for consideration by the  
35 council.

36  
37 **CHAIRMAN NANCE:** I think that covers it. Katie, please.

38  
39 **DR. SIEGFRIED:** Thank you, Mr. Chair. To Carrie's point, perhaps  
40 I can work with her offline to make sure that the information is  
41 in the table that she's requesting. I mean, after amberjack, we're  
42 trying to be very careful about making it explicit, and it sounds  
43 like you all have worked out the T<sub>min</sub> issue, and Lisa and Ryan  
44 were communicating about that by chat yesterday, but we don't even  
45 have a T<sub>min</sub> scenario prepared, I think because Ryan stated it would  
46 hurt, and that wasn't one of the three rebuild options that we  
47 have ever presented, and that would be thirteen years.

1 **CHAIRMAN NANCE:** Thank you, Katie. John, did you have your hand  
2 up?

3  
4 **DR. FROESCHKE:** Yes. I did, and then I didn't, but I'm going to  
5 go anyway. I don't think we have a motion for the OFL, and it  
6 seems like we need that.

7  
8 **MR. RINDONE:** John, the motion that was passed was the SSC  
9 determines that the yields corresponding to the rebuilding  
10 schedules, based on  $T_{min}$ , which I can edit to be 75 percent of F  
11 at 40 percent SPR,  $T_{min}$  plus one generation time, and  $T_{min}$  times  
12 two are appropriately calculated and suitable for informing  
13 management advice. There we go. That one.

14  
15 Ultimately, the OFL and ABC would be dependent upon which  
16 rebuilding schedule, based on that table that's also going to be  
17 included in the report, and I guess it's a question of if you guys  
18 think that you need to explicitly state the OFL equals this for  
19 this one, this for that one, this for the other one, or just say  
20 that it's noted in the table.

21  
22 **CHAIRMAN NANCE:** Go ahead, John.

23  
24 **DR. FROESCHKE:** Well, in response, I guess it seems to me that we  
25 typically put years and values on the board. Otherwise, to me, it  
26 implies that we are specifying ABCs all the way through 2047 at  
27 this point.

28  
29 **CHAIRMAN NANCE:** Luiz.

30  
31 **DR. BARBIERI:** To that point, and, Mr. Chairman, thank you, but  
32 perhaps we can just add -- Have another motion, and I don't know  
33 if we can amend this one, since this one has already passed, but  
34 we can add that table with the short-term, the five-year,  
35 scenarios, to this motions, and it can be amended to also include  
36 the yield at F 75 percent of MSY.

37  
38 **MR. RINDONE:** I think you could just say, you know, the SSC  
39 determines that the OFL and ABC specific to the rebuilding  
40 timelines, outlined in the table, are appropriate, or something to  
41 that effect, because the table is going to be in here, and, that  
42 way, you're not trying to, in any way, write out fifteen ABC values  
43 across five years and three options, and so, if you wanted to make  
44 a new motion, because this is basically saying that you think that  
45 the way -- You think that the math is done correctly, and so the  
46 follow-up could be like we're recommending yields for five years  
47 and expecting that, within that five-year period, or 2024,  
48 actually, we're going to start another gag assessment.

1  
2 Then, in the interim, we'll have a couple of interim analyses,  
3 probably, and so it's not like you guys aren't going to have your  
4 finger on the pulse of this, but that, within five years, you would  
5 expect to have seen quite a bit more information and have a better  
6 idea of where things are.  
7  
8 **CHAIRMAN NANCE:** I think we need a new motion, just to be -- Just  
9 to make it straightforward, and so, Luiz, if you could --  
10  
11 **DR. BARBIERI:** I am thinking, perhaps there, in terms of the  
12 language -- If you can just go to the previous one, Bernie. Thank  
13 you. **Appropriately calculated yield streams of OFL and ABC --**  
14 It's like towards the end of the last line of that motion.  
15 **Appropriately calculated and OFL and ABC yield streams associated**  
16 **with those values are suitable for informing catch advice.** Perhaps  
17 then we can put the five-year. **And five-year OFL and ABC.** Would  
18 that do it?  
19  
20 **CHAIRMAN NANCE:** I think so. Bernie, right after "ABC", it needs  
21 to be "yield", and then add, right after --  
22  
23 **DR. BARBIERI:** After "calculated" --  
24  
25 **CHAIRMAN NANCE:** Take the "and" out of "before Tmin times two",  
26 and let's put -- Then put "and" after that comma -- After "Tmin  
27 times two", right after that, then put "and 75 percent SPR 40",  
28 correct, so that that's one of the options, too.  
29  
30 **MR. RINDONE:** Well, it would be 75 percent of F at SPR 40 percent.  
31  
32 **CHAIRMAN NANCE:** Yes.  
33  
34 **DR. BARBIERI:** Before the first "OFL and ABC yield streams", that's  
35 where we put the "five-year". Thank you. Then we delete, after  
36 "advice".  
37  
38 **CHAIRMAN NANCE:** Okay. Are you happy with that motion, Luiz? Jim.  
39  
40 **DR. TOLAN:** Thank you, Mr. Chairman, and this may come across as  
41 a little nitpicky, but, because this motion carried without  
42 opposition, do we have every single person present that voted on  
43 this, because, if they go back and read, and so, wait a minute,  
44 this is not what I voted for, and so does this need a motion?  
45  
46 **CHAIRMAN NANCE:** This is a new motion.  
47  
48 **DR. TOLAN:** Okay. I thought we were --

1  
2 **CHAIRMAN NANCE:** No.  
3  
4 **DR. BARBIERI:** We're just using the -- We're recycling.  
5  
6 **CHAIRMAN NANCE:** Yes. Thank you. This is a brand -- We have the  
7 one motion, and this is a brand-new motion to be able to add this,  
8 so we can put the tables in.  
9  
10 **DR. BARBIERI:** So moved, Mr. Chairman. If there is a second, then  
11 we can --  
12  
13 **CHAIRMAN NANCE:** Do we have a second for this motion? Roy. Okay.  
14 Discussion? Doug.  
15  
16 **MR. GREGORY:** Thank you. I'm a bit confused here, and I blame it  
17 on our process yesterday, and it just seemed so rushed, and I  
18 thought that T<sub>min</sub> was equivalent to F equals zero. F equals zero  
19 rebuilds the population in twelve years. I have not seen any  
20 tables of T<sub>min</sub> plus one generation until this morning, and so I'm  
21 confused why that would be eight years if T<sub>min</sub> is twelve years,  
22 and that's easy enough to answer.  
23  
24 The other question I have is, if we can rebuild the population  
25 sooner, why would we go to the extreme of T<sub>min</sub> times two, when we  
26 have a population that has been overfished and undergoing  
27 overfishing for fifty years? I mean, this is a very rare like  
28 pull-the-fire-alarm situation. Thank you, and so those are my two  
29 questions.  
30  
31 **CHAIRMAN NANCE:** T<sub>min</sub> plus one generation is eight years.  
32  
33 **MR. RINDONE:** (Mr. Rindone's comment is not audible on the  
34 recording.)  
35  
36 **CHAIRMAN NANCE:** Yes. Okay. We got that table last night.  
37 Shannon, did you have a comment?  
38  
39 **DR. CALAY:** Well, if Katie is online, she's probably the best  
40 person to clarify this issue.  
41  
42 **CHAIRMAN NANCE:** Okay. Katie.  
43  
44 **DR. SIEGFRIED:** Thank you. There is no rebuilding scenario put  
45 forward with just T<sub>min</sub>. T<sub>min</sub> is calculated when we did the F  
46 equals zero scenario. The T<sub>min</sub> plus one generation time is offered  
47 because that, plus the T<sub>min</sub> times two, plus the 75 percent FSPR 40  
48 are the three options the council has. As to why you would go

1 with the longest one, I don't have a -- That's not my wheelhouse.  
2  
3 **MR. GREGORY:** Okay, and so the SSC is not recommending any one of  
4 these.  
5  
6 **CHAIRMAN NANCE:** That's correct. We're providing these to the  
7 council. We are satisfied with the science behind the creation of  
8 these, but recommending that the council can look at these and  
9 then choose the option that they would feel is best suited.  
10  
11 **MR. GREGORY:** If Tmin is twelve years, wouldn't Tmin plus one  
12 generation be twenty years and not eight? A generation is eight.  
13  
14 **DR. BARBIERI:** This is just clarifying what one generation time is  
15 for gag grouper, and it may be confusing.  
16  
17 **MR. GREGORY:** It is. It is confusing.  
18  
19 **DR. BARBIERI:** So this is why the "eight years" is after one  
20 generation time, because we know what Tmin is, right, and we want  
21 to clarify -- Yes, Ryan.  
22  
23 **MR. RINDONE:** I was just going to lob a friendly amendment at you  
24 to change "values" to "rebuilding timelines", and so "are  
25 appropriately calculated in the five-year OFL and ABC yield streams  
26 associated with those rebuilding timelines are suitable for  
27 informing catch advice."  
28  
29 **DR. BARBIERI:** Yes. That's better, yes.  
30  
31 **MR. GREGORY:** I would think, if we put in parentheses, after each  
32 of these, what they kind of represent -- After "Tmin", "F equals  
33 zero, twelve years", "Tmin plus one generation", and maybe not put  
34 the F, but put "twelve plus eight years". It's not clear now,  
35 and, in the past, we've taken great efforts to make our motions  
36 very clear.  
37  
38 **DR. BARBIERI:** Doug, I think I accept your friendly amendment, and  
39 so if you can help us craft the text after each one of those  
40 rebuilding -- Just put "twelve years" and then "Tmin plus one  
41 generation" --  
42  
43 **CHAIRMAN NANCE:** So "twelve years plus eight years" in the  
44 parentheses.  
45  
46 **MR. RINDONE:** Katie, how long does it take to rebuild at 75 percent?  
47  
48 **DR. SIEGFRIED:** It goes to -- 75 percent is to 2042, and so it's

1 one year less, and so nineteen years.

2  
3 **MR. RINDONE:** Thank you.

4  
5 **CHAIRMAN NANCE:** So  $T_{min}$  times two would be twenty-four years.  
6 Perfect. Okay. Doug, is that satisfactory for you?

7  
8 **MR. GREGORY:** Yes, and I appreciate that, but I would add -- After  
9 the "twelve years", add "F equals zero", so that nobody thinks  
10 that twelve years is a legitimate rebuilding period, and maybe I'm  
11 wrong, and maybe it is a legitimate rebuilding period.

12  
13 **CHAIRMAN NANCE:** Okay, and so twelve years at F equals zero.  
14 Perfect. Thank you very much for those changes. Much appreciated.

15  
16 **MR. GREGORY:** Thank you.

17  
18 **CHAIRMAN NANCE:** Any other discussion on this motion? I am going  
19 to read the motion. The SSC determines that the yields  
20 corresponding to the rebuilding schedules based on  $T_{min}$  (twelve  
21 years at F equals zero),  $T_{min}$  plus one generation time (twelve  
22 years and eight years for gag grouper, a total of twenty years),  
23  $T_{min}$  times two (twenty-four years), and 75 percent F 40 percent  
24 SPR (nineteen years) are appropriately calculated and five-year  
25 OFL and ABC yield streams associated with those rebuilding  
26 timelines are suitable for informing catch advice. Is there any  
27 opposition to this motion? Hearing none, the motion carries  
28 without opposition. Thank you. That was well crafted, and I think  
29 that helps the council to be able to see where we're going. Tom,  
30 please.

31  
32 **DR. FRAZER:** I think it's helpful. I guess the question that the  
33 council will have, right, and so you essentially have these three  
34 options that are in the slide here, and my inclination is that the  
35 council will gravitate immediately to the  $T_{min}$  times two, right,  
36 for two reasons, one you get an ABC, essentially, that's higher  
37 than any of the other scenarios, with the highest degree of  
38 certainty, and so I think it's going to be important to be able to  
39 explain to the council, using these different scenarios, why there  
40 are differences in the certainty, right, or the scientific  
41 uncertainty, excuse me.

42  
43 In one case, you've got, you know, the longest rebuilding time,  
44 and that's 7 percent uncertainty, right, and then slightly faster  
45 rebuilding times, but significantly higher uncertainty, and, in  
46 order for them to make a decision, they will probably want to know  
47 what the discussion was like, as it relates to this particular  
48 topic, and we just had this discussion, right, on ABC control

1 rules, and so, you know, when the SSC gives its report, probably  
2 we're going to want to be able to help in that regard.

3  
4 **CHAIRMAN NANCE:** Yes. Thank you. Luiz.

5  
6 **DR. BARBIERI:** To that point, Mr. Chairman, I agree completely,  
7 Dr. Frazer, and this is something that perhaps we can add some of  
8 that narrative to our meeting summary, right, so you have that  
9 outline already there. There we go. Even better.

10  
11 **CHAIRMAN NANCE:** Perfect. Thank you very much for that discussion.  
12 We'll now go ahead and start our wenchman discussion, and I will  
13 turn the time over to Shannon. No, let me -- Ryan, the --

14  
15 **MR. RINDONE:** Got it. The scope of work.

16  
17 **CHAIRMAN NANCE:** Thank you.

18  
19 **PRESENTATION AND DISCUSSION: WENCHMAN DATA EVALUATION AND**  
20 **CONSIDERATION OF STOCK-SPECIFIC CATCH LIMITS**

21  
22 **MR. RINDONE:** I've got you. Dr. Cass-Calay is here to talk about  
23 wenchman and review what's known about its life history and  
24 distribution and directed landings and where it shows up in our  
25 fishery-independent surveys and our past catch limits, including  
26 what was used in the Generic ACL/AM Amendment for how we initially  
27 structured everything for that midwater snapper complex, and that  
28 complex also includes queen snapper, blackfin snapper, and silk  
29 snapper.

30  
31 Wenchman landings have increased dramatically, about tenfold, in  
32 the last few years in the northern Gulf of Mexico butterfish trawl  
33 fishery, and they are essentially using these large midwater  
34 trawls, and, based on the information that you guys will hear from  
35 some of the fishermen that are present, and there's a couple in  
36 the back of the room, and I think we have a couple on the phone,  
37 and they will tell you about when they see them, how they see them,  
38 abundances, times of year, things like that, but, right now, it's  
39 kind of serving as a choke species for them for being able to go  
40 and fish for butterfish, because wenchman are causing the midwater  
41 snapper complex -- Wenchman landings are causing this complex to  
42 close, and we, obviously, don't want to be throwing back 20,000 or  
43 30,000 pounds of them from a trawl.

44  
45 They have approached the council to ask for reevaluation of  
46 wenchman and its catch limit, and so that's what all of this is  
47 for, and so you guys should examine the data and the results of  
48 the analyses the Science Center provided, ask questions,

1 especially of the fishermen, and they're here to tell you anything  
2 that you want to know about where and how they see these fish and  
3 make any recommendations to the council, as appropriate.

4  
5 Things you can consider would be whether to recommend the council  
6 break wenchman out of that midwater snapper complex, and, if so,  
7 to consider catch limit recommendations, using the council's ABC  
8 Control Rule or other method that you deem appropriate.

9  
10 **CHAIRMAN NANCE:** Thank you very much, Ryan. Shannon, please.

11  
12 **DR. CALAY:** Yes. Thank you, Chair.

13  
14 **MR. RINDONE:** I guess, before Shannon gets started, if, Andrew and  
15 Mike, if you guys could just come to the podium and introduce  
16 yourselves, and, if you want to sit back there by the podium, near  
17 a mic, that would be great. That ways, as we're going through  
18 this stuff, if the SSC has questions, you can more readily respond.  
19 You can do that or just sit down and introduce yourselves, so they  
20 know who you are and we can get your voices recognized.

21  
22 **MR. ANDREW BRYANT:** I'm Andrew Bryant from Bryant Products, and we  
23 have been processing the wenchman with our butterfish, and they've  
24 exploded in the past couple of years. We've done the butterfish  
25 boats for a while now, but the wenchman have been coming in more  
26 with the butterfish, the past couple of years, and I think my dad  
27 is online, with Captain Murphy, possibly, and I'm not sure yet.

28  
29 **MR. MIKE GRIECO:** My name is Mike Grieco, and I'm with God's Grace  
30 Holding, and we have one of the vessels that are fishing for  
31 butterfish right now in the Gulf.

32  
33 **CHAIRMAN NANCE:** Thank you. We greatly appreciate you being here.  
34 I think let's go ahead with the presentation, but the gentlemen  
35 are here for questions, either during the presentation or --  
36 Bernie.

37  
38 **MS. ROY:** Glen Bryant, do you want to unmute and introduce  
39 yourself?

40  
41 **CHAIRMAN NANCE:** What we can do is while -- We can go ahead and,  
42 Shannon, start your presentation, and hopefully we'll be able to  
43 -- You can relay what your dad says, maybe, or something like that.  
44 That would be perfect. Thank you so very much. Go ahead, Shannon.

45  
46 **DR. CALAY:** Thank you, Chair, and I wanted just to take a moment  
47 to thank the fishermen who have attended this meeting. It is  
48 extremely important to hear your experiences on the water, and so

1 we really do appreciate that you've come, and I wanted to  
2 acknowledge, also, that I spoke with Captain Phil Early, who also  
3 contributed information for this presentation, and so it is very  
4 helpful, indeed.

5  
6 I would like to also acknowledge Dr. Peter Hood at the Southeast  
7 Regional Office and Adam Pollack at the Southeast Fisheries Science  
8 Center, who both either allowed me to use slides that they had  
9 developed and presented earlier or who contributed to this  
10 presentation.

11  
12 Currently, wenchman are managed as part of a complex. It is the  
13 midwater snapper complex, and it includes four members, the silk,  
14 blackfin, and queen snappers, as well as wenchman. Wenchman are  
15 typically found over rough bottom features, and they tend to be in  
16 deeper waters, and they are found from twenty-four to 370 meters,  
17 usually deeper than that, at fifty to 250 meters, according to  
18 FishBase. The fishermen testimony that I heard, prior to this  
19 meeting, is that they're most often catching them in waters seventy  
20 meters or greater.

21  
22 Their maximum length, according to FishBase, is about fifty-six  
23 centimeters total length for the male or unsexed fish, but they're  
24 more commonly smaller, at a twenty-centimeter total length. We  
25 have records of their length, which I have shown you here from our  
26 NMFS groundfish survey, which range from twenty millimeters, and  
27 I believe that's meant to be twenty centimeters, to 260, and that  
28 makes sense, twenty to 260 millimeters, but the maximum length of  
29 observed in our NMFS groundfish survey is forty-seven centimeters  
30 fork length, and, in the commercial longline, a little larger,  
31 about fifty-six centimeters fork length.

32  
33 I just wanted to preface this conversation that it's a little bit  
34 atypical, because this species is landed by few fishermen, who, if  
35 they are commercial, report to few dealers, and so there are  
36 confidentiality issues with releasing the information by state and  
37 year, for example, and, in some cases, even by year, which makes  
38 presenting these landings information difficult. We have reached  
39 out to the dealers, who are responsible for reporting the  
40 commercial landings, and we have obtained their permission to show  
41 you the annual landings of wenchman.

42  
43 Recreational landings are very negligible for this species and  
44 account for less than 0.2 percent of the total removals, on  
45 average, and, just to give you kind of an idea, that's about 300  
46 pounds a year, at the most, for the recreational landings, and so  
47 this is essentially a commercial species. The commercial landings  
48 come mostly from trawls, and that's about 93 to 99 percent of the

1 landings between 2014 and 2020.

2  
3 The current management advice for the midwater snapper complex is  
4 described in the 2011 Generic Amendment for the Annual Catch Limits  
5 and Accountability Measures. That amendment set the OFL, the  
6 acceptable biological catch, the ABC, the annual catch limit for  
7 the complex, the ACL, and an annual catch target, and these values  
8 are shown here in millions of pounds. For example, the OFL was  
9 established using Tier 3a of our tiered control rule, and it is  
10 209,000 pounds whole weight.

11  
12 In order for this SSC to reevaluate whether to create a species-  
13 specific OFL and ABC for wenchman, there are a number of  
14 outstanding questions that the SSC must deliberate and provide a  
15 decision about.

16  
17 The first question is whether or not to separate wenchman from the  
18 current midwater snapper complex, and, as Ryan alluded to -- I  
19 show you, here on the right-hand side top, the annual wenchman  
20 landings from the rec and commercial sectors combined from 1999 to  
21 2021, and so there is an abhorrent year there, 2019, which has  
22 extremely low landings, but, in 2020 and 2021, we see a rapid  
23 acceleration in the catches of wenchman. Those are predominantly  
24 commercial landings.

25  
26 I will remind the SSC of some of the previous advice given by the  
27 Science Center regarding complexes, and so a complex ought to  
28 include members that have a similar life history and a similar  
29 vulnerability to the fishery, and so, essentially, all the members  
30 of the complex -- If you were to control any one member of the  
31 complex, you should execute the same sort of change on the catches  
32 of the other members of the complex, because they should be, you  
33 know, caught by the same fisheries in the same sorts of places,  
34 and that's the general guidance about the membership of a complex.

35  
36 We have heard some angler testimony, and this comes mostly from  
37 Captain Early, that wenchman are often caught in association with  
38 butterfish and scad, and so one of the points of information that  
39 this SSC would likely want to know is what are the species  
40 associates of wenchman, and are there methodologies to target  
41 wenchman and not, you know, collect bycatch, necessarily, of a  
42 weaker member of a complex, for example.

43  
44 On the bottom panel, and I do apologize that the colors may be  
45 difficult to read, but I have actually shown you here, in red, are  
46 the landings of wenchman relative now to the other members of the  
47 complex, and, as you can see from that figure, the landings of  
48 wenchman are actually increasing both in absolute magnitude, but

1 also as a proportion of the catch in that complex, and so, in fact,  
2 you are more likely to catch wenchman now in the complex than the  
3 other members of the species, of the complex.

4  
5 If you exclude wenchman from that plot, and let's just put it that  
6 way, there doesn't appear to be any particular trend in the catch  
7 of the other members of the complex. What you really do note is  
8 that wenchman has increased, both in absolute magnitude and as a  
9 proportion of the complex.

10  
11 The second question would be whether to continue to use Tier 3a of  
12 your tiered control rule, and so the conditions for use of Tier 3a  
13 are that no assessment is available, but the landings data exist,  
14 and that is true. Tier 3a says that, based on expert evaluation  
15 and best science information available, the recent historical  
16 landings are without trend and/or landings are small relative to  
17 stock biomass, or the stock is unlikely to be undergoing  
18 overfishing and unlikely to undergo overfishing if future landings  
19 are equal to or moderately higher than the mean of the recent  
20 landings, and that's from your own tiered control rule.

21  
22 Tier 3b is for -- If, based on expert evaluation, the recent  
23 landings may be unsustainable, and so, really, Tier 3b is for  
24 stocks that we feel might be at risk of being overfished or  
25 undergoing overfishing.

26  
27 What do we know about the recent catch rates from our fishery-  
28 independent surveys about wenchman, in particular? This  
29 information was all provided by Adam Pollack at our Southeast  
30 Fisheries Science Center.

31  
32 Wenchman, as you may recall, was last assessed in SEDAR 49, our  
33 data-limited species process, but that assessment was not used  
34 directly to produce management advice, and so, essentially, no  
35 assessment is available that was used to produce management advice.  
36 There was a representative index defined by that process, which  
37 was the Southeast Fisheries Science Center small pelagics  
38 acoustics survey, and that had full coverage across the Gulf of  
39 Mexico at depths where wenchman occur, and it had a very high  
40 positive occurrence.

41  
42 It was available from 2002 to 2013, at the time of the SEDAR 49  
43 assessment, and the gear is a high-opening bottom trawl.  
44 Unfortunately, that survey ended in 2016, and, in 2014 and 2016,  
45 it had very limited spatial coverage, due to vessel breakdown, and  
46 there was no survey in 2015, and so, unfortunately, not much has  
47 been updated about that information since SEDAR 49, but I will  
48 give you, you know, just a broad overview of what that index looked

1 like.

2  
3 This is the coverage of that index, and the red dots actually  
4 indicate the numbers per trawl hour, and so it has broad spatial  
5 coverage, and it goes out into deeper waters, which is ideal, and  
6 it shows that the stock of wenchman, you know, is more broadly  
7 distributed, or more abundant, in the west and in the northern  
8 part of the eastern Gulf of Mexico.

9  
10 This is what the index looked like, and so, at the time, we saw an  
11 increase towards the end of that survey, but no more recent  
12 information has become available. You see an increase in the most  
13 recent years, in 2012 and 2013, but no more recent information can  
14 be made available.

15  
16 We also have a SEAMAP groundfish survey, which is primarily a  
17 western Gulf of Mexico index, and it is a combined summer and fall  
18 survey. It has a split time series, due to a change in the survey  
19 design in 2018, which expanded the sampling universe and  
20 standardized the tow to a thirty-minute tow. We now can include  
21 data up to Cape San Blas, Florida, where, previously, only through  
22 Mobile Bay, and there is very little catch east of Cape San Blas.

23  
24 Here is the old design of the SEAMAP groundfish survey, and you  
25 can see it was predominantly a western survey, and the new design,  
26 which is a greatly-expanded survey coverage and the different  
27 trawl. Here is the new design, with the expanded coverage and the  
28 standardized tow.

29  
30 Now, of course, these are no longer comparable, necessarily, the  
31 two time periods, but you will see -- I think I would describe  
32 this as largely without trend and variable. There is some  
33 indication that the most recent year of these surveys, this survey,  
34 the expanded coverage, is lower, but the CVs are also very high,  
35 and so it's unclear that that really has a significant trend.

36  
37 We have a SEAMAP reef fish video survey, again primarily a western  
38 Gulf index for wenchman, and it is updated through 2019, and so  
39 this has the most current information, and this samples high-  
40 relief offshore natural reefs, and it is similar to the SEAMAP  
41 groundfish survey, in that it has low, or no, catches reported  
42 east of Cape San Blas. It has low positive catches, less than 5  
43 percent, and so that is one concern about this survey, and we do  
44 have a SEDAR 49 working paper that describes this in more detail.

45  
46 This one does indicate a very large increase in the relative  
47 abundance of fish, in the western Gulf at least, and so, unlike  
48 the other surveys, which are largely without trend, this one does

1 indicate that there has been an increase in abundance recently.  
2 That is essentially the information that we have available from  
3 our survey program about wenchman.  
4

5 **CHAIRMAN NANCE:** Shannon, can I ask just -- On that video survey,  
6 that is just SEAMAP, and that doesn't include any of the Florida  
7 video?  
8

9 **DR. CALAY:** Correct, because of the -- The request had a short  
10 fuse on it, and so what we were able to do is pull the updated  
11 information from the SEAMAP program, because they actually have  
12 put a great deal of time and effort and resources into updating  
13 those annually.  
14

15 The next question in front of the SSC is whether to reconsider the  
16 reference years that are used in the calculation for OFL and ABC.  
17 These all rely on a mean and standard deviation during some  
18 reference year period, and on the left-hand side is a plot that  
19 comes directly from the Generic Amendment in 2011, and the blue  
20 part is actually the part that was not used to produce the OFL and  
21 ABC for any of the midwater snappers. The period of time that was  
22 used is shown in white, roughly. Roughly.  
23

24 What you see in wenchman, which is the bottom of that left-hand  
25 plot, is that there was, essentially, an expansion of that fishery  
26 that occurred in the blue, in the early part of the time series,  
27 but the part in white indicated largely a fishery that had  
28 relatively stable catches, and so that is why that period of time  
29 was selected by the SSC to represent a period of time in which  
30 there appeared to be stability in the landings of that fishery,  
31 indicating that perhaps the stock biomass was relatively stable,  
32 although it is difficult to make that leap from catch only, I will  
33 add.  
34

35 What you have here now on the left-hand panel are the landings  
36 since 1999, and so there is some overlap here that I actually  
37 presented on purpose, just to kind of give you an idea that these  
38 are in fact a consistent series of landings, and, in recent years,  
39 you see that large expansion in 2020 and 2021. 2021 could still  
40 be somewhat provisional, in that I believe the estimates were  
41 provided only through Wave 4.  
42

43 It hardly matters, because the recreational landings aren't very  
44 large, but I'm just saying that it's marked "provisional" in our  
45 NOAA -- So please take it somewhat with a grain of salt, that it  
46 could be updated, and the next estimate could be somewhat  
47 different.  
48

1 I think that this -- There is a need to recall that very few  
2 vessels actually catch wenchman intentionally. It is largely --  
3 Well, I will let the fishermen actually fill you in more on the  
4 details of the fishery, but what I'm getting at is that 2019 has  
5 extremely low landings, and I wouldn't automatically presume that  
6 that is because the population was small, and I would allow the  
7 fishermen, perhaps, to comment on why 2019 landings might be so  
8 different.

9

10 I do suspect, and I could confirm with our Fisheries Statistics  
11 Division, if needed, that it probably has more to do with whether  
12 there was anybody fishing for butterfish in 2019.

13

14 I would say it's probably more -- I don't know. You can leave it  
15 to your own opinion and ask the fishermen, but I just wouldn't  
16 automatically come to the conclusion that, because the landings  
17 were small, that that would be an indication that the stock size  
18 was small.

19

20 The fourth question, and the last, is whether to continue to use  
21 the default OFL and ABC that are indicated in our tiered control  
22 rule, and we did use the defaults -- No, we didn't, actually. Yes,  
23 we did. Sorry. Okay, and so the default is to set the overfishing  
24 limit equal to the mean plus two standard deviations for the OFL,  
25 and, for the ABC, to have the mean of the landings plus one standard  
26 deviation, and so those -- I have prepared a spreadsheet, and  
27 circulated it to Ryan and to Bernie, that would allow us to select  
28 reference years and potentially explore these different options,  
29 if there was a need to.

30

31 All right, and this is actually a slide -- If, for whatever reason,  
32 the SSC decided to use Tier 3b, assuming that the stock could be  
33 subject to overfishing, then the -- It's actually that the OFL  
34 would be set at the mean of the landings, and the ABC would be  
35 set below that mean, using one of these options, and so I also --  
36 In that spreadsheet, we can calculate these as well.

37

38 All right, and so, just rapidly, the conclusion of this  
39 presentation is that we have the information needed to calculate  
40 OFL and ABC for wenchman, and also for the other members of the  
41 midwater snapper complex, if that was desired. We need to know  
42 which tier of the ABC Control Rule to use, the reference years to  
43 select, and which of the reductions from OFL to use to calculate  
44 ABC. That's it, and so, if there are any questions for me or for  
45 the fishermen who have graciously agreed to participate, we are  
46 ready and available.

47

48 **CHAIRMAN NANCE:** Okay. Thank you. I have two, and it looks like,

1 to me, that you are not targeting wenchman during your fishing  
2 activity, and you are targeting butterfish, and wenchman is a  
3 bycatch. Is that -- Okay, and so there's -- Because you're  
4 targeting butterfish, and wenchman seems to be highly associated  
5 with butterfish -- Are they always associated, or there are certain  
6 times of the year when they are not associated?  
7

8 **MR. BRYANT:** Usually you get a little amount of wenchman when  
9 they're butter fishing, and scad, but --  
10

11 **CHAIRMAN NANCE:** Okay, and are there -- With the other species in  
12 this complex, are there others of that complex that are also caught  
13 with butterfish?  
14

15 **MR. BRYANT:** No, there's not, not as far as -- I mean, I'm the  
16 processor, and so I see the -- For the most part, I do not remember  
17 seeing any of those other complex fish species in the catches at  
18 all.  
19

20 **CHAIRMAN NANCE:** Okay, and so, from a life history standpoint,  
21 they seem to be disassociated with butterfish and that type of  
22 thing.  
23

24 **MR. BRYANT:** Yes, sir.  
25

26 **MR. GRIECO:** Out of that complex.  
27

28 **CHAIRMAN NANCE:** Roy, please.  
29

30 **DR. CRABTREE:** Thank you for being here. What is the market,  
31 ultimately, for wenchman? I mean, is it for human consumption, or  
32 what are they being used for?  
33

34 **MR. BRYANT:** Absolutely. It's something that is still a developing  
35 market, and so, I mean, we have found adequate sales for every  
36 pound of wenchman that has come through our doors. Every pound  
37 has gone out for human consumption only.  
38

39 **SSC MEMBER:** Are you mostly selling them to restaurants or to shops  
40 or it's hard to say?  
41

42 **MR. BRYANT:** It's hard to say, but they're all over the country,  
43 to New York, California, Houston. I have different customers, and  
44 they have different uses for them.  
45

46 **CHAIRMAN NANCE:** Josh.  
47

48 **DR. KILBORN:** Thank you. I'm curious what the proportion of the

1 total catches that is associated with bycatch or other target  
2 species is and how much is actually targeted, and then, as a  
3 follow-up question, has the number of people targeting wenchman  
4 increased in recent time? Thank you.

5  
6 **MR. BRYANT:** It's one or two boats that are currently targeting  
7 butterfish, and wenchman as a byproduct of --

8  
9 **MR. RINDONE:** Josh, I think butterfish is the target species, and  
10 wenchman is caught as bycatch. They're not going out on a wenchman  
11 trip. They're going out on a butterfish trip.

12  
13 **DR. KILBORN:** Right, and so my question is that all of the landings  
14 that are reported, in all of the catches, are associated with  
15 bycatch and not target catch, correct?

16  
17 **MR. RINDONE:** Right. It's a non-target, marketable species.

18  
19 **DR. KILBORN:** Very good. Thank you.

20  
21 **CHAIRMAN NANCE:** Trevor.

22  
23 **MR. MONCRIEF:** Kind of following Josh's line there, I was  
24 wondering, and so, if it is a non-targeted, marketable species, as  
25 the market emerges, are we going to have -- I mean, is the thought  
26 process here that there's going to be increased landings over time?  
27 I mean, think about just a couple of boats targeting the species,  
28 and you hit the threshold, and the distribution of the species  
29 seems to be fairly wide across the board.

30  
31 The profitability of some of the fleets are going down, and I'm  
32 kind of wondering if this isn't a species that might be turned to  
33 just as an additional one to keep in the hold to make money,  
34 especially if a market forms, and so I just wonder about the  
35 decision that we made, or the recommendation that we make, and how  
36 quickly it might be revisited, if this truly does increase in  
37 profitability.

38  
39 **MR. RINDONE:** Andrew, when the fishermen are trawling for  
40 butterfish, are they able to differentiate, and Mike as well, and  
41 is it possible to differentiate between butterfish and other  
42 species that are kind of schooled up in the column as you're  
43 pulling -- As you're making tow, or does it just come back as  
44 backscatter of a school of fish being down there, either diffuse  
45 or congregated, and like how does it appear? Are you able to tell  
46 the difference?

47  
48 **MR. GRIECO:** In the meter, they come up basically as scad and

1 butterflyfish, and, when you pull them up, there's going to be some  
2 wenchman in there, a good part of the time.

3  
4 **MR. RINDONE:** I remember, from reading Captain Murphy's notes,  
5 that he said, the longer you're towing, the more likely you are to  
6 end up with things like scad and white trout and wenchman and other  
7 things like that and not butterflyfish, and that, usually, when you  
8 guys get into the butterflyfish, you don't have to make a very long  
9 tow before you need to bring the net in, but, if you have the net  
10 out for two-and-a-half or three hours, whatever it might be, a  
11 more extended period of time, the odds of you coming up with more  
12 wenchman, or other species that may be associated with butterflyfish,  
13 is going to be higher, and is that still true for today?

14  
15 **MR. GRIECO:** Yes, and it just depends on how dense the fish are.  
16 If they're dense, it's going to be a shorter trawl. If it's not  
17 dense, it's going to be a longer trawl.

18  
19 **MR. RINDONE:** Captain Murphy's notes made it seem like wenchman  
20 tend to be more diffuse, as opposed to it being like a really large  
21 aggregation in one spot.

22  
23 **MR. GRIECO:** They're more scattered.

24  
25 **MR. RINDONE:** I guess, Trevor, I'm trying to ask all these  
26 questions as a way to answer yours. Is that getting where you  
27 think you need to be?

28  
29 **MR. MONCRIEF:** I think so. I mean, kind of the thought process  
30 here is that you don't -- I would hate to -- I want us to go down  
31 a route to be able to keep the fishery rolling and the fishermen  
32 profitable and all that stuff, and I know what happened with this  
33 last one kind of upended this decision process, or this  
34 recommendation process, and so, rather than just, you know,  
35 thinking about it in this one instance, I am trying to think a  
36 little bit further forward and try to figure out a way where this  
37 kind of situation doesn't happen again to this species.

38  
39 **CHAIRMAN NANCE:** Roy.

40  
41 **DR. CRABTREE:** So I guess wenchman has closed, the snapper complex,  
42 has closed, in the past? When it closes, you keep fishing for  
43 butterflyfish, because that's what you're targeting, and the wenchman  
44 just are going over the side, and you throw them back?

45  
46 **MR. GRIECO:** Right.

47  
48 **DR. CRABTREE:** But it's not enough of your income that you would

1 stop fishing, and you would still go out and catch butterfish,  
2 right?  
3  
4 **MR. GRIECO:** That is correct.  
5  
6 **CHAIRMAN NANCE:** From my -- Butterfish is used -- How is butterfish  
7 used?  
8  
9 **MR. RINDONE:** (Mr. Rindone's comment is not audible on the  
10 recording.)  
11  
12 **CHAIRMAN NANCE:** Okay. So it goes through the same process as the  
13 wenchman?  
14  
15 **MR. RINDONE:** Yes.  
16  
17 **CHAIRMAN NANCE:** Okay. Thank you. Jim.  
18  
19 **DR. TOLAN:** Thank you, Mr. Chairman, and thank you, guys, for being  
20 here. The question I have is really more a technical question for  
21 Shannon, and, as a complex, how close are we hitting the current  
22 ABC numbers now, as a complex for the whole? Thank you.  
23  
24 **DR. CALAY:** Well, that figure actually appears in the SERO  
25 presentation, and I think, in 2021, we were very close to, or  
26 above, and it was the wenchman landings that actually, you know,  
27 were the largest part of that catch, and so, yes, that is -- I  
28 mean, Ryan can probably speak too to this, but that is, you know,  
29 why we've been asked to evaluate this, is it is the wenchman  
30 landings that are actually, you know, closing some of the fishery  
31 for the mid and deepwater snappers.  
32  
33 **MR. BRYANT:** Currently, I think the landings for the midwater  
34 complex are like 55,000, based off the online data that currently  
35 exists, or something like that.  
36  
37 **DR. CALAY:** For the midwater complex, it's higher than that. I  
38 mean, I think I just showed --  
39  
40 **MR. BRYANT:** But, I mean, that's the last time that I looked, and  
41 it was like 58,000, or 55,000, something like that.  
42  
43 **DR. CALAY:** There are some confidential landings that can't be  
44 shown on public websites, but I have gotten permission to actually  
45 show the data, and if you can just go back.  
46  
47 **MR. RINDONE:** On the ACL monitoring webpage right now, which is a  
48 little bit delayed, it's showing about 50,000 pounds as having

1 been landed to-date for the entire complex, and it doesn't  
2 differentiate between the species in the complex, and so that's  
3 all four species combined, and it does show about 9,500 pounds of  
4 recreational landings, but I would liken most of those to being  
5 silk and queen snapper, as opposed to being anything else in that  
6 complex.

7  
8 **CHAIRMAN NANCE:** Okay. Harry.

9  
10 **MR. BLANCHET:** This goes to the question of landings. How much of  
11 the blackfin, silk, and queen snapper are taken by trawl?

12  
13 **MR. GRIECO:** Very little that we see.

14  
15 **MR. BRYANT:** None that I'm aware of, based on previous landings.

16  
17 **MR. RINDONE:** Harry, queen snapper especially are reef-associated,  
18 and they're pretty fast, and they fight pretty hard. They're  
19 popular in southwest -- Where is Eric? Is Eric still back there?  
20 Do you want to say something about queens?

21  
22 **MR. SCHMIDT:** The queen snapper we call ball bats, because they  
23 look like baseball bats, and the blackfins are called hambones,  
24 and the silks are called yelloweyes. Did you just say there's  
25 only been 9,500 pounds of rec landings this year?

26  
27 **MR. RINDONE:** Well, that's so far, and you've got to remember the  
28 lag for the MRIP program.

29  
30 **MR. SCHMIDT:** That's grossly low. I mean, it's really grossly  
31 low. The deep-drop fishery has really exploded in the last fifteen  
32 years. The technology for fishermen, braided line, the gear, and  
33 you have companies that are selling images of side-scan sonar that  
34 you can just plug into your bottom machine, but the numbers here  
35 on page 19 -- It shows 3,800 pounds of hambone snapper, and I used  
36 to do that a trip. I don't know where these numbers were derived  
37 from, and, during public testimony, I am going to recommend the  
38 council remove wenchman from the complex.

39  
40 Now, we do catch wenchman, but that's when we're fishing for ball  
41 bats and yelloweyes and so forth, but, once again, we closed last  
42 year in June, and I have friends of mine that run charters,  
43 headboats, and they have directed trips to go deepwater fishing,  
44 and you can't target just the groupers without catching the  
45 snappers.

46  
47 If you pull something up in 600 or 700 or 800 or 900 feet of water,  
48 it's dead, and so now you're going to be throwing away a whole

1 bunch of fish for no apparent reason, and so, if you could somehow  
2 work on a specific way to pull those fish out and manage them  
3 separate, and allow us to keep those deepwater fish, because it  
4 sounds like we're going to have another deepwater snapper closure  
5 this year.

6  
7 I'm also hearing that red grouper are probably going to close at  
8 the end of July or the beginning of August, and we're running out  
9 of stuff to catch, and, when the red grouper is closed, there's  
10 going to be more effort.

11  
12 Now, of course, it's the summertime, and the weather is nicer, and  
13 there's going to be more effort to go to the deepwater, and so, if  
14 we're going to close these fish, we're just going to throw these  
15 fish back dead, and, if you would like to know how many fish are  
16 actually being caught, there is a couple of deep-drop sites on  
17 Facebook, and you can spend the afternoon looking at that, and you  
18 will say we probably caught more than 9,500 pounds for the  
19 recreational side.

20  
21 **CHAIRMAN NANCE:** Thank you. John.

22  
23 **MR. MARESKA:** What is the average size of the wenchman that you  
24 are capturing?

25  
26 **MR. SCHMIDT:** They're small, about this big.

27  
28 **CHAIRMAN NANCE:** Harry.

29  
30 **MR. BLANCHET:** The point I was trying to approach was the question  
31 about is, as Shannon had alluded to, is wenchman still appropriate  
32 to be part of this complex, and the question that I had regarding  
33 landings was more directed at the NOAA landings group for looking  
34 at landings by gear, to see if the other species are primarily  
35 being taken by hook-and-line, and wenchman is primarily being taken  
36 by trawl, then there is a simple argument that this is no longer  
37 appropriate to be considered as part of that group. However, if  
38 the landings for other species are also being taken by trawl, then  
39 it's not as simple of a process as that, and so that was the  
40 question. Thank you.

41  
42 **CHAIRMAN NANCE:** Thank you, Harry. We'll go ahead and hear from  
43 Josh, and I'm going to take a lunchbreak after Josh. Go ahead,  
44 Josh.

45  
46 **DR. KILBORN:** Thank you, Mr. Chair. I'm still kind of trying to  
47 wrap my head around the whole idea of why we might have increased  
48 landings here, and what I'm trying to wrestle with is whether or

1 not we're making an assumption of whether or not there's just a  
2 larger population or there's been a change in the catchability  
3 somehow, related to gear or some ecological consideration.  
4

5 I definitely, you know, am kind of trending towards the idea that  
6 wenchman shouldn't be included in this complex anymore, but, in  
7 the back of my head, I'm really kind of struggling with this idea  
8 of whether or not there's been a change in the stock or a change  
9 in the fishing activity, and kind of how we react based on that,  
10 and I don't know if we'll ever actually figure out the answer to  
11 that question, but that's really been nagging at me this entire  
12 time, because I don't think that we can actually tell the  
13 difference between those two things, given the data that we have,  
14 and so that makes this a particularly muddied question, in my mind,  
15 and so thank you.  
16

17 **CHAIRMAN NANCE:** Thank you, Josh. Trevor, you snuck in.  
18

19 **MR. MONCRIEF:** I will be quick, and I'm just following-up from  
20 Josh. I mean, to me, this is seeming like it is more of an  
21 underexploited species that now has gone profitability by having  
22 a market, and so, I mean, as I go through this, and as we think  
23 about it and discuss it as a group, that's the kind of thought  
24 process I'm going with here, is that this is an exploitable stock  
25 that has been unexploited for a while, just simply because the  
26 market hasn't been there.  
27

28 If you look at the distribution that you see from the fishery-  
29 independent surveys, my thought process here is that, moving  
30 forward, we just need to make sure we've got it set up so that we  
31 kind of take it from that role and try not to limit it to where  
32 another problem like this is going to occur if just two or three  
33 boats are adding to the fishery, and so that's it.  
34

35 **DR. KILBORN:** I just want to follow-up, real quick, because that  
36 kind of gets back at what I was alluding to earlier with the idea  
37 of whether or not there's been an increase in the number of people  
38 fishing for these fish, or at least landing them, because the  
39 answer to that question was, if there's only a few people that are  
40 accounting for these landings, does that mean that they're the  
41 ones who are responsible for, you know, fishing harder for this  
42 fish now, or at least making more landings, or is something else  
43 going on, and that's all. Thank you very much.  
44

45 **CHAIRMAN NANCE:** Thank you. Go ahead and respond to that.  
46

47 **MR. GRIECO:** There are two active boats right now, and, in 2020,  
48 there was only one. 2021 was only one, and the 2022 has been

1 active, too.

2

3 **MR. RINDONE:** Again, I think the thing to remember is that they're  
4 not going out looking for wenchman. They're going out and looking  
5 for butterfish. The landings of butterfish for these vessels --  
6 Like that's -- Not to be puny with it, but that's the bread-and-  
7 butter of why they're out there.

8

9 It's not try to target wenchman specifically, but they just happen  
10 to have been able to develop a market for selling those fish as a  
11 food-grade fish in the last couple of years, and so they're not  
12 looking for them.

13

14 **MR. GRIECO:** It's just you can't target the butterfish. You're  
15 going to get other species in there, and the wenchman are part of  
16 it some of the time.

17

18 **MR. BRYANT:** If you close the wenchman, you're going to close the  
19 butterfish and the scad.

20

21 **MR. RINDONE:** It's like a choke species, essentially.

22

23 **CHAIRMAN NANCE:** Okay. Thank you.

24

25 **DR. KILBORN:** So then, previously, they were always just tossed  
26 over and not marketed, and is that correct?

27

28 **MR. BRYANT:** Not that I know of, and I have some data from -- I  
29 think it's from 2021 to -- They've always been used, but it's just  
30 the amount in the past two years, and they have been used.

31

32 **CHAIRMAN NANCE:** I know butterfish has been prosecuted ever since  
33 I can remember, and so I guess we can think about this after lunch,  
34 but have you always had wenchman as a bycatch, and is it, all of  
35 a sudden, just within the last few years, become an issue, where  
36 you're seeing more wenchman as bycatch, as opposed to in the 1990s  
37 and early 2000s?

38

39 **MR. BRYANT:** I wouldn't say it's an issue, because it has a viable  
40 market for them, but, yes, it's part of the catch that we have  
41 been able to use.

42

43 **CHAIRMAN NANCE:** Okay.

44

45 **MR. BRYANT:** It's not a problem.

46

47 **CHAIRMAN NANCE:** Yes, and I probably said it incorrectly, and I  
48 just wanted to know, because butterfish has always been sought

1 after, but has wenchman always been caught at the same level?

2

3 **MR. GRIECO:** We're seeing more of it in the last two years.

4

5 **CHAIRMAN NANCE:** You're seeing more over the last two years. Okay.  
6 Thank you.

7

8 **MR. BRYANT:** But, like from that graph, it's not -- It doesn't  
9 seem like it's an unknown, because, in 2001, there was 120,000 of  
10 the complex caught, and I don't know whether to assume that's  
11 wenchman or not, but, based off the left graph, it probably was  
12 wenchman.

13

14 **CHAIRMAN NANCE:** Okay. These are items to think about over lunch,  
15 and we will reconvene at 1:15. Have a great lunch.

16

17 (Whereupon, the meeting recessed for lunch on July 8, 2022.)

18

19

- - -

20

21

July 8, 2022

22

23

FRIDAY AFTERNOON SESSION

24

25

- - -

26

27 The Meeting of the Gulf of Mexico Fishery Management Council  
28 Standing and Special Reef Fish, Special Socioeconomic & Special  
29 Ecosystem Scientific and Statistical Committees reconvened on  
30 Friday afternoon, July 8, 2022, and was called to order by Chairman  
31 Jim Nance.

32

33 **CHAIRMAN NANCE:** We'll go ahead and start our discussion where we  
34 ended. The first topic that I want to talk about is Question  
35 Number 1 of do we feel like we have enough information, and do we  
36 want to separate wenchman from the midwater snappers, and so let's  
37 talk about that first. Ryan.

38

39 **MR. RINDONE:** Thank you, Mr. Chair. I'm going to send something  
40 here to Bernie, and these are handwritten landings notes that Mr.  
41 Glen Bryant had sent me from the late 1990s through the mid-2000s  
42 that show butterfish landings that -- Judging from what Shannon  
43 was able to pull up from the federal fisheries database, these  
44 landings may have gone directly to the state dealers and not to  
45 federal seafood dealers, and so there may be a gap in, I guess,  
46 our knowledge of landings there, but this is one vessel that is  
47 landing anywhere from 500 to thousands, and, at one point, three-  
48 million, pounds of butterfish a year, for this one vessel. This

1 was sent to us for the purpose of this meeting.  
2  
3 **CHAIRMAN NANCE:** What year does that start, Ryan?  
4  
5 **MR. RINDONE:** Andrew, before I sent this to --  
6  
7 **CHAIRMAN NANCE:** Is that what showed me in the back?  
8  
9 **MR. RINDONE:** Do you know what your dad sent me is Captain Grumpy's  
10 records?  
11  
12 **CHAIRMAN NANCE:** It looked like it started in 2000, I think.  
13  
14 **MR. RINDONE:** It's 1997 through the mid to late 2000s, and so is  
15 this -- I would kind of like you to say it --  
16  
17 **MR. BRYANT:** As far as I'm aware of, that's the reason that Captain  
18 Murphy shared those documents with him, in order to share with  
19 you.  
20  
21 **MR. RINDONE:** Okay.  
22  
23 **MR. BRYANT:** As far as I'm aware of, he didn't have any objections  
24 to sharing that data.  
25  
26 **MR. RINDONE:** Okay.  
27  
28 **DR. TOLAN:** Ryan, having got to look at that with you, just real  
29 quickly, can we get a confirmation on, because it's handwritten,  
30 what you guys are calling wenchman in this dataset? Is it silver,  
31 silver snapper?  
32  
33 **MR. RINDONE:** He has it listed in here --  
34  
35 **MR. GRIECO:** We call them golden threads or wenchman snapper.  
36  
37 **MR. RINDONE:** He has it listed, on the third page, as silver  
38 snapper, and then, in parentheses, wenchman.  
39  
40 **MR. BRYANT:** When he writes "silver snapper (wenchman)", that is  
41 wenchman.  
42  
43 **DR. TOLAN:** The reason I say that is I want to make -- Because  
44 we're really comparing the butterflyfish numbers to the wenchman  
45 numbers, and I want to make sure we have the -- There's a whole  
46 bunch of species listed, and so we're looking at the right columns,  
47 that everybody looks at the same information, and so thank you.  
48

1 **CHAIRMAN NANCE:** Do you want to wait to see that one, Ryan, until  
2 we have that?  
3  
4 **MR. RINDONE:** I am sending it in now.  
5  
6 **CHAIRMAN NANCE:** Okay. Shannon.  
7  
8 **DR. CALAY:** In answer to another question that came up prior to  
9 lunch, it does appear that the blackfin, silk, and queen snappers  
10 are primarily caught by hook-and-line and not by trawl.  
11  
12 **CHAIRMAN NANCE:** The two things I've noticed, during our  
13 discussion, is it seems like three species in the complex are hook-  
14 and-line targets, and they seem to be southern Florida. Wenchman  
15 seem to be more targeted by trawl, and they seem to be northern  
16 Gulf -- Texas, northern Gulf, and the Panhandle of Florida, and so  
17 they don't seem to overlap, as far as area, much, and they don't  
18 seem to be -- From a standpoint of other things, they're different  
19 -- The wenchman seem to be different than the other species within  
20 that complex. Benny Gallaway. Go ahead, Benny.  
21  
22 **DR. GALLAWAY:** It strikes me that most of the fish, wenchman, taken  
23 in trawls are small. Would you -- I'm on the telephone, obviously,  
24 and so I missed some of the discussion of how these small fish are  
25 marketed and used, and what do we know about habitat utilization  
26 by life stage? Are we looking at juveniles taken in the trawl  
27 sample, or are those fish, some of them, reproductively mature?  
28 Are we looking at the entire population size spectrum or only a  
29 certain fraction of it? Thank you.  
30  
31 **CHAIRMAN NANCE:** Thank you, Benny. Will.  
32  
33 **DR. PATTERSON:** Thanks, Mr. Chair. A couple of comments. Dr.  
34 Nance just mentioned that the other three species tend to be  
35 targeted by hook-and-line and predominantly are south Florida, and  
36 I do know that like queen snapper are targeted by some folks in  
37 the northern Gulf of Mexico, and wenchman are sometimes caught  
38 hook-and-line, and I don't know how that shows up in the fisheries  
39 data, but it appears that wenchman have slightly different  
40 ontogenetic habitat utilization than the other three species.  
41  
42 Wenchman, you know, routinely are captured in the trawl surveys in  
43 the western Gulf, out in deeper water, toward the shelf edge, while  
44 the other species are typically not. Wenchman don't get real big,  
45 about 400 millimeters fork length, and we've aged some wenchman,  
46 and the oldest fish that we've aged is in its fifties, and we have  
47 several samples, a few samples, that are in their twenties and  
48 thirties.

1  
2 That hasn't been validated yet, those age estimates, and they're  
3 actually -- For a deepwater reef fish, they seem to be pretty easy  
4 to age, but -- Obviously, none of that has been peer reviewed at  
5 all, but it does appear they have a different life history, but I  
6 wouldn't say that the other three are restricted just to south  
7 Florida.

8  
9 **CHAIRMAN NANCE:** No, and I agree. What I was meaning was more  
10 predominantly, and would you agree with that, that they seem to be  
11 predominant to south Florida, or do you think -- Will, would the  
12 queens be -- I know they occur in the northern part of Florida,  
13 but are they as abundant there as they are in the southern?

14  
15 **DR. PATTERSON:** I don't know. I don't know about the relative  
16 abundance.

17  
18 **CHAIRMAN NANCE:** Okay.

19  
20 **CHAIRMAN NANCE:** I don't think they're nearly as targeted in the  
21 northern Gulf. There is a fishery around the mouth of the  
22 Mississippi River, in deep water, and into the western Gulf. You  
23 know, there are different for-hire fishermen that are moving out  
24 into deeper water and trying to develop different fisheries.  
25 Obviously, the deep-drop reef fish fishery is one that at least  
26 has had a little bit of an uptick in recent years, and, you know,  
27 I haven't really gone into the landings data to examine any of  
28 those trends, but I do think that, you know, queens, at least, are  
29 targeted, to some extent, but maybe it's a small component of the  
30 total landings in the northern Gulf.

31  
32 **CHAIRMAN NANCE:** Thank you, Will. Here we have on the screen  
33 landings from -- It looks like it's butterfish and WT, white trout,  
34 scad. Silver would be the wenchman, and so, on that one, that  
35 first line, there were more wenchman caught than butterfish, I'm  
36 assuming. The first line, and I'm just saying on the first line,  
37 there were twenty-five butterfish and 102 wenchman.

38  
39 **MR. RINDONE:** Mr. Chair, if we go down -- He has totals at the  
40 bottom.

41  
42 **CHAIRMAN NANCE:** I'm just saying so far, and I'm reading it.

43  
44 **MR. RINDONE:** So, for this particular year, it's about 700,000  
45 ponds of butterfish landed to about 10,000 pounds of wenchman, but  
46 the amount of wenchman landed in any given year was assumed to be  
47 pretty variable, just depending on the year, and you guys can thumb  
48 through all of this as you like.

1  
2 I think some of the main takeaways in all of this though is that  
3 there seems to be the capacity for a significant amount of  
4 butterfish harvest that is -- That at least was not going through  
5 the federal seafood dealers, and it was probably going through the  
6 state dealers, and so, again, nothing wrong with that at all, and  
7 it's just pathways, but there are, in some cases, some substantial  
8 amounts of wenchman that are being landed.

9  
10 If some of you have the opportunity to look through Captain Gerry's  
11 testimony that he had written out some information for you guys,  
12 when he was trawling for butterfish, he had said that, if the net  
13 filled up quickly, and he didn't have to trawl for very long,  
14 usually that was correlated with a large butterfish landing, and,  
15 if he had to trawl for a longer amount of time, usually he caught  
16 a bunch of these other species.

17  
18 If we're looking at some of these records here, in cases where  
19 there is low butterfish landings, sometimes there are higher silver  
20 snapper, or wenchman, landings, or white trout, or, quote, mixed,  
21 and I guess that's assorted unidentified species, Andrew, and so  
22 there does seem to be a relationship between low butterfish  
23 landings and high landings of other species that he has listed.  
24 For what that's worth, that's that.

25  
26 **CHAIRMAN NANCE:** Is this -- Let me ask you, and is this going to  
27 be shared with SSC members, or do we want to --

28  
29 **MR. BRYANT:** I will get a confirmation, real quick, maybe before  
30 the meeting is over with, and I will let you know how that --

31  
32 **CHAIRMAN NANCE:** Okay, because it would be interesting, just from  
33 a perspective to look at.

34  
35 **MR. BRYANT:** That is something important, yes, and I agree, and I  
36 will find out.

37  
38 **CHAIRMAN NANCE:** Okay. Thank you, sir. Okay. Tom.

39  
40 **DR. FRAZER:** This is actually a question for Will, and, I mean, I  
41 appreciate that you aged some wenchman, and I was surprised at old  
42 some of those ages were, but, I mean, I have always assumed that  
43 the butterfish are only a couple of years old, right, two or three  
44 years old, and have you ever aged any of those in the Gulf, Will?

45  
46 **DR. PATTERSON:** No, I've not aged any of the butterfish, and so I  
47 couldn't tell you how old they are, and, you know, I want to stress  
48 that we haven't actually validated our age estimates for the

1 wenchman, but, you know, I could show an image of what one otolith  
2 looks like, and they are pretty clear, but that hasn't -- That  
3 work hasn't been done yet, and so it's not a definitive age  
4 estimate, but I think it's -- Based on our work with other snappers  
5 and other deepwater reef fishes, their opaque zones are pretty  
6 distinctive.

7

8 **DR. FRAZER:** Thanks, Will.

9

10 **CHAIRMAN NANCE:** Any other comments or discussion on the first  
11 question?

12

13 **MR. BRYANT:** They said it's okay to share that data.

14

15 **CHAIRMAN NANCE:** Okay. Thank you.

16

17 **MR. RINDONE:** Just because Roy makes me nervous, can you send me  
18 a screenshot of that?

19

20 **CHAIRMAN NANCE:** Okay. That will at least -- At least we'll be  
21 able to get an idea, from our own minds, of association between  
22 butterflyfish and wenchman. Luke, please.

23

24 **DR. FAIRBANKS:** Thank you. I just have two quick questions. The  
25 first is these handwritten records, and what years does that  
26 include? I see it looks like it can be scrolled down, and I was  
27 just curious of being able to look at some of those totals, versus,  
28 you know, what we saw in the presentation, and my assumption is,  
29 based on the presentation, there are kind of few boats catching,  
30 or recording, this for a while, but it could be just interesting  
31 to look at that.

32

33 My other question was going back to a comment earlier, and I know,  
34 in the first presentation, it was mentioned that recreational  
35 catches are negligible, but I believe one of the fishermen, and  
36 I'm sorry, but I forget who, mentioned that, at least recently, it  
37 seems as if there's potentially more recreational catches, and  
38 certainly maybe some increasing interest in recreational catches,  
39 and do we kind of have a handle on a discrepancy of perspectives  
40 there? Should we kind of be taking that into account, as these  
41 sort of deeper recreational fisheries become more popular and  
42 accessible? Is that something that could start to be non-  
43 negligible and something we should think more about, or do we just  
44 not have enough data, regardless?

45

46 **CHAIRMAN NANCE:** Those are two very good questions, and it looks  
47 like that this data, and remember it's going to be from one vessel,  
48 and it looks like it starts around 1997, and I think it goes up to

1 2005, or 2007, it looks like, and so around there, those types of  
2 things, and so, anyway, just take this for what it is, and it just  
3 kind of gives us an idea from a single vessel and the catch of  
4 butterfish with the wenchman.

5  
6 I don't know, and it's interesting, and this fishery -- I was  
7 talking with a gentleman in the back, and, I mean, I've known --  
8 This fishery has been prosecuted since the 1970s, and I used to go  
9 out and do things with it, and so this -- While it's been there,  
10 I'm not sure about landings and who has collected landings for the  
11 fishery, whether it was the state or federal and those types of  
12 things, and I'm not sure about the number of boats that have been  
13 prosecuting it, and it looks like, in recent time, it's a couple.  
14 It's never been a large fishery, but it seems like it's been in  
15 existence for a while, for sure. As far as -- Yes, David.

16  
17 **DR. GRIFFITH:** Thank you, Mr. Chairman. First of all, this is a  
18 year-round fishery, and it's not a seasonal fishery, right? When  
19 you pull up a lot of the wenchman with the butterfish, and then  
20 throw them back, are they dead, or are they still alive?

21  
22 **MR. GRIECO:** Dead.

23  
24 **DR. GRIFFITH:** They're dead? So, if they close the wenchman, then  
25 they have to close the butterfish?

26  
27 **CHAIRMAN NANCE:** I think -- Roy and I were talking a little bit  
28 during lunch, and it seems, for this -- Butterfish is unmanaged.  
29 If you pull wenchman out, you allow those other three to be  
30 managed, and what do you do with wenchman, and it seems like, from  
31 a management standpoint, you cannot manage wenchman without  
32 managing butterfish, and they just are -- They seem to be caught  
33 together. If you had a limit on wenchman, would that preclude the  
34 capture of butterfish, those types of things? Roy.

35  
36 **DR. CRABTREE:** I mean, it seems like most all of the wenchman take  
37 is occurring in the butterfish fishery, and that's not going to  
38 close, because it's not managed. Closing wenchman -- All that's  
39 going to do is result in the fish that would have been landed being  
40 thrown back dead, and so that's just not a viable option, and so  
41 I think it ought to come out of this complex, but I think the  
42 message to the council is, if you really want to manage wenchman,  
43 you probably have to do it in conjunction with looking at this  
44 butterfish and scad complex, and I don't know if butterfish -- If  
45 that fishery needs to be managed or it doesn't need to be, because  
46 I don't know enough, and I've never really looked at them, but I  
47 don't -- I think you could argue that either you need to do that  
48 or you can just as well take wenchman out of the management plan,

1 because you're not going to have any success.

2  
3 **CHAIRMAN NANCE:** So let me ask this. From a standpoint of Question  
4 1, take wenchman out of the management plan, do we have enough  
5 information to be able to recommend that? Do we have enough life  
6 history, and do we have enough of those other things that we could  
7 fairly comfortably take it out, or recommend that? Roy.

8  
9 **DR. CRABTREE:** Well, I think -- I think there's enough here to  
10 justify taking it out of the complex. Just this initial look, I  
11 think there is an argument to be made for taking it out of the  
12 management plan, but then I think you have to think about the  
13 butterfly fishery, and the whole complex, and we haven't really  
14 looked at that enough, and so those are things, and there are a  
15 lot of criteria in the National Standard Guidelines with respect  
16 to what species ought to be in management plans and out of them,  
17 and I think the council would have to go through those.

18  
19 We have taken species out of the management plan before, and I  
20 know one of the criteria has to do with can management of this  
21 species result in improvements or anything, and I think, in the  
22 case of wenchman, I'm not at all sure that management can be  
23 effective, in and of itself, because of the nature of the take,  
24 and so I think those are things the council ought to look at, but  
25 it clearly doesn't belong in a complex with queen, silk, and  
26 blackfin snapper. That's not appropriate.

27  
28 **CHAIRMAN NANCE:** Luiz, please.

29  
30 **DR. BARBIERI:** Just to follow-up to Roy's point, I agree  
31 completely, but I wonder, right, whether, at some point, it would  
32 be good for us to review how this complex was put together, and  
33 there had to be some criteria that was used. I mean, it sounds  
34 like that these species don't actually co-occur that often, right,  
35 and that they --

36  
37 **MR. RINDONE:** It seems that three of them do, but not wenchman.

38  
39 **DR. BARBIERI:** The wenchman is not occurring with the other three,  
40 and so I don't know these four ended up together in that way.

41  
42 **DR. CRABTREE:** A lot of this happened when the ACL amendments were  
43 put together, and the council was under a deadline to implement  
44 ACLs in all fisheries, and so you had a lot going on, and a lot of  
45 decisions were made very quickly, and species like wenchman, I  
46 suspect, weren't really given much of a priority, and it may have  
47 just been put in there because it looks like it's a midwater  
48 snapper, and so I don't know how much thought, and I'm not sure

1 how much record you will really find explaining that.

2  
3 **MR. RINDONE:** There also wasn't a lot of information available on  
4 wenchman back then anyway, and so -- We certainly didn't have the  
5 benefit of having fishermen that were interacting with the stock  
6 in a meaningful to be able to come in and talk about it. Certainly,  
7 based on Captain Murphy's records, if there were fishermen out  
8 there that were, we just -- Because it wasn't -- It wasn't red  
9 enough, and we weren't really focused on it.

10  
11 **DR. BARBIERI:** Exactly, and I was thinking along the same lines  
12 that Roy was, that it doesn't look like that this belongs in the  
13 complex, but I wanted to make sure that we do our due diligence  
14 and we don't find some documentation, right, that would tell the  
15 criteria for why they were put together, and it looks like there  
16 isn't really any solid criteria for putting them together.

17  
18 Wenchman is not an indicator species for this complex, right, and  
19 so I agree that the lack of information, really, is the main issue  
20 here, that we don't really know that much about the landings, about  
21 the abundance of the stock.

22  
23 I mean, it would be Slide 16 and 18, right, in the presentation  
24 that have to do with the fishery-independent -- You know, to Josh  
25 Kilborn's previous point about is there some interest in the market  
26 that has developed and a little more targeting of this fishery, or  
27 has the abundance really increased, and it looks like the SEAMAP  
28 groundfish shows more of a stable -- You know, like what Shannon  
29 had said, without trends and highly variable, but then, when we  
30 look at the Slide 18, which is a miniscule proportion of the  
31 sampling, a very small proportion of positive catch, we see that  
32 spike that coincides with the high landings, and so it's just a  
33 lot of uncertainty about what's really going on.

34  
35 **CHAIRMAN NANCE:** Slide 12 is also the small pelagic acoustics  
36 survey. It does a very similar thing to what we see in the trawl  
37 survey.

38  
39 **DR. CALAY:** Except that the terminal year of that survey is 2013.

40  
41 **CHAIRMAN NANCE:** Yes. Absolutely, and so we're cutting off that  
42 point. Anyway, it does cut off earlier than the others, for sure.  
43 Roy.

44  
45 **DR. CRABTREE:** If the council decides to remove it from this  
46 snapper complex, but leaves it in the FMP, then it would be a  
47 stand-alone species, and they would have to come up with an ACL  
48 and an accountability measure, and I guess we would have to come

1 in and revisit the time series and go through that process of  
2 coming up with an ACL. How that would play out, I don't know, but  
3 it does seem, to me, that an alternative accountability measure  
4 that doesn't involve a closure would be appropriate, because I  
5 just see a closure as counterproductive.

6  
7 **CHAIRMAN NANCE:** Shannon, please.

8  
9 **DR. CALAY:** I do agree with the statement that Roy said earlier,  
10 which is that the evidence that has been presented so far suggests  
11 it's more appropriate to be managed in association with butterfish,  
12 which are not currently managed.

13  
14 To be honest, we have the information available to prepare an OFL  
15 for wenchman alone. That doesn't change the fact that, when you  
16 exceed wenchman, you're going to have to come up with some measure,  
17 right, to stop catching wenchman, but wenchman are a bycatch of  
18 the butterfish fishery. I mean, I agree that it probably requires  
19 more thought, to determine whether it can be managed in association  
20 directly with butterfish.

21  
22 **CHAIRMAN NANCE:** Thank you, Shannon. Harry.

23  
24 **MR. BLANCHET:** In terms of how was the group put together, I  
25 believe, at the time when these groups were built, Dr. Froeschke  
26 was the person at the Gulf Council who was compiling the  
27 information and making the presentations to the SSC, and so his  
28 recollection of that might be a lot clearer than mine, because  
29 I've slept since then, but one of the goals, as I recall that  
30 exercise, was to not make so many groups that you were just chasing  
31 groups all over the place, and so there was an aggregation.

32  
33 If you didn't have a good reason to separate something, it was  
34 more likely to be aggregated together, when you were talking about  
35 some of these smaller, relatively poorly-known species and species  
36 groups, and so I think that the general perception, at the time,  
37 was we're going to take these, and we're going to go with it, until  
38 we find some reason that we need to separate something out, but  
39 this is going to do it for the moment, but Dr. Froeschke could  
40 probably elucidate that more.

41  
42 **CHAIRMAN NANCE:** Thank you, Harry. I'm not sure if John is  
43 available at the moment.

44  
45 **DR. FROESCHKE:** I'm here.

46  
47 **CHAIRMAN NANCE:** Okay. John.

1 **DR. FROESCHKE:** I'm just looking it up, and so, in the Generic AM  
2 Amendment, a lot of the groupings were based on -- I think it was  
3 a paper by Nick Farmer and Rich Malinowski, and it was a species  
4 grouping paper, and I'm looking for the reference right now, and  
5 that's pretty much where we based the information on. I can pull  
6 up the reference and send it to you all.

7  
8 **CHAIRMAN NANCE:** It looks like Peter Hood is on. Let me interrupt  
9 you for one second, John, and see if Peter has any recollection.  
10 Peter.

11  
12 **MR. HOOD:** John is right, and there was a paper done by Nick  
13 Farmer, and Rich Malinowski from our office was on it, and Mary  
14 McGovern from the College of Charleston and Peter Rubec from FWC,  
15 and I'm trying to find the reference in here, but, yes, it was a  
16 paper, and they did this species groupings, using this, as John  
17 said, a multivariate analyses, and it was sort of, to a certain  
18 extent -- I mean, it was a cluster analysis, and it was sort of  
19 focused on some of the rare species, ones that -- In terms of ways  
20 to manage them as a group, and we were sort of looking for that as  
21 a way to simplify how we structured our ACLs, and so that was the  
22 basis. Thanks.

23  
24 **CHAIRMAN NANCE:** Thank you, Peter. John, anything else?

25  
26 **DR. FROESCHKE:** I just sent the reference to meetings, in case you  
27 guys want to pull it up. I'm trying to pull up the document, and  
28 it looks like we have it on our website, and I can also send a  
29 link, in case you guys want to pull that up.

30  
31 **CHAIRMAN NANCE:** I know Tom has that same reference, and I think  
32 Bernie --

33  
34 **DR. KILBORN:** I emailed that paper to Ryan.

35  
36 **DR. FROESCHKE:** If you look on page 14, it looks like there's some  
37 text relative to wenchman.

38  
39 **CHAIRMAN NANCE:** Page 14, Bernie.

40  
41 **DR. FROESCHKE:** It says the placement of it was challenging.  
42 That's not surprising.

43  
44 **CHAIRMAN NANCE:** Okay. The placement of queen snapper, misty  
45 grouper, and wenchman was challenging. The three species occur at  
46 similar depths, but in different geographic areas. Wenchman only  
47 are reported off of Louisiana, and so we know that that has spread  
48 out since that time.

1  
2 It looks like it was placed in this based on the percent  
3 cooccurrence and cluster analysis. The output appears reasonable  
4 to include queen snapper and misty grouper with the deepwater  
5 grouper and the tilefish complex, especially upon examination of  
6 depth. Wenchman occur in mid to deepwater and were often caught  
7 with yellowedge grouper, blueline tilefish, and queen snapper.  
8 Therefore, it seems reasonable to include them in the deepwater  
9 complex. There is the rationale that was used to put them  
10 together.

11  
12 **MR. RINDONE:** It looks like it was -- The groupers were lumped  
13 together, and the tilefish were lumped together, and what was left  
14 were lumped together.

15  
16 **CHAIRMAN NANCE:** Yes.

17  
18 **MR. RINDONE:** So it should be the leftovers complex.

19  
20 **CHAIRMAN NANCE:** So there's not a lot of reason, per se, that --  
21 The lumping is because that was what was left over and not because  
22 they were highly associated with anything.

23  
24 **DR. BARBIERI:** If I might --

25  
26 **CHAIRMAN NANCE:** Absolutely, Luiz.

27  
28 **DR. BARBIERI:** Mr. Chairman, that, to me, is a way for us to  
29 rationalize that there is no particular reason for them to stay  
30 together, if now we see changes in the fishery that warrant them  
31 being removed from this complex.

32  
33 **CHAIRMAN NANCE:** Here is going to be my question. If we decide,  
34 and I'm not saying yes or no, but I'm saying, if we decide to  
35 recommend that they're pulled from the complex, what does that do  
36 for wenchman? Do we have to come up with -- For itself, do we  
37 have to come up with an OFL and ABC for it? Luiz, please.

38  
39 **DR. BARBIERI:** That's what is in our scope of work, that,  
40 basically, if we remove it from this, and it continues being part  
41 of the management plan, of course, we're going to have to set the  
42 new ABC so a new ACL can be set up, and OFL as well.

43  
44 **CHAIRMAN NANCE:** Ryan, to that point, please.

45  
46 **MR. RINDONE:** Well, based on the conversations, it seems like there  
47 is another consideration, which is to manage it or to not manage  
48 it, because, like Dr. Crabtree mentioned, in order to properly

1 manage it, you probably need to bring in a few other species that  
2 are caught with it, and, based on the information that we have  
3 from Captain Murphy, clearly we've been missing a significant  
4 amount, and "significant" I think is comfortable to say here, but  
5 a significant amount of the landings that have been coming in  
6 perhaps through the state dealers that we simply don't have in  
7 front of us.

8  
9 I think we've heard arguments in support of and against managing  
10 at all, and so that, perhaps, is a conversation that the council  
11 should have, and so I think that you guys probably do not have  
12 enough information in front of you to know enough about the  
13 landings, at this time, to recommend catch limits based on the  
14 burden of proof, if you will, that you have for other species, and  
15 it may also be that the intentions of the council, in terms of  
16 what to manage and what not to manage, may differ, and so perhaps  
17 it would be more prudent to get some input from the council before  
18 moving forward with setting a catch limit.

19  
20 I think, if you guys wanted to recommend what to do with wenchman,  
21 with respect to its position in the midwater snapper complex, I  
22 think that would certainly be appropriate, and I'm looking over  
23 here at Dr. Frazer, and then, obviously, Dr. Nance will go to the  
24 council in August and talk about all of this with them and look  
25 for their input on what they think they want to do next, or what  
26 they want you guys to look at next.

27  
28 **CHAIRMAN NANCE:** Luiz, to that point, please.

29  
30 **DR. BARBIERI:** If I may, I mean, I'm under the impression that Dr.  
31 Crabtree is ready to make a motion to this effect.

32  
33 **CHAIRMAN NANCE:** I think so. We'll hear from John, Trevor, and  
34 Will. John, please.

35  
36 **DR. FROESCHKE:** My hand is a relic, and so I don't have anything.

37  
38 **CHAIRMAN NANCE:** Thank you. Trevor, please.

39  
40 **MR. MONCRIEF:** I am ready to entertain a motion for it, and so I  
41 will withhold my comment until then.

42  
43 **CHAIRMAN NANCE:** Okay. Will.

44  
45 **DR. PATTERSON:** Sorry, and I missed the early part of the  
46 discussion here, and Shannon's presentation, unfortunately, but I  
47 didn't see anything in the document that showed butterflyfish  
48 landings, or effort for butterflyfish, and was there any discussion

1 about what explains the uptick in wenchman landings in the Gulf of  
2 Mexico over the past few years?

3

4 **CHAIRMAN NANCE:** Ryan.

5

6 **MR. RINDONE:** Will, it could be that -- Because wenchman is  
7 federally managed, and so, in order to be able to land wenchman -  
8 - Captain Early has a reef fish permit, a commercial reef fish  
9 permit, which means, to land those wenchman, he has to land them  
10 with a federally-permitted seafood dealer, which would mean that  
11 all of that is then going to be recorded in the federal system  
12 that way.

13

14 The landings that we have from Captain Murphy's records pre-date  
15 the ACL/AM Amendment, and so the nature of how those landings came  
16 in, primarily through state dealers, could pre-date some of that  
17 requirement, and so that could be why. It's not that the data  
18 were not being collected by anyone, but it's that they were being  
19 collected in different places, for different reasons, and they  
20 have not been put together.

21

22 **DR. PATTERSON:** Okay. Thanks, Ryan. One person who might have  
23 some information about the distribution of these animals on the  
24 shelf, albeit in the Caribbean, is Kate Overly, who is a fisheries  
25 scientist at the Panama City Lab. She and Andy David have a  
26 project in the Caribbean where they drop static cameras down to  
27 fairly deep depths, and I think they go to about 500 or 600 meters,  
28 and they've been looking at the deepwater snapper fishery and its  
29 association with recently-mapped bathymetry in that region.

30

31 She pics up these various snappers on her rigs, and it wouldn't be  
32 Gulf of Mexico samples, or analysis, but it might give us some  
33 more insight into the vertical distribution and the depth  
34 distribution of wenchman and how it may differ from some of these  
35 other species in this complex.

36

37 **CHAIRMAN NANCE:** Do you have the feeling that wenchman are in that  
38 area, Will?

39

40 **DR. PATTERSON:** In the Caribbean? Yes, they're part of the fishery  
41 down there. They're a small component of the fishery, but they  
42 are captured in the deepwater snapper fishery in the U.S. Caribbean

43

44 **CHAIRMAN NANCE:** Okay. Thank you. Jim.

45

46 **DR. TOLAN:** Thank you, Mr. Chairman, and just a quick note. I put  
47 in a request for our folks in Austin, the commercial side, to  
48 inquire about any of these state dealers that may be taking in

1 these butterflyfish boats along the Texas coast, and so, as soon as  
2 I hear back from them, I will let you know.

3  
4 **CHAIRMAN NANCE:** Thank you very much, Jim. Do we feel like we  
5 want to make any recommendations to the council, or do we need a  
6 little more information before we want to make these  
7 recommendations? I think the only thing we can do today is, in my  
8 opinion, is, if we want to recommend taking it out of the complex,  
9 but, other than that, I don't see where we can go. Trevor, please.

10  
11 **MR. MONCRIEF:** I was just going to comment that when this -- When  
12 the closure first came up, we looked at all of our state landings,  
13 and we don't have any landings of wenchman on record, through the  
14 past in our state dealers, but then, if Roy is not ready to make  
15 a motion, I certainly am.

16  
17 **CHAIRMAN NANCE:** Okay. Trevor, just out of curiosity, do you have  
18 any records in state landings for butterflyfish?

19  
20 **MR. MONCRIEF:** I'm sure we do. I haven't gotten our -- We have  
21 had butterflyfish boats in the past, and so I'm not sure if the  
22 fishery operated within our trip ticket time, but I can certainly  
23 check.

24  
25 **MR. RINDONE:** Trevor, can you also look for silver snapper?

26  
27 **MR. MONCRIEF:** Silver snapper?

28  
29 **MR. RINDONE:** Yes, sir.

30  
31 **MR. MONCRIEF:** Yes.

32  
33 **MR. RINDONE:** Since it seems that was one of the ways that it was  
34 recorded anyway.

35  
36 **MR. MONCRIEF:** Is that a local name, or is there a --

37  
38 **MR. BRYANT:** Golden thread.

39  
40 **MR. RINDONE:** Golden thread, and so silver snapper or golden  
41 thread, either one of those. See if either one of those show in  
42 the state records.

43  
44 **MR. MONCRIEF:** Okay. I will do that.

45  
46 **MR. RINDONE:** Thank you.

47  
48 **CHAIRMAN NANCE:** Trevor, did you want to go ahead and make your

1 motion, or do you want to wait for a minute?

2  
3 **MR. MONCRIEF:** No, I'm happy to make it. I mean, I think the  
4 motion would be that, based on review of catches and historical  
5 records, the SSC recommends wenchman snapper be removed from the  
6 midwater snapper complex. I am friendly to any amendments or  
7 changes or anything else that would need to be more explicit, but  
8 I think that's kind of the first step here.

9  
10 **CHAIRMAN NANCE:** Okay. We have a motion from Trevor. Do we have  
11 a second? John seconds. Is there discussion, please? Personally,  
12 from my perspective, I feel very comfortable with this motion  
13 removing wenchman from the midwater snapper complex. I think,  
14 from the -- It may overlap some, but I think these seem to be more  
15 oriented towards northern Gulf of Mexico, and the other ones seem  
16 to be more southern Gulf of Mexico, and there is certainly overlap  
17 between wenchman being south and some of other snapper being north.  
18 We're always going to have that, but, as far as removing it from  
19 the complex, I am comfortable with that motion. Roy.

20  
21 **DR. CRABTREE:** I am comfortable with that, and I think we ought to  
22 recommend to the council that they review, or reconsider, the  
23 management of wenchman, given the context of how it fits into the  
24 butterfly fishery, and they ought to think about how exactly to  
25 handle that, and then, depending on what they then decide to do,  
26 we can come back in and evaluate how we might set up ACLs for it.

27  
28 **CHAIRMAN NANCE:** Do we need that as part of this motion or just -  
29 - I don't think so, but -- Okay. Doug Gregory, please.

30  
31 **MR. GREGORY:** Thank you. I support the motion, and I have a  
32 question, I guess for Ryan or somebody from the Regional Office.  
33 This is going to require a plan amendment, as far as I understand,  
34 and so how long might we be stuck with the current regulations?  
35 How long might the fishery be stuck with the current regulations,  
36 until something else can supplement it, or supplant it? Are we  
37 talking two years, or are we talking five years?

38  
39 **CHAIRMAN NANCE:** Ryan, I guess to that point.

40  
41 **MR. RINDONE:** It depends on the speed with which the council  
42 responds to this motion and with whatever it wants to do next. If  
43 it is able to justify that wenchman do not require federal  
44 management, that management by the states, in cooperation say with  
45 the Gulf States Marine Fisheries Commission, is sufficient enough  
46 to ensure the health of the stock, then that would be one thing,  
47 or, if it's determined that federal management is necessary, it  
48 seems like other species would have to be considered, to be managed

1 concurrently with wenchman, like butterflyfish and scup and a couple  
2 others, or scad and a couple others, that are all caught with  
3 relative frequency together, and so it's either not an issue, or  
4 it's not just a wenchman issue.

5  
6 **CHAIRMAN NANCE:** Thank you, Ryan. Trevor.

7  
8 **MR. MONCRIEF:** Just a procedural question for the motion. Would  
9 this -- So the motion, as I intended it, would remove wenchman and  
10 remove the need for an OFL and ABC for the species, and is that  
11 the procedure that's going to occur, once this adopted, or does it  
12 just have to be reviewed?

13  
14 **CHAIRMAN NANCE:** No, and this one is simply we're recommending to  
15 the council that wenchman would be removed from the midwater  
16 snapper complex. If the council then decided that, yes, they would  
17 follow that recommendation, we would have to come up with OFL and  
18 ABC and those types of things for the midwater snapper complex,  
19 which is going to be left now with three species, and we would  
20 have to come up with new recommendations for that and then figure  
21 out what to do with wenchman, with it being alone, whether we can  
22 manage it alone or whether we have to manage it with a butterflyfish  
23 complex or something else, and so that would have to be decided  
24 down the road.

25  
26 **MR. MONCRIEF:** So, with that response, would it be useful to add  
27 in additional context, as far as the thought process of how it  
28 should be looked at in the future, to try to give a little bit of  
29 direction, or do you just want to try to convey that in the council  
30 meeting?

31  
32 **CHAIRMAN NANCE:** Personally -- This is my personal -- I think that  
33 this motion does what we intended for it to do, and I think I can  
34 give background to the council of why we were choosing this and  
35 then recommend some alternative approaches that they may want to  
36 come back and talk to us about.

37  
38 **MR. MONCRIEF:** Sounds good to me.

39  
40 **CHAIRMAN NANCE:** Okay. Josh.

41  
42 **DR. KILBORN:** Thank you, and you more or less answered my question,  
43 but I'm still a little curious that -- If we're not explicit about  
44 the idea that wenchman need to be managed in conjunction with at  
45 least butterflyfish, which it sort of seems like they do, then, if  
46 there's no appetite for managing butterflyfish -- If we remove this  
47 species from its current complex, then it could potentially fall  
48 into the realm of not being managed in any way, and is that correct?

1  
2 **CHAIRMAN NANCE:** If it -- You would have to take it out of the FMP  
3 for that to occur, Josh.  
4  
5 **DR. KILBORN:** Okay.  
6  
7 **CHAIRMAN NANCE:** It's still part of the Reef Fish FMP, and so it's  
8 in there, and, once it's in there, it needs to be managed, or, if  
9 the council decided to remove it from the FMP, then it wouldn't  
10 require federal management. Roy, to that point.  
11  
12 **DR. KILBORN:** But that still -- If we can't manage it without  
13 managing butterfish, then this is very closely tied to that topic,  
14 right, and so is there a particular reason why we don't manage  
15 butterfish?  
16  
17 **CHAIRMAN NANCE:** It's been a fishery, but no one, I guess, federal  
18 or state, have not managed it, not in the Gulf. Roy, to that  
19 point, and I know Roy may be able to give us more insight.  
20  
21 **DR. CRABTREE:** I don't know why we've never -- I don't recall ever  
22 having a conversation even about managing butterfish. The only  
23 other category of species is the ecosystem component grouping,  
24 which generally do not have to have a lot of these criteria and  
25 ACLs and things, and that -- You put something in more to gather  
26 information and determine things about it, but I guess that might  
27 be something you could discuss with the Regional Office folks.  
28  
29 **CHAIRMAN NANCE:** Okay. Jim.  
30  
31 **DR. TOLAN:** Thank you, Mr. Chairman. I've got those numbers in  
32 for the Texas landings, and we can put them up real quick, but it  
33 really pales in comparison to what we've been talking about so  
34 far, and it's really, really small numbers, and it's all centered  
35 around the upper half of the Texas coast, and it mostly comes into  
36 Sabine, but you can see here it's not nearly the poundage we're  
37 talking about -- These are just in pounds, and so, one more graph  
38 down, it does it by region, and so it's, again, centered around  
39 the upper Texas coast, even though that fishery, as we've seen in  
40 the graphs from the groundfish survey, is all the way down to the  
41 Texas-Mexico border. There is really no boats once you get past  
42 Aransas that are bringing in any butterfish.  
43  
44 **CHAIRMAN NANCE:** Jim, just out of curiosity, when it says, "live  
45 weight", does that infer the fish is alive?  
46  
47 **DR. TOLAN:** No. That's just the way it's reported.  
48

1 **CHAIRMAN NANCE:** Okay. Thank you. It looks like there is just a  
2 few landed. Okay. Thank you so much, Jim, for that. Doug.  
3  
4 **MR. GREGORY:** I suspect the reason that butterfish has not been  
5 addressed is due to confidentiality of the data, and I know, in  
6 the early, early years of the council, they tried to do a  
7 groundfish FMP, and they ran into that problem. Too much of the  
8 data was confidential, and so they really couldn't do an FMP.  
9  
10 **CHAIRMAN NANCE:** I remember the groundfish plan, yes. Leann.  
11  
12 **MS. LEANN BOSARGE:** Good afternoon. How are you doing, Mr.  
13 Chairman? Thanks for giving me the opportunity to speak. I was  
14 wondering -- I had a question about page 11, Slide 11, in Dr. Cass-  
15 Calay's presentation, and so I was trying to understand the red  
16 dots, and could I ask about that?  
17  
18 **DR. CALAY:** Yes, of course, and hello, Leann. How are you?  
19  
20 **MS. BOSARGE:** I'm good, and you all are almost done with me, but  
21 not quite yet.  
22  
23 **DR. CALAY:** It's always good to hear from you.  
24  
25 **MS. BOSARGE:** Yes, that's right. That's right, and I'm in the  
26 short hairs now, and so the biggest red dot -- It says, in that  
27 legend, it says number per trawl hour, and it says 3,000 to 7,500,  
28 and so am I interpreting this correct that that's wenchman, and  
29 somewhere between 3,000 and 7,500 wenchman per hour in the net  
30 that were seen on that survey, for a red dot of that size?  
31  
32 **DR. CALAY:** This is from an acoustic survey, and what I can say  
33 definitively is that the size of the red dot is an indicator of  
34 the relative abundance in that sampling unit, and so it's very  
35 difficult to read this from a distance, and this presentation has  
36 some faulty animations in it.  
37  
38 I am going to have to review the actual working document that was  
39 prepared for SEDAR to interpret the unit of effort here, and I was  
40 more intending to show you that the largest catches from that  
41 survey occur in the northern Gulf and in the western Gulf, as  
42 opposed to the eastern.  
43  
44 **MS. BOSARGE:** Yes, and so we can see that the range of that  
45 particular species is -- It kind of goes along with the written  
46 testimony from Captain Murphy that it probably does go from at  
47 least, at a barebones minimum, the northern Gulf, all the way  
48 across to the western Gulf, and probably down into Mexico, and so

1 it's fairly widespread.

2

3 If those dots are anywhere close to accurate on the number of fish  
4 per trawl hour, there are a bunch of them out there, and so I just  
5 kind of wanted to put it back into perspective, what we're talking  
6 about here.

7

8 The quota on those fish is 166,000 pounds, I believe, and it's  
9 been that for many, many years, and so, if we're looking at 3,000  
10 to 7,000 fish per hour on those fishery-independent tows, there is  
11 a bunch of those fish out there, and I just -- Sometimes I think  
12 we get caught up in the weeds, and it's good to step back and  
13 realize that we're talking about a gnat on an elephant here of  
14 what we may actually be looking at removing, and, even if you all  
15 pulled it out of the complex, and I thought Dr. Cass-Calay said  
16 she had some numbers to give you all for potential OFLs and ABCs  
17 for wenchman, based on a Tier 3a rating, and that it would still  
18 -- Even if you doubled the quota, it would probably still be a  
19 gnat on an elephant, and so just to step back and kind of put it  
20 in perspective for a second. Thanks for letting me talk, Mr.  
21 Chairman.

22

23 **CHAIRMAN NANCE:** Thank you, Leann. Harry.

24

25 **MR. BLANCHET:** Thank you. This will be quick, but it's hard, with  
26 these dot plots like this, to really see what's going on, but the  
27 thing that struck me about this is it looks like -- Looking at  
28 this one that's on the screen right now, it seems like every trawl,  
29 at the edge of the survey, was catching wenchman, and, as you get  
30 further inland, it becomes less common, but, essentially, I mean,  
31 try to reconstruct what the dots were, where all of those little  
32 semicircles and ovals are on the outside, and it seems like  
33 everything at the bottom is catching wenchman.

34

35 That may be a very, very common species out there, but,  
36 unfortunately, without having a better handle on just how many  
37 stations there are, and how many positive stations there are, it's  
38 not really easy to say that, but it does look like, in those  
39 deepest trawls, they really are pretty common.

40

41 **CHAIRMAN NANCE:** Yes. Thank you. Will.

42

43 **DR. PATTERSON:** Thanks, Mr. Chair. I think Councilwoman Bosarge  
44 raises a really important thought here, idea here, about the trawl  
45 catches, and it would be useful, I think, to go year-by-year and  
46 add up the number of fish that are captured, or have been captured,  
47 were captured, in this survey, as well as the SEAMAP surveys,  
48 having spent some time on the SEAMAP ships, collecting reef fish

1 in trawls, my recollection, and it's been a little while, is that  
2 mostly these are 100 to 150-millimeter fish that are caught, at  
3 least in the traditional SEAMAP trawl survey, and I know the small  
4 pelagics survey doesn't go on any more, but it could give a sense  
5 of what the historical removals were, just from the fishery-  
6 independent perspective.

7  
8 Then to balance to those against what the estimated removals were  
9 from the fishery, and that may give us a sense of the capacity of  
10 the stock, at least in a relative sense, and I think that would be  
11 a useful exercise.

12  
13 Secondly, I think it would be useful to look at the size  
14 composition of the catch of wenchman by depth, both in the small  
15 pelagics trawl survey that no longer goes on as well as putting  
16 that together with the SEAMAP trawl data, and see if there is in  
17 fact this ontogenetic shift to smaller fish caught in shallower  
18 water and deeper waters producing larger fish.

19  
20 **CHAIRMAN NANCE:** Thank you, Will. Trevor, please.

21  
22 **MR. MONCRIEF:** Ms. Bosarge kind of -- That's kind of the thought  
23 process that I had in my earlier comments, but relatively uniform  
24 distribution across the entire shelf and the magnitude of this  
25 fishery, and then the thought process about going and then moving  
26 into an OFL and ABC for this species, based on landings, and, I  
27 mean, this issue occurred, or came onto our radar, simply because  
28 that midwater snapper group closed.

29  
30 If we scale things based on landings, I mean, that one year was an  
31 exponential increase, and I just -- I foresee that, if there is a  
32 market for this species, that, whatever data we have on hand to  
33 make that thought, which is landings, that I feel like we would  
34 just be revisiting this issue pretty quickly.

35  
36 I guess the route that Will was talking about and everything else,  
37 kind of gathering more information on the species, to really figure  
38 out what its distribution is and what the catch is like, and,  
39 really, how many removals might be occurring, is a great start,  
40 and I just see us -- With the magnitude of the distribution and  
41 the potential for more boats to be in, and recall that these  
42 landings are confidential simply because of the rule of three.

43  
44 That was enough to close the fishery, and so just think about it.  
45 If you double the amount of boats that start participating, I think  
46 we'll be revisiting this pretty quickly, and so just that thought  
47 process is kind of what's going through my head right now.

1 **CHAIRMAN NANCE:** Trevor, thank you. Josh.  
2  
3 **DR. KILBORN:** Thank you. I think I just want to maybe push back  
4 a little bit on the concept, or the idea, that this is a gnat on  
5 an elephant, or whatever the phrase was, just because we don't  
6 know for sure, right, and, if we're relying on these maps  
7 specifically to make that determination, then I think we might be  
8 misleading ourselves, because each one of these dots is exactly  
9 that, right, a fishing point, and the small pelagic acoustic survey  
10 -- Those numbers, if I am correct, are all small pelagic species  
11 and not wenchman, in this particular image.  
12  
13 Then, on the maps on pages 14 and 15, those are the trawl surveys,  
14 and, again, those bubbles are huge, and there is a lot of overlap  
15 there, and it may appear that there is a very broad distribution  
16 of these individual animals, but that may be just an artifact of  
17 the visualization process, on top of the fact that this is twenty  
18 years of data, and the next slide is, what, ten years or so, or  
19 eleven years of data, twelve years of data, and so, again, I think  
20 we just need to be a little more cautious, and I do think that we  
21 need to follow-up on collecting a lot more information about this  
22 particular species. Thank you.  
23  
24 **CHAIRMAN NANCE:** It's always -- In these cases, these bubble plots  
25 can really change with just your eye, and it's nice to see the  
26 data behind it. Shannon, to that point?  
27  
28 **DR. CALAY:** I am reading the SEDAR 49 paper that describes the  
29 small pelagic survey, and it's described as a trawl survey, and it  
30 discusses the number of wenchman found in the trawl survey, and it  
31 talks about the number of wenchman per year, and so I think that  
32 -- I don't know why, and I'm trying to figure out if there is an  
33 acoustic component to this survey, but it appears to be that the  
34 small pelagic survey is conducted using a trawl.  
35  
36 **CHAIRMAN NANCE:** It's a midwater trawl, and I can't remember the  
37 acoustic part of it, unless it was the midwater trawl to be able  
38 to collect the species that were associated with that acoustic  
39 signal. I am trying to remember that survey, but it's different  
40 than the bottom trawl.  
41  
42 **DR. CALAY:** Yes, and so this does appear to be specific to wenchman,  
43 in this case, and we also, in this document, which can be provided  
44 to the SSC -- It has annual plots of the distribution of the  
45 survey, as well as the relative abundance per station, and,  
46 visually eyeballing it, Ryan and I see no trends from that, but  
47 that data can be provided to the SSC.  
48

1 **CHAIRMAN NANCE:** Thank you. Luiz had a comment, and I'm going to  
2 go back to the motion, and we can take up that motion.

3  
4 **DR. BARBIERI:** Right, and, actually, that was one of my points as  
5 well, and I think that we've heard a lot of very good commentary  
6 here, very good input and discussion about the distribution and  
7 the abundance and the depth range and the densities of wenchman,  
8 right, and potential additional data the Center might have that we  
9 would be able to look into in more detail, to make a better call  
10 here, but I don't think that these discussions invalidate that  
11 motion that was put on the table.

12  
13 To me, this breaks it down into two components, and this first  
14 motion is really looking into removing wenchman from this complex,  
15 and then, based on this recent discussion, perhaps we choose to  
16 request additional data, additional analysis, to potentially  
17 consider how we would set management advice for wenchman.

18  
19 **CHAIRMAN NANCE:** Thank you. Let's go ahead and take care of this  
20 motion. **The motion states: Based on review of catches and**  
21 **historical records, the SSC recommends wenchman snapper be removed**  
22 **from the midwater snapper complex. Is there any opposition to**  
23 **this motion?**

24  
25 **DR. KILBORN:** Can I make a -- Can I ask a question, to clarify?

26  
27 **CHAIRMAN NANCE:** Yes, you certainly may.

28  
29 **DR. KILBORN:** Are we going to add that language that Luiz just  
30 talked about to this motion, or will that be a second motion that  
31 follows onto this?

32  
33 **CHAIRMAN NANCE:** I would like to have that as a second motion, if  
34 that's okay, Josh.

35  
36 **DR. KILBORN:** Thank you.

37  
38 **CHAIRMAN NANCE:** You're welcome. **Any opposition to this motion?**  
39 **Hearing none, the motion is carried without opposition.** Do we  
40 have a second motion then? Luke.

41  
42 **DR. FAIRBANKS:** Sorry, and I didn't get in there before the motion  
43 carried, and I was just going to comment that, if we wanted to put  
44 the word "available" before "historical records", just because,  
45 you know, looking at, for instance, the handwritten data -- My  
46 assumption is there's probably other records out there that we  
47 just don't have available to us, and I don't -- The way that this  
48 is worded, it kind of gives the impression that we had some sort

1 of comprehensive, you know, set of records at our disposal. I  
2 don't think it's a big deal if it's not in there, but that's all  
3 I was going to add.

4  
5 **CHAIRMAN NANCE:** Thank you, and I think, Luke, that's a great  
6 point, and, when I talk about this motion at the council meeting,  
7 I will make sure that they understand that the records that we  
8 have are very spotty, and we based it on these things, as well as  
9 other input that we had, as far as life history and -- Well, as  
10 far as where these species occur and things like that, and so,  
11 anyway, but that's a good point. Do we have anyone that wants to  
12 make a motion based on Luiz's comments? Luiz.

13  
14 **DR. BARBIERI:** Mr. Chairman, and I don't know, Josh, if you have  
15 something that you're drafting there that you can put on the table,  
16 but we had discussed that these points, all these points, are going  
17 to be brought up in our summary report, right, and not necessarily  
18 be as a motion. Josh, I'm not against a motion to this effect, if  
19 you want to be crystal clear to the council that this is going to  
20 be the next step, but it's not something that I was considering  
21 making, because I think it's probably understood that -- If the  
22 council asks what will be the next step, that that will be the  
23 most logical step.

24  
25 **CHAIRMAN NANCE:** There is two ways to handle this. There is having  
26 a motion, which is a little more explicit what we're thinking  
27 about, so the council understands that, or trusting what I will  
28 give as background to what we see as next steps of where we think  
29 we need to go, and we don't necessarily have to have a motion for  
30 that, but I will leave that up to the SSC, if someone would like  
31 to make a motion, and we can certainly do that.

32  
33 **DR. KILBORN:** I didn't necessarily have a motion in mind. I just  
34 am a little bit ignorant of the process, frankly, and I just wanted  
35 to make sure that we weren't opening ourselves up to some sort of  
36 weird legal loophole, where now this species is not being managed  
37 in any way, and so that was my main concern.

38  
39 **CHAIRMAN NANCE:** Josh, I appreciate that, and we don't want to  
40 have that happen, and so if there's -- I will leave it open for a  
41 moment. Ryan.

42  
43 **MR. RINDONE:** I was just going to say -- I mean, if it seems that  
44 a lot of these landings were coming in through the states, it might  
45 be useful to ask Gulf States to work with the -- Gulf States Marine  
46 Fisheries Commission to work with the five Gulf states to have  
47 some kind of an examination of what the landings generally have  
48 been, over time, from this midwater trawl fishery, because clearly

1 it encompasses a lot of different species, and maybe use that first  
2 to build a record to see if there is a problem, and are landings  
3 consistent through time, and, if they are consistent through time,  
4 then maybe there's not a problem.

5  
6 If there are changes that need to be explained, perhaps the  
7 fishermen can help explain that, because certainly we're limited  
8 in the empirical data that we have available to us about the  
9 species life history and its distribution, and we're limited to  
10 what we've seen through other surveys, and so it might be useful  
11 to start asking some of those initial questions first, before we  
12 get too far down any particular rabbit hole.

13  
14 You could make a motion to that effect, something like, you know,  
15 just recommend that the council ask Gulf States Marine Fisheries  
16 Commission to work with the five Gulf states to review the landings  
17 of key midwater trawl fisheries and present that to the SSC at a  
18 future date, but Luiz is making that motion. I am just the parrot.  
19 I sound just like him sometimes, or he like me, and so Luiz's  
20 motion is to --

21  
22 **DR. BARBIERI:** Yes, I was going to make a motion to recommend the  
23 council ask the Gulf States Marine Fisheries Commission to work  
24 with the five Gulf states to evaluate historical landings for --

25  
26 **MR. RINDONE:** (Mr. Rindone's comment is not audible on the  
27 recording.)

28  
29 **DR. BARBIERI:** Scad and any other associated species in the  
30 landings, or associated species from midwater trawls.

31  
32 **MR. RINDONE:** Yes, from the midwater trawl fishery, because I  
33 think, ultimately, no matter what the council wants to do, there's  
34 going to have to be some examination of this, right, and so they're  
35 going to have to look at something.

36  
37 **DR. BARBIERI:** My understanding of John's addition to this motion  
38 is that he is volunteering to second the motion.

39  
40 **CHAIRMAN NANCE:** Okay. Seconded by John. Is there discussion on  
41 this motion? Leann.

42  
43 **MS. BOSARGE:** No, sir. When your motion is done, please.

44  
45 **MR. RINDONE:** I have something, Mr. Chair.

46  
47 **CHAIRMAN NANCE:** I'm sorry, Leann?

48

1 **MS. BOSARGE:** I said I will wait until after your motion is  
2 finished, and it's not relevant to that motion.

3

4 **CHAIRMAN NANCE:** Okay. Thank you. Doug.

5

6 **MR. GREGORY:** Thank you. I would be more comfortable if this only  
7 mentioned wenchman, which is under our purview.

8

9 **MR. RINDONE:** I mean, that's a fair point, because wenchman is the  
10 only one for which the council is directly responsible.  
11 Ultimately, if the council is going to continue to manage wenchman,  
12 this would obviously help with its ability to set, or for you guys  
13 to set, a revised catch limit. If it's not going to manage it  
14 anymore, then that's what it's going to have to justify. It's  
15 going to have to justify why, as far as removing it from the FMP.

16

17 I guess, to that effect, Mr. Atran has been sending a couple of  
18 emails into us and said to us that the council had initially  
19 considered developing an FMP for butterfish, but ultimately didn't  
20 proceed with it, because it didn't think that it was going to  
21 become something that was going to require federal management. It  
22 seems to have been fished consistently, at least by a few boats,  
23 since the mid-1990s, and so -- Well, as Dr. Nance said, as long as  
24 he could recall, there's been some kind of a fishery for it.

25

26 Clearly, our landings records are sparse and distributed, and so  
27 the first thing to do, for wenchman anyway, would be to figure out  
28 what's there, and so, I mean, wenchman is really the key thing  
29 that the council has to know about to do something with wenchman,  
30 and so --

31

32 **CHAIRMAN NANCE:** I would feel, from my perspective, comfortable,  
33 and, Doug, I know exactly what you're alluding, but I think, with  
34 this motion, it gives me the opportunity to discuss with the  
35 council other species associated with it that, if we're going to  
36 move forward with wenchman, that we would need to know some other  
37 things, in order to do those things. John.

38

39 **MR. MARESKA:** Also, in response to Doug's comment, we've seen some  
40 information that the other species aren't involved in this midwater  
41 fishery, and that would also help validate that, and then, if we  
42 have to move forward -- If the council decides to manage butterfish  
43 and wenchman together, we're not asking for an additional request.

44

45 **CHAIRMAN NANCE:** Thank you. Will, please.

46

47 **DR. PATTERSON:** Thank you, Mr. Chair. I'm a little confused what  
48 we mean by "evaluate historical landings". Are we asking them to

1 compile all the historical landings? Maybe some clarification  
2 there, please.

3  
4 **CHAIRMAN NANCE:** Luiz.

5  
6 **DR. BARBIERI:** We can put "to compile" instead of -- Of course, if  
7 they compile, we will evaluate.

8  
9 **CHAIRMAN NANCE:** Do you want to change that "to compile"?

10  
11 **DR. BARBIERI:** To compile historical landings for butterfish,  
12 wenchman, scad, and any other associated species for the Gulf SSC  
13 evaluation.

14  
15 **CHAIRMAN NANCE:** Okay. John, are you okay with that? Thank you.  
16 Jim.

17  
18 **DR. TOLAN:** Thank you, Mr. Chairman. John covered the point that  
19 I was going to bring, in that, if butterfish and wenchman are so  
20 tied together in the midwater trawl, it really needs to stay in  
21 there, from a contextual going through the time series point of  
22 view. Thank you.

23  
24 **CHAIRMAN NANCE:** Okay. Thank you. Any other discussion on this  
25 motion? Let me go ahead and read the motion. **The motion is to**  
26 **recommend the council ask the Gulf States Marine Fisheries**  
27 **Commission to work with the five Gulf states to compile historical**  
28 **landings for butterfish, wenchman, scad, and any other associated**  
29 **species from the midwater trawl fishery for the Gulf SSC**  
30 **evaluation. Any opposition to this motion? Hearing none, the**  
31 **motion passes without opposition.** Leann, one final comment, young  
32 lady.

33  
34 **MS. BOSARGE:** Thank you. This is a question for Dr. Cass-Calay.  
35 I thought I heard her say that she had a spreadsheet that could be  
36 used for potential OFLs and ABCs for this complex, or maybe it's  
37 just for wenchman, and I'm not sure, but just to put this in  
38 context again for you all, and so this is an issue for commercial  
39 fishermen right now.

40  
41 They came to the council, back in 2021, and it took until the  
42 middle of 2022 to get it on an SSC agenda. It is an issue for  
43 them, and there is not very many of them, I will grant you, that  
44 are targeting this, but, if you do have some potential OFLs and  
45 ABCs that might possibly be higher, and you don't feel that there  
46 would be a huge risk of overfishing this population with those  
47 increases, if you all could look at those, and that's something  
48 the council can actually implement in a fairly short period of

1 time.

2

3 I appreciate all the discussion involving do we add something else  
4 to the management plan, like butterfish, or do we simply take  
5 wenchman out of the fishery management plan, but I think those are  
6 longer-term solutions, and, right now, the fishermen need  
7 something for the short-term, to get them through until that, and  
8 so, Dr. Cass-Calay, do you have those kind of numbers today?

9

10 **CHAIRMAN NANCE:** Shannon.

11

12 **DR. CALAY:** I have all of the wenchman landings from 1986 until  
13 2021, and, if the SSC wanted to determine the reference years and  
14 the tier, we could calculate OFL and ABC for wenchman. I also  
15 have the original spreadsheets that were used to do the OFL and  
16 ABC for the midwater snapper complex, and we can recalculate the  
17 midwater snapper OFL and ABC without wenchman, using the same  
18 criteria that the SSC used in 2010, and so those are all available  
19 should the SSC choose to reevaluate those.

20

21 **CHAIRMAN NANCE:** The landings data are from where?

22

23 **DR. CALAY:** The wenchman landings data are primarily U.S.  
24 commercial -- Well, they're commercial landings from the ACL  
25 monitoring files. The midwater snapper landings are from the  
26 Generic ACL Amendment, and they are what was reported at that time.  
27 I also have some updated landings from 2012 forward, but we have  
28 not determined what data within those estimates might be  
29 confidential for the other members of the midwater snapper complex.

30

31 So, essentially, I think the choices that I am prepared to support  
32 are you can look at the wenchman landings, and we have agreement  
33 that we can share those, and we could determine, if there was a  
34 need to, a new OFL and ABC for wenchman. Then we could also  
35 recalculate the mid-water snapper OFL and ABC using the previous  
36 decision made by this SSC and just remove wenchman from it, and it  
37 would just be a complex of three members, and so the OFL and ABC  
38 would apply to blackfin snapper, queen, and silk.

39

40 **CHAIRMAN NANCE:** Okay. We have heard some alternatives here. Any  
41 recommendations from the SSC on how to proceed? We can either  
42 stop now, and we have two recommendations that we're going to send  
43 to the council, and we're trying to get some more landings data,  
44 which I think are probably out there, or do we go with the landings  
45 data that we have that Shannon wants to show us, or has for us,  
46 and make recommendations for wenchman OFL and ABC and for the other  
47 three in the midwater trawl complex? Trevor.

48

1 **MR. MONCRIEF:** Is there any way that we can pull that slide up of  
2 Shannon's, just to look at the potential options? I am certainly  
3 partial to Ms. Bosarge's argument here, and, I mean, it has been  
4 a while, and, you know, the thought process of kind of what Roy  
5 was saying.

6  
7 When you stop -- When you don't allow them to keep wenchman,  
8 they're just going over the side, and it seems like, if we can  
9 just come up with something to do two things at once, one to figure  
10 out the fishery a little bit better and understand the landings,  
11 and, at the same time, try to, you know, get a little bit of  
12 flexibility, so this doesn't occur again, and it's not coming  
13 across and affecting the fishermen in another year, and I think  
14 that would be a good path forward for us.

15  
16 **CHAIRMAN NANCE:** Okay. Thank you, Trevor. John.

17  
18 **MR. MARESKA:** So, based on the information that Will presented  
19 about the age structure, I think we should proceed with caution,  
20 because I would be very concerned about the sustainability, the  
21 long-term sustainability, if this fish grows as slow and lives as  
22 long as Will is indicating. I don't see where this would be a  
23 sustainable long-term fishery, and so I'm kind of just suggesting  
24 we proceed cautiously.

25  
26 **CHAIRMAN NANCE:** John, thank you. Shannon, would you be able to  
27 put those -- Does Bernie have those?

28  
29 **DR. CALAY:** I sent you a spreadsheet.

30  
31 **CHAIRMAN NANCE:** Then we would be able to look at that, but, John,  
32 your point is well taken, and I think, from what I heard from Will  
33 also, it's that, if that is a trend, we need to be able to know  
34 that and proceed with caution. Okay, and so that -- Shannon, would  
35 you go ahead and explain that, please?

36  
37 **DR. CALAY:** All right. I do actually have all of the landings  
38 from 1986 through 2021 in my version of this spreadsheet, but Ryan  
39 and I made an executive decision that, because those landings in  
40 those initial years were so small, that they could in fact be  
41 confidential landings, and so we deleted them from the public  
42 version that you're looking at here, but the landings that were  
43 used for the OFL calculation in 2010 were the landings from 1999  
44 through 2008.

45  
46 If you scroll up a tiny bit, that first set of columns here that  
47 I am indicating show the calculations that are consistent with the  
48 -- If you were to just use the same decisions, reference years, of

1 1999 through 2008, these are all -- The mean is 54,000 pounds, and  
2 the standard deviation is 22,800 pounds, and these are your options  
3 for OFL and ABC from your tiered control rule, 3a and 3b.

4  
5 I put together a few different options, just to explore it myself,  
6 but what I want to kind of point out, and I will just kind of plot  
7 these landings for you, quickly, is -- Remember they look like  
8 this, and so the period that you used for the previous OFL  
9 calculation was 1999 through 2008, and, actually, after 2008, there  
10 was a long period where the landings generally declined, and then  
11 we see this large increase in the most recent years.

12  
13 I think 2019 is such a small number, and it's 1,000 pounds, that  
14 it's probably debatable whether that's underreporting or  
15 inaccurate in some matter, and so, essentially, you could select  
16 the same period of reference years and just calculate OFL and ABC  
17 for wenchman specifically, or you could select a different period  
18 of reference years.

19  
20 **CHAIRMAN NANCE:** Those are those three options there, and you've  
21 got one that is what we did before, the years we did before, and  
22 then all the years, and then all the years except for 1999.

23  
24 **DR. CALAY:** Yes, and these aren't really -- These aren't intended  
25 to be the only options, but this was just an exploration that I  
26 was doing myself.

27  
28 **CHAIRMAN NANCE:** There's a whole bunch of combinations. Luiz,  
29 please.

30  
31 **DR. BARBIERI:** Shannon, then a quick question. One is do we have  
32 an ACL now in place for wenchman alone, or just for the complex?

33  
34 **DR. CALAY:** Just for the complex.

35  
36 **DR. BARBIERI:** Just for the complex, right, and so switching from  
37 what we have, from the complex -- I mean, that just seems, to me,  
38 that it would be a bit more complicated for us to look into this,  
39 and then, looking at the -- What's the current OFL and the current  
40 ABC, so we can compare that with those landings, where they would  
41 sit?

42  
43 **DR. CALAY:** So it's on a different spreadsheet, which is not shown  
44 on this screen. It's roughly 209,000 pounds is the OFL for the  
45 complex, and it's just the sum of the complex members. It's the  
46 mean of the sum over 1999 through 2008.

47  
48 **DR. BARBIERI:** Right, and the ABC would be --

1  
2 **DR. KILBORN:** Could someone reiterate, for those of us online?  
3  
4 **CHAIRMAN NANCE:** I'm sorry?  
5  
6 **DR. BARBIERI:** She's just looking at the values now.  
7  
8 **CHAIRMAN NANCE:** She's looking at them, and so soon as she -- She  
9 will tell you when she has them.  
10  
11 **DR. CALAY:** I am back.  
12  
13 **CHAIRMAN NANCE:** She went to get her computer, so she could look  
14 at them.  
15  
16 **DR. CALAY:** All right, and so, for the midwater snapper complex,  
17 including wenchman, the OFL is the mean plus two standard  
18 deviations, and it is 209,000 pounds.  
19  
20 **CHAIRMAN NANCE:** So, essentially, the complex is 209,000, and  
21 wenchman alone, using that same period, is 99,669.  
22  
23 **DR. CALAY:** That's correct, using the same reference years.  
24  
25 **CHAIRMAN NANCE:** Yes. So it's -- Depending on your reference  
26 years, and, if you use the same reference years as was used for  
27 the initial amendment, it would be 99,669 for the OFL, and 88,255  
28 for the ABC.  
29  
30 **DR. CALAY:** Well, that is an option available to you, but I believe  
31 that the default is plus one standard deviation.  
32  
33 **CHAIRMAN NANCE:** Okay, and so that's the one below it, the 76,840?  
34  
35 **DR. CALAY:** Yes.  
36  
37 **CHAIRMAN NANCE:** Okay. Then, if we use the reference years 1999  
38 through 2001, the OFL for wenchman would be 116,856, with an ABC  
39 of 81,477. If we excluded 2019, OFL would be 117,752, and an ABC  
40 of 82,941.  
41  
42 **DR. CALAY:** Correct.  
43  
44 **CHAIRMAN NANCE:** So those are -- We could certainly recommend one  
45 of those as our OFL and ABC for wenchman. Luiz.  
46  
47 **DR. BARBIERI:** I don't mean to overcomplicate this and throw too  
48 much process, right, because we're trying to get to some practical

1 solution here, but, I mean, definitely looking at data from 2019,  
2 or 2018, onwards, right, doesn't really give us a stable time, and  
3 so, usually, our criteria for setting, using landings, is to have  
4 about ten years of stable landings, and this is the most variable  
5 time for landings that we have along the entire time series. It's  
6 just difficult to use those -- You know, this time period to set  
7 an OFL and ABC, I would say.

8  
9 **CHAIRMAN NANCE:** Any other SSC member comments on this approach?

10  
11 **DR. KILBORN:** How does this compare to the current recommendations  
12 for this stock?

13  
14 **CHAIRMAN NANCE:** Josh, is that you?

15  
16 **DR. KILBORN:** Yes.

17  
18 **CHAIRMAN NANCE:** Like I said, it was the --

19  
20 **DR. KILBORN:** Is it closed? I'm not sure I understand the nature  
21 of the problem that we're trying to solve, frankly.

22  
23 **CHAIRMAN NANCE:** The problem is I think the catch of wenchman alone  
24 is approaching closing the entire midwater snapper complex, and so  
25 the midwater snapper complex has an ABC of -- I'm going to guess  
26 here, and is it double?

27  
28 **DR. CALAY:** The ABC?

29  
30 **CHAIRMAN NANCE:** Yes. It's probably 114,000?

31  
32 **DR. CALAY:** The entire complex has an ABC of 168,000 pounds.

33  
34 **CHAIRMAN NANCE:** So, right now, it's 168,000 pounds, and that is  
35 the ABC for the complex, and wenchman itself is approaching that  
36 value, the last couple of years, and so it has -- That one species  
37 has the issue -- Well, you have an issue with that whole complex,  
38 because of one species, and so it's going to close the whole  
39 complex, and so the other snapper, that other fishermen are going  
40 after, would not be able to be prosecuted, because the complex is  
41 closed because of wenchman. Does that --

42  
43 **DR. KILBORN:** Yes. Thank you.

44  
45 **CHAIRMAN NANCE:** You're welcome, Josh. John, to that point?

46  
47 **MR. MARESKA:** Josh, also, the butterfish fishery is not going to  
48 close, and so they're going to continue to fish, and the wenchman

1 that are caught are just going to be discards that we'll have no  
2 record of, and so that's the other part of the issue.

3  
4 **CHAIRMAN NANCE:** Yes. Thank you.

5  
6 **DR. KILBORN:** Very good. Thank you.

7  
8 **MR. MONCRIEF:** A follow-up, Mr. Chair?

9  
10 **CHAIRMAN NANCE:** Yes, and who is that?

11  
12 **MR. MONCRIEF:** Trevor.

13  
14 **CHAIRMAN NANCE:** Trevor. Yes, please, Trevor. I can't see the  
15 hands, and so Trevor, please.

16  
17 **MR. MONCRIEF:** It's all good. I do -- I understand the thought of  
18 the precautionary approach, and trust me that I'm not trying to  
19 push for anything that is not precautionary, but I think -- I mean,  
20 the statement was made that we can't really look at the current  
21 time series and compare it to the past time series, and that's  
22 accurate, right?

23  
24 It's hard to say that 2010 is identical to what was going on in  
25 the recent past, but, you know, I say all of that to say that I  
26 think a reasonable precautionary approach is to at least have  
27 something set at current fishery operations, or at least as close  
28 to them as possible, that we've seen in the last couple of years,  
29 just to be able to at least keep the fishery open while we continue  
30 to evaluate it, and I don't think that's throwing precaution to  
31 the wind.

32  
33 I think that just sees it as, you know, we want this fishery to  
34 continue, and you don't want to put in a closure that would have  
35 those fish just be discarded dead, and that would be foregone  
36 yield, and I feel like we can find some reasonable path forward  
37 here that would keep current operations ongoing while we sort out  
38 more of the information that we have, and so that's kind of where  
39 I'm at on this.

40  
41 **CHAIRMAN NANCE:** Thank you, Trevor. Doug, please.

42  
43 **MR. GREGORY:** Yes. Thank you. I agree with Luiz that our approach,  
44 in the beginning, was to look for stable landings over a ten-year  
45 period, and I can only suspect that, looking at wenchman, we  
46 probably thought that one high year was an anomaly, and all the  
47 other snappers in this complex had low-level landings that were  
48 stable.

1  
2 The other point I will make is this approach will not work, using  
3 means and standard deviations, unless there is a stable fishery.  
4 If we have an expanding fishery, like we may have, it won't --  
5 This approach won't work at all, because the mean assumes that  
6 you're going to catch the average landings, and, if you go one  
7 standard deviation above that, you close because you reached an  
8 ABC that -- But there's a 16 percent random chance that you would  
9 go above one standard deviation fishing the mean, on average.

10  
11 Even if you had a stable fishery, and you implemented a one-  
12 standard-deviation ABC, there's a 16 percent chance, every year,  
13 just due to random variability, that that fishery will close, and  
14 so, given that this is not a stable fishery, as far as the landings  
15 trajectory goes, this whole mean and standard deviation just won't  
16 work, plus, as you pointed out, if we do use these numbers in this  
17 fashion, we're going to be reducing the current ABC by half or  
18 more, which exacerbates the problem and doesn't resolve it, and so  
19 I don't think we're ready, and I'm sorry, Ms. Bosarge, but, at  
20 this point, I don't think we're ready to try to establish ABCs for  
21 this fishery. Thank you.

22  
23 **CHAIRMAN NANCE:** Thank you, Doug. Will, please.

24  
25 **DR. PATTERSON:** Thank you, Mr. Chair. I agree with Luiz's comments  
26 earlier about this methodology, this approach. Typically, it's  
27 utilized with a time period of relatively invariable catch over  
28 time, or landings over time, and, even then, it's a really poor  
29 way to estimate OFL and set ABC, and we struggled with that quite  
30 a bit when we worked through this, years ago, after ACLs -- The  
31 timeline for having them in place occurred, and we had to -- We  
32 were asked, by the council, to provide scientific advice about  
33 these.

34  
35 In this case, we actually have fishery-independent surveys that  
36 show an uptick in CPUE in the recent years, and that's about on  
37 the same scale, or magnitude, or scale is more appropriate, of the  
38 increase in wenchman landings. Now, wenchman apparently are a  
39 bycatch species in the butterflyfish fishery, but they have value,  
40 and they're sold, and, even though the fishery is not regulated,  
41 we have fishermen that have recorded their catch over time, and it  
42 appears, from those self-reported landings, that wenchman are in  
43 fact a small percentage of the total landings across the years of  
44 data that have been reported.

45  
46 While this approach is problematic, and it makes us uncomfortable,  
47 and we would rather see a stable time period, the fact that the  
48 fishery-independent data show an uptick in CPUE, these random

1 surveys, that at least gives us some information that the recent  
2 increase in landings here reflects abundance and not change in  
3 targeting, or even change in retention, and I assume all the  
4 wenchman are retained and sold, because they have value, but maybe  
5 that could have changed over time.

6  
7 Targeting, or changes in depth of fishing, could cause a shift in  
8 the catch, and then also just increased effort, and so we don't  
9 have any effort data for the butterflyfish fishery, but the fact that  
10 the fishery-independent survey data, in particular the camera  
11 survey, shows an increase in wenchman abundance in the recent  
12 years, it at least provides some evidence that this might be due,  
13 to some extent, if not wholly, to an increase in the relative  
14 abundance of this species.

15  
16 **CHAIRMAN NANCE:** Thank you, Will. Roy.

17  
18 **DR. CRABTREE:** Well, I feel like we need to bring this to some  
19 sort of a conclusion, because we've certainly discussed it. I  
20 mean, if they take wenchman out of the complex, I think that fixes  
21 one problem, which is the problem of having the queen snapper and  
22 silk snapper fishery closed because of wenchman catches associated  
23 with the butterflyfish fishery, and so that's an improvement.

24  
25 It does look, to me, despite all the concerns and problems, that  
26 we can easily generate an ABC out of these landings, as we've done  
27 in the past. The trouble is though that the fishery still may  
28 catch it, and the wenchman may then close, and I'm not quite sure  
29 how we get around that. The problem, I think, is the  
30 accountability mechanism, more than anything else, and it just  
31 doesn't make sense to close this fishery when the ACL is reached,  
32 and so that's not really a science problem. That's a management  
33 Magnuson problem that would have to be worked out.

34  
35 We do have fisheries where we've used alternative accountability  
36 mechanism that avoided closing the fishery, but I think that's  
37 something the council would have to work out, but, from what I'm  
38 seeing from the landings here, any way we do this, it's still quite  
39 likely that they catch it, and they won't be able to land wenchman,  
40 and that doesn't make sense from a management perspective, and I  
41 don't think it does the stock any good, but I think those are  
42 things that the council will have to deal with.

43  
44 **CHAIRMAN NANCE:** Luiz.

45  
46 **DR. BARBIERI:** Thank you, Mr. Chairman, and, Dr. Crabtree, to that  
47 point, because I think it's when the ACL is exceeded twice, right,  
48 one year after the other, for wenchman, or for this complex, I

1 think what it is, or the following year, and so --

2

3 **MR. RINDONE:** If the ACL --

4

5 **DR. BARBIERI:** In two consecutive years, you exceed the ACL, the  
6 accountability measure says that you have to close?

7

8 **MR. RINDONE:** No, and I think it's in the following year, and so,  
9 if it's exceeded in year X, then, in year X-plus-one, you monitor  
10 the landings and then you close it when the ACL is projected to be  
11 met.

12

13 **DR. BARBIERI:** This is something that is set up within the  
14 guidelines itself, or it's something that is within the purview of  
15 the council to set?

16

17 **MR. RINDONE:** So this is something that's under the purview of the  
18 council to set, and so the council could choose to do something  
19 more creative, from an accountability measure standpoint, and so  
20 perhaps something like, if the ACL is exceeded in a given year,  
21 then, in the following year, if the best scientific information  
22 available suggests that it's appropriate to do so, then the fishery  
23 will be closed when the ACL is projected to be met, and I am  
24 completely making that up, and so please don't think that that's  
25 an actual thing, because it isn't, but just to do something  
26 different, and I don't even know if we could do that, but --

27

28 **CHAIRMAN NANCE:** Tom, do you have -- Go ahead.

29

30 **DR. FRAZER:** I mean, there are lots of different potential  
31 alternatives, right, and you could look at the longer-term average  
32 and just say, if the average has been exceeded for some X number  
33 of years, or something like that, and, again, I think are creative  
34 ways to get around it.

35

36 **CHAIRMAN NANCE:** Personally, I feel comfortable with the two  
37 motions that we've made. I think, from a scientific standpoint,  
38 I think wenchman need to be removed from the complex, and I think  
39 we've asked for more data, and we're specific on that, so that, if  
40 we're asked to make recommendations on OFL and ABC, then we would  
41 be able to have those landings data to be able to, I think, more  
42 comfortably sit here and make those recommendations.

43

44 I feel a little uncomfortable making an OFL and ABC for wenchman  
45 based on this, and then what happens to the rest of the complex,  
46 and so I think we leave it alone for now as a complex, but we're  
47 making our recommendations to the council, and we'll be able to  
48 hear what they have to say on this issue.

1  
2 I will make sure that I portray that, that the issue is butterflyfish  
3 and how it's prosecuted, and wenchman is a bycatch species, and  
4 it's taken as bycatch in the butterflyfish fishery, but it is  
5 utilized, and those types of things, if I don't hear any opposition  
6 to that from the SSC. Okay.

7  
8 Then we'll go ahead and move off this topic. I greatly appreciate  
9 you guys coming. Thank you so very much, and it was really nice  
10 having you here. Ryan, we have Other Business.

11  
12 **OTHER BUSINESS**  
13

14 **MR. RINDONE:** Yes, and we need suckers for the joint workgroup,  
15 and so the council took the SSC's recommendation to heart, at its  
16 last meeting, to add up to five representatives from the SSC to  
17 the South Atlantic Council's SSC workgroup, in an effort to develop  
18 a cooperative workgroup focused on establishing a method for  
19 evaluating catch limits for federally-managed species currently  
20 closed to harvest, including goliath grouper. So, Mr. Chair, if  
21 you would like to solicit the body for up to five representatives,  
22 the council will gladly affiliate them with this workgroup.

23  
24 **CHAIRMAN NANCE:** Okay. Let me see. It looks like I have Trevor.  
25 Trevor, do you have a comment? Go ahead.

26  
27 **MR. MONCRIEF:** As the motion maker from that group, I am happy to  
28 be a part of this workgroup, and then he's not attending, but Jason  
29 Adriance also indicated that he wanted to be a part of it as well,  
30 and so I'm just throwing those names out there.

31  
32 **CHAIRMAN NANCE:** So put down Trevor and Jason. Do I have any other  
33 -- Roy Crabtree.

34  
35 **DR. BARBIERI:** And Luiz Barbieri, too.

36  
37 **CHAIRMAN NANCE:** Luiz Barbieri. Good. I think that's appropriate.  
38 Any other SSC members that would like to be on this? David, you're  
39 certainly welcome to be on there. I think social science input is  
40 always welcome. Dave Griffith. Okay. With that, I think we've  
41 got five. Leann.

42  
43 **MS. BOSARGE:** No, I don't want to be on that, but thanks for  
44 recognizing me.

45  
46 **CHAIRMAN NANCE:** I know. We're done with that one, and I know  
47 it's a totally separate deal, but I saw your hand raised, and so  
48 certainly I will recognize you to speak.

1  
2 **MS. BOSARGE:** Thanks. I just wanted to thank those fishermen, and  
3 I was trying to raise my hand on the wenchman, before you left.  
4 Thank you all for coming. I know a lot of you all came all the  
5 way from Bayou La Batre, and I really appreciate that. I know  
6 that I've been talking to Captain Early, who is offshore fishing  
7 in the Atlantic, and wanted to try to and get cellphone service,  
8 but wasn't able to, and I am very encouraged by the discussion.  
9

10 Although we couldn't change our OFL and ABC, I think we really  
11 came up with some novel ideas, and I like Dr. Patterson's idea  
12 about using an index, like maybe the SEAMAP reef fish video survey  
13 and looking at those catch trends and adjust your quotas  
14 accordingly, just like we do for other species, for red grouper  
15 and things like that, where we look at a fishery-independent index  
16 and adjust it, and I appreciate Trevor's comments there, as far as  
17 looking at recent catches, because, unfortunately, on the  
18 commercial side, we're sort of boxed-in to what catch levels you  
19 give us, and that whole ten-year trend, and that average, that's  
20 fine if you're doing it for the very first time, to set a quota on  
21 a fishery, but, because we have mandatory reporting that is not  
22 real time, but it's pretty close, and we're managed to an ACT,  
23 it's not that likely that we're going to be able to fish freely  
24 and openly and exceed the catch limits you give us, and so we are  
25 sort of boxed-in, and so thanks for those out-of-the-box comments.  
26 Mr. Chairman, that ought to be the last time that I bother you,  
27 for several years, at least.  
28

29 **CHAIRMAN NANCE:** I know that's not true, but it's never a bother.  
30 Any other business that we need to have before the SSC? Tom, we've  
31 got all the stuff we need, I think?  
32

33 **DR. FRAZER:** I believe that we do. Thank you, guys, very much.  
34

35 **CHAIRMAN NANCE:** We'll now open it up for public comment for the  
36 end of our meeting. Captain Eric will come up.  
37

#### 38 **PUBLIC COMMENT**

39

40 **MR. SCHMIDT:** I also would like to thank Andrew and Mike. It was  
41 very enlightening, and it was actually nice to come to a meeting  
42 and not have to talk about red snapper all the time, and I got to  
43 see a little preview of when I finally convince the council to  
44 take up the management of African pompano and the kinds of things  
45 that we'll have to go through.  
46

47 Josh made some comments, during his presentation on gags, about a  
48 possible ecological shift in the Gulf of Mexico affecting the

1 population dynamics, and, while we have talked about ecosystem  
2 management, and we've, in recent years, addressed red tide events,  
3 we have a water quality issue, on the west coast of Florida, that  
4 is fairly significant.

5  
6 It's not a red tide, and we've had massive trichodesmium blooms,  
7 and I talked to a fisherman last week, and he took a water sample  
8 offshore of Boca Grande, and the water was pink, and, when I say  
9 pink, he sent me a picture, and it was pink, like the inside of a  
10 conch shell, and so he froze the water, and then he sent it off  
11 someplace for analysis, and what we've had, over the last four  
12 years, from the divers that I speak with, is we've had a large  
13 thermocline area on the bottom.

14  
15 The visibility, when they get in the water, is tremendous. They  
16 get fifteen feet from the bottom, and they can't see, and sometimes  
17 they said it's black, like they were diving at night, or it's lime  
18 green, and the water is very cold, and it will be ninety degrees  
19 at the top and sixty-eight at the bottom, and this has gone on for  
20 four or five years, and, when you get that temperature break, there  
21 is no fish.

22  
23 I don't know where the fish go, but, if you happen to be sampling  
24 in that area at that time, you're going to show low catch rates,  
25 and the other thing about the ecological shift in the Gulf, and I  
26 have said this before, is that the population of red snapper have  
27 really exploded along the west Florida coast, and I probably have  
28 750,000 GPS readings from Panama City to Key West.

29  
30 I have some really good numbers for gag grouper, and you can't  
31 catch any, because, when you go there, the red snappers and the  
32 amberjack have basically overrun these spots, and I fished a  
33 tournament last year, and the first fish we caught off the spot  
34 was about a thirty-four-pound gag, and everybody else on the boat  
35 is hooked up, and we proceed to catch eighteen amberjacks, up to  
36 about eighty pounds, and so you can't get through these other fish.

37  
38 I don't know if they're there, and I don't know if a video survey  
39 would document that the population is there, and I know that you've  
40 done a lot of work up in the northern Gulf, at the Edges and  
41 Steamboat Lumps and so forth, because that was considered a  
42 spawning area, but I know, along what we call the forty-fathom  
43 break, just to the west of Fort Myers, Christmas Ridge, on the  
44 break anymore is pink porgies, big beeliners, and red snapper.

45  
46 We used to catch a lot of gags there, but I don't know if they're  
47 still there, but we can't get through them, but the populations of  
48 the other fish have really taken off, and so that's something, and

1 I appreciate Josh's comments about that, because there are some  
2 ecological things that have happened over the last few years, and  
3 so, anyway, thank you all very much.  
4

5 **CHAIRMAN NANCE:** Thank you. Any questions from the SSC? Eric, we  
6 appreciate you being here, again. Any other -- It looks like we  
7 don't have any other -- I appreciate each of you being here, and  
8 I appreciate you being online too, and I know that some of you  
9 tried to make it and weren't able to, and I'm just glad you were  
10 able to make it back home safely, and so, with that, we'll go ahead  
11 and adjourn this meeting, and we'll see each other again in  
12 September. In August, we'll be -- I think it's a webinar.  
13

14 **MR. RINDONE:** August 4 is a webinar with the South Atlantic Council  
15 to talk about yellowtail, and the joint part of that webinar should  
16 just be in the morning. The yellowtail portion of that should be  
17 all wrapped up by lunchtime on August 4, and so, Dr. Frazer, you're  
18 a very busy man and have lots of things to schedule, and you should  
19 be done by lunch on August 4.  
20

21 **CHAIRMAN NANCE:** Okay, and so thank you.  
22

23 (Whereupon, the meeting adjourned lunch on July 8, 2022.)  
24

25 - - -  
26