

1 GULF OF MEXICO FISHERY MANAGEMENT COUNCIL

2
3 MEETING OF THE STANDING & SPECIAL REEF FISH, MACKEREL,
4 SOCIOECONOMIC, & ECOSYSTEM SCIENTIFIC AND STATISTICAL COMMITTEES

5
6 WEBINAR

7
8 JANUARY 5-7, 2021

9
10 **STANDING SSC VOTING MEMBERS**

- 11 Joseph Powers.....
- 12 Lee Anderson.....
- 13 Luiz Barbieri.....
- 14 Harry Blanchet.....
- 15 David Chagaris.....
- 16 Benny Gallaway.....
- 17 Bob Gill.....
- 18 Douglas Gregory.....
- 19 Walter Keithly.....
- 20 Kai Lorenzen.....
- 21 Camp Matens.....
- 22 James Nance.....
- 23 Will Patterson.....
- 24 Sean Powers.....
- 25 Ken Roberts.....
- 26 Steven Scyphers.....
- 27 Jim Tolan.....

28
29 **SPECIAL REEF FISH SSC VOTING MEMBERS**

- 30 Jason Adriance.....
- 31 Judson Curtis.....
- 32 John Mareska.....

33
34 **SPECIAL MACKEREL SSC VOTING MEMBERS**

- 35 Jason Adriance.....
- 36 John Mareska.....

37
38 **SPECIAL SOCIOECONOMIC SSC VOTING MEMBERS**

- 39 Andrew Ropicki.....

40
41 **SPECIAL ECOSYSTEM SSC VOTING MEMBERS**

- 42 Cameron Ainsworth.....
- 43 Mandy Karnauskas.....
- 44 Paul Sammarco.....

45
46 **STAFF**

- 47 John Froeschke.....Deputy Director
- 48 Jessica Matos.....Document Editor & Administrative Assistant

1 Ryan Rindone.....Lead Fishery Biologist/SEDAR Liaison
2 Carrie Simmons.....Executive Director
3
4 **OTHER PARTICIPANTS**
5 Shannon Calay.....SEFSC
6 Susan Lowerre-Barbieri.....FL
7 Nancie Cummings.....SEFSC
8 Tom Frazer.....GMFMC
9 Steve Murawski.....NMFS
10 Julie Neer.....SEDAR
11 Skyler Sagarese.....SEFSC
12 Katie Siegfried.....SEFSC
13 Jessica Stephen.....NMFS
14
15 - - -
16

TABLE OF CONTENTS

1
2
3 Table of Contents.....3
4
5 Table of Motions.....4
6
7 Introductions/Adoption of Agenda/Approval of Minutes: September
8 14-15, 2020 Webinar Meeting/Scope of Work.....5
9
10 Selection of SSC Representative for the January 25-28, 2021 Gulf
11 Council Virtual Meeting.....8
12
13 Review of SEDAR 70: Gulf of Mexico Greater Amberjack Stock
14 Assessment.....10
15 Presentation and Projections.....10
16 Something’s Fishy.....80
17 Continued Discussion of SEDAR 70.....86
18 Stock Assessment Executive Summary.....98
19
20 Request for Participants: SEDAR 79: Southeastern U.S. Mutton
21 Snapper.....102
22
23 Other Business.....105
24 Discussion of ABC Control Rule.....105
25 Next Term Application Process for SSC Members.....110
26
27 Review of Red Grouper Recreational Landings Data.....114
28
29 Review of Council Proposed Interim Analysis Schedule.....132
30
31 Preview of Great Red Snapper Count.....141
32
33 Discussion of Sea Grant/NMFS Greater Amberjack Research Program..200
34
35 Review: Testing Assumptions About Sex Change and Spatial
36 Management in the Protogynous Gag Grouper, Mycteroperca
37 microlepis.....212
38
39 Habitat Research Presentation.....239
40
41 Consider Carryover of Uncaught Commercial Quota for IFQ Managed
42 Species.....261
43
44 Continued Discussion of SEDAR 70 (Continued).....278
45
46 Public Comment.....294
47
48 Adjournment.....296
49

TABLE OF MOTIONS

PAGE 62: Motion that the SSC determined that the SEDAR 70 operational assessment of Gulf of Mexico Greater Amberjack represents the best scientific information available, and, based on the assessment results, the stock status is overfished and is undergoing overfishing. The motion carried on page 78.

PAGE 106: Motion that the SSC requests the council ED convene an SSC meeting to review and discuss the Tier 1 ABC control rule. The motion carried on page 110.

PAGE 194: Motion that the SSC moves to request an expedited review of the Great Red Snapper Count results by an independent panel including SSC representatives and CIE or other independent reviewers with expertise in the methodologies used. The motion carried on page 198.

PAGE 290: Motion that the SSC accepts SEDAR 70 and recommends the greater amberjack OFL as based on the yield at F SPR 30 percent and ABC as based on the yield at F rebuild (by 2027) for 2022 through 2024. The motion carried on page 293.

- - -

1 The Meeting of the Gulf of Mexico Fishery Management Council
2 Standing and Special Reef Fish, Ecosystem, and Socioeconomic
3 Scientific and Statistical Committees convened via webinar on
4 Tuesday morning, January 5, 2021, and was called to order by
5 Chairman Joe Powers.

6
7 **INTRODUCTIONS/ADOPTION OF AGENDA/APPROVAL OF VERBATIM MINUTES**
8 **AND MEETING SUMMARY: SEPTEMBER 14-15, 2020 WEBINAR MEETING AND**
9 **OCTOBER 30, 2020 JOINT WEBINAR MEETING WITH THE SOUTH ATLANTIC**
10 **SSC/SCOPE OF WORK**
11

12 **CHAIRMAN JOE POWERS:** Good morning, and happy new year. My name
13 is Joe Powers, and I welcome all of you as the Chair of the
14 Scientific and Statistical Committee of the Gulf of Mexico
15 Fishery Management Council. We appreciate your attendance on
16 this webinar and input into this meeting. Representing the
17 Council is Tom Frazer. Council Staff in attendance are Ryan
18 Rindone and Jessica Matos.

19
20 Notice of this meeting was provided to the Federal Register,
21 sent via email to subscribers of the council's press release
22 email list, and was posted on the council's website.

23
24 Today's meeting will include the following topics. When we
25 adopt the agenda, we'll discuss a little bit more about this as
26 well, but it's basically Adoption of the Agenda; Approval of
27 Minutes; representatives to the SSC; a review of SEDAR 70;
28 discussion of Sea Grant greater amberjack; a review of red
29 grouper recreational landings data; review of the council
30 proposed interim analysis schedule.

31
32 The red snapper supply chains and markets will not be done, and
33 this will be removed. Then review of the Great Red Snapper
34 Count; review of testing of assumptions about sex change in gag
35 grouper; habitat research presentation; and then request
36 participants for SEDAR 79 and issues about carryover; and then
37 other business.

38
39 The webinar is open to the public and is being streamed live and
40 recorded. A summary of the meeting and verbatim minutes will be
41 produced and made available to the public via the council's
42 website.

43
44 For the purpose of voice identification and to ensure you are
45 able to mute and unmute your line, please identify yourself by
46 stating your full name when your name is called for attendance.
47 Once you have identified yourself, please re-mute your line. To
48 signal you wish to speak during the meeting, please use the

1 raise-your-hand function, and staff will display your name.
2 Please remember to identify yourself before speaking and to also
3 re-mute your line each time you finish speaking. Thank you. We
4 will go on to the voice identification.

5
6 **MS. JESSICA MATOS:** For some of you, you can raise your hand,
7 and for some of you cannot, and so we will fix that tomorrow.
8 If you have the ability to raise your hand, raise your hand when
9 you want to ask questions. If you do not have the ability to
10 raise your hand, please send a chat message, and we will
11 acknowledge you. Lee Anderson.

12
13 **DR. LEE ANDERSON:** Lee is here.

14
15 **MS. MATOS:** Thank you. Luiz.

16
17 **DR. LUIZ BARBIERI:** Luiz Barbieri, here.

18
19 **MS. MATOS:** Thank you. Harry Blanchet.

20
21 **MR. HARRY BLANCHET:** Harry Blanchet, here.

22
23 **MS. MATOS:** Dave Chagaris. Benny Gallaway. Bob Gill.

24
25 **MR. BOB GILL:** Bob Gill.

26
27 **MS. MATOS:** Doug Gregory.

28
29 **MR. DOUG GREGORY:** Doug Gregory.

30
31 **MS. MATOS:** Walter Keithly.

32
33 **DR. WALTER KEITHLY:** Walter Keithly.

34
35 **MS. MATOS:** Robert Leaf. Kai Lorenzen.

36
37 **DR. KAI LORENZEN:** Kai Lorenzen.

38
39 **MS. MATOS:** Camp Matens.

40
41 **MR. CAMP MATENS:** Camp Matens.

42
43 **MS. MATOS:** Jim Nance.

44
45 **DR. JIM NANCE:** Jim Nance.

46
47 **MS. MATOS:** Will Patterson. Joe Powers.

48

1 **CHAIRMAN POWERS:** Joe Powers.
2
3 **MS. MATOS:** Sean Powers.
4
5 **DR. SEAN POWERS:** Sean Powers is here.
6
7 **MS. MATOS:** Ken Roberts.
8
9 **DR. KEN ROBERTS:** Ken Roberts is here.
10
11 **MS. MATOS:** Steven Scyphers.
12
13 **DR. STEVEN SCYPHERS:** Steven Scyphers is here.
14
15 **MS. MATOS:** Jim Tolan.
16
17 **DR. JIM TOLAN:** Jim Tolan is here.
18
19 **MS. MATOS:** Tom Frazer.
20
21 **DR. TOM FRAZER:** Tom Frazer.
22
23 **MS. MATOS:** Jason Adriance.
24
25 **MR. JASON ADRIANCE:** Jason Adriance.
26
27 **MS. MATOS:** Judd Curtis.
28
29 **DR. JUDSON CURTIS:** Judd Curtis.
30
31 **MS. MATOS:** John Mareska.
32
33 **MR. JOHN MARESKA:** John Mareska is here.
34
35 **MS. MATOS:** Kari Buck. Jack Isaacs. Andrew Ropicki.
36
37 **DR. ANDREW ROPICKI:** Andrew Ropicki is here.
38
39 **MS. MATOS:** Cam Ainsworth.
40
41 **DR. CAM AINSWORTH:** Cam Ainsworth is here.
42
43 **MS. MATOS:** Mandy Karnauskas.
44
45 **DR. MANDY KARNAUSKAS:** Mandy Karnauskas.
46
47 **MS. MATOS:** Paul Sammarco. I know he is trying to get on.
48 Okay. Just a reminder that, if you cannot raise your hand, go

1 ahead and send a chat, and I will put your hand up, and, if you
2 can raise your hand, just raise your hand. Thank you.

3
4 **CHAIRMAN POWERS:** All right. Thank you. The agenda, as I
5 mentioned, there's a couple of things to bring up. First off,
6 the presentation by Dr. Asche about the supply chains,
7 apparently that will not be done, and so we will fix things
8 according.

9
10 Also, apparently, the presentation on the gag grouper sex change
11 has to be done first thing on Thursday morning, and so we may
12 want to -- If that's the case, first off, I think we need to
13 make sure that the others that are on Thursday morning know that
14 they don't have to do first thing in the morning. Then,
15 secondly, we may want to reshuffle some of the business items to
16 take care of those a little bit earlier.

17
18 The other things were Other Business, and there are a couple of
19 things that have been suggested be brought up, and we'll first
20 start off with Doug Gregory.

21
22 **MR. GREGORY:** Thank you, Joe. I wanted to have a brief
23 discussion under Other Business of the, I guess, the benefit of
24 having a one-day SSC meeting focused solely on discussing the
25 Tier 1 ABC control rule and what possible alternatives we can
26 come up with, and it's because, in the last number of
27 assessments, there's been concern about the ABC control rule not
28 capturing the full uncertainty, and we've been looking for
29 alternatives, and so I think it's time to have a dedicated
30 discussion just for that, and so I just want to explore that
31 further under Other Business. Thank you.

32
33 **CHAIRMAN POWERS:** Thank you. I would also -- Several people
34 have mentioned this to me, and I have put together a publication
35 list and kind of an issues sort of paper, but I can distribute
36 those, but we'll have a short discussion about how we want to
37 proceed under Other Business. Also, Carrie.

38
39 **EXECUTIVE DIRECTOR CARRIE SIMMONS:** Thank you, Mr. Chair. Good
40 morning, everyone. I just wanted to add, under Other Business,
41 a short discussion of the next term application process for both
42 the Standing and the special SSCs.

43
44 **CHAIRMAN POWERS:** All right. Thank you. In both of those
45 cases, for Other Business, if we have some time slots where we
46 can kind of fit them in, and so they don't necessarily have to
47 be the very last part of the meeting, I would like to do that,
48 but let's leave that sort of open at this point in time. All

1 right. With those modifications and discussion, can we adopt
2 the agenda? Ryan.

3
4 **MR. RYAN RINDONE:** You were talking about moving some things
5 around, and so, when it comes to it, we can move the request for
6 participants for mutton snapper up into Wednesday.

7
8 **CHAIRMAN POWERS:** That's what I was thinking of, yes.

9
10 **MR. RINDONE:** Then we absolutely discuss some of the Other
11 Business stuff outside of it being the dead last thing, just
12 with the understanding that these are discussion only and non-
13 decisional.

14
15 **CHAIRMAN POWERS:** All right. Thank you. With those
16 adaptations, can we adopt the agenda? Is there a motion?

17
18 **MR. GILL:** So moved, Mr. Chairman.

19
20 **CHAIRMAN POWERS:** Okay. We have a second from Jim Nance. If
21 there is no objections, then that is approved. Then the Scope
22 of Work. It's fairly obvious, but, Ryan, do you want to mention
23 anything specific to that?

24
25 **MR. RINDONE:** No, sir, nothing that you haven't already
26 mentioned about that has to do with the modifications to the
27 agenda.

28
29 **CHAIRMAN POWERS:** All right.

30
31 **MR. RINDONE:** If anyone has any questions, please let us know.

32
33 **SELECTION OF SSC REPRESENTATIVE FOR THE JANUARY 25-28, 2021 GULF**
34 **COUNCIL VIRTUAL MEETING**

35
36 **CHAIRMAN POWERS:** This is sort of our guidance on each one of
37 the agenda items, how we approach the particular agenda item.
38 All right. Next, selection of a representative for the council
39 meeting.

40
41 **MS. MATOS:** Joe, could we just test with Paul Sammarco's sound
42 real quick?

43
44 **CHAIRMAN POWERS:** Sure. Go ahead.

45
46 **MS. MATOS:** Thank you. Go ahead, Paul. You can unmute
47 yourself.

48

1 **DR. PAUL SAMMARCO:** Hello. Paul Sammarco here.
2
3 **MS. MATOS:** Great. Thank you so much.
4
5 **CHAIRMAN POWERS:** All right. Selection of the SSC
6 representative for the 25th to the 28th, do we have any
7 volunteers? The enthusiasm is overwhelming. All right. Again,
8 I will take the lead on this, I assume, and, as I look at the
9 agenda for the council meeting, I may tap on some individuals to
10 kind of help me out in this process, and, again, it's all
11 webinar.
12
13 **DR. LORENZEN:** Joe, I would be happy to help out, or do it, as
14 you please.
15
16 **CHAIRMAN POWERS:** Sure. We will make an arrangement between the
17 two of us, and then, if it gets very difficult, then we can
18 arbitrarily assign it to other people as well, just between the
19 two of us. All right. That's what we'll do. Then we're moving
20 on to Agenda Item V, and this is the Gulf of Mexico greater
21 amberjack stock assessment, and we have a good deal of time
22 allotted for this.
23
24 **MR. RINDONE:** Joe, sorry to interrupt again, but I don't think
25 we approved the minutes from the last meeting.
26
27 **CHAIRMAN POWERS:** Yes. Small detail. So we have the minutes
28 for the September 14 and 15 meeting and the October 30 meeting.
29 One is our own, and the other is the joint with the South
30 Atlantic. I suppose we should do these individually. For the
31 September 14 and 15 minutes, are there any suggested changes?
32 If not, is there a motion to adopt the September 14?
33
34 **MR. GILL:** So moved, Mr. Chairman.
35
36 **MR. NANCE:** Second.
37
38 **CHAIRMAN POWERS:** It's been moved and seconded by Jim Nance.
39 Are there any objections? Hearing none, the minutes are
40 approved for that. October 30, that meeting, any suggested
41 changes? Do we have a motion to adopt?
42
43 **MR. GILL:** So moved, Mr. Chairman.
44
45 **CHAIRMAN POWERS:** Thank you. Do we have a second?
46
47 **DR. NANCE:** Second.
48

1 **CHAIRMAN POWERS:** Thank you. Are there any objections? Hearing
2 none, those are approved. All right. Thank you. Sorry, Ryan,
3 for my mistake there.

4
5 **MR. RINDONE:** Transgression forgiven.

6
7 **CHAIRMAN POWERS:** All right. Agenda Item V, the Gulf of Mexico
8 greater amberjack stock assessment, Dr. Cummings -- Again, we
9 have five-and-a-half hours, and so this could be fairly lengthy.
10 We'll begin with the presentation by Nancie Cummings.

11
12 **REVIEW OF SEDAR 70: GULF OF MEXICO GREATER AMBERJACK STOCK**
13 **ASSESSMENT**
14 **PRESENTATION AND PROJECTIONS**

15
16 **MS. NANCIE CUMMINGS:** Good morning. My name is Nancie Cummings,
17 and I'm a stock assessment analyst with the Southeast Fisheries
18 Science Center, and I just want to say happy new year, and
19 thanks all for attending. I'm going to be giving you first an
20 overview of the results of the assessment, and then I will go
21 into various components of the assessment.

22
23 There will be about five sections, six sections, on the
24 assessment review that I give you, and I will -- There will be
25 breaks in between each section. Also, I just suggest that we
26 might want to take the fifteen-minute established break at
27 around the time of projections, unless we have lots of questions
28 in between and we need a break before that, and we can decide
29 that.

30
31 The outline, I will give you an overview, and I'll go into the
32 data, both the older data as well as updating the model with the
33 new data, how the model was developed, and then I'll give you an
34 overview of some of the basic and most relevant fit results, and
35 then the results of the model itself, including diagnostics and
36 sensitivity analyses that were done, and, finally, we'll see a
37 summary of projections, including settings that were used,
38 assumptions that were made in the projections, the pertinent and
39 relevant results, and we'll close with a summary.

40
41 Back to the overview, I just want to say that the approved SEDAR
42 70 Gulf of Mexico amberjack, the base model, it was updated with
43 data through 2018, and the terminal year is 2018. The initial
44 year of the model follows suit from the SEDAR 33, which was
45 2012, and the 33 update model, and that began in 1950.

46
47 There were several important changes to data inputs and to the
48 model parameterization that affected the assessment results, and

1 these included the MRIP-FES, Fishing Effort Survey, for the
2 recreational landings and discards; the incorporation of a new
3 combined video survey index, or a fishery-independent index that
4 was composed of the Pascagoula SEAMAP survey, video survey, the
5 Panama City survey, and the Florida Fish and Wildlife Survey;
6 the final exclusion of the commercial vertical line index;
7 revising commercial discard estimates, in terms of a change in
8 the methodology that was used to calculate those discards; the
9 use of a spline function to model the commercial vertical line
10 size and age selectivity; incorporating a self-weighting
11 likelihood distribution for fitting the length and age
12 compositions; and, finally, weighting the recreational charter
13 and private and the commercial lengths by the landings.

14
15 The base model -- The overall result is that the base model
16 found that the greater amberjack stock in the Gulf of Mexico is
17 undergoing overfishing and is overfished, and you will see two
18 panel plots. On the top-right, I give you a plot, and it
19 provides per-year estimates of fishing mortality ratio to the F
20 at SPR 30. The F at SPR 30 is the MSY proxy that is used in the
21 stock assessment, and, similarly, on the X-axis, you will see B
22 over B SPR 30, and that's the proxy used for the overfished
23 status.

24
25 On the bottom-right, then you have a plot of SSB to SSB
26 unfished, and, again, starting in the initial year of the model,
27 1950, and going to 2018, and what we have here is the horizontal
28 line is the 1.0 value for SSB at SSB over MSY proxy. Then the
29 dashed red line is the minimum stock size threshold, and that is
30 calculated as -- The minimum stock size threshold is calculated
31 as 0.5 times SSB at SPR 30.

32
33 I will start now going through the individual sections. First,
34 we'll go through the data, and I would like to point out for you
35 that what I will do, going through this presentation, is I will
36 address each term of reference that was specified by the council
37 and SSC for the stock assessment, but, first, we'll go to the
38 data.

39
40 What we have on the right-hand side the right panel, is a
41 figure, a graphic, that you have seen frequently from the Stock
42 Synthesis model, and what it does is it provides you a snapshot
43 of the main and the relevant data components, and that is the
44 catches, which this should read "landings", but the catches, the
45 abundance indices that are used to standardize the model inputs.

46
47 The length compositions, the age compositions, and discards,
48 these are the primary data components, and then we have -- On

1 the sub-levels, we have the independent components of these
2 landings, meaning commercial vertical line catch landings,
3 longline, the charter and private combined, and headboat, and so
4 these follow, for each of these components, as they are
5 available.

6
7 I will just note here that we have the joint video survey index,
8 and, likewise, we have joint video length compositions, and so
9 the rest of these are the same for each of these components, and
10 that addresses Term of Reference 1 and 2, in terms of providing
11 updated data, and it's a nice figure.

12
13 It starts at the initial year of the model, and it goes to 2018,
14 which is our terminal year, again. Just to note that the
15 commercial fishery, although there may have been some fishing
16 back in the early years, the model, first here for commercial
17 data, are 1963, and it was considered and believed by the panel
18 in 2012, the SEDAR 33 benchmark, that the fishing prior to here
19 was light, if any, and so the recreational catches were deemed
20 to begin around 1945.

21
22 What this says is that the fishery was not in a completely
23 unexploited state here, and so we actually calculate that value
24 in the model, in terms of the exploitation. Other data
25 components that are relevant and important in the model, and
26 that are necessary in the Stock Synthesis model, are the life
27 history inputs, and so this is a table basically that shows you
28 the primary data component and then, if there was a decision
29 made, what that decision was, in terms of whether it was
30 unchanged or it was static from the SEDAR 33 update model and/or
31 whether it was updated.

32
33 Then I have given you three graphics here of those primary
34 inputs. The mean weight equation, it was unchanged from the
35 SEDAR 33 update. The maturity was updated, and the natural
36 mortality vector was updated.

37
38 Likewise, age and growth was updated, and there were additional
39 growth observation pairs of length and age acquired through the
40 various cooperators through 2018, and those data points were
41 updated by the new L infinity, and that was incorporated into
42 the model. Release mortality was static from the model, in the
43 model, in terms of it was not updated from the SEDAR 33 update,
44 and I have given you -- Sort of, where there was a change, we've
45 given you the comparison from the SEDAR 33 update to SEDAR 70.

46
47 I just want to say that, in the model, in terms of the growth
48 parameters, K was estimated in the model, as in SEDAR 33 and the

1 SEDAR 33 update, and L infinity was fixed at the updated value.
2
3 Continuing to move into more data, we have the recreational
4 landings, and the decision was made, and has been made as per a
5 few previous SEDARs, to use the new MRIP Fishing Effort Survey
6 data, and there were two working papers for this. Excuse me.
7 There was one working paper, WP-02, describing the Fishing
8 Effort Survey and the new estimates for the recreational
9 landings and the discards, and so we have, on the left-hand side
10 -- This will sort of follow, in terms of the pattern of the
11 display in this presentation, and I will give you, on the left
12 and right, different panels, to show you differences between
13 either a data component or between the SEDAR 70 and the SEDAR 33
14 update, and so this is the landings, and these are the discards,
15 and this just gives you graphical observations of the difference
16 between SEDAR 70 and 33 update.
17
18 Notably, we know, or we recognize, for most of the species where
19 the new estimates have been used, as landings and discards, they
20 have been larger, and we see that here, in terms of landings,
21 with the exception of -- This is for the charter/private, and,
22 for headboat -- The landings are nearly identical between
23 assessments, but, for headboat, there has been a difference, and
24 so there is a working paper on that, and that addresses the
25 differences.
26
27 In terms of commercial landings, there was no methodology
28 changes, in terms of estimating those landings and calculating
29 and summarizing them by year. In terms of discards, there were
30 changes, and that is -- There was also a working paper on that.
31 What I will just say is that it's -- The estimator for discards
32 is based on a CPUE, and it's an expansion for total discards,
33 using total effort.
34
35 Previously, from SEDAR 33 and the 33 update, the CPUE -- The
36 value was estimated through a generalized linear model, and that
37 has been changed in recent SEDAR assessments, and it has been
38 used for several assessments, several reef fish assessments I
39 should say, and the CPUE values now are estimated using -- It's
40 a statistical estimator, a classical survey design.
41
42 As I said, the landings between assessments, the protocols, the
43 methodology, has not changed, and the only difference here is
44 that we have an extension from 2016 through 2018 now, and that's
45 the same for both longline and the vertical line fishery. For
46 discards, through the change in procedure, it resulted in a
47 lower estimate, much lower estimate, for both fleets, the
48 vertical line and the longline, in terms of discards.

1
2 I would like to also note here that, for discards, previously,
3 the estimate of discards was provided from 2005 forward.
4 However, now, the methodology has been extended back through
5 time, and so we now have a series of estimates from -- I think
6 it's 1994 forward, for both fleets.

7
8 Now we're moving into length. We're moving into the data
9 component of length that's used in the model, and these are
10 retained fish as well as discarded fish. There were two primary
11 differences between SEDAR 70 and the SEDAR 33 update, and SEDAR
12 33, also, and that is, for the recreational and commercial, the
13 annual compositions were weighted by the landings, with the
14 exception of the longline. The longline was not weighted, and
15 the headboat was not weighted. The longline, the reason was
16 insufficient data, and the headboat was that the landings had
17 not been weighted by area either.

18
19 Now, the other main difference is that, in SEDAR 33 and the 33
20 update, in the model, the way that the distributions were
21 modeled was in terms of the variance -- Incorporating
22 information in the estimate between the observed numbers of fish
23 at size for a partition, and it was using a multinomial, but it
24 was using a standard multinomial, the Frances reweighting
25 procedure. In the new SS 3.30 model, it now has the ability to
26 use a Dirichlet multinomial distribution, and there is a few
27 differences in the way the actual -- The expected is calculated
28 within the distribution, and we'll get into that just a little
29 bit later, and this is basically -- These are the observed fish,
30 the proportion at size, for each sector, fleet and sector, fleet
31 meaning commercial or recreational, and this is also retained
32 and discarded.

33
34 Similarly, in terms of the observed age compositions, the
35 primary difference between SEDAR 70 and the SEDAR 33 update is
36 the use of reweighted annual compositions. There was no
37 weighting of the annual compositions in SEDAR 30 or 33, and,
38 also, the Dirichlet multinomial distribution has been used, in
39 terms of incorporating the variance, adjusting the variance, of
40 each individual partition in the fitting process.

41
42 Moving on, another data component is the indices, and there has
43 been a change, some change, between SEDAR 33 and SEDAR 70, and
44 that is there has been a decision made not to update the indices
45 from the SEDAR 33, and that is because of the recent regulations
46 have affected the indices, in terms of -- A minimum of two ways.

47
48 That is that, because of the closures, it would require a

1 complete reformatting of the model structure, looking at the
2 model structure and going back outside of the benchmark
3 decisions to use those indices any further, and, also, there was
4 considered to be some confounding, in terms of the behavior of
5 the fishery, with those indices, and so those indices are still
6 being used, but they're not being updated past the year 2015.

7
8 The commercial index, we had two for SEDAR 33 and the SEDAR 33
9 update. We had the vertical line index and the longline index,
10 and I just want to point out that here is a -- We had updated
11 the index for SEDAR 70. However, the panel felt that the
12 behavior of the index could not be explained outside of the
13 SEDAR 33 and the 33 update, and so it was felt that there had
14 been a change in fishing behavior.

15
16 There was a lot of consternation regarding, I would say, in
17 SEDAR 33 about using the index, and there had been discussions
18 of splitting the index into two time series, but, in the end, in
19 the SEDAR 33 update, the index was retained, as it was
20 developed, through 2015. In this assessment, in SEDAR 70, the
21 panel felt that there had been a change in fishing behavior and
22 that this particularly could not be explained. Thus, it was
23 decided to drop this index completely from the analyses,
24 although many of the early runs considered the index.

25
26 The longline index, on the other hand, was retained fully into
27 the model, into developing the final model structure, and
28 further on for projections, but I have given you -- I have also
29 given you the three indices here. SEDAR 33 is the green, and
30 both SEDAR 33 and the 33 update showed this, and the SEDAR 70
31 showed this decline in the index, and then followed by an
32 increase, but it was felt that it was still a valid index and
33 appropriate to use in the model.

34
35 Finally, in SEDAR 33, we had the SEAMAP survey, the SEAMAP
36 survey fishery-independent index, and we had the Panama City
37 survey. At the time of the SEDAR 33, the Florida index was not
38 considered to be lengthy enough of a time series to use.
39 However, since that time, now it has grown, and so it's now been
40 combined. It was combined and discussed with the panel, through
41 the assessment working group panel, through the series of four -
42 - I think we had four or five working webinars, and then the
43 panel felt that the combined index was more appropriate at this
44 point.

45
46 Here we have the combined index, the nominal in blue, followed
47 by the standardized index and the confidence intervals and then
48 the associated size structure.

1
2 **MR. RINDONE:** Excuse me, Nancie. We have a hand up, and I just
3 wanted to give Mr. Gill an opportunity to ask his question
4 before we got too much further away from his point.
5
6 **MS. CUMMINGS:** Sure, or I can finish the slide. Okay. What's
7 the question?
8
9 **MR. GILL:** Thank you, Nancie, and thank you, Ryan. The previous
10 slide, Nancie, could you go back to that? The decision to drop
11 the vertical line CPUE index, did that result in a change in
12 selectivity for that same period of time that it was dropped
13 for?
14
15 **MS. CUMMINGS:** No, it did not result in a change in selectivity,
16 per se, but it was just felt that this large increase in CPUE
17 was not -- That it could not be explained, and it was outside of
18 any kind of logical explanation, and that's an excellent
19 question.
20
21 **MR. GILL:** Okay. I'm a little bit baffled, because, if you
22 attribute a change in fishing behavior, I would assume that that
23 would necessarily include a change in selectivity.
24
25 **MS. CUMMINGS:** I can see that, and I think that's a very valid
26 question, but, at that point in the model structure, it had not.
27 We were still using the double normal at that point as well, in
28 the selectivity, and I can -- Later, and I think it's really
29 good question, we can also, later, look at the plots with the
30 selectivity.
31
32 At that point, we went further on, when we dropped the index.
33 We dropped the index, and then we went further on, as you
34 recall, in developing the model, and so we were still using the
35 double normal, and, from there, if you recall, we went on to
36 tweaking the model for -- Basically, we adopted the spline
37 function later on, but there was still no major change in
38 selectivity, but we can look at those plot, because we have
39 those. They're not a in presentation style, but we can take a
40 quick peek at them, if you want.
41
42 **MR. GILL:** Thank you, Nancie.
43
44 **MS. CUMMINGS:** You're welcome. It gave me a chance to get a
45 drink of water.
46
47 **CHAIRMAN POWERS:** I think, when you get to an appropriate time,
48 we may want to just look at the plots, and you can get that

1 directly from the assessment report, too.

2
3 **MS. CUMMINGS:** Right. Well, at that point -- The South Atlantic
4 report, Joe, will only have the final indices, I mean
5 selectivity, the fleets in there with the final, and so they
6 wouldn't be in the assessment report, but they're in the R for
7 SS files, and we have those.

8
9 **CHAIRMAN POWERS:** All right. Well, anyway, at an appropriate
10 time, maybe let's take a look at that. All right. Go ahead.

11
12 **MR. RINDONE:** Shannon.

13
14 **DR. SHANNON CALAY:** Thanks. I was just going to elaborate on
15 what Nancie has said. Basically, there was a large change in
16 the relative abundance reflected in the survey at about the same
17 time as the imposition of some of our IFQ fishery programs for
18 red snapper and for shallow-water groupers, for example.

19
20 The panel thought that the big change in relative abundance from
21 that index was probably not due to an actual change in
22 abundance, but instead to changes in fishing behavior that might
23 have changes to both catchability and selectivity, and, rather
24 than trying to break that index, or freely estimate those sorts
25 of changes with the data available, they chose to simply not use
26 that index of abundance.

27
28 **CHAIRMAN POWERS:** That was in the early 2000s?

29
30 **MS. CUMMINGS:** No. As you see here on the right-hand panel, we
31 see the 2012 -- We see that's the 33 index, and so it stops
32 there, and so, when we move into the SEDAR 33 update, which is
33 the green line, we have the increase, and we have the -- The
34 panel, in the SEDAR 33 update, they elected to keep the index,
35 but with some reservations.

36
37 We see that, when we come to SEDAR 70, that we have additional
38 data and observations, and, again, these are observations from
39 the coastal logbook, and so they are reported observations of
40 catch and effort and then standardized, but we see this similar
41 drop, but then, again, after, after the 33 update, which ended
42 in -- The data point was 2015, and then we have some drop, and
43 then we have, again, a big increase, and so, as Shannon noted,
44 there were additional questions, and the questions were raised
45 that, with the -- With all of the IFQs, that this could also
46 have affected this fishery, and the way it affected it was not
47 really identified.

48

1 **CHAIRMAN POWERS:** All right. Thank you.

2
3 **MS. CUMMINGS:** You're welcome, and I will just point out, also,
4 and I think maybe it might have been Mr. Gill that pointed this
5 out all along in the webinars, is that this, again, is not
6 really a targeted fishery, and the primary removals are from the
7 recreational component of the data, and so removing this index
8 or keeping it in, in the end, like in the SEDAR 33 update, did
9 not make a big difference, if you go back and look at the
10 jackknife sensitivities that were done. Thank you.

11
12 Then we moved on to fishery-independent indices, and the panel
13 felt that the combined series was stronger and would reflect the
14 growth of abundance of not just what one particular life stanza,
15 but small juveniles as well as some large fish, and so that's
16 what we have here, is the density, and this is the nominal
17 density, the weighted nominal density, of the length
18 composition.

19
20 What you've seen thus far, or what I have presented thus far,
21 has been a general overview of the pertinent data components
22 that go into the population model, and I have given you an idea
23 of not just all of the components, meaning the landings, the
24 indices, and the compositions, but also any of the pertinent
25 changes, and what you saw was that one of the largest changes
26 was the incorporation of the FES survey, as well as dropping the
27 vertical line index, and those were two main data issues that
28 changed.

29
30 In addition, in Term of Reference 2, with data, there was some
31 additional information presented on greater amberjack, and it
32 was through some oil and gas -- Some exploration of the oil and
33 gas platforms in the central and western Gulf of Mexico, and
34 that study was presented, I believe to the council last year,
35 and we were asked, in the term of reference, to consider that.

36
37 There was a significant fraction of amberjack that were
38 residing, or were observed, on these oil and gas platforms, and
39 it was noted by the panel that these results could have some
40 important implications for the assessment and future management
41 advice.

42
43 The panel considered those, that paper, and it was noted that,
44 in order to completely and fully incorporate the information on
45 this study, which was a snapshot in time, that there would need
46 to be a complete model restricting, and that would require
47 additional time and effort, staff effort also, but it would
48 require completely restricting the model, in terms of temporal

1 and spatial, but in particular spatial, stratifications.
2
3 That had not been done previously in the SEDAR 33 benchmark, or
4 the update, and so the current model structure that was carried
5 through for the operational assessment -- I don't know if we
6 call it an update, an operational update, but it's an
7 operational assessment, but that would require completely
8 additional -- Not just time and effort, but a lot more thoughts,
9 in order to fully address that, and so it was recommended, and
10 it's still recommended, that this be considered when a benchmark
11 -- During a research track assessment for this resource, to
12 incorporate additional information on spatial stratifications
13 that could fully incorporate this type of information that's
14 being collected.

15
16 I am going to start with model development at this point, the
17 base model, and the base model meaning the final model that was
18 elected, or adopted, by the panel, and I will go through the
19 development of the model, how I went through it, how I got
20 there, some of the fit characteristics, the results, the main
21 results, and the diagnostics. It's early, but, if you wanted to
22 ask a few more questions or take a break, then it would be a
23 good time, or we could move into -- This will take a fair amount
24 of time, and this will address -- The base model is addressing
25 Terms of Reference 1 and 3, the development of the model and
26 results of the model. I am not hearing any change. Okay.

27
28 What I have here is a slide that shows you how I moved through
29 developing getting to a base model, a final base model, and we
30 have a table here with six steps mentioned, and I will describe
31 each step, and I will show you what model was used, in terms of
32 development, and I will give you three pieces of information on
33 the result of that model on some of the performance results, and
34 that includes the likelihood, the lowest likelihood, a gradient,
35 meaning the overall final gradient for that model across all the
36 data components, reminding you that, in the process of fitting
37 the model, it was fit to individual partitions of the data, as
38 they are available in the model, meaning year, landings, et
39 cetera, indices.

40
41 Then I, finally, will be giving you one piece of information
42 that we chose to sort of describe how the model -- How the
43 development of the model was proceeding and what was changing.

44
45 In the 33 update, and it was kind of finished in 2015, but it
46 was presented in 2016, and that model was the 3.24 version of
47 Stock Synthesis. The likelihood value, the final likelihood,
48 was this value, 1,191. The gradient was that, and it achieved a

1 log recruitment of 7.93.
2
3 What we wanted to do, in moving this model into the 3.34 version
4 of the SSC, was this. It was to, first -- What would the model
5 results have been if we just converted it, so it's an apples to
6 -- There is no other changes, no new data or anything, but we
7 just converted the model to 3.30, and that is we achieved
8 similar, pretty much similar, likelihood, and we've got the same
9 data, and you would think that, hopefully, it would get the
10 exact same likelihood, but it really never does. The
11 recruitment, unfished recruitment, is about the same.
12
13 Then the next thing is we want to do what would that model have
14 looked like, the results, had we just added in the FES catches,
15 and so then we know that we're not adding the new data.
16 Remember the terminal year was 2015 here, and here it's 2015,
17 and here it's 2015. The only thing we've done is we've
18 substituted the FES catches here, and we see that we're
19 achieving -- The model is reaching a larger unfished recruitment
20 value, but, again, the gradient is similar, and the likelihood
21 is similar. Again, we've not added any new years of data, and
22 so we expect a pretty similar likelihood.
23
24 Now we get into the additional steps, moving towards the final
25 base model, of adding data and tweaking the model and adjusting
26 the model for basically what we call fit and configuring the
27 model to something that is considered reasonable. I just want
28 to point out that, although you see six steps here, there were
29 nearly 100 models run from here to there, because it just takes
30 a lot of time, and, also, there is a lot of questions and
31 decisions, such as the really good one we had earlier about,
32 well, if you take out an index, how does it affect selectivity,
33 and so then we start looking at let's add the new growth
34 information, and those are pretty straightforward, meaning L
35 infinity, update the maturation, the maturity ogive.
36
37 We know that we have -- Since the SEDAR 33 update, we had a new
38 recreational size limit, and so I added a new time block, and so
39 on and so forth, and so now we have all new data here, and so
40 let's go back to Step 3, and so we have more data to try to fit
41 over, and our likelihood goes larger. Again, the $\ln(R_0)$ value
42 is staying about where it did when we just added the FES catches
43 in, and so it's in the same kind of ballpark.
44
45 We have seen -- I would just go back and note that, with other
46 assessments, we've seen that, when we add the FES catches, they
47 have been usually larger, from a species, but that unfished
48 recruitment value also increases.

1
2 Now, between Steps 3, 4, and 5, again, this is just adding the
3 relevant inputs that have been updated and tweaking, and then
4 Step 5 is where we really, really start moving the model into
5 what we're hoping is going to be the neighborhood of the final
6 model, and that is, in Step 4, we have the basic compositions,
7 unweighted. In Step 5, now we've weighted our length
8 compositions and our age compositions, and we've changed the --
9 We have started adjusting the variances of these compositions
10 using the Dirichlet multinomial, and then we've added the index
11 reweighting. Here, we also attempted to estimate steepness, as
12 well as all three stock-recruitment parameters, and then,
13 finally, we removed the vertical line index.

14
15 Then we are still achieving a fairly reasonable gradient now,
16 because we're using our reweighting for bringing our likelihood
17 down, and we're fitting the data little more better, and then,
18 finally, just to note that our $\ln(R0)$ value is a little higher,
19 and it has changed a little bit, but, also, we're now trying to
20 estimate all three stock-recruitment parameters, and so the
21 final model that was adopted and agreed to by the panel -- The
22 panel selected to not put -- We had tried to put a prior on
23 steepness also, but to not put a prior on steepness, but also
24 agreed to fix σR and steepness, and so this is probably --
25 I shouldn't have put that there, because we're not estimating
26 steepness.

27
28 Then to use a spline selectivity function instead of a double
29 normal for the commercial vertical line fleet. Again, the
30 likelihood, this final likelihood value, is pretty similar to
31 Step 5, when we've actually added all the data and all the
32 updated data, and the gradient is a little worse, and we would
33 actually like to see a gradient lower than this, but we've
34 actually got a model that has converged and is doing fairly
35 well, and you will see the result of that convergence
36 performance later. Then, finally, the $\ln(R0)$ value is pretty
37 similar.

38
39 This is a graphic that was developed back in -- I think in
40 vermilion, and then SEDAR 28, which was cobia, and it was liked
41 by a few people, and so we're deciding to keep it, and,
42 obviously, we could put all those interim steps in here that we
43 tried, but you lose kind of track of where you are too, and it's
44 very difficult to actually keep up with where you are, but this
45 is what we decided to do.

46
47 Now what I'm going to do is, for the base model, I am going to
48 take you through the basic model fit to each of those data

1 components, landings, comps, indices, and then we'll go into
2 diagnostics, and I will give you -- For most of the plots, it
3 will look left is the SEDAR 70 panel and our SEDAR 33. Even
4 though these are not -- I appreciate Ryan pointing this out, but
5 these are not apples-to-apples comparisons, and the reason being
6 we've got new data.

7
8 Not just new data, but extra data, 2016, 2017, and 2018, but
9 we've also got a little different model structure, and we also
10 have -- For the most part, the model structure is the same, but
11 we do have some differences, deviations, that I showed you
12 earlier, but we also have the FES data, and so, here, this would
13 be different.

14
15 On a fleet-by-fleet basis, for the landings, we see that we have
16 a pretty near identical fit for the longline and the vertical
17 line. We believe, and the panel made the decision, back in
18 SEDAR 33, that the commercial data are much -- The reporting is
19 pretty good, and it's a pretty narrow census, and that there was
20 a lot of amount of error around it.

21
22 We have a larger amount of error around the recreational, and
23 this would be the charter and private MRIP and then the headboat
24 data, but you see, in SEDAR 33, that it was almost an exact fit,
25 and it's not as completely an exact fit now, and this is the
26 model fit, and so, within SSC, this is the observed and expected
27 model fit.

28
29 That sort of sets up the slides, and I don't have to go into all
30 the details on all of these other slides, because now you have
31 the details. Again, you see, with the discards, you see the
32 commercial has a pretty good fit, and less so for the longline.
33 This is something that would be of research interest, to try to
34 adjust why we have this good fit, but I will also point out that
35 now we have the discards -- The estimate of discards has been
36 considerably, largely, reduced, through the new estimation
37 procedure.

38
39 With the charter and private -- With the headboat, it's a very
40 good fit, and, with the MRIP charter and private, it's not so
41 good for a couple of years, but not a horrible fit for the
42 discards.

43
44 Now we'll move into the indices and the fits. Again, you're
45 just going to see the longline and then the two recreational and
46 the final joint video survey fits. Again, the SEDAR 70 is on
47 the left, and the SEDAR 33 update is on the right, and, here, we
48 notice that these fits -- We have large CVs associated with the

1 commercial longline and with the MRIP, and they are much larger
2 for the recent year, and these are the -- This is coming off of
3 the model, again, and so this is the observed and -- Excuse me.
4 This is the observed fit and the standard errors off of the
5 model fit.

6
7 I would just note that, again, these indices here, and I would
8 say the headboat and the MRIP, are reflecting juveniles through
9 young adults, and they're not reflecting the largest fish, as
10 are the longline, and then the joint video survey index is
11 considered to reflect the juveniles plus somewhat the young
12 adults and some adults. It had three years of very high
13 standard errors, also.

14
15 Before, you saw the basic length compositions, and now these are
16 the fitted compositions off of the model. Again, SEDAR 70,
17 versus the SEDAR 33 update, and these individual panels reflect
18 those individual categories of the various fleets or surveys,
19 and that is the vertical line, and these are the discarded fish
20 and the retained fish. These are the headboat, the charter and
21 private, and the vertical line is retained, and the longline
22 discards, and the survey. These will be the combined weighted
23 observations off of the three surveys.

24
25 Here, I just want to, again, point out to you that, in the SEDAR
26 33, we have the SEAMAP video and the Panama City video, and they
27 were split out. Here, we have all three surveys combined.

28
29 The take-home message here is that we're able to fit the
30 vertical line -- We're able to fit some fleets a little better,
31 some categories a little better, in SEDAR 70 than we did in
32 SEDAR 33. However, there was one category that we were not able
33 -- That I was not able to fit very well in SEDAR 70, and that is
34 the discards, and so likely the selectivity retention function
35 needs -- It continues to need some work.

36
37 We will point out that an improvement in SEDAR 70 came through
38 the weighting of the charter private, in terms of the retained
39 fish, but I would also point out that, in SEDAR 33, we had some
40 selectivity retention parameters that were autocorrelated, and
41 we had very few parameters in SEDAR 70 that have any
42 autocorrelation of a high level, meaning of 0.7 or higher even,
43 and that is detailed specifically in the SEDAR report.

44
45 Rather than dwell on these individual panels, although they're
46 very interesting, what we feel is better, in order the judge the
47 fit, are the Pearson residuals, and this is what we have in the
48 SEDAR 33 update, and it also is quite similar to what you saw in

1 the SEDAR 33 benchmark, and this is the updated SEDAR 70, and so
2 what you see, at first glance, is that, in SEDAR 33, we had very
3 poor fits with the vertical line, and we had some problems with
4 the retained fish, even for the charter and private, and I'm
5 just going to recall that what we've done is here is that we've
6 -- For the vertical line, we have improved the fit tremendously,
7 and it came through the use of the spline function, primarily,
8 and it was able -- The spline function is not parametric, and it
9 was able to actually -- I think I set seven nodes, and we were
10 able to let it move and estimate a fit that was somewhat better
11 than in the SEDAR 33 double normal model.

12
13 In addition, we turned off the tail compression, and that
14 lowered that chi-squared value. Then I would just point out
15 that, as in SEDAR 33, we still have that -- I pointed it out on
16 the previous slide, but that misfit in the discard, the private
17 discard, and, in a few years, for the retained fish for the
18 vertical line, and I should have been pointing this out, in
19 terms of the spline function, but we still had similar problems
20 in a few years for the vertical line, in terms of the retained
21 fish. Then, also, I would point out that we used the Dirichlet
22 in terms of the variance reweighting.

23
24 Then, continuing, the headboat retained fish, there are still
25 some problems, but much better fits, in general, and then the,
26 for the trap video, we now -- We have added those early years of
27 data from those earlier surveys. I'm sorry. The later years of
28 data from the three surveys.

29
30 Similarly, just to show you the overall fits for the age
31 compositions, and so you see SEDAR 70 on the left and the SEDAR
32 33 update on the right, and there aren't obvious differences in
33 the fits, in terms of the improvements in fits, although I have
34 to point out that, for the longline, we were able to better fit
35 the tails, and that was through -- I feel it's through the tail
36 compression that we turned off, and it was trying to actually
37 fit these earlier, out to here.

38
39 Then, similarly, you have got the Pearson residuals, and so, at
40 first glance, we can see that the bubbles -- The larger the
41 bubble, whether it's minus or positive, the worse the fit is,
42 and you see that that largest residual is a four, a minus-four
43 to a positive-four, whereas, in SEDAR 33, it was almost three-
44 times that.

45
46 Again, there have been some changes, in terms of the fitting,
47 and that is whether it was the weight at-age compositions, using
48 the length composition, the landings, and/or whether it was the

1 Dirichlet weightings, and, also, there were some sample size
2 cutoffs that were applied in SEDAR 70 that were not applied in
3 SEDAR 33 or the 33 update, and you can see those by these
4 samples here, and we lost one set of samples in the early set of
5 years, and so this is a good time to point out that, through
6 looking at the composition data, what your data-rich years are,
7 the data-rich years being primarily, for the age comp, being
8 2000 forward, and, for the length composition, your data-rich
9 years are really from the mid to -- From 1981 forward, and just
10 keeping in mind that we have a model that has an initial start
11 year of 1950, and so we really only have sample data, length
12 data, and age data from the 1990s forward, or 1980s forward for
13 length and 1990s for age data.

14
15 I am going to move on to the model results, and these are after
16 the model had been developed and tweaked, so to speak, and the
17 panel felt that we had a fairly stable model with reasonable
18 results and we could move on to doing what is really critical,
19 and that is looking at some of the diagnostics and so forth,
20 but, before we look at diagnostics, what we have here is two
21 panels of the summary of the fishing mortality, and by fleet as
22 well, and so annual exploitation, showing that the fishery -- As
23 we know, it started at a near-virgin stock back here, in 1950s,
24 and then exploitation increased through the late 1980s and then
25 exploitation followed through until the current year, with some
26 ups and downs of decreasing exploitation and increasing
27 exploitation, and some of this, obviously, was due to
28 regulations, be it lower size limits and/or quotas that were
29 implemented.

30
31 We have, on the right-hand panel, a depiction of the fleet-
32 specific instantaneous fishing mortality rates, showing you what
33 you already know, and that is that the charter private fleet had
34 the largest -- The fisheries were exploited mainly by the
35 charter private, and particularly in the vertical line, but less
36 so through the mid-1990s, and then the vertical line fleet has
37 shown a significant decline in fishing mortality, but still has
38 experienced some slight increases in the recent years, whereas
39 the charter and private fleet has -- Although it had a large
40 decrease in the early 1990s, and it was followed by a
41 significant increase in F since 2000, and it is continuing to
42 have F s, to experience high F s, through this late 2000s, except
43 in the last couple of years. What I will now move on to --

44
45 **CHAIRMAN POWERS:** Let me interject. Can you go back? What is
46 the scale on the one on the right What do you mean by
47 cumulative F ?

48

1 **MS. CUMMINGS:** Cumulative? It's not cumulative. It's
2 continuous.
3
4 **CHAIRMAN POWERS:** I can't even see that. So the yellow line,
5 you're talking about Fs of around one?
6
7 **MS. CUMMINGS:** Yes.
8
9 **CHAIRMAN POWERS:** Okay. Thank you.
10
11 **MS. CUMMINGS:** On the left-hand plot, Joe, can you read "summary
12 fishing mortality"?
13
14 **CHAIRMAN POWERS:** Well, that's just me and my eyes.
15
16 **MS. CUMMINGS:** Okay. Thank you very much.
17
18 **MR. RINDONE:** Luiz.
19
20 **DR. BARBIERI:** Thank you. Nancie, just before you go further
21 into the results, I thought I would go ahead and ask this
22 question now, and can you go back to Slide 17, briefly, the one
23 for landings? You said that you were able to actually give a
24 little more freedom to the fixed landings, right, with this --
25
26 **MS. CUMMINGS:** We have an error associated with the annual
27 landings for --
28
29 **DR. BARBIERI:** Right. We you able to actually input the actual
30 CVs for the different kinds of landings, or you had to assume
31 some other error?
32
33 **MS. CUMMINGS:** We have input -- It's a single value, and it's
34 0.01 for the commercial and 0.15 for the recreational, and those
35 were estimated empirically, and I don't know if you were there,
36 at the SEDAR 33 benchmark. We could make it -- We could tighten
37 this up, if you believed it, but you actually -- As you know for
38 recreational, you do have estimates of the CVs, and the new
39 model, 3.30, can take annual values of that error. It was not
40 used in this application, because it was not -- It needed to be
41 updated, and so we used the value of 15 percent, or 0.15.
42
43 **DR. BARBIERI:** Right. Thank you, Nancie. I mean, that's
44 exactly what I was asking, is whether you were able to use the
45 actual CV values for the different kinds of landings, the inputs
46 to landings, or if you had to continue using that assumed.
47
48 **MS. CUMMINGS:** We used a single value.

1
2 **DR. BARBIERI:** Right. Okay. Thank you.
3
4 **MS. CUMMINGS:** So a research recommendation could be to re-
5 estimate those by year, but they're going to -- They may be
6 more, and they may be less, but there's going to be a great deal
7 of variability, and so that single value of 0.15 was -- I can go
8 back and look at that, but it was determined to be, I think, an
9 average over a set of years.
10
11 **DR. BARBIERI:** Right, and, just to clarify, that was used across
12 all fleets, right?
13
14 **MS. CUMMINGS:** We have one for commercial and one for
15 recreational.
16
17 **DR. BARBIERI:** I see. Okay. Thank you.
18
19 **MS. CUMMINGS:** You're welcome. It's a good time to get a water
20 break, and so I appreciate that. Okay. So we're continuing to
21 the base model results, and I'm going to move through the length
22 and the age-based selectivities. Just to recall, from SEDAR --
23 So you have a SEDAR 33 and SEDAR 70, and this is the length-
24 based selectivity, that selectivity value going from zero to
25 one, and, likewise, the age-based selectivity derived from the
26 length-based selectivity for SEDAR 70 and SEDAR 33.
27
28 I will point -- You have it by fleet, and so I will just point
29 out the first two are vertical line and longline, and then the
30 private and charter and headboat, and I will note to the Panels
31 2, 3, and 4 first.
32
33 The selectivity function, length selectivity function, was
34 unchanged between SEDAR 70 and SEDAR 33, and so you would expect
35 those to be fairly similar for these fleets, the longline, the
36 private, the double normal, double normal -- Excuse me.
37 Asymptotic for the longline, and then, for the vertical line, it
38 was a double normal, in the SEDAR 33 update, and we worked with
39 that in SEDAR 70, and then, at the very end -- It was actually
40 myself and the developers looked and said, well, let's try a
41 spline function, just to see if we can get a better fit to the
42 data, and it was felt that that was appropriate.
43
44 What you have here is -- We won't dwell at the individual
45 values, but you can look at the 50 percent length selectivity
46 and/or age, meaning -- Knowing that, for the longline fleet,
47 they're not quite as selected, at 50 percent, as the other
48 fleets, and so you can see those, and that certainly plays into

1 the retention function that is used also to model the discards,
2 the biggest difference here being the vertical line and moving
3 from that double normal to the spline function, in that the 50
4 percent selection has changed from around seventy-five
5 centimeters to more so around 100, and that's sort of what we
6 expect with the larger fish, and then the falloff is a little
7 sooner, the drop-off.

8
9 Then what we have here are, for each fleet, I have just broken
10 down and shown you the selectivities and the retention functions
11 individually, and these are also depicted in the report, and,
12 again, this is the ending year selectivity, and so that would be
13 2018, and the various selectivity retention functions, and so
14 it's showing, again, the 50 percent selectivity, at around sixty
15 centimeters or so.

16
17 Then, finally, we have the index selectivities at length, and
18 that's from the MRIP charter survey, and then this is for the
19 SEDAR 33, the SEAMAP survey and the Panama City survey, showing
20 that, yes, there were some smaller fish from the Panama City
21 survey and some from the SEAMAP survey, extending to some of the
22 larger fish.

23
24 The joint video survey, representing SEDAR 70, is a composite of
25 all three surveys, and the FWRI survey was not included here
26 separately, and it wasn't -- We didn't think that we had to put
27 it on the plot separate, because this is reflecting all three
28 surveys, and then, finally, moving to just some of the
29 pertinent, the key, metrics that come off the model, the SS
30 model, and that is the total biomass, the spawning biomass,
31 those fishing mortality rates, which you have seen earlier, and
32 you saw the annual fishing mortality rate as well as the fleet-
33 specific mortality rates.

34
35 Here, what we have here are SEDAR 70, again in red, and SEDAR 33
36 is in blue, and you see that what we expect with the addition of
37 the FES catch, and we basically see a higher value of the total
38 biomass in the early year, and you would expect the spawning
39 biomass ogive to sort of follow that total biomass trajectory,
40 and, here, we have not only the estimates by year, but we also
41 have the profile of uncertainty, which indicates that, in the
42 early part of the time series, it's not quite as uncertain.

43
44 I will also point out that, between the two panels, as we move
45 through time, in the beginning of the start of the evaluation,
46 that the two curves join, get closer together, and then,
47 finally, just to point out, again, that SEDAR 33 moved only
48 through the 2015 year, and we now have extended the trajectory

1 through 2018, and just to say that the trajectory indicates that
2 the SEDAR 70 estimate is a little bit more optimistic, in terms
3 of -- Or it produces higher estimates of total biomass and SSB,
4 and that's not surprising, given the addition of the FES
5 estimates.

6
7 Finally, in terms of the stock-recruitment relationship, I will
8 just point out that we initially tried to estimate steepness as
9 well as σ -R. Through the profiling, it was felt that we
10 couldn't quite reach a -- Although we reached -- The model found
11 a value in the area of an MLE, but it was somewhat flat, and so
12 it was felt that the model should be -- Going forward, the model
13 should be fixed at the steepness value and the σ -R value,
14 and we'll show you those profiles shortly.

15
16 In particular, when we went ahead with estimating statements in
17 σ -R and went through the retrospectives and the jackknives,
18 there was a little bit more instability, and so it was felt that
19 it improved the model, and so what you have here then is the
20 spawning output, the estimated recruitment, and then, on the
21 right-hand panel, you've got the estimates of recruits and the
22 95 percent confidence intervals.

23
24 Again, noting that, although the model year is 1950, and we
25 actually turned on recruit deviations back to these early years,
26 our data-rich period begins in these years, and so we see the
27 uncertainty not only in the recent -- The most large uncertainty
28 in the recent years, but we see some large uncertainty also
29 before the years of really good age data, or better age data.

30
31 Then, in terms of status, so that we would know where we were,
32 where we are, in the current situation, and you saw this in the
33 overview, we have two panels here, two plots, again with the
34 plot for each year, an estimate of F over MFMT versus SSB over
35 the proxy, SSB 30 percent, and then, on the right-hand side, you
36 see the SSB over MSY proxy by year, and so you see these
37 individual points have been taken out and plotted, and you see
38 that we are currently below the 1.0 level, and the MSST level is
39 0.5 times the SSB at MSY proxy.

40
41 Then you saw the development of the model, and you saw how we
42 moved forward adding the data and tweaking the model and adding
43 the relevant upgrades to the model, upgrades meaning update the
44 areas of life history inputs and update the -- Or improve on the
45 fitting of the data, meaning adding the Dirichlet multinomial
46 and trying to fit the commercial data in a better way, and so
47 now -- And you saw some of the early results, and so now how did
48 the model do in terms of stability? In other words, if you ran

1 it a thousand times, what would you get?
2
3 What we did was -- It's usually run 100 to 200 times, and we did
4 jitters -- I did 100 jitters, and what happens in the SS model,
5 in the jitter process, is it changes each of the parameter
6 estimates within the model randomly by 10 percent, and so the
7 basic -- What you have on the right-hand side is for each of
8 these data components, which I addressed, and you have a total,
9 plus you have the various categories, the discards, the catch,
10 and that's the landings, and the age comp.
11
12 Of those 100 runs, ninety-six of those runs converged to within
13 one likelihood point of the base model, and that's actually
14 pretty good, and no runs demonstrated a lower negative
15 likelihood, and so, although you would like it to be 100 of 100,
16 it's never usually that case, and so I will just move on forward
17 from here, but what you see is what we usually expect. In a lot
18 of cases, it's the length component where you see the changes,
19 the largest changes. Again, these are changes in likelihood and
20 then the age comp.
21
22 Finally, we like to see that the model is going to reach a low
23 value, in terms of lowest value, in terms of the estimates in
24 the log-likelihood, also. We see that, for -- On the top, you
25 have -- On the left, you have the log of unfished recruitment.
26 On the right, you have the steepness parameter, and we see that
27 we were able to reach a fairly flat space, and we have a
28 minimum, and the panel felt that was appropriate and logical.
29 However, for steepness, there was not quite -- It wasn't quite
30 the -- It didn't quite reach the lowest flat space that we
31 wanted to. It did reach an MLE, and so the panel adopted, for
32 both steepness and sigma-R, and this is a fairly mess plot, to
33 actually fix the values at the lowest value.
34
35 Then I will just go back to this plot here. On the bottom, we
36 have basically a plot of SSB over SSB zero under both of these
37 scenarios, in terms of profiling, whether it's log of unfished
38 recruitment or profiling steepness, and we do not see any strong
39 indication that we have any aberrant result, in terms of what
40 that metric was, and this was calculated for a set of metrics,
41 but I just chose these two to show you, and the panel looked at
42 most of those plots, I believe, and then, similarly, for sigma-
43 R, although the response wasn't as flat as you would like, or as
44 low as you would like, still there was no aberrant indication or
45 an issue, in terms of estimating sigma-R or setting the value at
46 that level that we chose. We chose 0.777 for steepness, and we
47 chose 0.55. 0.524 was selected for sigma-R.
48

1 Moving forward, after the panel decided that it was appropriate
2 to fix steepness, fix σ -R, and estimate the unfished
3 recruitment, as well as adopting all the decisions that were
4 made regarding the fitting, the basic fitting, in terms of
5 dropping the vertical line index and the use of the Dirichlet
6 multinomial and adjusting for variance adjustments, and, also I
7 just pointed out -- I didn't point out that the index variances
8 were also adjusted, using the same procedure as in SEDAR 33.

9
10 Then it was important to say, okay, if we hadn't used the input
11 of new data, how would that affect the model, in terms of key
12 metrics, SSB, fishing mortality, and the number of recruits, and
13 what we see in all of these is that we see no large -- We see no
14 tendency of a retrospective pattern, meaning removing data did
15 not have a major impact on any of the estimates of SSB, going
16 backwards in time, in terms of -- This is taking 2018 out, and
17 then taking 2017 and 2018 out, and then taking 2016 through 2018
18 out, and, finally, 2015 through 2018 out. We do see a cloud, in
19 terms of fishing mortality, with this, and we probably would
20 expect a little bit more difference. If we exploded those, then
21 you probably will see that these are very small values, also.
22 Finally, with recruits.

23
24 Then, also, the idea of -- The next question could be how do
25 individual datasets affect the model, in terms of its ability to
26 estimate, on these key metrics of SSB, recruits, and fishing
27 mortality, and, with the exception of the joint video and the
28 private, it really didn't have any effect, in terms of, if you
29 remove the longline, or the headboat, there was really no impact
30 on the model results, on these metrics anyway.

31
32 Then we -- As you recall, or some of you recall, and I'm sure
33 that all of you weren't around for SEDAR 33, which ended in
34 2012, and the SEDAR 33 update, which ended in 2016, but a
35 production model was used in SEDAR 33 and the 33 update. SEDAR
36 33. It dated back, actually, to SEDAR 9, and so we were -- As
37 you know, the production model was ASPIC, and it was a block
38 biomass model, meaning it does not incorporate information on
39 size or age, and you're not able to separate -- In terms of
40 biomass, you cannot separate out the biomass of recruits, but we
41 were asked to look at a production model for SEDAR 70 as a
42 sensitivity, and so how would the results from SEDAR 70, using
43 the Stock Synthesis, the preferred model adopted by the SEDAR 33
44 update, or 33 rather, and how would that relate to, compare to,
45 using a production model again.

46
47 The model -- I have just pointed out that the production model
48 does not incorporate size or age, and it does not use

1 selectivities to model time-varying parameters or regulations,
2 and it cannot incorporate natural mortality, and, as you know,
3 it does not fit to the comp data.

4
5 What we provided here for you was just a general comparison of
6 the estimates of F over F_{MSY} , which is in the green, and then
7 blue are the B over B_{MSY} , and so you might compare those with
8 the 1.0 level, which you would want to be below that for the
9 fishing mortality and above that for the B over B_{MSY} .

10
11 Just noting that this is a simple sensitivity that was provided
12 by a sub-team of the group, and it relates to Term of Reference
13 4. It did not go into a full suite of sensitivities, such as
14 the B over K values that were explored in SEDAR 9 or SEDAR 33
15 update, or 33, but we present this here, in terms of fulfilling
16 Term of Reference 4, noting that, if you were to look at this
17 further, you would have to go into an extreme amount of
18 additional work.

19
20 To summarize, for the base model results, in terms of Terms of
21 Reference 1 and 3, in terms of the Magnuson-Stevens, the
22 reference points for evaluating where the stock is currently, in
23 terms of these reference points, I have given you a panel with
24 three columns of the variable that is of interest, the metric,
25 the definition, and then the value, and I am not going to go
26 into all of these.

27
28 These are -- I would say the first group of items relates to
29 most of the assumptions that you've heard today regarding inputs
30 and how they were adjusted, in terms of the M , whether steepness
31 was fixed or not, and then the second set of metrics addresses
32 mortality rate criteria within the Magnuson-Stevens reference
33 points, and then, finally, the biomass criteria, and then I've
34 given -- What we want to focus on are what's the current value
35 of fishing relative to the proxy, the proxy being F 30 percent
36 SPR for this stock, and it's at 1.729, and so 173 percent
37 higher, and then, likewise, under the biomass criteria -- I will
38 just point out that, for this stock, the overfishing criteria
39 has been redefined, and it was one minus M times SSB at SPR 30,
40 and it is now 0.5 times SSB at SPR 30, and so we have that
41 value, and then we have the equilibrium yield at the SSB MSY
42 proxy.

43
44 Now, knowing that we are above -- The current level of SSB in
45 2018, the overfished rate value, is 0.68. The current value of
46 SSB to the unfished level of SSB is 10 percent, and so knowing,
47 that we are overfished, then that sets into place a couple of
48 things, in terms of projections, meaning that we -- It is

1 overfished, and that we need to rebuild to the unfished level at
2 the proxy, the equilibrium level, and so it is at 10 percent
3 currently, the current level of stock biomass in 2018 to the
4 unfished level. In terms of the overfished level, it is at 68
5 percent, and that means we need to rebuild to 70,118 metric
6 tons.

7
8 Now, this might be an excellent time for a break. What I will
9 do is I will go into projections. I will give the settings and
10 then the assumptions and then some results, and then I can also
11 offer -- I can offer more questions, if you have any at this
12 point, or we can move on.

13
14 **CHAIRMAN POWERS:** Thank you very much, Nancie. I think this
15 would be a good time for a break, and so let's take a fifteen-
16 minute break, and then we'll come back and entertain questions
17 on what Nancie has done before, and then we'll go on into the
18 projections. All right. Fifteen minutes. Thank you.

19
20 (Whereupon, a brief recess was taken.)

21
22 **CHAIRMAN POWERS:** We will return and open the floor for further
23 questions about what Nancie Cummings has presented thus far, in
24 terms of the overall results and the modeling that went in to
25 get there, and so let me open the floor. Luiz.

26
27 **DR. BARBIERI:** Thank you. Nancie, I was just trying to get back
28 to that steepness, the fixed steepness value that was chosen,
29 and so I have a couple of questions. One is you mentioned how
30 that choice was made by the panel.

31
32 **MS. CUMMINGS:** Yes.

33
34 **DR. BARBIERI:** I would like to revisit that, briefly, and then
35 ask if you looked into how that estimate, or the value chosen,
36 and how does that value actually relate to the SPR 30 percent
37 reference points that is being used. Like, similar to those
38 discussions that you may remember that we had back in I guess it
39 was SEDAR 33, and so just to calibrate amongst those thoughts.

40
41 **MS. CUMMINGS:** Okay. First of all, are you seeing my notes, or
42 are you seeing the regular slide show?

43
44 **DR. BARBIERI:** We're seeing the notes.

45
46 **MS. CUMMINGS:** Okay. That's good for me, if that's okay with
47 you guys, because the notes are important. what I wanted to
48 note, Luiz, is how the value for steepness was chosen was that

1 we ran the profiles from steepness for the base model from 0.4
2 to 0.99 at various levels. What you're seeing here are at 0.05
3 values, but they were run from like 0.05 back to 0.01, the one
4 you're seeing here, and so what we saw was that, although the --
5 It was rather flat in that entire region. The value that was
6 selected by the panel was 0.777.

7
8 You would like it to be a little bit more distinct, more
9 distinct low, but it still did reach an MLE, and what I want to
10 point out that's not captured here, but for the SEDAR 33
11 benchmark, and not the 33 update, we applied the value that was
12 selected, and it was actually by the SSC.

13
14 After the review workshop in the SEDAR 33 benchmark, which was
15 in May of 2012, I guess it was, the reviewers suggested that we
16 could not estimate -- That we did not estimate steepness, and
17 the model was estimated, and it's similar here, and it doesn't
18 have the flat, flat, flat, or reach the low, low, low, rather,
19 and so that we looked at -- We tried to do a summary from the
20 literature on steepness for this fish-like species.

21
22 I did just a literature review, and the values that were
23 selected were those from -- It was a mean, I believe, and it was
24 0.85, actually, and it was from -- I think we used the
25 literature review, but it was 0.85, and there was no real
26 comparison, I want to say, or analogy, made to how this level
27 relates to the SPR 30, and so that is for steepness.

28
29 The value here that's been chosen, the 0.777, is lower than the
30 value that was chosen by the panel, the SSC actually, in SEDAR
31 33, which was 0.85, but that value, as I said, was based on more
32 of a literature search, and this value is being based on
33 profiling.

34
35 The model did favor values above 0.7, but there was not a deep
36 trough in that area, and so the steepness was not well estimated
37 in the values between 0.7 and 0.8, which supported -- So, rather
38 than supporting it on the literature-based values from the SEDAR
39 33 benchmark, this was felt to be a better, more logical value
40 for this stock.

41
42 **DR. BARBIERI:** Right, and I was just wondering if looking into
43 what value of steepness would best correspond with that SPR
44 metric that we're using as a reference point might give us
45 another way to evaluate how these two metrics are related and
46 align to each other, and so our choice right now is whether
47 0.777 is reasonable or not.

48

1 **MS. CUMMINGS:** Well, I think the profiling, given the data,
2 given the model development and given the information that was
3 deemed to be appropriate for the model, in terms of how the data
4 were being modeled, in terms of the errors around the indices
5 and the variance adjustments for the indices and the various
6 adjustments for the Dirichlet and for the compositions, and, in
7 terms of the support for the information that's being used to
8 characterize the profiling, like what is going into the base
9 model, I believe that we have support that the values between
10 0.7 and 0.8 are more reasonably -- They would be more reasonably
11 adopted than the literature value that was adopted in the SEDAR
12 33 benchmark of 0.85.

13
14 Those species were not -- They were reef, or reef-like, species,
15 and perhaps not reflective of this species, and so I think that
16 the panel's recommendation of 0.777, in terms of the profiling
17 that's being supported through the data that's input, is
18 appropriate, and I think I could open that up to others, Katie
19 or Shannon, if they have more -- If they would like to offer
20 some support or suggestions, but I think that moving -- I just
21 want to say that I think, as the panel made the choice to move
22 forward, based on the modeling for the data that we have, it
23 wasn't based on the literature work that was done from seven
24 years ago.

25
26 **CHAIRMAN POWERS:** But I think one of the things that Luiz is
27 getting to is that, given that steepness is fixed, you can
28 actually go ahead and estimate a BMSY, and it would be nice to
29 know how closely that aligns with the B SPR 30. I think it
30 would be reasonably close.

31
32 **MS. CUMMINGS:** Okay.

33
34 **DR. BARBIERI:** Right, Nancie, and that's exactly what I was
35 trying to get to, because we are using an SPR-based reference
36 point for this, and rightly so, and I agree completely, and I
37 don't disagree with the 0.777 value that was chosen by the
38 panel, and it was a reasonable process, I think, to choose that,
39 but I just would like to see how the value chosen aligns with
40 the corresponding SPR metric reference points that we are
41 actually using.

42
43 **MS. CUMMINGS:** Okay. I think that's something that would have
44 to be done outside of today, I think.

45
46 **DR. BARBIERI:** Okay. Thank you.

47
48 **MS. CUMMINGS:** Thank you.

1
2 **MS. MATOS:** Mandy Karnauskas has her hand up.
3
4 **DR. KARNAUSKAS:** I wanted to point out that analysis has been
5 done. There was the Harford paper from 2018, where we looked at
6 simulated relationships between steepness and SPR and MSY, and,
7 granted, that was done based on the old SEDAR 33 life history,
8 and so it might be a little bit subject to updating, but that
9 analysis suggests that SPR 30 would correspond to approximately
10 a steepness of 0.8, and so, generally, in the ballpark of what
11 is being suggested by the panel.
12
13 **MS. CUMMINGS:** Okay. Okay. Thank you, Mandy.
14
15 **CHAIRMAN POWERS:** Thank you.
16
17 **MS. CUMMINGS:** The life history updates were minimal, and the L
18 infinity was only minorly affected, and the maturity, also.
19 Thank you. So we're using 0.78, basically, instead of 0.8.
20 Okay.
21
22 **DR. KARNAUSKAS:** I would have to look at the exact number, and
23 I'm pulling it from the graph, and so it could very well be very
24 close to 0.78.
25
26 **MS. CUMMINGS:** Thank you very much, Mandy.
27
28 **DR. BARBIERI:** Mandy, I think that's a good point that you
29 brought up, but that paper was actually based on groupers and
30 not greater amberjack.
31
32 **DR. KARNAUSKAS:** No, and it was done for greater amberjack as
33 well.
34
35 **DR. BARBIERI:** Oh, it was? Okay.
36
37 **DR. KARNAUSKAS:** Yes, and it was groupers, snappers, tilefish,
38 and amberjack.
39
40 **DR. BARBIERI:** Okay, and so, if we have a value of 0.8 as the
41 steepness that corresponds to the SPR 30 percent reference
42 point, then excellent. Then that confirms it, Mandy. Thank
43 you.
44
45 **MS. CUMMINGS:** Well, I think it lends stronger support that the
46 0.85 was outside -- It's outside the best choice bounds, also.
47
48 **CHAIRMAN POWERS:** All right. Thank you. Are there any other

1 questions at this point?

2
3 **MS. CUMMINGS:** Nancie has an offer to show you -- I believe Mr.
4 Gill had a question regarding the selectivity with and without
5 the spline function, without the commercial vertical line index,
6 and are you seeing my screen?

7
8 **MS. MATOS:** Yes, we are.

9
10 **MS. CUMMINGS:** Okay. Thank you, Jess. I can show you that, on
11 the left-hand panel, I have -- If you would like to see it, I
12 will show you. If you do not want to see, then let me know, and
13 I will move on, but I have located the run with its -- For the
14 selectivity for the commercial handline fleet, and this is prior
15 to removing the commercial -- The index, the commercial handline
16 index, and so what we want to look at is how did it affect the
17 selectivity for that fleet, and this is the final base model
18 with that handline index removed, and so the selectivity is
19 still -- The 100 percent mark is just slightly below, but it's
20 very similar, very close, and so it did not affect the
21 selectivity for that fleet by removing the handline index.

22
23 **MR. GILL:** Thank you, Nancie.

24
25 **MS. CUMMINGS:** You're welcome, and I did have that -- I believe
26 one question from an email that came to me, and I just luckily
27 saw it, about the jitter. The question was were those done
28 independently, or were they all just lumped together, and they
29 were -- In terms of the performance analyses, the stability
30 analyses rather, these are all independent runs. That's a good
31 question. I've never had that question, and that was really
32 good. Are there any other questions?

33
34 **CHAIRMAN POWERS:** Go ahead and move on to projections.

35
36 **MS. CUMMINGS:** Thank you. We're going to move to -- We have two
37 topics left, projections and then an overall summary, but,
38 first, I will show you -- I will present the settings of the
39 projections and the results, and just to say that the projection
40 settings are, for the most part, pretty much similar to SEDAR 33
41 and the 33 update. They have been a couple of changes, and we
42 will go through those.

43
44 The proxies were calculated based on 100-year projections and
45 looking at the last ten years of the projection to obtain the
46 equilibrium calculations. The proxies were for the F over F 30
47 percent SPR, and then the SSB -- That year over SSB at 30
48 percent.

1
2 **MR. RINDONE:** Excuse me, Nancie. Just real quick. For the
3 equilibrium assumed over the last ten years, I presume that's
4 supposed to be 2009 to 2018.

5
6 **MS. CUMMINGS:** It is, but what we tried to achieve is the
7 equilibrium projection at that --

8
9 **MR. RINDONE:** That last -- So the tail-end of the period. Okay.

10
11 **MS. CUMMINGS:** Yes, and we show you -- I think we show you the
12 tables for the last ten years. Just a reminder that MSST, the
13 minimum stock size threshold, has been redefined for the stock
14 as 0.5 times the SSB at SPR 30. Recruitment was fixed in the
15 projection as the recent estimated mean, and that is from 2009
16 to 2018, and this is the main change in the projection from the
17 33 update, and, also, we have the gap years of -- We start the
18 projections in 2021, and we have data through 2018, and we used
19 the average of 2017 to 2019 data for the 2019 and 2020.

20
21 Then I just want to point out that the stock assessment report
22 that you have, and the projections that are presented in there,
23 they're slightly different, only because, after the assessment
24 report was presented, and, actually, after the stock assessment
25 executive summary was presented, then we were able to get 2019
26 data, and so we filled those 2019 and 2020 years with actual
27 data for 2019, and so, instead of the 2016, 2017, and 2018
28 average, now we're using 2017, 2018, and 2019 averages. These
29 are just details for the projections. What you have here is,
30 again, the data go through 2018, and so you have the recruits,
31 and then you have recruitment estimates from 1970 through --
32 Just to show you what we used.

33
34 **CHAIRMAN POWERS:** Nancie, recruitment was fixed at that level
35 and not using a stock-recruitment relationship?

36
37 **MS. CUMMINGS:** Yes, sir, and that was a change from SEDAR 33 and
38 the 33 update, and it was -- One of the reasons for that, and
39 there were probably many reasons, or several reasons, but one of
40 the reasons was that, as you see from the early period, we have
41 -- Especially the data-rich period, meaning between the 1984
42 forward, we have these large spikes in recruitment, and it was
43 also felt that the average, the last ten-year average, and there
44 is two reasons here, but fixing it to that average would deter
45 the recruitment from going outside the -- Like suggesting a
46 regime change in recruitment, but, also, this has been a
47 practice in our recent SEDAR assessments for some species, many
48 species rather, that we have used the last ten years on the

1 average, as average recruitment, that single value, yes.

2
3 **CHAIRMAN POWERS:** Okay. A counterargument is that it's
4 overfished, and, when you're projecting ahead, you are fixing
5 the ability of the population to recover.

6
7 **MS. CUMMINGS:** I can see that, yes. I can see, also, that,
8 during the data-rich period, given -- Except for this one spike,
9 we don't see a whole lot of contrast in the recruitment, and so,
10 even if it had been fixed to a mean of let's say earlier years,
11 like 1990 forward -- You know, we don't know much about the
12 stock, in terms of its dynamics outside of these early years,
13 and we only have -- Back in time, we certainly are not -- We
14 only have the landings data to inform recruitment, and, here,
15 these are very -- As we can see from the tables and the
16 graphical data, we have almost no age composition through here
17 to inform the age comp and the zeroes, and, obviously, there are
18 zeroes until here, when we start picking up our age composition
19 data.

20
21 We have this one spike, and we do note that, as we have forward
22 -- You know, management began in the mid-1990s, or early 1990s,
23 and so, as we moved forward in time, we've additional
24 regulations that have affected the stock dynamics, and notably
25 the size limits, and some quotas, but we do see, as I note here,
26 this average of -- This recent average, this ten-year average,
27 you don't see a whole lot of change in the variability since
28 like early 1990s, but, yes, Joe, I see your point.

29
30 Those are the settings, and so, just kind of reiterating what
31 we've done here, in terms of moving projections forward, we have
32 to fish the stock, select the stock, select the size, and retain
33 some fish, describe fish, and then we have the gap years. As in
34 most of the SEDAR assessments at the Southeast Center, we have
35 used the last three years to set relevant F, selectivity, and
36 retention, and, again, I noted that the average for the
37 recruitment is that last ten years, and then we filled those
38 gaps years, and then we, of course, have to fish -- We have to
39 assign the fish to various commercial and recreational sectors.

40
41 Then the overall results of the projection are presented here in
42 this table, and I have -- There is about five columns, and we
43 were asked to do projections at the overfished limit, which
44 would be the fishing at F SPR 30; maintaining those allocations;
45 and then, since the stock is deemed to be overfished, to do
46 projections at F rebuild, and we're showing you, I think, six
47 years here.

48

1 **CHAIRMAN POWERS:** Can you remind us what F rebuild is?
2

3 **MS. CUMMINGS:** I will go through that in one moment, and I just
4 want to set up the slide here, and that is I have given you the
5 retained yield, and then I've given you the year that it will
6 reach the overfished level, or pass it, and then also the year
7 in which it will attain the SSB at SPR 30, and that's the
8 unfished, the SSB at SPR 30.
9

10 We were asked, in the terms of reference, to provide the
11 retained yields at fishing at F SPR 30 and then, given whether
12 the stock was overfished or not, to do the projections fishing
13 at F rebuild, and the F rebuild is calculated as that fishing
14 mortality rate which would allow the stock to rebuild to SSB SPR
15 30 by 2027, and that was the year that was specified. It does
16 that until 2026.
17

18 This is just the graphical figure, and so what we've given you
19 is the current yields and then the projected yields at F
20 rebuild, the orange, or red. Excuse me. The OFL. Then F
21 rebuild is the blue, and you can see that, in the near,
22 immediate future, the yield will have to come down to rebuild to
23 SSB SPR 30, but it will achieve that by 2026 for F rebuild.
24

25 Now, this does -- This set of projections is slightly different
26 from the SEDAR 33 benchmark, in that the constant catch
27 projections were suggested for these years, and I believe they
28 were asked for for five years, in addition to the OFL, and the
29 ABC was not requested at that point, and it was decided -- It
30 was between Assessment Webinar 3 and 4 that constant -- There
31 was quite a discussion about this, that constant catch
32 projections were not appropriate for this stock at this point,
33 and so they were not requested, but, as the stock was determined
34 to be overfished, then F rebuild was certainly requested, and
35 these are -- I would just like to note, and my apologies, but
36 these are retained yields in millions of pounds.
37

38 This is just a more detailed table that you just saw, in terms
39 of the ten-year projections, what those recruits are, and the
40 calculated fishing mortality rates. These then would be the
41 metrics, the relevant metrics, that would be needed to be looked
42 at, and this is OFL, and this at F rebuild, and it's showing you
43 that that fishing mortality rate would be much lower, and it
44 would increase as the stock continued to rebuild towards that
45 magical number of 7,118, and it would reach recovery by 2026.
46 Then, again, the final value to focus on would be that OFL,
47 which is retained yield in millions of pounds.
48

1 Then there was also a question for the previous vermilion
2 snapper and cobia assessments, because now we're using the FES
3 landings, and so, had we had the FES landings in the SEDAR 33
4 assessment, update, what would that equilibrium yield have been,
5 and, had the FES landings been available during SEDAR 33, the
6 equilibrium yield would have been nearly twice as much.

7
8 Assuming the ABC from the hypothetical SEDAR 33 update FES run
9 had been six-million pounds, the current recommendation for the
10 equilibrium yield is about 33 percent lower than the larger
11 increase that it would appear to have been, in terms of -- With
12 the SEDAR 70 operational assessment, that equilibrium yield is
13 about four-million pounds, and so this is just -- This might
14 have been something that the council staff had asked for.

15
16 **MR. RINDONE:** Yes. Thank you, Nancie. I like seeing that.

17
18 **MS. CUMMINGS:** I know this is Ryan's table. You're welcome.

19
20 **MR. RINDONE:** Well, let's not call it that.

21
22 **MS. CUMMINGS:** I will just point out here that you need to look
23 at the terminal year of data, and so we're not apples-to-apples
24 here. We have new data and some revised data, meaning with
25 commercial discards reflecting less discarding of the commercial
26 fishery, and we have an estimate of recruits that is somewhere
27 in between the SEDAR 33 and the SEDAR 33 update, had you had the
28 FES number, and the Fs are somewhat in a similar ballpark, and,
29 again, indicating, if you had that FES data back in the SEDAR 33
30 update, that you would have had a larger SSB, as we saw, and
31 then the equilibrium yield would -- Now updating that
32 information is not so drastically as different, and it's about
33 four-million pounds.

34
35 Then, finally, I realize that digesting all of this is a lot to
36 digest, and even though it was conducted over six months,
37 probably, but there's a lot of components to this, and, also, I
38 have sort of expected everyone to remember SEDAR 33 and SEDAR 9,
39 and I know that's not possible, and some of us just sort of wear
40 it on our arm, but the final summary is that the SEDAR 70
41 amberjack assessment is predicting a steady and significant
42 decline in total biomass and spawning stock biomass and an
43 associated and increasing and intense exploitation, as the stock
44 remains in an unhealthy state. Like I said, it's about at 10
45 percent of the SSB zero level.

46
47 It is continuing to undergo overfishing, and it remains in an
48 overfished state, according to the definition of overfishing and

1 overfished. Overall, we would say that the SEDAR 70 base model
2 is an improved model, both in content, incorporating the newest
3 data, the best available information, in terms of the
4 statistics, the catch statistics, the sample data, and also
5 incorporating all the new life history information that has been
6 collected to-date and also has incorporated -- I would say
7 probably not 100 percent of all the model issues that can be
8 addressed, but it has certainly addressed additional modeling
9 issues that were raised at the SEDAR 33 benchmark back in 2012.

10
11 That has resulted in an improved model, and that has resulted in
12 improved stability, in terms of convergence, as you saw from the
13 general analysis from SEDAR 33 to SEDAR 70. Overall, the model
14 is a much improved model, and the assessment -- This bears out
15 in the credibility of the results from the assessment.

16
17 As I said, some uncertainties remain. In terms of landings data
18 and the recreational fishery, we feel that those are more
19 uncertain than the commercial data, as the model, SS 3.3, can
20 now entertain year-specific uncertainties, and so that is
21 something that could be considered in a research track.

22
23 Again, the discards are estimated prior to 1981, and they are
24 not quantified, and that would be something that would take a
25 great deal of work, I feel, because there is not a lot of
26 information available before 1981 to quantify the recreational
27 discarding of fish, and, again, we can always use more discard
28 size composition.

29
30 The coastal logbook program does provide information on the size
31 composition of released fish, but it's only for recent years,
32 and so these categories, in terms of the modeling, are two of
33 the largest, in terms of the composition data. The composition
34 data, as you recall from the SEDAR 33 benchmark, drove the
35 assessment, and we downweighted the composition data because of
36 the uncertainty in terms of the model fitting.

37
38 Research recommendations, I have probably paraphrased most of
39 these, and we feel that estimates of maturity need to continue
40 to be updated, and fecundity in particular, and to expand the
41 observer coverage, and particularly in -- We have observations
42 of fish that are being retained out-of-season. Currently, the
43 discard size composition only includes fish that are discarded,
44 and so what to do with these fish, and there's not that many,
45 but we would like to know what is going on there, and, overall,
46 baseline sample composition increasing is always what we would
47 like, in terms of particularly directed to discarded fish.

48

1 Quantifying more refined weighting procedures, and, currently,
2 the weightings are at a year/stock level. Considerations of
3 what's going on sub-regionally is probably warranted, and,
4 finally, to continue with the fishery-independent indices, in
5 terms of supporting the three individual programs, but also to
6 take a look at the larval data that are available through
7 SEAMAP, and particularly to identify the specimens, and there
8 were specimens available from 33, at the 33 benchmark time, but
9 they had not been identified.

10
11 We see the issues, and we've talked about the issues, of the
12 fishery-dependent indices, and so investigating options for
13 developing fishery-dependent indices that better reflect the
14 abundance of greater amberjack are important, and particularly
15 those indices that may be affected or have confounding
16 characteristics, because of regulations.

17
18 Then kind of a shoutout for these state-specific programs that
19 are being developed, in terms of the recreational data, and
20 those could be maybe platforms to maybe look at some of the --
21 Improving some of the recreational indices, for this species and
22 other species.

23
24 Then I would like to -- I upgraded 3.24 pretty much solo, and I
25 kind of touched bases with Rick Methot and Ian Taylor, and it
26 was good, because we found that greater amberjack tested the 3.3
27 model, and we found a few things as late as even in the
28 projection time period that had to be modified, and so we're
29 always continuing to learn how to use SS.

30
31 Then I would like to thank all the reviewers, particularly the
32 Center reviewers, and Skyler Sagarese, who worked effortlessly
33 to move the greater amberjack stock assessment into the current
34 markdown, with the use of the markdown, in terms of the
35 formatting for the stock assessment report and the executive
36 summary, and I thank you.

37
38 **CHAIRMAN POWERS:** All right. Thank you, Nancie. That's very
39 illuminating. Let me open the floor to questions or
40 observations, et cetera. I will go ahead, while people bring
41 things up, and I will go ahead and ask a question, and I think
42 it might be more of a question for Ryan.

43
44 It seems to me the bottom line is that, in SEDAR 33, they said
45 that it was overfished, and, in SEDAR 70, we say it's
46 overfished, and so whatever happened in the interim didn't
47 really address the issue, and there's all kinds of complicating
48 things about data changes and the different catch levels and so

1 on and so forth, but the bottom line is it hasn't been
2 addressed. The stopping overfishing hasn't been addressed. I
3 guess one of the questions I have is that, in SEDAR 33, they use
4 the same F rebuild, with a goal of achieving it in 2027?
5

6 **MR. RINDONE:** Yes.
7

8 **CHAIRMAN POWERS:** Okay, and so the recommendation in SEDAR 33
9 for ABC and the catch limits and so on and so forth was trying
10 to achieve that 2027 F 30 percent SPR?
11

12 **MR. RINDONE:** It's a ten-year rebuilding period.
13

14 **CHAIRMAN POWERS:** Ten years from what?
15

16 **MR. RINDONE:** So from -- Well, essentially, it's from when it
17 was implemented.
18

19 **CHAIRMAN POWERS:** Okay, and so 2017 or whatever it was. Okay.
20 All right. I am thinking ahead, as to how to explain it to the
21 council and what issues of the FES will come up, what the actual
22 catches were versus what the projected catches were and so on
23 and so forth. Let me open the floor then. John Froeschke.
24

25 **DR. JOHN FROESCHKE:** My question is related to Slide 42 in the
26 presentation and the projection settings. I have compared those
27 to Table 22 in the report, which also has the projection
28 settings, and I know that Nancie stated that they were
29 different, and I see that reflected in the landings used,
30 whereas, in the presentation, it's the 2017 through 2019, as
31 compared to the 2016 through 2018.
32

33 I noticed that the landings used are quite a bit lower in the
34 presentation, but I was just surprised that the ABC F rebuild is
35 essentially tripled in the presentation, versus the report, and
36 I just was having a hard time understanding why the changes in
37 the landings were sufficient to increase the F rebuild in 2021
38 and forward so much.
39

40 **MS. CUMMINGS:** The difference in the stock assessment report and
41 the presentation on the landings is that 2016, 2017, and 2018
42 were used at the average for 2019 and 2020 for the projections
43 in the stock assessment report, and then we updated. After the
44 stock assessment report was delivered, then we updated, and we
45 were able -- We had 2019, and so now 2017, 2018, and 2019 become
46 the average for 2019 and 2020.
47

48 Then the difference in the F rebuild projection, John, is that

1 we learned that there was a little issue with SS, and so that
2 required some slight modification to how we did the projection
3 for F rebuild.

4

5 **DR. FROESCHKE:** So it wasn't the landings, necessarily, that
6 comprised most of the difference, and it was the issue?

7

8 **MS. CUMMINGS:** With the projection, with the F rebuild
9 projection.

10

11 **DR. FROESCHKE:** Could you kind of summarize what that issue
12 might be, just so we could understand, because it's a big
13 difference.

14

15 **MS. CUMMINGS:** Let me just go -- Katie might want to take a
16 whack at that, while I'm looking for a slide, for a document, or
17 Shannon, if they're on, but I'm just going to look at something
18 first.

19

20 **CHAIRMAN POWERS:** Katie or Shannon? Katie was on, and I'm not
21 sure about Shannon.

22

23 **MS. CUMMINGS:** I will be back, but I just want to take a peek at
24 something. It's just something that has to do with the F
25 rebuild projection in SS and not the OFL projection.

26

27 **DR. CALAY:** I apologize, but I had to step away for a moment.

28

29 **DR. KATIE SIEGFRIED:** This is Katie. Shannon, did you want to
30 speak to that, or should I?

31

32 **DR. CALAY:** Go ahead, Katie.

33

34 **DR. SIEGFRIED:** I do think that it was some of the issue that
35 Nancie is talking about that had to do with the uncertainty
36 around the projection, but the difference that you noted in the
37 first two years of the projection, the almost tripling of the
38 catch advice, was due to the fact that the catches were so much
39 lower in 2019 than what we were assuming before.

40

41 The issue that Nancie is talking about is the uncertainty around
42 the projection, that we actually had to ask Rick Methot, the SS
43 developer, how to solve that problem, and it was a matter of how
44 we specified the F SPR, but I am trying to pull up the previous
45 report, but it's quite a bit different, quite a bit lower, for
46 the actual 2019 landings than what was assumed before.

47

48 **MS. CUMMINGS:** Now I have it.

1
2 **DR. SIEGFRIED:** Which it's a good thing that we were asked to
3 redo it with the actual landings, because it does give a more
4 accurate picture of what was taken in 2019.
5
6 **MS. CUMMINGS:** John, did that get to what you were asking about?
7 I was just looking for my spreadsheet.
8
9 **DR. FROESCHKE:** Yes, and it's just hard for me -- It's a little
10 bit hard for me to understand how the stock could respond so
11 fast to that. I mean, there was one year in there, when we
12 changed the fishing year, that the landings were held low,
13 because the season was very short, because of the change in the
14 fishing year, and it just seems -- I don't know, and I guess I'm
15 cautious that it could be so different.
16
17 **DR. SIEGFRIED:** I just pulled up the stock assessment report,
18 and the difference is quite large in 2019, and it was 284 metric
19 tons assumed for commercial vertical line, and, in the updated
20 projections, it's 158. It's 130 metric tons.
21
22 **MS. CUMMINGS:** Remember that's the average. It was 2016, 2017,
23 and 2018, versus 2017, 2018, and 2019, and it's that new year
24 that brings that average down, that 2019 year. I mean, in the
25 end, what happens, John, is because -- As expected, that average
26 came down, and it went into the 2019 and 2020 gap years, and it
27 allows -- It did respond fast, but it does allow more yield to
28 be taken.
29
30 **DR. FROESCHKE:** I guess the concern is that that year, because
31 of the changes in management, isn't really a representative year
32 of how the fishery was operating.
33
34 **MS. CUMMINGS:** You mean the 2019 year?
35
36 **DR. FROESCHKE:** Yes.
37
38 **MS. CUMMINGS:** Well, actually, it may not be reflective, but
39 those are the data. I mean, they're preliminary, and I agree,
40 but I don't expect those numbers to change drastically.
41
42 **CHAIRMAN POWERS:** What he's really getting at is those numbers
43 are used as a surrogate for 2020, correct?
44
45 **MS. CUMMINGS:** The 2017 through 2019 average is used as a
46 surrogate for 2019 and 2020, yes.
47
48 **CHAIRMAN POWERS:** So what John is saying is it's kind of

1 sensitive. I mean, you can't get around that.

2

3 **MS. CUMMINGS:** Right.

4

5 **CHAIRMAN POWERS:** So then the question is, is there some
6 expectation that 2020 was that low?

7

8 **MS. CUMMINGS:** Then you would be -- We would have to discuss the
9 COVID impact, basically, on the fishery, and that's outside my
10 purview.

11

12 **CHAIRMAN POWERS:** No, and I don't believe an answer is there,
13 but, nevertheless, that's sort of the question that comes up,
14 because, like we said, regardless of how you got there, what is
15 being shown is that it's pretty sensitive.

16

17 **MS. CUMMINGS:** I will remind you that, in SEDAR 33, Ryan, we
18 chose -- A constant catch projection was chosen, and the rebuild
19 stock size was set, but it was a constant catch, and then, in
20 SEDAR 33, it was -- You will have to remind me what they chose.
21 I believe they went with the OFL.

22

23 **CHAIRMAN POWERS:** Okay. Doug Gregory.

24

25 **MR. GREGORY:** Thank you, Mr. Chair. My thoughts were similar to
26 what Joe expressed earlier, and I wonder if we could take a look
27 at -- I think we had two previous assessments, Number 9 and
28 Number 33 and then the update, to look at what our ABC
29 recommendations were and compare that to what the actual catches
30 were in those years.

31

32 It really appears, to me, that this ABC projection, and I can
33 understand why the panel did not want to take an average, given
34 that this fishery apparently has been dramatically overfished,
35 below one-half of BMSY, for twenty years, thirty years, and an
36 average would give you a high landings, and so I understand
37 that.

38

39 I actually would -- Since we're going to get interim analyses,
40 and I have a hard time believing these projections, that this
41 fishery is going to recover as quickly as its projected to
42 recover, since it hasn't recovered over all these years of
43 management, and so I think the projections are highly
44 optimistic.

45

46 It has nothing to do with this assessment, and it's our
47 assessments in general, and two, I guess, best practices that
48 are being used, apparently, to me, it seems like, is, one, that

1 catchability is increasing over time, is assumed to increase
2 over time, and that's built into the analysis, and, two, the
3 projections, or extrapolations, of recreational landings back to
4 the 1950s.

5
6 I understand why these two things are being done, but these two
7 aspects of the assessments are speculative, and greatly increase
8 uncertainty, but they increase uncertainty in a manner, or a
9 bias in a manner, that gives more negative stock status results,
10 and so we can save this for a future discussion, but, pertaining
11 to this assessment, I think the projections are optimistic, as
12 they're laid out in the assessment. Thank you very much.

13

14 **CHAIRMAN POWERS:** Thank you.

15

16 **MR. RINDONE:** Dr. Powers, I have what Doug was asking for, if we
17 go to Table 1.1.2.

18

19 **CHAIRMAN POWERS:** Okay. Which document is it?

20

21 **MR. RINDONE:** This is an old framework action for greater
22 amberjack, but it has the data that Doug was asking for, the
23 landings against the catch limits and the percent of the ACL
24 landed, and, in this case, it also shows the closure dates.

25

26 **CHAIRMAN POWERS:** These are pre-FES?

27

28 **MR. RINDONE:** Yes, and these are all in CHTS.

29

30 **MR. GREGORY:** If I may, that suggests that our ABCs were not
31 overly optimistic in the past, since the industry had no
32 difficulty catching them. Thank you, Ryan.

33

34 **MS. CUMMINGS:** I have a comment, or a response, to Doug on one
35 item. Doug, if I may, you had raised a point that the panel had
36 thought that constant catches were not working in light of
37 particularly that the stock had not recovered and that it had
38 been overfished by more than 50 percent since -- It's been forty
39 years, in light of all the regulatory measures that have been
40 taken.

41

42 I just want to point out that -- We can go back to the graphics
43 and so forth and the actual table numbers in the SAR, but the
44 stock has been overfished since way before regulatory measures.
45 In fact, it's showing since 1977. If you look at the SEDAR 33
46 assessment, even though -- Let's say that the data have improved
47 and the modeling has improved, and there is still uncertainties,
48 I agree with, but the stock has been overfished since 1977 in

1 all but one year, 1984. It's even before the regulatory
2 measures, and so it's almost as if the measures haven't had a
3 chance to move it back into an un-overfished state.

4
5 **MR. RINDONE:** Nancie, I think that's one of the things that is
6 kind of perplexing for -- Probably for the SSC, and definitely
7 for the council staff, that it seems to be that, no matter what
8 it is that we try to do, and regardless of the magnitude of the
9 predicted effect of those changes, management has been otherwise
10 unable to change the trajectory of the trend in biomass, from
11 what we observed for the terminal year slide that you had in
12 your presentation, and it has precipitously declined since 1950,
13 and it's been overfished since 1980, and there is not a thing
14 that we've done in the past, or the recent past, and, in the
15 last several years, there have been numerous management changes
16 to greater amberjack, and those have all seemed to have almost
17 no impact.

18
19 It's just not something that we typically see with other
20 species, and we can see evidence of changes in management show
21 up in different parts of the assessment and different data, and
22 we just don't see that with amberjack, and so that's kind of a
23 head-scratcher.

24
25 **MR. GREGORY:** Real briefly, if I may, I think a large part of
26 that isn't just my intuition talking, but it's the fact that we
27 allowed, we management, allowed the recreational sector to fish
28 on juvenile fish up until just a couple of years ago. Maturity
29 is at thirty-two or thirty-five inches, and we started out, in
30 1990, with a twenty-eight-inch size limit, and that's been in
31 place, and so we've been fishing juveniles a lot, and so that
32 could be one of the major reasons for this lack of response.
33 Thank you.

34
35 **MS. CUMMINGS:** I would like to applaud Mr. Gregory for that
36 statement, because it's been very clear that the differential
37 size limit has remained a differential size limit until recently
38 and that it has only recently, as of 2016 or whatever the year
39 was, been allowed to come into an area where it's now
40 appropriate.

41
42 **CHAIRMAN POWERS:** All right. We're not resolving this yet, and
43 so let's continue on with the discussion. Harry Blanchet, you
44 were up next.

45
46 **MR. BLANCHET:** My question was more on a detail issue. On page
47 45, the top half of that graphic, you've got the -- It's the
48 projections at SPR 30 percent, the OFL, and the ratio of F over

1 F SPR 30 is all above one.
2
3 **MS. CUMMINGS:** What is the question? I'm sorry, but I missed
4 the question, because something happened to the slides. The
5 projections are -- What is the question?
6
7 **MR. BLANCHET:** The question is, if the projections are at SPR
8 30, why are the ratios of F over F SPR 30 all above one?
9
10 **MS. CUMMINGS:** Under OFL, the stock doesn't recover until 2036,
11 I believe, and so they --
12
13 **MR. BLANCHET:** It would seem like, in order to recover at all,
14 it would have to, at some point, have Fs at or below the target
15 that you are recovering to.
16
17 **MS. CUMMINGS:** Correct.
18
19 **CHAIRMAN POWERS:** My interpretation of a projection at OFL is a
20 projection at F 30 percent SPR.
21
22 **MS. CUMMINGS:** It is fishing, yes.
23
24 **CHAIRMAN POWERS:** In which case all of those should be one.
25
26 **MS. CUMMINGS:** Maybe that's a typo. I have to check the
27 spreadsheet, folks.
28
29 **DR. CALAY:** If you don't mind, I would like to make a comment
30 about this.
31
32 **CHAIRMAN POWERS:** Go ahead.
33
34 **DR. CALAY:** Thank you very much. So this is not a typo, I don't
35 think. This is something that we see frequently in SS
36 projections, and we have certainly made Rick Methot aware of
37 this issue, and kind of the bullet-point summary of Rick's
38 advice to us is that the things that we attempt to hold static
39 during a projection, including allocations, the F value, various
40 parameter estimates within the model, is just not possible to
41 hold everything static, the way that we attempt to do.
42
43 He claims that this is essentially transitory effect that we see
44 in the age structure, and so this is something that we are
45 looking into with a comprehensive examination of our projection
46 procedures, but it simply may not be possible to hold the
47 allocations and achieve F SPR 30 at the same time.
48

1 We do achieve F SPR 30 in equilibrium, but we see this
2 transition in the initial year to the projection, where the
3 values do exceed F SPR 30, and it does appear that these are
4 transitory effects caused by age structure and composition data.

5
6 **CHAIRMAN POWERS:** The transition is a decade or so, and, I mean,
7 it's not real short-term.

8
9 **DR. CALAY:** It's not. You're correct.

10
11 **MS. CUMMINGS:** Yes, that is correct.

12
13 **MR. BLANCHET:** It seems very flat at the end of it. I mean,
14 it's at 1.33 for four years, or five years.

15
16 **DR. CALAY:** These are 100-year projections, actually, and so
17 they achieve equilibrium, but way into the future, and so we
18 have seen this before with several stock assessments. The
19 severity of this issue varies from assessment to assessment, and
20 this one is a little bit more extreme than some other examples
21 that we've seen. We can look into it further, but we don't have
22 a fix to this at this time.

23
24 **CHAIRMAN POWERS:** Thank you, I think.

25
26 **MS. CUMMINGS:** Thank you, Shannon, and I will reiterate that
27 this isn't a typo, and what's happening here is that we are
28 fishing that stock at that F at 30 percent SPR and holding that
29 through those years, and it does reach equilibrium, but it is
30 very far in the future.

31
32 **MR. BLANCHET:** So the difference then between the F at the F
33 rebuild and at the SPR 30 -- In one case, it's less than half
34 the F at the SPR 30, and so the difference in the F there is
35 primarily in the rebuilding horizon? It still seems surprising
36 that it would be that much different, considering that one
37 achieves it and the other one achieves it ten years later.

38
39 **MS. CUMMINGS:** Yes, ten years later.

40
41 **CHAIRMAN POWERS:** Well, the F rebuild adjusts the F to achieve
42 it by 2027, and it's basically saying that, in order to do that,
43 the F has got to be about half of what F of 30 percent SPR is.
44 I mean, that's the way you sort of interpret it.

45
46 **MS. CUMMINGS:** Correct, while the other is just maintaining that
47 F throughout that time series.

48

1 **CHAIRMAN POWERS:** Anyway. We may want to revisit this. Let's
2 go on then. Bob Gill.

3
4 **MR. GILL:** Thank you, Mr. Chairman. I would like to comment on
5 John's question, and I guess it relates to Katie's comment on
6 it. In terms of the change from the report yield streams to the
7 supplemental, the change is driven primarily by the change in
8 the private recreational, and it changed about 30 percent,
9 whereas the vertical line changed about 45 percent, but, if
10 you're averaging that over three years, then the real driver is
11 the 10 percent change in the private side, and so what that says
12 to me is, given the difference in results -- You know, you go
13 from the funky yield curves that resulted in the report to the
14 current ones, and there is an extraordinary sensitivity to a
15 relatively small change in the assumption on interim landings.

16
17 That is a little scary, because that changes the management
18 advice rather considerably. Have you all explored that
19 sensitivity and thought about ways that that might be mitigated,
20 or dealt with, other than the fact that it exists and we just
21 have to live with it? Thank you.

22
23 **DR. SIEGFRIED:** Nancie, do you want me to speak on that, or
24 would you like to?

25
26 **MS. CUMMINGS:** Yes, you can speak on that.

27
28 **DR. SIEGFRIED:** The one thing to note about your comment is that
29 we don't really have any uncertainty around those recreational
30 landings in 2019 that is put into the projection besides the
31 averaging of 2017, 2018, and 2019. We haven't done any
32 sensitivities around how many years to average.

33
34 One thing to note is, when the terminal fishing mortality is
35 high, if the interim catches assumed for the projections are
36 also high, it does have a larger negative effect on the stock
37 sizes, and so I think it's following on high Fs with further
38 high Fs that cause that big effect in those 2021 and 2022 yield
39 estimates, but, other than that, we haven't done a lot of
40 uncertainty analyses, or sensitivity analyses, around these
41 interim catch years. In fact, we don't have a lot of
42 uncertainty around our projections, besides those uncertainty
43 bars that you saw in the plot that Nancie provided.

44
45 If the SSC has any advice about that, we are happy to take that
46 as we look forward to our forecasting working group, to get some
47 of these procedures more standardized.

1 **MR. GILL:** Thank you, Katie. It seems to me that one of the
2 messages that we're seeing here is that exploring those kinds of
3 sensitivities that will rebound through the process will be
4 important in the future.
5

6 **DR. SIEGFRIED:** Thank you. We agree.
7

8 **CHAIRMAN POWERS:** Going back to the previous comments about
9 doing those projections, these are being done at an allocation
10 of 27/73 percent, correct?
11

12 **MS. CUMMINGS:** Yes.
13

14 **CHAIRMAN POWERS:** With the FES, you're increasing the
15 recreational component quite a bit, correct?
16

17 **MS. CUMMINGS:** We are using the catches.
18

19 **CHAIRMAN POWERS:** Well, not correct, and I know it is, and the
20 FES is higher.
21

22 **MS. CUMMINGS:** Yes.
23

24 **CHAIRMAN POWERS:** So, I mean, that sort of -- That sort of
25 compounds things, in terms of maintaining the existing
26 allocation, and when one sector changes considerably, which is
27 something we have noted before, about that lots of allocations
28 for lots of stocks are going to have to be revisited.
29

30 **MS. CUMMINGS:** But, Joe, one point. The way the OFL projection
31 is done, remember, is that we go in and we look at those Fs for
32 those fleets, those specific fleets, to achieve that SSB and the
33 equilibrium, and those Fs are being input into SS.
34

35 **CHAIRMAN POWERS:** That's my point, is that it's forcing an
36 allocation on a fishery that doesn't really operate that way.
37

38 **MS. CUMMINGS:** Right, and I did look, preliminarily, at some of
39 what the distribution was for the different ages, for each
40 fleet, and see when it got to equilibrium, and it was -- It's
41 not fast, and so, yes, we're forcing the OFL projection. We're
42 forcing those allocations.
43

44 **CHAIRMAN POWERS:** Okay. Thank you. We've got four people on
45 the list, and what I would like to do, hopefully, is go through
46 the first round of questions and comments and that sort of
47 thing, and then we'll -- I think we're close to lunch, and so
48 let's go through those, and then we'll break for lunch and then

1 return and, obviously, revisit where we stand with this. First
2 up is Paul Sammarco.

3
4 **DR. SAMMARCO:** Thank you very much, Mr. Chair. I have just some
5 comments to make, first, and then I have three questions,
6 please. The first is I would like to congratulate Dr. Cummings
7 on her presentation. It was excellent, and we're obviously
8 looking at -- We're lucky, in that we're looking at long-range
9 historical data. Again, excellent job for the in-depth analyses
10 at all levels, with all aspects of the models being considered,
11 and so bravo to you on that.

12
13 To me, the data are very clear, as it probably is to my
14 colleagues there, that the fishery is overfished and needs
15 attention, and I agree with that. Also, two options were
16 presented for consideration for rehabilitation of the fishery,
17 and one was more stringent than the other.

18
19 It's an important fishery, ecologically and commercially,
20 obviously, and has been for some time, and I would like to
21 recommend to the group that we recommend to the council the more
22 stringent option to bring the fishery back to a strong position,
23 perhaps in a shorter period of time.

24
25 My first question to Dr. Cummings is I was a little confused,
26 and could you please explain why either you or the model would
27 expect F rebuild, those numbers, to drop with time before they
28 increase? Thank you.

29
30 **MS. CUMMINGS:** Thank you.

31
32 **DR. SAMMARCO:** That was the graph where you showed the two
33 models, and you said, well, the F rebuild is going to have to
34 drop before it goes up, and the other one didn't.

35
36 **MS. CUMMINGS:** I think -- It's just Ms. Cummings. I am looking
37 at the graph on my computer, and I think it was the -- Are you
38 talking about the yield? I think, Joe, Dr. Powers, the Chair,
39 sort of explained it pretty well, that, if we want the stock to
40 recover to equilibrium yield by 2027, that magical year, then
41 the yield will have to come down, and it will have to drop
42 before there can be continued growth, before there can be an
43 increase in yield.

44
45 **DR. SAMMARCO:** Okay. Thank you. I appreciate the
46 clarification.

47
48 **DR. CUMMINGS:** You're welcome. What happens is that, when you

1 drop that F by 50 percent or so, as Dr. Powers noted, it allows
2 a pretty good increase in yield, in stock growth, in the first
3 three years, and then you see it -- It reaches that point, that
4 magical 7,118 number, in 2026, which is pretty fast, but it is a
5 very large drop in F, and it's assuming all those other
6 assumptions that we were noting.

7
8 **DR. SAMMARCO:** Thank you. The second question involves variance
9 in the projections. In other words, does the model account for
10 variance, and so you're basically looking at a projected
11 average, but does it account for variances around that average,
12 particularly in areas where -- Something like we're getting a
13 drop, although that drop sounds to me like it's landings, where
14 it could put the fishery in danger.

15
16 **MS. CUMMINGS:** I think Dr. Siegfried mentioned this, and I think
17 she did a really good job talking about that, in the
18 projections, we have minimal variance, uncertainty variance,
19 going into the calculations. We're using average F, average
20 selectivity patterns, and the recruitment is a fixed value,
21 except for the time series, and so we know, and we've known for
22 many years, many assessments, that our projections are probably
23 -- We need to do more work in that area, in incorporating
24 uncertainty into the projections.

25
26 **DR. SAMMARCO:** I was just curious, but thank you for that. The
27 next question is more of a nuts-and-bolts question, and perhaps
28 it's left to the council, but what do you -- What changes, or
29 combination of changes, do you perceive in fishing controls that
30 you think you would recommend to be the most effective in this
31 case with amberjack, size restrictions, quotas, definition and
32 duration of season, or whatever?

33
34 **MS. CUMMINGS:** I will defer to the council and the SSC for this
35 question. I do think though that we may not have had enough
36 time for this recent regulatory change in the recreational
37 fishery, this last size limit, to be taken into account in the
38 stock growth, in any new stock growth. That was a recent
39 regulation, and I think it hasn't been fully incorporated into
40 the stock dynamics.

41
42 **DR. SAMMARCO:** Okay. Thank you. Thank you very much. Thank
43 you, Mr. Chair.

44
45 **CHAIRMAN POWERS:** Thank you. Kai Lorenzen.

46
47 **DR. LORENZEN:** I was just coming back to the why haven't we been
48 able to reduce the fishing mortality, as it was intended, after

1 SEDAR 33 and the update, and I think there are sort of two
2 things underlying that. One is that SEDAR 33, including the
3 update, was still using the MRIP-CHTS, which, at that time, was
4 sort of deteriorating fast, and so it was underestimating, and,
5 over time, increasingly underestimating, the recreational
6 catches, and, obviously, we have sort of rectified that with the
7 use of the FES-MRIP now, but clearly the management then didn't
8 quite catch up with the growth and the recreational catch.

9
10 The other is that there were actually two really large
11 recreational overages in 2016 and 2017, as we saw at the
12 beginning of that period, and so that hasn't recurred in 2018,
13 and, in fact, I think there was an underage in 2019, but I think
14 it's those factors at the beginning of that rebuilding period
15 that basically meant that we didn't reduce fishing to the extent
16 that it was intended.

17
18 **CHAIRMAN POWERS:** Thank you. Luiz.

19
20 **DR. BARBIERI:** Thank you, Mr. Chairman. First of all, I want to
21 echo what Paul -- The comment that Paul made, Nancie. Great
22 job, and congratulations to you and the panel on this
23 assessment. Amberjack, of course, has a number of data
24 limitations that make it a really difficult stock to assess, and
25 I think that you did a great job, and the presentation today,
26 again, was excellent, and so thank you for that. I mean, that,
27 I guess I was Slide 16, when you walked us through the base
28 model development, that was super helpful, and much appreciated,
29 and so thank you there.

30
31 In terms of questions or comments that I have to make other than
32 that, Kai already made a few of the ones that I was going to
33 bring up, but I was thinking about us looking at a trajectory of
34 fishing mortality, if we had fishing mortality estimates over
35 time, a trajectory over time, and I think it's your Slide 25,
36 Nancie, just to see that, really, over time, we have not been
37 able to reduce the fishing mortality and decrease it to the
38 level that was needed to rebuild the stock, and I think that
39 slide helped us assess which one of the fleets, perhaps, were
40 most influential in that failure to reduce.

41
42 Looking at the panel on the left there, I mean, if those are
43 instantaneous rates, we have all of them being above 0.2, where
44 we needed a lot lower fishing mortality to be able to achieve
45 rebuilding of this stock, and so that's just some perspective
46 there on -- You know, again, as Kai mentioned, what may have
47 been some of the factors that prevented us from rebuilding the
48 stock to what we need it to be.

1
2 **CHAIRMAN POWERS:** While we have this graph here, let me ask a
3 quick question. The F on the one on the left is ratio of total
4 kill over total biomass, and is that the same metric of F that
5 was used in those projection tables, that you showed in the
6 projection tables?

7
8 **MS. CUMMINGS:** Thank you, Joe, Mr. Chair. The values of F that
9 are used in the projection tables are the values, the
10 instantaneous values, and they are fleet specific. The values
11 on the left-hand are the total across all fleets.

12
13 **CHAIRMAN POWERS:** In the projection tables, you have an F level,
14 and is that an instantaneous?

15
16 **MS. CUMMINGS:** Yes, it is.

17
18 **CHAIRMAN POWERS:** Okay. Thank you.

19
20 **MS. CUMMINGS:** To go back to what Luiz was talking about,
21 especially on the right-hand side, if one were to just look at
22 the top two lines, the commercial vertical line and the blue,
23 and then the yellow being the private charter, and then
24 associate those levels of instantaneous F with the fleet-
25 specific selectivity functions, and one knows that these values
26 of F for the charter and private are being, per year, since the
27 early 1980s -- Those values, that profile, has been -- It's been
28 affecting, mostly until 2016, some of the fish that have not
29 reproduced yet, and so that has contributed to this problem,
30 this continual problem, of not reaching a sustainable biomass.

31
32 As we see here, with the vertical line, we know that some of the
33 recent -- We've had quotas, and so forth, and then we've had the
34 spawning season closure for both sectors, but we know that we've
35 got -- At least we know that these levels of F for the vertical
36 line fishery have not affected, to the same degree, the younger
37 juveniles that the private charter fishery has been exploiting,
38 and that's just sort the facts, but thank you. Luiz, thank you
39 very much.

40
41 **CHAIRMAN POWERS:** Thank you. I think David Chagaris.

42
43 **DR. CHAGARIS:** Thank you. Just going back to that projections
44 table, where we were talking about the transitory dynamics and
45 the F being higher than the F SPR 30 percent, and I think it was
46 Slide 45, is one possible explanation that the projections are
47 assuming this lower average recruitment than what is considered
48 in the equilibrium output from Stock Synthesis, due to how

1 recruitment is considered in the original estimate of your SPR
2 30 percent? I'm wondering if there's maybe a disconnect there
3 between the level of recruitment and --

4
5 **MS. CUMMINGS:** We're assuming the same level, Dave. Thank you
6 very much for the question. We're assuming the average for the
7 last ten years.

8
9 **DR. CHAGARIS:** In both?

10
11 **MS. CUMMINGS:** Yes, sir. What I would note though, in response
12 to an earlier question, or comment, from the Chair regarding the
13 recruitment that was used, the assumed last ten years, and we
14 noted that, in the trajectory of recruitment -- In fact, since
15 1990, that time series, except for one year, that estimate of
16 recruitment has -- It's probably not totally dissimilar from the
17 last ten years that we did use. That's a good question, and I
18 appreciate that question.

19
20 **CHAIRMAN POWERS:** Thank you. I had said we would break after
21 the four that we had there, and so, Ryan, are your questions
22 short?

23
24 **MR. RINDONE:** Yes, but it's not a question, and it's a request,
25 and I think it's going to have management effects. It's
26 exceptionally unlikely that any change will be affected in time
27 for the 2021 fishing year, even if we had brought something
28 before the council, like an options paper before the council, at
29 this January meeting, and there's just not enough time in the
30 year, with the approval requirements, to get a management change
31 in place. It will probably be more appropriate to begin
32 projections in 2022, acknowledging that what is currently listed
33 in 2021 won't be possible to implement in time to have an effect
34 for 2021.

35
36 **CHAIRMAN POWERS:** Which implies that we also have to have a
37 projection for 2020, or 2021, I mean.

38
39 **MR. RINDONE:** Well, so, for 2020, those data are outstanding,
40 largely due to issues with the pandemic, and so assumptions had
41 to be made, as far as inputting data for that year, but a
42 similar assumption would probably have to be made for 2021, and
43 then projections could begin in 2022 and thereafter.

44
45 **CHAIRMAN POWERS:** Right. Exactly.

46
47 **MS. CUMMINGS:** This would require a four-year average for
48 landings for the gap years instead of -- For 2019 and 2020, we

1 would be using 2017 through 2019, for 2020 and 2021.

2
3 **MR. RINDONE:** Well, for 2019, you could use the preliminary
4 landings from 2019, and then, for 2020, you could use 2017 to
5 2019, and then you just have to use that again for 2021.

6
7 **MS. CUMMINGS:** I will defer to Shannon and Katie on this,
8 because, technically, in all of our SS projections, for the gap
9 years, we use a three-year average, and so, even though you have
10 2019, they have not been reviewed by the panel, and they are not
11 part of the base model, and so we would not use those solely,
12 and we would still use the three-year average for 2019, 2020,
13 and 2021, unless we deviate from that decision.

14
15 **MR. RINDONE:** I remember recommending using 2019's preliminary
16 landings when we were on the webinars, and I had thought that
17 that's what was going to be done. I am going to have to look
18 back at my summary notes for that, but, for 2019, at this point,
19 I know those landings are still listed as preliminary, but we're
20 far enough removed that any changes in those landings at this
21 point should be pretty minimal.

22
23 2020, obviously, is a completely different animal, and 2021, we
24 just started that, and so I can understand averaging there, but
25 there's really no reason not to use preliminary landings for
26 2019 at this point.

27
28 **MS. CUMMINGS:** I will defer to Shannon that.

29
30 **DR. CALAY:** I believe, Ryan, that you're just asking about
31 putting the 2019 landings into projections, correct, and not as
32 a new terminal year of the stock assessment?

33
34 **MR. RINDONE:** That's correct.

35
36 **DR. CALAY:** I think that's absolutely fine. I think what we
37 would need from the SSC is a very clear description of what is
38 being requested, so that we do it correctly, but, obviously, a
39 variety of assumptions can be made about projections. What we
40 need is a succinct description that we can work from of what the
41 requested work is.

42
43 **MS. CUMMINGS:** This is a deviation from best practices for our
44 projections.

45
46 **MR. RINDONE:** Joe, I am, obviously, not an SSC member. Do you
47 want me to ask for this, or would one of you like to go forward
48 with it?

1
2 **CHAIRMAN POWERS:** Well, go ahead and ask for it.
3

4 **MR. RINDONE:** Okay. So, basically what we're asking for is for
5 the projections for 2019 to use the preliminary 2019 landings,
6 as obtained from SERO, and then, for 2020 and 2021, for both of
7 those years, to use the average of the 2017 to 2019 landings,
8 acknowledging that the 2019 landings are still considered
9 preliminary, and for the projections to begin in 2022. The
10 justification for this is because it is highly unlikely that any
11 management change would be able to be implemented and have any
12 measurable effect on any of the fleets in 2021.
13

14 **CHAIRMAN POWERS:** All right. That is a proposal, and let's not
15 -- I mean, we may want to discuss this a little bit more after
16 lunch, and one of the things that comes to mind is it was said
17 that a best practice was using something like a three-year
18 average, but, given the world has worked, you may want to
19 reconsider about which years you use in an average.
20

21 I want to defer this, and, basically, I want to get to lunch.
22 Bob Gill, can you defer, or do you want to bring up what you
23 wish to talk about now?
24

25 **MR. GILL:** I can defer, Mr. Chairman, and I was going to proffer
26 a motion, to try and make a little progress, and so whichever
27 way you want to go is fine with me.
28

29 **CHAIRMAN POWERS:** Why don't we defer, and actually maybe you can
30 circulate your motion over lunchtime, to kind of speed up the
31 process a little bit. Let's break for lunch, and do we need a
32 whole hour? Can we go for forty-five minutes?
33

34 **DR. NANCE:** Yes.
35

36 **CHAIRMAN POWERS:** All right. Then let's break and reconvene in
37 forty-five minutes with issues related to Bob Gill and also
38 Ryan's request of us to make a request of the Center, and so we
39 will return after lunch. Thank you.
40

41 (Whereupon, the meeting recessed for lunch on January 5, 2021.)
42

43 - - -
44

45 January 5, 2021
46

47 TUESDAY AFTERNOON SESSION
48

1
2
3 The Meeting of the Gulf of Mexico Fishery Management Council
4 Standing and Special Reef Fish, Ecosystem, and Socioeconomic
5 Scientific and Statistical Committees reconvened via webinar on
6 Tuesday afternoon, January 5, 2021, and was called to order by
7 Chairman Joe Powers.
8

9 **CHAIRMAN POWERS:** All right. Let me sort of outline where I
10 kind of see where we're going for the rest of the afternoon,
11 unless there are -- There are a couple other questions to be
12 asked, but let me first -- Basically, what we have to do is, in
13 regard to this agenda item, is to have the motion about best
14 available science, and we also have to determine the OFL stream
15 and the ABC stream.
16

17 My suggestion is that we go ahead and deal with the -- That we
18 deal with the motion put together by Bob Gill about whether it's
19 the best available science or not, and then we also have Ryan's
20 question about perhaps redoing the projections based on a
21 starting point for 2022, and so therefore having to fill in for
22 2020 and 2021.
23

24 We also have to decide what we mean by OFL and ABC. My
25 supposition is that the ABC value would be that projection based
26 on F rebuild, because that's what is the required objective in
27 the FMP, and so that's what their objective is, is to return by
28 2027, and so that would be the definition of ABC. OFL has a
29 standard definition, but there's some issues there, as we
30 mentioned previously.
31

32 The way I want to proceed then is first deal with Bob Gill's
33 motion about the best available science and then deal with
34 Ryan's suggestion about maybe redoing the projections, and then
35 what timeframe that might be done, and then, after, that, then
36 we decide on the actual time stream for ABC, OFL, and how we
37 actually want to approach that. **Let's start out first with the**
38 **motion by Bob Gill, which is given there.** Is there a second?
39

40 **MR. MARESKA:** I will second it.
41

42 **CHAIRMAN POWERS:** All right. Thank you.
43

44 **DR. BENNY GALLAWAY:** I am trying to put my hand up, and I joined
45 late, and I couldn't join, but I would like to speak to this
46 issue, at the appropriate time.
47

48 **CHAIRMAN POWERS:** To the motion?

1
2 **DR. GALLAWAY:** Well, it can be in regard to the motion.
3
4 **CHAIRMAN POWERS:** Well, you have the floor then.
5
6 **DR. GALLAWAY:** My hand is up now, and I'm in line. Never mind.
7
8 **CHAIRMAN POWERS:** Bob, do you want to discuss anything more
9 about your motion?
10
11 **MR. GILL:** No, Mr. Chairman. That was put up so that I could
12 make it.
13
14 **CHAIRMAN POWERS:** Okay. Thank you. Benny.
15
16 **DR. GALLAWAY:** Thank you. This is -- I don't quite know how to
17 get into this, and I guess I'll just jump into it and see where
18 it goes. On Slide 14, it talks about information that we
19 provided from a BOEM study regarding the proportion of greater
20 amberjack estimated to occur on oil and gas platforms, and I
21 would like to point out that that's the numerical abundance
22 alone.
23
24 Those fish are uniformly, or pretty uniformly, large. They
25 average twenty-eight pounds. If you take the biomass, and
26 they're all age-two and older, and you take the biomass of those
27 fish on platforms in the western Gulf alone, and it's like 3.983
28 metric tons. In addition to that, for our studies that are
29 being conducted at present for the State of Louisiana, it
30 indicates similar size, in numbers of fish, occur at deep water,
31 by deep water, thirty-one to ninety meters in depth, on the 300
32 or so artificial reefs, which are platforms laid on the bottom.
33
34 They are similar numbers, and so, in good faith, I look at --
35 Right now, I am comfortable with the nearly 4,000 metric tons of
36 spawning amberjack on platforms, and I think there's at least
37 that number on other structures, and I know it's too late to
38 have them incorporated in the stock assessment, but, knowing
39 that those numbers are real, I just can't accept the results of
40 the stock assessment, based on the data that are being used.
41
42 I believe they are brand-new data, and it's nobody's fault that
43 they weren't available until now, but I can't accept these as
44 being representative of the status of the greater amberjack
45 stock in the Gulf of Mexico, and so I will vote against this
46 motion.
47
48 **CHAIRMAN POWERS:** Thank you. That was one of the things that

1 was brought up in the assessment, is that it would require a
2 fair amount of revisiting the spatial structure of the model
3 considerably, which is why it wasn't dealt with in a simple
4 operational assessment. Sean.

5
6 **DR. POWERS:** Thanks. What I struggled with, with the best
7 available science determination, is the analysts and the
8 assessment team did the best job they could with what they had,
9 and I really think they should be congratulated for their work.

10
11 The problem though we've always had with this stock assessment
12 is, obviously, it's driven by the recreational data, and that
13 data has a lot of noise associated with it, as well as other
14 problems, but a lot of noise, and that variance isn't captured
15 in this stock assessment. We know that the discards are very
16 important too, and obviously it's all self-reported, for the
17 most part, and that variable has a lot of variance with it.

18
19 What I got from Nancie's presentation, and diving into it, is
20 that the CVs were set and that variance that we know are around
21 this catch isn't there in the model, and so we know we can put
22 it in the model, but not in an operational assessment, and it
23 would have to be a research track assessment, apparently, and
24 so, while it's best available on hand, it's not the most
25 appropriate, and we have struggled with this.

26
27 The history of the assessments show us that we can't manage this
28 fishery, or that they're wrong, and I don't know which it is,
29 but I do feel that the model isn't capturing the uncertainty
30 that we need, and, obviously, we don't have any true fishery-
31 independent indices to judge that with, and so that's why I'm
32 struggling with it, is I know the model could be improved, and
33 it's kind of similar to Benny, but what we have in hand is
34 probably the best available, but it's not the best we can do,
35 and so that's my comment.

36
37 **CHAIRMAN POWERS:** Thank you. Ken Roberts.

38
39 **DR. ROBERTS:** Thank you, Mr. Chairman. I guess my sentiments
40 are very much along the same lines. There is a difference
41 between availability that was made to the people who had to do
42 the analysis and existence, and I go back to what I think Ryan
43 said before the lunchbreak, and that is that they probably can't
44 do anything with this, if I'm paraphrasing correctly, that you
45 can't do anything with this and get it to the council in time
46 for action in 2021.

47
48 If that's the case, maybe we can wait a little while and

1 encourage people to wait until the existence data gets turned
2 into available data, and so that's just a general comment, and I
3 may have paraphrased it incorrectly, but that's the way I'm
4 thinking right now. Thank you.

5
6 **CHAIRMAN POWERS:** Thank you. One of the things I was thinking
7 of is, if this motion were not approved, what would happen, and
8 could we make the statement that our perception of the greater
9 amberjack is that it is still overfished and still undergoing
10 overfishing, and that sort of a fallback position, and I'm not
11 sure we can do that, but that's something to think about, but,
12 before we get into that, we have Shannon, Paul Sammarco, and
13 then Jason Adriance. Shannon.

14
15 **DR. CALAY:** Thank you. I just wanted to make a few points. One
16 is that we are certainly aware that a great deal of information
17 is becoming available, or is now available, that may change our
18 perceptions in the future, and, in fact, there is an effort to
19 spend about \$10 million on a greater amberjack project, which
20 you will hear about during this SSC meeting.

21
22 Clearly there is a need to conduct a research track assessment
23 of this species, to try to integrate some of this research
24 that's coming online. However, it will take years for that
25 process to be complete, because, to my knowledge, it's not yet
26 on the calendar, unless I have forgotten it, which is possible,
27 and it's about a two-year process to go from research track
28 assessment to operational results, and so that's one point.

29
30 It was also brought up that we could handle uncertainty
31 differently within the stock assessment and the projections, but
32 I did want to remind the group that that can change your
33 perception of, for example, the width of the PDF, but it doesn't
34 typically change our perception of the central tendencies that
35 we tend to base our management advice on, especially OFL, and
36 then the last point is that certainly we are aware that this
37 stock tends to remain overfished and undergoing overfishing, and
38 that the projections that we make show quick recoveries that are
39 not realized.

40
41 I do want to remind the group that there has been a history, in
42 this fishery, of relatively frequent overages, and so there are
43 good reasons that the stock has not recovered as rapidly as
44 expected, but, all that being said, I think it's very likely
45 that, as we bring in this research that is being conducted on
46 greater amberjack, it will change our perceptions of the
47 dynamics of this stock, but I think that result is years away,
48 and so that's all I had to say. Thank you.

1
2 **CHAIRMAN POWERS:** Thank you. Paul Sammarco.

3
4 **DR. SAMMARCO:** Thank you, Mr. Chair. I think that Benny has
5 brought up a very good point and that certainly these
6 populations of amberjack may be very important to the Gulf of
7 Mexico, perhaps even helping to sustain the pelagic populations,
8 but my feeling is that there's been a great deal of work and
9 energy put into these analyses, which Ms. Cummings presented,
10 and they are fairly telling, and certainly it would be critical
11 to bring in this information, these data, into analyses as soon
12 as the data become available, but, for the present time, I think
13 it would be wise to play the ball where it lies, as the analyses
14 have not been stated, let alone been completed, regarding new
15 data coming in.

16
17 At worst, at worst, we would be erring on the conservative side,
18 particularly when the data show, or suggest, that the species
19 has some population problems at the moment, and so I would say
20 that, with the work that's been done, I would recommend that we
21 stand by the work that's been done, and that doesn't demean the
22 data that's out there and available, but, as soon as possible,
23 bring those data in and interject them into the analytical
24 process, so that, the next time around that we're discussing
25 this, we may very much change our minds. Thank you.

26
27 **CHAIRMAN POWERS:** Thank you. Jason Adriance.

28
29 **MR. ADRIANCE:** Thank you, Mr. Chairman. I find myself
30 struggling with this motion as well, for all those points that
31 Sean brought up, and, while we have that new information, it
32 obviously wasn't in time to incorporate this, and there are
33 other things going on that will hopefully incorporate that.

34
35 While this may be the best we have, I'm starting to lean towards
36 the side of maybe it's not suitable for management, because,
37 obviously, using this assessment hasn't gotten us anywhere, and
38 that's all I had.

39
40 **CHAIRMAN POWERS:** Will Patterson.

41
42 **DR. PATTERSON:** Thanks, Joe. You know, we find ourselves in
43 this discussion about best available quite a bit. In the
44 context of this assessment, I think what we have to ask is was
45 the assessment conducted with the best available science, and
46 so, when the analyst and team sat down to do the assessment over
47 a period of months, did they actually use the best available
48 information to conduct their analysis?

1
2 Sean raises an interesting point about the CV on catches and
3 whether that should have been fixed or could be input, and
4 apparently that couldn't have been done in this framework in the
5 timeframe that was available, and so that actually wasn't
6 available to the analyst to be conducted.

7
8 Benny raised an issue about estimates that his team has made in
9 a couple of different studies, and he cited the BOEM study and
10 then work he's doing now, that LGL is now doing, for the State
11 of Louisiana, and that's important new information, but,
12 unfortunately, that only could not be included in the
13 assessment, but none of the members of the SSC, beyond Benny,
14 have seen that work, and it's not in front of us to evaluate
15 whether it should or shouldn't be included in a research track
16 assessment, which obviously this wasn't, and those data couldn't
17 be included here.

18
19 The last thing, with respect to that, is, if the biomass scales
20 up and down, that doesn't really change the age composition in
21 the assessment model. It could be that, if there were lots of
22 fish unavailable to the amberjack fishery, and different areas
23 that had a different age composition than what the landings
24 were, and the habitats that were targeted by fishermen, then the
25 population, overall, could have very different dynamics than
26 what the fishery data, the landings data, are informing the
27 model and the estimates produced.

28
29 However, if in fact the information, which is coming, Benny
30 said, from artificial reefs and from platforms, which we know
31 are targeted by the recreational fishery, as well as the
32 commercial fishery, for amberjack, if the age composition and
33 the estimates that he cited, from the work that LGL and
34 colleagues have done, is actually captured in the assessment
35 model, and, after peer review, it's determined that those
36 estimates are accurate and acceptable and should be utilized to
37 scale the biomass estimates in the model, that still wouldn't
38 change the overfished or overfishing status if the age
39 composition of the population being fished is the same as the
40 age composition of the population that is part of this pool of
41 biomass that apparently is not being scaled correctly in the
42 model.

43
44 If this issue that Benny highlights is determined, through
45 scientific review, to be real and present, that doesn't change
46 the overfished and overfishing, unless you have this disconnect
47 between the fished and potentially unfished populations.

48

1 **CHAIRMAN POWERS:** Thank you, Will. Kai.

2
3 **DR. LORENZEN:** I wanted to sort of speak in favor of the motion,
4 because I think that, although I recognize that there is new and
5 important information out there that Benny described, and there
6 is more information that will be forthcoming out of the greater
7 amberjack research program for over a larger range of habitats
8 and a larger area of the Gulf, but that's like three years away,
9 and, in addition to, as Will mentioned, the fact that, of
10 course, we have not reviewed that information that is currently
11 available, I think, also, it will take a great deal of effort
12 and reworking the assessment models to really account for this
13 new information, because of the spatial elements and the reason
14 -- The fact that it may be that it is counting components of the
15 stock that are less available to the fishery than those that we
16 are looking at with the assessment data and the assessment as we
17 currently conduct it.

18
19 I think there are a lot of questions that we will not be able to
20 address, even within a year or two, and it seems to me that the
21 prudent thing to do is to move forward with the information and
22 the assessment we have for the time being.

23
24 I would also note that I think, once that the new information is
25 accounted for appropriately, I am not sure that we will see
26 changes in management advice that are as large as people
27 perceive at the moment on the basis of simply information that
28 we have, and I think that goes for this, and it also goes for
29 the Great Red Snapper Count, because -- Which is, obviously,
30 similar in the challenges that it poses to us, simply because
31 we'll have to account for spatial structure and differences in
32 the exploitation rates and so on.

33
34 The end result will be different from what we get straight out
35 of the assessment, probably, and it might change our perception
36 of exactly how this stock is working, but it may not lead to the
37 magnitude of change in management advice that I think people are
38 kind of anticipating at the moment.

39
40 **CHAIRMAN POWERS:** Thank you. The way I kind of look at this is
41 that the SEDAR 70 operational assessment was the best science
42 that could be done on the particular assessment, given the
43 availability of data and so on, and that, currently, the stock
44 status is classified as overfished and is undergoing
45 overfishing, and so the question, to me, becomes has SEDAR 70
46 provided information that would indicate to us -- To change our
47 minds, to say that the stock is not overfished or that the stock
48 is not undergoing overfishing, and I don't see that. So, given

1 all the caveats about the assessment and those sorts of issues,
2 I am speaking in favor of the motion. Sean Powers.

3
4 **DR. POWERS:** I will go back to what I said, and the original
5 point, which I think I confused with Benny's point, and that is
6 that this model is essentially driven by recreational data, and
7 we know that collection of those data have changed over time,
8 and I'm just uncomfortable with so much weight being put on
9 that, because that's essentially all we have, is that catch
10 data, and how sure are we of that catch data, particularly with
11 the record of the past assessments?

12
13 I recognize Shannon's point that we've gone over the quota
14 several times, but we seem to be getting the same answer over
15 and over, and I think that's largely because we have such
16 limited data, and, as far as what happens if we don't accept
17 this motion, I would think that we would go to our control rule,
18 because we don't have an assessment, or we would keep the status
19 quo with our current management advice, and those are the two
20 kind of options if this motion fails. Anyway, I mean, that's my
21 real hesitation, and, again, it's not a remark on the analysts.
22 They only can deal with what's in front of them, but that's my
23 struggle.

24
25 **CHAIRMAN POWERS:** Will Patterson.

26
27 **DR. PATTERSON:** Responding to Sean's comment, I don't understand
28 the idea being expressed that all we have is the recreational
29 data. You know, it's true that the majority of the removals are
30 estimated to come from the recreational fishery, but there are
31 lots of other sources of information in the assessment model,
32 fishery-independent indices and fishery-dependent indices of
33 abundance, which are informing the model.

34
35 Then there are the ageing samples, and the age composition,
36 obviously, is really important in fitting the model, but, as far
37 as the removals and the magnitude of removals, yes, that's
38 coming from the recreational fishery, predominantly, because
39 that's larger than the other sectors, but this issue of scaling,
40 which these count studies, like the Great Red Snapper Count and
41 Benny's work on platforms, and now other habitats off of
42 Louisiana, but platforms in the western Gulf, and now the
43 artificial reef stuff that he just mentioned off of Louisiana,
44 with amberjack, those types of studies -- I mean, I think
45 everybody in the room is aware that the preliminary estimates
46 from the Red Snapper Count are quite a bit higher than the age-
47 two-plus red snapper abundance estimates from the most recent
48 stock assessment.

1
2 As far as the recreational removals, we as a body voted, a
3 couple of meetings ago, that FES was the best scientific
4 approach and should be utilized to estimate recreational
5 landings and the effort recalibration, while not perfect, is the
6 best available, currently.

7
8 I will just point out that, when the historical landings
9 estimates go up, that means the removals, historically, were
10 higher, which means the stock productivity would have been
11 higher, and the stock biomass would have been higher, and so, if
12 the stock biomass was higher historically than we estimated,
13 then studies like Benny's, where he is apparently estimating
14 much higher amberjack biomass in the western Gulf than the
15 assessment estimates, that actually is a way to converge, or
16 rectify, those two different estimates.

17
18 When the recreational removals are estimated to be higher, it's
19 actually in the same direction of these higher estimates that
20 are coming out of things like the red snapper project and
21 Benny's work off of Louisiana and the western Gulf on platforms
22 with respect to amberjack.

23
24 **CHAIRMAN POWERS:** Thank you. We have a number of people. First
25 Benny and then Paul Sammarco, Shannon Cass-Calay, and then Kai
26 Lorenzen, but, before that, let me ask Ryan a question. If this
27 were rejected, and the SSC made no recommendation, what would be
28 the default position?

29
30 **MR. RINDONE:** If the SSC makes no recommendation, then we are
31 left with the management that we currently have on the books.
32 If the SSC determines, as an example, that the assessment may
33 represent the best available information, but you guys don't
34 recommend its use for management, then the council would likely
35 request you to give them something to work off of, and Dr.
36 Frazer can speak more to that.

37
38 **CHAIRMAN POWERS:** What's on the books is it's classified as
39 overfished and undergoing overfishing, and then do you recall
40 what the ABC and OFL on the books is?

41
42 **MR. RINDONE:** So over -- Whether or not a stock is experiencing
43 overfishing is determined annually, based on the landings
44 relative to the OFL. Its overfished status is based on the most
45 recent stock assessment, and so, in this case, the stock would
46 continue to be classified as overfished, but undergoing
47 overfishing. However, if, in the future, landings are less than
48 the OFL, then overfishing would be determined not to be

1 occurring, based on the status determination criteria for
2 greater amberjack.

3
4 At present, for 2020 and subsequent years, the OFL, which is
5 equivalent to the annual yield at the maximum fishing mortality
6 threshold, or F 30 percent SPR, is 2.167 million pounds, and the
7 ABC, which is the annual yield at F OY, or 75 percent of F 30
8 percent SPR, is 1.794 million pounds, and so 2.167 million
9 pounds for the OFL and 1.794 million pounds for the ABC, and
10 that is for 2020 and subsequent years. That's in MRIP-CHTS
11 currency and not FES. That was to rebuild the stock by 2027.

12
13 **CHAIRMAN POWERS:** All right. Thank you. As I said, we have
14 four people now. Benny, Paul Sammarco, Shannon, and then Kai.
15 We'll begin with Benny.

16
17 **DR. GALLAWAY:** I would like to point out that the BOEM platform
18 study's information was published in June of 2020 as an
19 environmental study report from BOEM, and it had external peer
20 review by three scientists.

21
22 Also, I would like to also note that the location of the
23 platforms where the majority of these large fish occur are not
24 readily exploited by the recreational fisheries, because they
25 are not close to any population center, and they're hard to get
26 to, and so I think they are basically unexploited.

27
28 **CHAIRMAN POWERS:** Paul Sammarco.

29
30 **DR. SAMMARCO:** That's fine, Mr. Chair. I will pass. Thank you.

31
32 **CHAIRMAN POWERS:** Thank you. Shannon.

33
34 **DR. CALAY:** Thank you. I wanted to agree with some of the
35 conversation that there are certainly some uncertainties having
36 to do with greater amberjack that are larger than for some other
37 species that we manage. However, I do think we need to be very
38 careful about setting a precedent where we expect information to
39 be very data rich in order to manage fisheries, because few of
40 our stocks actually meet those expectations.

41
42 In general, the data that we have available to us are going to
43 be FES statistics, and that is what is recognized right now as
44 best available science by NOAA, and in very few situations do we
45 have data as high quality as say red snapper, and so I want to
46 kind of stress that best available science does not require us
47 to have a perfect understanding of the stock in order to manage
48 the fishery, and, in fact, the SSC could consider the increased

1 uncertainty and use that uncertainty to provide a larger buffer,
2 say between OFL and ABC, but to abandon stock assessment advice
3 derived from stock assessment projections, because there are
4 known uncertainties, sets a precedent for abandoning a number of
5 stocks, because this is one of many for whom the uncertainties
6 are larger than expected, or larger than average.

7

8 **CHAIRMAN POWERS:** Thank you. Kai Lorenzen.

9

10 **DR. LORENZEN:** I would also say that, although it's, to the
11 discussion between Sean and Will there, it's true that,
12 obviously, the recreational catches have played a major role in
13 scaling the assessment, and it is using a much wider set of
14 data, and, even though amberjack is comparatively data poor,
15 compared to red snapper, I would also point out that the
16 assessments have actually been quite consistent over time, and
17 those were assessments done with, obviously, continuously
18 expanded data series, but, also, if you think about the
19 sensitivity that was done with the production model, and so the
20 results are actually quite consistent over time.

21

22 I would say that the current assessment is an improvement over
23 SEDAR 33, not only because of, obviously, the updated data
24 series, but because of the use of the FES estimates, which we
25 have recognized as the best available science, in terms of the
26 recreational catch estimate, and so I think that it's a better,
27 more prudent approach to work -- To base management on SEDAR 70
28 than to fall back on essentially the last assessment, being the
29 SEDAR 33 update. Thanks.

30

31 **CHAIRMAN POWERS:** Thank you. Will Patterson, and hopefully
32 you're the last one.

33

34 **DR. PATTERSON:** Okay. I will try to keep it brief. Thanks,
35 Benny, for the correction there about your study's peer review
36 and publication, and I wasn't aware of that BOEM document, but I
37 look forward to checking it out.

38

39 The other statement Benny made was about the fish on those
40 platforms being farther offshore, and, therefore, that might
41 provide some type of refuge effect. You know, amberjack are
42 coastal migrants, and they move around, and diffusion models
43 could be utilized, with movement data that exists, to try to
44 estimate the likelihood that fish on those offshore platforms
45 would be exposed to fishing mortality, but we don't have
46 anything to actually evaluate that, in this case.

47

48 As far as this idea of the uncertainty here, you know, the

1 current reauthorized Magnuson Act requires that the benchmarks
2 be estimated, OFL to be estimated, and then discounting based
3 upon uncertainty, where we're required to manage, or the
4 councils are required to manage, in the face of uncertainty,
5 based upon the best scientific information available, and the
6 legislation is pretty clear that, the greater the uncertainty,
7 the more precautionous, or the greater the buffer, that should
8 exist.

9
10 It's not, hey, we're not quite sure about this, and so we're
11 just going to fall back, as Kai mentioned, to either earlier
12 estimates or to punt until an updated assessment that may
13 incorporate some of these new data streams becomes available.
14 We're meant to estimate the OFL and then set the buffer based
15 upon, or estimate the buffer based upon, scientific uncertainty.

16
17 Now, in this case, we run into the issue that we often do, which
18 the PDF is not likely to capture all of the uncertainty, or full
19 account for the uncertainty, in the assessment, and Sean pointed
20 out this issue with CVs and whether the large CVs were directly
21 estimable, estimated and put into the assessment, or whether
22 it's fixed. You know, that's going to have an effect on the
23 overall distribution at the end, and, the more parameters that
24 are fixed in the assessment, the less the process error, the
25 natural variability, is actually going to be carried through
26 into that PDF.

27
28 This may be a case where we actually depart from the control
29 rule altogether, because the uncertainty in the assessment is
30 not fully captured in the PDF, and, now, obviously, we haven't
31 looked at that to this point, but, in thinking ahead, that would
32 be where the legislation, and the operating procedures, require
33 us to move, is to actually inject more precaution and not just
34 disregard it.

35
36 **CHAIRMAN POWERS:** Thank you. Doug Gregory.

37
38 **MR. GREGORY:** Thank you. A couple of things, and I will be
39 quick. The best scientific information available document
40 provided to us by National Marine Fisheries Service asks the
41 peer review people, which is the SSC at this point, to do four
42 things.

43
44 It's to determine if there's a sufficient scientific basis for
45 the stock status for projections and for any technical merits to
46 modify the status determination criteria, and it doesn't say, I
47 don't think, unless it's elsewhere in this document, that we
48 need to say this is the best available scientific information,

1 and I know Shannon is more familiar with this, and she can
2 correct me in that regard, but, if that's the case, then we
3 don't have to get hung up on the best scientific information
4 point, and maybe this motion should be separated into two.

5
6 The other point I wanted to make is the buffer requirement with
7 ABC, based on uncertainty, is in the National Marine Fisheries
8 Service's technical guidelines, and it's not in the legislation
9 of the Magnuson Act. It's simply guidelines, and so we can take
10 that as it is, because the guidelines are pretty strongly
11 enforced, and so I'm not saying we can ignore them, but it's not
12 in the legislation. Thank you.

13
14 **MR. RINDONE:** Dr. Powers? Is Joe still there? Kai, you're up,
15 as the Vice, until Joe gets back online. To Doug's point about
16 the NMFS guidance, in this particular case, the SSC is not only
17 responsible for determining whether the assessment is suitable
18 for management, but, also, as this motion suggests, you are
19 conducting the peer review of the assessment, and so you have
20 kind of a double duty that's being passed on to you guys here.
21 I sent Jess the NMFS guidance that Doug is talking about that
22 she can distribute to all of you guys here in just a minute.

23
24 It's on the SSC to be able to judge the assessment based on its
25 merits, as far as whether it is the best scientific information
26 available, and all of those questions and debates should be
27 satisfied prior to making any recommendations, as far as future
28 catch, and that's a broad generalization of the process outlined
29 in the NMFS guidance document.

30
31 **DR. LORENZEN:** Okay. Thanks for letting me take over, if Joe is
32 still absent, and we have Bob Gill.

33
34 **MR. GILL:** Thank you, Mr. Chairman. I call the question.

35
36 **DR. LORENZEN:** Okay. Should we vote?

37
38 **MR. RINDONE:** To call the question is a vote to end debate and
39 then to subsequently vote on the motion.

40
41 **DR. LORENZEN:** Yes.

42
43 **CHAIRMAN POWERS:** I lost the signal, but I'm back again. Where
44 do we stand?

45
46 **DR. LORENZEN:** Bob Gill called the question.

47
48 **CHAIRMAN POWERS:** Okay. Theoretically, when you call the

1 question, you have to vote on calling the question, whether to
2 shut off debate. If that's what we're doing, then let me see if
3 we can -- Let me see if we've reached the point where we have
4 general agreement with the shut off debate at this point. Are
5 there any objections to calling the question to moving forward
6 to the vote? Are there any objections to that?

7
8 **DR. POWERS:** Yes, and I just had a brief point to mention, and
9 then I would be fine with going forward.

10
11 **CHAIRMAN POWERS:** Okay. Sean, go ahead.

12
13 **DR. POWERS:** Based on Will's comment earlier, I agree with Will
14 that the uncertainty would lead us to discount the OFL even
15 further, and I think that's pretty clear in the intent, but the
16 question is do you accept the OFL from the stock assessment, and
17 that's where I am having concern, is the OFL. I recognize that
18 there's some standard uncertainty, and we might want -- The PDF
19 probably won't capture it, but the issue is the OFL value, and
20 that's it.

21
22 **CHAIRMAN POWERS:** Thank you. Were you finished? You sounded
23 like you were cut off.

24
25 **DR. POWERS:** No, I'm finished.

26
27 **CHAIRMAN POWERS:** Okay. Thank you. All right. If there's no
28 objections to going ahead and voting on the motion, and, given
29 the diversity of comments, let's do a voice vote, and I think
30 that would be easier at this point. Can we just go through the
31 list?

32
33 **MS. MATOS:** One second.

34
35 **CHAIRMAN POWERS:** Sure.

36
37 **DR. FRAZER:** I am just sitting here trying to think about this
38 from sitting around the council table, right, and so I'm trying
39 to reconcile a few things in my mind. In the current situation,
40 you have an OFL that's about 1.5 million pounds, and you've got
41 an ABC that's about 1.18, and so the buffer there is about 22
42 percent.

43
44 Then, all of a sudden, you go to the new assessment and what was
45 written in the report, and the OFL, in the original report, is
46 1.16 million pounds, and the ABC is only 0.315 million pounds,
47 and so the buffer there is about 73 percent, and so that gets to
48 Will Patterson's point.

1
2 You have some uncertainty in this new assessment, and you're
3 kind of dealing with that conservatively, but then, all of a
4 sudden, you change the landings data, and you include that 2019,
5 and you double your OFL, and you nearly quadruple your ABC, and
6 so I'm trying to explain, in my mind, to the council why you
7 made the decision, or how you would defend the decision, to
8 include the 2019 data, right, and so now you would have an ABC
9 that's almost more than your OFL in your original assessment
10 report.

11
12 To me, I just want to know how I'm going to be able to convey
13 this information and whether you guys, as a group, feel good
14 about including the 2019 data as part of the assessment, or are
15 the projections actually part of the assessment here that you're
16 voting on?

17
18 **CHAIRMAN POWERS:** That's the next issue, you conveying it to the
19 council, and also me conveying it to the council, and, you know,
20 we have to be very careful about that, but much of the issue
21 we're talking about is kind of the next thing that we have to
22 deal with, and the first step is do we want to continue
23 classifying this as overfished and overfishing, and that's the
24 vote that we're taking now, and so thank you. Then can we go
25 ahead with the individual votes for this?

26
27 **MS. MATOS:** Lee Anderson.

28
29 **DR. ANDERSON:** Yes.

30
31 **MS. MATOS:** Luiz Barbieri.

32
33 **DR. BARBIERI:** Yes.

34
35 **MS. MATOS:** Harry Blanchet.

36
37 **MR. BLANCHET:** No.

38
39 **MS. MATOS:** Dave Chagaris.

40
41 **DR. CHAGARIS:** Yes.

42
43 **MS. MATOS:** Benny Gallaway.

44
45 **DR. GALLAWAY:** No.

46
47 **MS. MATOS:** Bob Gill.

48

1 MR. GILL: Yes.
2
3 MS. MATOS: Doug Gregory.
4
5 MR. GREGORY: No.
6
7 MS. MATOS: Walter Keithly.
8
9 DR. KEITHLY: Yes.
10
11 MS. MATOS: Kai Lorenzen.
12
13 DR. LORENZEN: Yes.
14
15 MS. MATOS: Camp Matens.
16
17 MR. MATENS: No.
18
19 MS. MATOS: Jim Nance.
20
21 DR. NANCE: Yes.
22
23 MS. MATOS: Will Patterson.
24
25 DR. PATTERSON: Yes.
26
27 MS. MATOS: Joe Powers.
28
29 CHAIRMAN POWERS: Yes.
30
31 MS. MATOS: Sean Powers.
32
33 DR. POWERS: No.
34
35 MS. MATOS: Ken Roberts.
36
37 DR. ROBERTS: No.
38
39 MS. MATOS: Steven Scyphers.
40
41 DR. SCYPHERS: Yes.
42
43 MS. MATOS: Jim Tolan.
44
45 DR. TOLAN: Yes.
46
47 MS. MATOS: Jason Adriance.
48

1 **MR. ADRIANCE:** No.
2
3 **MS. MATOS:** Judd Curtis.
4
5 **DR. CURTIS:** Yes.
6
7 **MS. MATOS:** John Mareska.
8
9 **MR. MARESKA:** No.
10
11 **MS. MATOS:** Andrew Ropicki.
12
13 **DR. ROPICKI:** Yes.
14
15 **MS. MATOS:** Cam Ainsworth.
16
17 **DR. AINSWORTH:** Yes.
18
19 **MS. MATOS:** Mandy Karnauskas.
20
21 **DR. KARNAUSKAS:** Yes.
22
23 **MS. MATOS:** Paul Sammarco.
24
25 **DR. SAMMARCO:** Yes.
26
27 **CHAIRMAN POWERS:** Thank you. Obviously, there are lots of
28 differences of scientific opinions of how to proceed with this,
29 and it's up to me, I guess, to convey this to the council, the
30 reasons for this, and, again, much of the issue is not the
31 analysis, per se, but the kind of data and how we might proceed
32 with it, and, again, this is no criticism of the analysis, per
33 se.
34
35 **DR. GALLAWAY:** By the way, I totally agree with that.
36
37 **CHAIRMAN POWERS:** As I said, it's concomitant to me to convey
38 this diversity of opinion to the council. All right. The next
39 question then is how do we proceed for OFL and ABC? That also
40 brings up the issue of, if we're going to use some sort of
41 projection, how do we want to adjust the projections, and, if
42 that's the case, is this something that can be done in the next
43 day or so?
44
45 This is going to Ryan's original comments about not being able
46 to implement things in 2021, and so the projection would
47 probably begin in -- The management part of the projection would
48 probably begin in 2022, and so let me ask, I guess Katie, and,

1 given a well-defined set of instructions about how to include
2 the 2019 and 2020 data, is it possible to get an update of these
3 projections in a relatively short period of time?

4
5 **DR. SIEGFRIED:** Yes, it is. It won't take long to run those
6 projections. Nancie will know better how many days and hours
7 exactly, but it shouldn't be difficult to do.

8
9 **CHAIRMAN POWERS:** Well, all right. Let me ask Nancie then. Is
10 it days or hours?

11
12 **MS. CUMMINGS:** Thank you, Chair. They can be run within a day
13 or so. I'm just very concerned about the 2019 catches, as an
14 analyst, that they will change, in particular for the
15 recreational, and so I'm very concerned, and that's why normally
16 we do use an average over these years, the years.

17
18 **CHAIRMAN POWERS:** The issue of how we do it, we're getting to.
19 My question is can it be done within -- For example, if we gave
20 you instructions now, could we revisit this tomorrow afternoon
21 or Thursday morning?

22
23 **MS. CUMMINGS:** Tomorrow afternoon or Thursday morning, yes.

24
25 **CHAIRMAN POWERS:** Okay. Thank you. So let me begin with Bob
26 Gill.

27
28 **MR. GILL:** Thank you, Mr. Chairman. I have two questions, and
29 the first one is for Ryan, and that is we have different start
30 years for commercial and recreational in this fishery, in that
31 the recreational starts, if I recall correctly, on 1 August, but
32 that's called the 2021 fishing year, I believe, and so what data
33 are we really talking about using for the recreational side, and
34 I understand your comment relative to starting with 2022, and it
35 certainly works for commercial, but is that also appropriate for
36 the 2021 recreational fishing year? Then I have a question in
37 follow-up to that.

38
39 **MR. RINDONE:** I think it does, Mr. Gill, because I just don't
40 see a scenario where we are able to get any functional
41 management change in place to affect greater amberjack in time
42 for the start of the August 1 beginning of the recreational
43 fishing season, and so just our recent experiences over the last
44 few years, with the rate at which things are developed and
45 implemented, there's just not time for that to happen, and then
46 you combine that with other factors, like COVID and
47 administration changes, and those aren't the kinds of things
48 that are going to speed the process along.

1
2 With respect to the effect of fishing year specifically, the
3 rule that changed the recreational fishing season went into
4 effect on January 27 of 2018, and so the first split season, if
5 you will, was the 2017/2018 season, and then this fishing season
6 that we're talking about, like Mr. Gill said, would be the
7 2021/2022, but still any management change coming from this
8 likely isn't going to come into effect until some point in 2022,
9 hopefully early, but still. Mr. Chair.

10
11 **MR. GILL:** Thank you, Ryan, and my comment relative to my other
12 question is I would suggest that we should go through the ABC
13 control rule, just as standard practice, to see what it says,
14 and that may or may not help us determine next steps, but, given
15 that that's our guiding document at this point in time, we
16 should go through that, relative to greater amberjack, and deal
17 with the results of that. Thank you, Mr. Chairman.

18
19 **CHAIRMAN POWERS:** Thank you. Before we get to Doug, it's not
20 really written in the control rule, but this is why I brought up
21 that the FMP itself is defining F rebuild, and that might be
22 interpreted as ABC, but we'll address that issue. Doug.

23
24 **MR. GREGORY:** I was just thinking, procedurally, it might be
25 appropriate to have the presentation on Something's Fishy, the
26 anecdotal data, before we actually discuss what quotas should
27 be, ABCs should be, and it seems kind of odd to have that input
28 from the public after we make a decision. Thank you.

29
30 **CHAIRMAN POWERS:** Thank you. I have no objection to that. All
31 right. If that's the case then, let's go through the
32 Something's Fishy section, and, when we return, what I would
33 like to look at is the actual projections. Well, we'll get
34 there, but the actual projections, as they exist now, that table
35 that's in the presentation, and so let's go ahead with the
36 Something's Fishy section.

37
38 **SOMETHING'S FISHY**

39
40 **MS. EMILY MUEHLSTEIN:** Okay. Thank you for this opportunity.
41 We did run a Something's Fishy effort for greater amberjack.
42 Just as a quick reminder, this is a tool that we use to gather
43 information on fish stocks from active fishermen on trends or
44 unusual occurrences that we may not have observed, and so these
45 responses particularly were gathered in 2020, pretty much the
46 month of May, and we did it intentionally this month because
47 it's a fishing month for the recreational sector of greater
48 amberjack, and then we generated a final report and emailed it

1 to the stock assessment scientists in June of 2020.

2
3 We didn't get a great number of responses here, and we only got
4 sixty-four responses, and we did not limit respondents to a
5 singular response, and you will see that a vast majority of the
6 respondents were recreational fishermen, or for-hire fishermen,
7 which are also part of the recreational sector.

8
9 We analyzed the comments two ways. We analyzed comments
10 manually, where two analysts read the comments and classify them
11 as either positive, negative, or neutral, and we also use
12 automated sentiment analysis, using R, and one of the main
13 things that you will notice here is both type of analysis showed
14 about the same proportion of positive comments, and the major
15 difference here is that the manual analysis showed that the
16 remaining comments were mostly neutral, while the automated text
17 analysis showed that the remaining comments were split sort of
18 between negative and neutral sentiment.

19
20 You might also notice that there is a difference in the number
21 of comments that are total through each one, and that is because
22 the automated analysis actually drops comments and doesn't
23 analyze them if none of the words used in the comment are
24 recognized by the lexicon library.

25
26 **CHAIRMAN POWERS:** When you say positive or negative, relative to
27 what?

28
29 **MS. MUEHLSTEIN:** We had started, in earlier efforts, to make it
30 relative to abundance. However, because the automated analysis
31 does not have any way of discerning whether the comments are
32 abundance related or not, it's really the overall sentiment of
33 the comments here, and so it is important, sometimes, to
34 recognize that a negative comment could be like, hey, the stock
35 is in great shape, but you are terrible at managing it, and the
36 regulations are ridiculous, and now that's one positive and two
37 negative sentiments, and that would come out as a negative
38 comment, even though it's not abundance related, and it's just
39 sort of a negative sentiment overall, and does that make sense?

40
41 **CHAIRMAN POWERS:** Okay. Thank you.

42
43 **MS. MUEHLSTEIN:** Sure. Okay. It is important to notice that
44 most of the responses that we got were off of the central
45 Florida and the Panhandle of Florida, and we did have a few
46 areas, in both the western Gulf and Florida Keys, where we only
47 received one response, and that's mostly important for this next
48 slide, where we look at the sentiment by location, and you will

1 see, in each box, there is an actual number that shows you how
2 many comments we got by each location, and then it breaks it
3 down by sentiment in that comment.

4
5 One of the things that you will notice is that most of the
6 negative comments that we received are sort of clumped up in the
7 Big Bend area of Florida, with some in western Louisiana as well
8 as in sort of the west Texas area.

9
10 The automated analysis does a little breakdown for us on the
11 most frequent words that we see, and we just want to display
12 those here. These most frequently used words could indicate
13 that anglers with negative perceptions of the greater amberjack
14 stock were seeing smaller fish and that they were dissatisfied
15 with the size limit.

16
17 Then, finally, through manual analysis, we did see some themes
18 emerge, and we saw that a majority of the neutral comments were
19 critical of management, but indicated that greater amberjack are
20 prolific, and, in this case, comments were critical of
21 management, but indicated that greater amberjack are prolific,
22 and, in this case, comments were considered neutral, because
23 they indicated a positive trend in abundance, but a negative
24 impression of amberjack regulations, and so that sort of speaks
25 to that overall comment sentiment.

26
27 We also heard that some of the comments classified as neutral
28 indicated that amberjack were so abundant that they are an
29 ecological problem, or nuisance, and so, again, that's another
30 one of those instances where the overall sentiment is influenced
31 because there is a positive thought, followed by a negative
32 thought.

33
34 Then we also heard that most of the responses from the western
35 Gulf were classified as positive, while responses from the
36 eastern Gulf were more likely to be neutral, and that summarizes
37 that report. Any questions?

38
39 **CHAIRMAN POWERS:** Thank you. Are there questions? All right.
40 Doug, do you want to make any comments?

41
42 **MR. GREGORY:** No thank you.

43
44 **CHAIRMAN POWERS:** All right.

45
46 **MR. GREGORY:** Thank you, Emily. I appreciate that.

47
48 **MS. MUEHLSTEIN:** My pleasure, Doug. Thanks for thinking to put

1 it in that order.

2

3 **CHAIRMAN POWERS:** Cam.

4

5 **DR. AINSWORTH:** So what is it that you're hoping to get from
6 this? I mean, why not separate those questions into
7 satisfaction with management and perceived abundance changes?

8

9 **MS. MUEHLSTEIN:** So I think, in an ideal world, we would be able
10 to do that. However, we are constrained by the Paperwork
11 Reduction Act, and so the way that we frame the collection of
12 this public comment has to be in a very general manner. If we
13 were to sort of ask specifics, we would have to get each effort
14 cleared by the Paperwork Reduction Act, and so this is sort of
15 our way of doing this without having to spend a year getting it
16 approved to do it. It allows us to be a little bit more nimble.

17

18 Now, in the actual analysis, which we can -- The full text
19 comments, which we can share, if anybody is interested, one of
20 the things that we do, when we are manually analyzing the
21 comments, is categorize whether or not the comment is related to
22 abundance or not, and so I guess, for future efforts, one of the
23 things that we could do is do a little bit better job of teasing
24 out abundance-related comments, versus just sort of management-
25 related comments, if you think that that would be a useful
26 thing. It's just that's then something that -- We were trying
27 to remove the human element, by having the automated analysis
28 sort of groundtruth what we were finding.

29

30 **DR. AINSWORTH:** Maybe it's sufficient to analyze attitudes.

31

32 **CHAIRMAN POWERS:** All right. Thank you. Harry.

33

34 **MR. BLANCHET:** My question was right along those same lines. It
35 seems that, if we separate the two aspects between fishermen's
36 satisfaction with management versus their perception of stock
37 status, while that might not be something that would be -- That
38 automated analysis could handle, but it certainly is something
39 that manual analysis could handle, and you could combine them
40 into -- Just do that matching against the automated, but it
41 seems like that would be useful for future attempts at this.

42

43 **MS. MUEHLSTEIN:** Yes, and we can certainly do that, and, if you
44 actually look at one of the tools, and I can share that with you
45 guys in a future meeting, if you want, but we sort of set them
46 up to be asking about abundance, and so what we're doing, when
47 we're prepping them for this open comment, is actually sort of
48 leaning towards telling them what we're looking for without

1 actually asking the direct question, and so I can also sort of
2 see if there's a way that we can play with the setup, in order
3 to make it more clear to respondents that we're not really
4 looking for satisfaction with management and that we're actually
5 looking about trends in abundance and things that are actually
6 happening with the stock itself, but we will certainly take that
7 advice for future iterations of this tool.
8

9 **MR. BLANCHET:** I mean, I'm fine with open-ended questions and
10 then receiving whatever that person is going to share, rather
11 than pointing them in a specific direction, but it just requires
12 more work on the backend, to get what hopefully is a similar
13 result.
14

15 **CHAIRMAN POWERS:** Thank you. We have Kai, and I think then Ken
16 Roberts after him.
17

18 **DR. LORENZEN:** I just wanted to give a little sort of additional
19 insight here, because we did, as part of our visioning for the
20 greater amberjack research project, we did about ninety in-depth
21 interviews with greater amberjack stakeholders, including
22 fishers from all sectors, and it's somewhat similar to what
23 we're seeing here.
24

25 I think we had more positive than negative comments, and we did
26 ask specifically about management, but also the perception of
27 the science behind management and the stock assessment, and I
28 think relevant to what we're discussing today was that the
29 majority of the people we talked with felt that the stock
30 assessment and the stock status determination was realistic for
31 the Gulf, and they also were, broadly speaking, more positive
32 than negative about management, and acknowledging that this is
33 quite a complex fishery, with many different stakeholders who
34 use the resource for different things, but, overall, the
35 feedback was more positive than negative. Thanks.
36

37 **CHAIRMAN POWERS:** Thank you. We have Ken Roberts and then
38 Shannon Calay.
39

40 **DR. ROBERTS:** Thank you, Mr. Chairman. I am familiar with the
41 press release, or the media release, that comes out in the
42 various sportsmen's pages and magazines and whatnot about
43 Something's Fishy, with the amberjack example, but my question
44 is, in looking at the number of respondents that come about as a
45 result of whatever your method is that you're using, and the
46 distribution throughout the Gulf, what are you doing in the
47 future to improve the response, since these are not solicited
48 and they're just informed that this is available, and you're not

1 soliciting a sample out of a population that is known? What are
2 you doing for the future, in terms of getting the word out
3 better to get a response and then know something about the
4 representativeness of the response? Thank you.

5
6 **MS. MUEHLSTEIN:** That's a great question, and it's something
7 that we've certainly been considering. We actually brought an
8 overview of the tool and the analytics from our past efforts to
9 our Outreach and Education Technical Committee.

10
11 It's very clear that, when our call for responses to a
12 Something's Fishy tool is amplified by a state agency, that we
13 get higher response rates. Just recently, we published a gag
14 Something's Fishy, and that's actually still open for this
15 month, and we already have 400 responses to that one, and that's
16 because we are pushing our state agencies and asking them to
17 amplify the availability of these tools, through their social
18 media and their sort of press release lists as well.

19
20 Some of them are also published, like you said, and picked up
21 from *Florida Sportsman* and some of the other sort of forums and
22 things like that, and so we have been pushing really hard to try
23 and get those things to be amplified.

24
25 Really, when it comes just from us, and it doesn't come
26 amplified by a partner agency or a media outlet, we get lower
27 response rates, and I also think that sometimes just the
28 controversy around a species could make it more or less
29 tantalizing to respond to, and so I think that that's another
30 factor that plays in, but we're certainly doing our best to sort
31 of get not only our sort of fishermen allies that have their own
32 groups of captains that follow them and talk to them, but also
33 our partners in the state, as well as the media, to keep pushing
34 them and make it better, because the tool definitely improves
35 with increased response rates.

36
37 **DR. ROBERTS:** Good news. I think you're on the right track, and
38 I appreciate that.

39
40 **CHAIRMAN POWERS:** Thank you. Shannon.

41
42 **DR. CALAY:** Thank you. I also wanted to note that I think that
43 the results of the Something's Fishy information are not at all
44 surprising to me. They reflect some changes, some differences,
45 in the perception of the stock, west and east, which are
46 probably quite real and would have to be addressed by using a
47 model with more spatial structure.

48

1 Also, I wanted to remind the group that this stock has been
2 essentially static in its abundance for about thirty years, at
3 least, and so it's not surprising to me that the fishermen are
4 not reporting large changes, large increases or decreases,
5 consistently.

6
7 In fact, we don't see that in the stock assessment either, and
8 we see a stock that is relatively static through time, with some
9 variations in abundance, and so I see that there is some
10 consistency, actually, between what the fishermen have reported
11 and what we see, both in the stock assessment and in what we
12 have pointed out as research objectives.

13
14 **CHAIRMAN POWERS:** Thank you. Go ahead, Benny.

15
16 **DR. GALLAWAY:** On the slide titled "Manual Analysis", the last
17 two points, some of the comments -- The last two points, I was
18 curious. Some of the comments on amberjack were so abundant
19 that they were a nuisance, were those largely from the western
20 Gulf, and is that consistent with the last point?

21
22 **MS. MUEHLSTEIN:** Yes, that's absolutely right, and so the
23 western Gulf is where people were reporting that they were a
24 nuisance, and I think that there were some comments in there
25 that also sort of put them -- Amberjack, triggerfish, and red
26 snapper sort of in that same category, and it was all western
27 Louisiana over to sort of central Texas where we heard that.

28
29 **DR. GALLAWAY:** Which is exactly the area that the platform
30 numbers come from, and so that's just an observation.

31
32 **CONTINUED DISCUSSION OF SEDAR 70**

33
34 **CHAIRMAN POWERS:** Thank you. Thank you for the presentation. I
35 think these sorts of inputs can be very illuminating, and so we
36 return to OFL and ABC and whether we want to redo a set of
37 projections, and so I'm looking for some guidance here.
38 Shannon.

39
40 **DR. CALAY:** Thank you. Of course, we are willing to make some
41 revisions, if they are requested by the SSC, and it would be
42 helpful to know that the SSC has agreed that stock-assessment-
43 based management advice can be derived. What I'm getting at is
44 usually there's a second motion about whether the stock
45 assessment advice will be used to create management, OFL and
46 ABC.

47
48 We can make limited analyses now, limited revisions, to assist

1 you, if that would help you make that determination. We can't
2 do anything too elaborate in the timeframe. More extensive
3 revisions will require a subsequent meeting, and so, if it's
4 really just a matter of the treatment of the 2019 and 2020
5 catches, that's something we could probably do relatively
6 quickly.

7
8 I just want to be sure, and I know we've heard a request from
9 Ryan Rindone, and we are willing to make that analysis, if the
10 SSC agrees it's useful. If the SSC does not believe it's
11 useful, then we prefer not to do that work.

12
13 **CHAIRMAN POWERS:** Understandably. All right. Essentially, yes,
14 we have to come to some agreement about how we want to approach
15 a problem. My attitude is, if we're going to do some sort of
16 projection-based OFL and ABC, then, ultimately, you have to
17 decide how you're going to deal with the 2021 data and go from
18 there. It's really more the larger issue of how to proceed for
19 what do we define as ABC and what do we define as OFL.

20
21 Bob Gill has suggested, for ABC, that we go through the control
22 rule with the scaling that we traditionally do, in order to get
23 a P*. It's also been suggested, by me, that the ABC, by
24 definition, is the F rebuild, and there's also questions about
25 what the OFL is, given some of the issues about the projections,
26 and so all of those things are kind of on the table. Ryan, did
27 you have a question or a comment or solution?

28
29 **MR. RINDONE:** Yes, sir. Taco Tuesday has fueled our brains a
30 little more over here, and we have a slight modification to the
31 recommendation for modification of the projections. For 2019 --
32 For better or worse, what was landed in 2019 was landed in 2019,
33 and I don't disagree with Nancie, or the rest of the Science
34 Center folks, at all that 2019 is a little weird, especially
35 compared to everything else.

36
37 However, we're talking about 2020 and 2021 here, and we've had
38 discussions at other meetings, other SSC meetings and other
39 council meetings, between ourselves about our perceptions of
40 recreational fishing effort in 2020, especially as it relates to
41 COVID, and one of the things that we heard routinely, from
42 people of all walks, was that there was a lot more recreational
43 fishing effort in 2020.

44
45 Using 2019 as part of the average for 2020 would certainly
46 undercut those observations, and we don't have those data from
47 MRIP in front of us, obviously, but we certainly can make some
48 probably defensible assumptions about what we think could have

1 happened in 2020, and there's not much to say that 2021 would
2 necessarily be much different than that.

3
4 What I would like to propose to you guys, as a way of doing
5 this, is that we use 2016, 2017, and 2018 data as they are for
6 those years, use 2019 data for 2019, even though it's still
7 considered preliminary, and then, for 2020 and 2021, to use the
8 averages of 2016 to 2018. Using the three-year average for 2020
9 and 2021 keeps with best practices, to the extent of using a
10 three-year average, even though it doesn't use the most recent
11 year of 2019, but it does use the most three recent years of
12 finalized data.

13
14 If you look at -- Well, you don't have it up in front of you,
15 but I can tell you, but if we look at the landings history,
16 1.962 million pounds was landed in 2016, 794,000 pounds in 2017,
17 and 622,000 pounds in 2018.

18
19 The ACTs for 2017 and 2018 were adjusted for the overage in
20 2016, which then there was an overage in 2017, and 2018's ACL
21 was -- The landings were kept under that ACL, but it would
22 certainly seem inaccurate to presume that 2019's landings, which
23 right now look to be round about 500,000 pounds, and assuming
24 that for 2020 seems like it's probably a bad idea. That's what
25 we're suggesting at this point. For 2019, use the preliminary
26 data, and, for 2020 and 2021, use the average of 2016 to 2018,
27 thinking that will be more realistic. Mr. Chair.

28
29 **CHAIRMAN POWERS:** Thank you. I don't have any problems with
30 that sort of scenario, but, to me, the larger issue is what F
31 values are you going to use, and what are you actually going to
32 project? In essence, what are we defining as OFL and ABC?
33 Harry.

34
35 **MR. BLANCHET:** Thank you. This is to Ryan's point of 2020, and
36 we do not have the data yet for that, obviously, but, at least
37 for the MRIP, we do have I believe through Wave 5 with some
38 preliminary data that could be used at least as a check to see
39 if that projection is in the ballpark or if we need to come up
40 with an alternative. I'm not saying to use it, but I'm just
41 saying to just see if it's in the ballpark.

42
43 **CHAIRMAN POWERS:** Thank you. Luiz.

44
45 **DR. BARBIERI:** Thanks, Joe, but I don't know -- Nancie, do you
46 have something to that previous point that you wanted to make a
47 comment about?

48

1 **MS. CUMMINGS:** Yes, and thank you. I will just repeat what Ryan
2 said, because I have a question. 2019 as 2019 preliminary for
3 landings, I understand, and you're suggesting to use 2016
4 through 2018 for 2020 and 2021, correct?

5

6 **MR. RINDONE:** Yes, ma'am.

7

8 **MS. CUMMINGS:** So, in my interpretation as an analyst, it tells
9 me that's indicating that we really don't trust the 2019
10 datapoint, and that's just a perception I see here, because, if
11 you want to use 2019 as 2019, then I would suggest using 2017,
12 2018, and 2019 as your three-year average, unless you have some
13 reason, and it's my understanding that 2019 data are about 95
14 percent complete, and that's just my kind of thought, but I may
15 be off here in my understanding.

16

17 **CHAIRMAN POWERS:** The issue isn't the, quote, unquote, proper
18 average, but you're basically trying to say, well, what is the
19 most likely catches for 2020 and 2021, and is it best
20 represented by some average of 1990 to 1992 or is there a --

21

22 **MS. CUMMINGS:** I understand that, Chair, but look at the --

23

24 **CHAIRMAN POWERS:** Excuse me.

25

26 **MS. CUMMINGS:** But look at the 2019 landings. They are much
27 lower than the 2018, and so we already know the average is going
28 to come down, and 2019 is already going to come down more.

29

30 **CHAIRMAN POWERS:** Thank you. Luiz.

31

32 **DR. BARBIERI:** Thank you, Joe. First, I guess, to this very
33 point, what is the issue with the 2019 landings estimate? Can
34 somebody help clarify what the issue that was identified is,
35 because we should have final numbers for the 2019 MRIP
36 estimates.

37

38 **DR. FROESCHKE:** I will try to answer that. The issue for 2019
39 is exactly what Joe Powers said. It's that, based on the
40 management that was in place, and, in that year, there was no
41 May fishery, and it was only open in the fall, and that's not
42 the season that we would project that happened in 2020 or what
43 we would predict would happen in 2021, and so we have no problem
44 saying that's what actually happened in 2019, and those numbers
45 reflect that, but we don't think that is a good predictor of
46 what the landings are likely to be in 2020, nor 2021, because
47 the management and the seasons are different, and the 2016
48 through 2018, although imperfect, are likely to better -- Be a

1 better surrogate of what's going to happen in 2020 and 2021,
2 based on what we actually know when the management is going to
3 be in place.

4
5 **DR. BARBIERI:** Great, John, and, yes, that answers my questions,
6 and so, in that sense, I would say we would -- If we follow the
7 suggestion, recommendation, made by Ryan, we would perhaps use
8 the average of 2016 to 2019, but apply it to 2019 through 2021,
9 and wouldn't that be a viable way to avoid the 2019 that we do
10 not trust and have something that can fill in those years for
11 the projection?

12
13 **CHAIRMAN POWERS:** What John just said though is not that we
14 don't trust 2019, but that 2019 isn't a good predictor for 2020
15 or 2021.

16
17 **DR. BARBIERI:** Right, and I didn't mean "trust" in that way. If
18 it's not a good predictor for 2021, then it's not something that
19 we can say that the recent past is a good representation of the
20 near future, and so, as far as completing the projections, we
21 might be better by having something that reflects what it's
22 going to be into the future, if I can phrase it that way, Mr.
23 Chairman.

24
25 **MR. RINDONE:** Luiz is exactly right. When we set the split
26 season, the intention was that there would be a fall and a
27 spring season. In 2019, that was not what was experienced, due
28 to overage adjustments in previous years, and, in what we would
29 presume to be a typical management scenario, we would be
30 managing to the ACL, and we wouldn't have overages, and we
31 wouldn't have payback provisions that would cause us to have
32 modified ACLs in the following year, and thereby truncated
33 seasons, and so all of those things worked against 2019, and
34 it's management bias, and not a change in fisher behavior, but
35 management bias, that makes 2019 atypical.

36
37 By using years where there is hopefully a little bit less of
38 that -- I mean, we had adjustments in 2017 and 2018, but, by
39 using 2016, which was, by all accounts, unbridled, it makes it a
40 little bit more along the lines of what we would expect to see
41 as far as the landings for greater amberjack, when we have both
42 a fall and a spring season, and so 2019, for better or worse,
43 happened as it happened, and so those landings are real, and so
44 it's for that reason that we think using 2019's preliminary
45 landings for 2019 is appropriate.

46
47 For 2020 and 2021 though, including 2019 introduces that
48 management bias that we have no way to say whether that should

1 or should not occur there, and the default should be that it
2 shouldn't, since the management is not designed for the species
3 to work that way, and it's designed to have a fall and a spring
4 season, and so, for that reason, that's why we're saying we
5 should be looking at 2016 to 2018 for the average to 2020 and
6 2021.

7

8 **CHAIRMAN POWERS:** Luiz, did you want to follow-up?

9

10 **DR. BARBIERI:** Well, yes, and I agree completely with that, and
11 since other parameters that we're using, or ought to be used, in
12 the projections are also averages anyway, this is just a
13 different way to estimate an average that we feel is going to be
14 better to reflect the future, the projection scenario that would
15 be most reflective of reality into the future, and so I would go
16 with that, using that 2016, and that would be my leaning towards
17 as well.

18

19 **CHAIRMAN POWERS:** So you're agreeing with the proposal put forth
20 by Ryan for 2016 through 2018 for projecting for 2020 and 2021?

21

22 **DR. BARBIERI:** Yes.

23

24 **CHAIRMAN POWERS:** Okay. Thank you. Benny, is it on this issue?

25

26 **DR. GALLAWAY:** I have no comment. I'm sorry.

27

28 **CHAIRMAN POWERS:** Okay. Thank you. Shannon, on this issue?

29

30 **DR. CALAY:** I withdraw my comment. Thank you, Joe.

31

32 **CHAIRMAN POWERS:** All right. I think we've got agreement that,
33 given that we do a set of projections, this is how we handle the
34 gap years. Now, the question is, what are the projections that
35 we're actually going to do?

36

37 The ones that were done in the report were the OFL that was
38 conducted, the methodology that was conducted before, and then
39 also the F rebuild, which basically is searching for an F
40 solution that will get you there in 2027. What I want -- I
41 don't want these projections being done unless we're in pretty
42 good agreement that we're going to actually use them to define
43 OFL and ABC, and so we really want to make clear what it is
44 we're asking them to project.

45

46 Before we get to Luiz, I would remind you that, in terms of ABC,
47 there are several different discussion points about how to
48 define that, and one of them is to use the normal buffer system,

1 based on the OFL, and we also have the F rebuild, and I'm sure
2 we could come up with something else as well, but, also, how do
3 we -- The OFL is -- Well, the methodology that was used for the
4 OFL is also there, and so Luiz and then Doug Gregory.

5
6 **DR. BARBIERI:** Thank you, Joe. So, first of all, I think that
7 we have two separate discussion points here. One is whether we
8 want to proceed and accept the projections, any set of
9 projections, going forward. We just discussed some of the ways
10 to configure these projections, but some folks may not be
11 comfortable with projections, given all the uncertainties that
12 are involved, and so that's one discussion.

13
14 Another one, and I am leaning towards accepting that some
15 projections would have to be made, and, I mean, we just accepted
16 this assessment as representing the best scientific information
17 available, and so I think that projections, going forward, would
18 be with parameters that are consistent with that determination,
19 and so the stock was determined to be overfished and undergoing
20 overfishing, and so we have to have a rebuilding plan that is
21 set based on F rebuild, and so we accepted the assessment, and
22 we have a yield stream for OFL that already exists, and that
23 will be the projection for OFL. As far as the ABC, because we
24 are to follow a rebuilding schedule, that ABC then becomes the
25 yield at F rebuild.

26
27 **CHAIRMAN POWERS:** Okay. Thank you. In terms of the OFL, you
28 said the OFL already exists, and presumably, if we change the
29 gap years, that would have to be redone as well.

30
31 **DR. BARBIERI:** Right. Defined as it is right now, but with the
32 actual data that goes into it, and perhaps different values,
33 given that we are changing some of the input data, but following
34 the definition of OFL that we have on the table right now for
35 that part, yes.

36
37 **CHAIRMAN POWERS:** Thank you. Doug Gregory.

38
39 **MR. GREGORY:** I have a question and a comment. Mr. Chair, are
40 we obliged to rebuild the population by 2027, or could we
41 rebuild it quicker than that? I mean, if it's the former, then
42 we're stuck with a yield stream that comes out of the
43 projections, it seems like, that we have to do that, which kind
44 of bothers me.

45
46 That's my question, and the other comment I wanted to make is I
47 think, since it's in the plan, we have to do F rebuild, and we
48 can't do F OY or P*, based on the OFL, and they're irrelevant,

1 but it would be interesting to know how they compare, and maybe
2 not in a projection sense, but in some sense, but I think F
3 rebuild is probably going to be the most conservative approach,
4 because, if you look at the first three years, comparing the OFL
5 and the yield that we've got now, the F rebuild yield is like 53
6 to 63 percent of the OFL, and I don't think we've ever done an
7 ABC that conservative before, and so, as far as being
8 conservative, I am comfortable with the way this is going, as
9 far as F rebuild goes, but I have no comment on how we do 2020
10 anything, and it seems to me this current projection we have
11 actually starts out OFL with current landings, which we could
12 see how current landings would be affected. Thank you.

13
14 **CHAIRMAN POWERS:** Thank you. Let me characterize what Doug
15 said, that basically the F rebuild is the defining guidance
16 that's been given to us by the FMP, and that that needs to get
17 done, in order to provide the council information relative to
18 that goal, and that de facto defines what ABC is.

19
20 You also made the comment that OFL is irrelevant, and it is, in
21 terms of management, but presumably, if you have some out years
22 in a projection, and, two years from now, before this gets
23 revisited, that OFL level is what defines overfishing, and so it
24 becomes relevant, in that sense, but, in terms of defining the
25 real management, I think you're right. So how do you want to
26 proceed?

27
28 The discussion that's gone on thus far, I'm interpreting it as
29 redo the projections for the OFL level and the F rebuild level,
30 and that will become the basis for OFL and ABC. Obviously, I am
31 not requiring people to agree to this before actually seeing the
32 results, but there is tacit agreement about this is the best
33 approach, because I don't want to come back and revisit
34 something else after this.

35
36 Let me ask the people from the Center. If that's the way we go,
37 have we given you enough guidance, and then, one, when we might
38 be able to see these results?

39
40 **DR. SIEGFRIED:** We would prefer to present it on Thursday, just
41 so that we can give it a good review, and we all know what
42 happens when we try to go too fast, and so, if we could produce
43 it on Thursday for you, that would be preferable.

44
45 **CHAIRMAN POWERS:** Okay. Remember that we have limited time on
46 Thursday, and so, I mean, it has to be first thing. Well, we've
47 already promised somebody else the first thing on Thursday
48 morning, but the meeting is scheduled to end in the morning, and

1 so we do need to -- It has to be in the morning.

2
3 **DR. SIEGFRIED:** Okay. Is there sufficient time in the morning,
4 or are you saying we need to have it to you by Wednesday
5 afternoon?
6

7 **CHAIRMAN POWERS:** All I'm saying is the meeting cannot -- It has
8 to be done, including the debate and all those sorts of things,
9 has to be done Thursday morning, and so it's not so much when
10 it's ready as we also have to debate and come to some agreement,
11 and so it's holding everybody's feet to the fire, getting it
12 done, and, obviously, you can't predict how a debate will go
13 until you see the results, but, nevertheless.
14

15 I guess there is -- At this point, I don't see us being able to
16 debate that tomorrow, and so you might as well have it Thursday
17 morning, but it could be a full agenda Thursday morning, unless
18 we start switching things around. Is that acceptable to
19 everybody, or perhaps another way to say it is that not
20 acceptable to anybody? Doug.
21

22 **MR. GREGORY:** I apologize, Mr. Chair, but I'm just -- Before we
23 do all that work, and maybe this is a question for Ryan, but can
24 we propose an OFL and ABC yield stream that is more conservative
25 than what we might see than what we see now, because I am
26 concerned that this is a very optimistic projection.
27

28 It shows that, within three years, the ABC is right back where
29 the OFL is now, or current landings are now, and, given the
30 history of this fishery -- Unless the size limit change has a
31 dramatic impact on the recovery, and that was done in 2016 or
32 2017, I just feel like this is overly optimistic, and we have,
33 in the past -- I think, with the exception of red snapper, which
34 had a 2032 rebuilding timeframe, and, even with red snapper, I
35 don't know if we recommended that long of a yield stream, and so
36 I guess my question is can we recommend a shorter yield stream?
37

38 I know that we've got scheduled probably an interim analysis in
39 2022, and so are we constrained by doing something that goes to
40 2027, or can we do something that appears to be more
41 conservative, and, if we can do something more conservative,
42 than maybe we can build that off the new yield streams we get,
43 like take the average of the first three years or something, but
44 then that would have to be projected as well at some point, but
45 that can be done before the council meeting. I guess my
46 question is are we constrained to actually having to project the
47 2027, or can we do something more conservative? Thank you.
48

1 **CHAIRMAN POWERS:** Go ahead, Ryan.

2
3 **MR. RINDONE:** Thank you. You guys can recommend something --
4 You can recommend anything that you think is appropriate, but
5 you just have to have something to defend that decision. Easily
6 enough is to use the analyses provided and the catch advice that
7 comes from that, and, if you guys are going to go down a
8 different road, you just need to have something to justify that
9 decision.

10
11 With respect to comparing our current catch limits to those that
12 are being proposed as part of the projections, or the stock
13 assessment, it's important to remember that our current catch
14 limits are based in CHTS, and the proposed catch limits, both
15 from the stock assessment and the ones that are in the
16 projections that Nancie presented, those are in FES, and so they
17 are not necessarily apples-to-apples.

18
19 I hesitate to call it Ryan's table, but, if that's what helps
20 identify it for the sake of this, if you guys recall that table
21 that compared the equilibrium yields for the equilibrium yield
22 resulting from SEDAR 33, and I think it was 3.706 million
23 pounds, and then, if you had run SEDAR 33 using FES data and the
24 same terminal year, it was 5.968, and so it's about a 63 percent
25 difference there.

26
27 It's a considerable increase just from moving data currencies
28 from CHTS to FES, and so, when you're thinking about how the
29 proposed catch limits compare to what we have on the books, it's
30 a reduction. Mr. Chair.

31
32 **CHAIRMAN POWERS:** Thank you. I want to close this out.
33 Shannon.

34
35 **DR. CALAY:** Thank you. I just want to clarify the projection
36 setting, so we're all on the same page. If I could reiterate,
37 we will use the actual 2019 landings. For 2020 through 2021, we
38 will use an average from 2016 to 2018, and we will -- Management
39 recommendations will begin in 2022, and is that correct so far?

40
41 **CHAIRMAN POWERS:** Yes.

42
43 **DR. CALAY:** Then one more clarification, which is that, for the
44 assumptions about selectivity, retention, and relative F, we
45 used a three-year average of the last three years of the
46 assessment, which was 2016 through 2018, and we will retain
47 that, and we'll retain all those specifications, with no
48 changes.

1
2 **CHAIRMAN POWERS:** Unless I hear something to the contrary, yes.
3
4 **DR. CALAY:** Okay. All right. Thank you. I think we're clear
5 on what is needed.
6
7 **CHAIRMAN POWERS:** Harry.
8
9 **MR. BLANCHET:** To Shannon's last point, since that size limit
10 was implemented, was it in 2017, and then I don't know if the
11 selectivities from 2016 are appropriate in the projections, and
12 that's just a thought.
13
14 **DR. CALAY:** The alternative would be to just use the most recent
15 two years, 2017 and 2018, but we need to be clear on what is the
16 preferred specification.
17
18 **CHAIRMAN POWERS:** Harry, you have the floor.
19
20 **MR. BLANCHET:** Well, my preferred specification would be just
21 those two years, but I recognize that that also doesn't give you
22 as much confidence in those values.
23
24 **DR. CALAY:** Well, also, just to make sure that everyone
25 understands, because we would be changing from a three-year
26 average to just those last two years, it has the potential to
27 change the estimates of stock status in the terminal year, and
28 so you might see some differences, and I don't know how large
29 they would be, but you might expect to see some differences in
30 our stock status estimates.
31
32 **CHAIRMAN POWERS:** Harry, do you have any further comment?
33
34 **MR. BLANCHET:** I did not realize it was as far-reaching as that,
35 just thinking in terms of the selectivities, because, to me, I
36 was seeing that purely as a projection value and not necessarily
37 as a current estimate.
38
39 **CHAIRMAN POWERS:** Well, you have to get them to line up the last
40 year.
41
42 **MR. BLANCHET:** Yes.
43
44 **CHAIRMAN POWERS:** Given that, Paul Sammarco, on this particular
45 item?
46
47 **DR. SAMMARCO:** Just a quick comment on the one that we were just
48 discussing, and it might be a matter of just the wording, which

1 is the 2027 that's been identified as a point at which the model
2 would take us out to, and perhaps restrictions might assist the
3 recovery of the fishery, but, as I say, a change in wording to
4 something like we're going to follow these guidelines up until
5 2027, and to be renewed annually, or, in other words, they
6 wouldn't go beyond 2027, and they would definitely be reviewed
7 again in 2027, and, if it reaches its potential, let's just say,
8 for argument, in 2024, then the restrictions would be changed
9 back to normal.

10
11 In other words, it might not be necessary to change the whole
12 system of analysis, but simply look at the bottom line, and then
13 assess whether you're going to carry on for the next year, and I
14 don't know whether that makes any sense or not, but it's just
15 one way to address the issue that's been raised.

16
17 **CHAIRMAN POWERS:** Thank you. The issue goes back to the
18 projections of the selectivity in the final two years or final
19 three years, and Shannon made the comment that the way the
20 assessment works is it adjusts that final year based upon the
21 average over the last three years, and so what you get for that
22 average will adjust a little bit the final year status. For
23 those reasons, my attitude is to continue the three-year
24 average.

25
26 **DR. SAMMARCO:** Yes. Thank you.

27
28 **DR. CALAY:** That is certainly the Science Center's preference as
29 well.

30
31 **CHAIRMAN POWERS:** All right. We have successfully punted, and
32 we will look at these things Thursday morning, and I expect
33 everybody to have a very limited debate. If you don't want to
34 take the projections at face value, then have a proposal, and
35 one of those proposals would be limit the number of years that
36 we want to project ahead, in terms of providing OFL and ABC
37 guidance, but, whatever the issue is, if you have some
38 disagreement with the way we're going, then we should -- You
39 should have a proposal, because we're not going to have much
40 time to debate that. All right. Thank you.

41
42 Given that, I think we're finished this particular item. For
43 some reason, on the screen I guess is the specifications for the
44 projections, and I'm not sure who put that up there.

45
46 **MR. RINDONE:** I asked that it be put up there, Joe, in case you
47 guys had any other modifications.

1 **CHAIRMAN POWERS:** Okay.

2
3 **MR. RINDONE:** It's just to visualize what was being talked
4 about.

5
6 **CHAIRMAN POWERS:** Okay. Great. All right. Then we're
7 basically putting this off until Thursday morning, and the next
8 agenda item under this was the Executive Summary.

9
10 **STOCK ASSESSMENT EXECUTIVE SUMMARY**

11
12 **MR. RINDONE:** Dr. Powers, just to frame this for you guys, with
13 respect to the Executive Summary, this was developed, as it
14 states, in November, and so the projections, as listed in the
15 Executive Summary, differ greatly from those that were presented
16 by Ms. Cummings today, and they will change again, and so this
17 document doesn't actually reach its final status until after the
18 SSC meeting, and so that's just something to bear in mind as you
19 guys are taking a peek at this thing.

20
21 **CHAIRMAN POWERS:** So, yes, as we go through it, think of that in
22 terms of -- You probably should have already gone through this,
23 because it's been available, but think about this in terms of
24 providing some guidance about modifications that they might make
25 for the final version. We will briefly go through it. The
26 stock and stock status sections.

27
28 **MR. RINDONE:** These are all as presented, as they were in Ms.
29 Cummings' presentation, and so if you want to just keep
30 scrolling down.

31
32 **CHAIRMAN POWERS:** Yes.

33
34 **MR. RINDONE:** There's your reference points there, and you can
35 see the status determination criteria defined, and that the
36 stock is overfished and undergoing overfishing. The
37 recommendations part, right here underneath that table, that
38 will be populated after this meeting, based on the information
39 that's in our meeting summary.

40
41 Then the characterization of the Something's Fishy tool is under
42 the socioeconomic and ecosystem considerations, and then, just
43 as a quick aside, we have Something's Fishy up for gag right
44 now, and it has over 400 responses, and so we want to thank the
45 State of Florida for helping to push that tool out there, and so
46 it's great to get a lot of responses like that. This
47 projections section will see some updating, but any input on the
48 way the content is presented is always helpful.

1
2 **CHAIRMAN POWERS:** Well, that section talking about P*, again,
3 depending on what we end up doing, that's going to have to be
4 maybe reworded, because I'm not sure we'll be dealing with P*.
5
6 **MR. RINDONE:** I think, for this particular section, in this
7 instance, this whole section is probably going to get a little
8 bit of a re-tool, depending on what decisions you guys make on
9 Thursday morning.
10
11 **CHAIRMAN POWERS:** All right.
12
13 **MR. RINDONE:** Then the data that were used in the model and the
14 way they were generally treated is detailed here. The
15 meristics, and so these are very valuable to a lot of people,
16 and so we've tried to make sure that this maintained in the
17 Executive Summary.
18
19 **MR. MARESKA:** Ryan, before you continue on, I would like to
20 address Figure 3.
21
22 **MR. RINDONE:** Okay.
23
24 **MR. MARESKA:** I think this was a comment that Nancie made in her
25 presentation about the video survey, that it was relatively
26 flat, and this figure is dramatically different than what's in
27 the working paper from the SEDAR process, and so there was no
28 data collected from 1998 through 2001, and the 2002 data point,
29 that high point, is a stand-alone, and no data was collected
30 again in 2003, and so this figure is a little bit misleading,
31 and it's kind of indicating that there was a whole time series
32 in which the abundance were -- The relative index of abundance
33 was building, and so --
34
35 **MR. RINDONE:** Nancie, where those data points are connected
36 between 1998 and --
37
38 **MS. CUMMINGS:** Ryan, we'll address that, and thank you so much
39 for pointing that out.
40
41 **MR. MARESKA:** While I've got the floor, and just after we're
42 done with this, I would like to circle back and go over some
43 research recommendations.
44
45 **MR. RINDONE:** Okay.
46
47 **MR. MARESKA:** Thanks.
48

1 **CHAIRMAN POWERS:** So what we're going to do with Figure 3 then
2 is make sure that the lines are disconnected if there wasn't any
3 data there?

4

5 **MR. RINDONE:** Yes. Correct.

6

7 **CHAIRMAN POWERS:** Okay. Thank you.

8

9 **MR. RINDONE:** Then the characterization of recruitment, Nancie
10 went over that with you guys. Landings data. Then we've gotten
11 positive feedback from stakeholders, as far as using the stacked
12 bars to be able to visualize when different fleets are combined
13 together to show the landings data. Then discards are here, and
14 that's it.

15

16 **CHAIRMAN POWERS:** All right. Are there any further suggestions
17 or comments? We will wait with bated breath for the projections
18 section, when that gets done.

19

20 **MR. RINDONE:** Thanks to the Center for working hard on putting
21 this together, and we've gotten a lot of positive feedback from
22 folks on being able to use this as a way to more quickly digest
23 the contents of the stock assessment report, which means that
24 it's meeting it's intended purpose, and so that's good to hear.

25

26 **CHAIRMAN POWERS:** Thank you. Katie, did you have a comment or a
27 question?

28

29 **DR. SIEGFRIED:** Yes. Thank you. I just wanted to clarify which
30 set of projections is preferable to be included in the Executive
31 Summary, and we struggled with that, Skyler and Nancie and I,
32 because this was originally produced right after the stock
33 assessment report, and is it most useful to wait for this until
34 the SSC meeting, both because of the projections and also the
35 SSC section, or is it good to have multiple revisions?

36

37 **CHAIRMAN POWERS:** I sort of viewed it as the projections would
38 be the time series associated with OFL and the time series
39 associated with ABC, both yield and spawning stock biomass. Is
40 that correct, Ryan?

41

42 **MR. RINDONE:** Yes, I think so, but I think Dr. Siegfried is also
43 asking if the projections that should be included in this are
44 the ones that are presented in the stock assessment report or
45 the ones that they present initially, and like what set of
46 projections is the one that's ultimately put in here? Katie, is
47 that correct?

48

1 **DR. SIEGFRIED:** Yes, and I'm trying to avoid the confusion of
2 multiple versions of an executive summary.

3
4 **MR. RINDONE:** Sure. So, to that effect, I think, since this
5 document needs to have an end, and it needs to be able to stand
6 alone and be able to summarize what happened, the projections
7 that are ultimately used to determine management advice, and so,
8 whatever you guys discuss on Thursday morning, that should be
9 what's included in here, because that will be what folks need to
10 see when they reference back and they try to figure out, all
11 right, what was used to generate OFL and ABC.

12
13 **CHAIRMAN POWERS:** Yes, and that's my opinion, too.

14
15 **DR. SIEGFRIED:** Okay. Thank you.

16
17 **CHAIRMAN POWERS:** All right. I think we're done with amberjack,
18 except for the actual research of amberjack. Let's take a
19 seven-and-a-half-minute break, and we'll come back and Kai will
20 present his --

21
22 **DR. LORENZEN:** Joe, sorry, but can I just interject for a sec?

23
24 **CHAIRMAN POWERS:** Yes, you may.

25
26 **DR. LORENZEN:** I actually wanted to propose a change, whether we
27 can move the presentation and discussion of the greater
28 amberjack research program to tomorrow afternoon, after the
29 presentation about the Great Red Snapper Count, and the reason
30 for that is the greater amberjack research program really is
31 sort of the amberjack version of the Great Red Snapper Count, in
32 many ways, and I think the discussions we'll have tomorrow about
33 the Great Red Snapper Count, and in particular how that will be
34 used in the interim advice and future assessments, may have
35 lessons for the greater amberjack research program.

36
37 I think it would actually be more useful to have the greater
38 amberjack discussion after we have reviewed the Great Red
39 Snapper Count tomorrow, and, since two points in the agenda
40 tomorrow have been cancelled or moved, I think, time-wise, that
41 should be a possibility, and so I wanted to float that
42 suggestion.

43
44 **MR. RINDONE:** You have the time, Mr. Chair.

45
46 **CHAIRMAN POWERS:** I have no problem with that. I will leave it
47 to Ryan to how to juggle things for tomorrow, but then what I
48 suggest then for the rest of today is there are several things

1 that we could move to today, and two of them were the Other
2 Business items, and then also Agenda Item XIII, and maybe
3 there's something else, and so let's take a ten-minute break,
4 and we'll come back, and my expectation is we'll start dealing
5 with some of the Other Business or Agenda Item XIII or whatever
6 Ryan comes up with to try to fill in the rest of today, if
7 that's okay.

8
9 **MR. RINDONE:** Yes, Mr. Chair. That's fine, and I think, if
10 we're going to do order of operations, let's do Agenda Item XIII
11 and then the two Other Business items, to stick with the things
12 that were already noticed first.

13
14 **CHAIRMAN POWERS:** Okay. All right. Thank you. We'll come back
15 in ten minutes.

16
17 (Whereupon, a brief recess was taken.)

18
19 **CHAIRMAN POWERS:** Ryan, are there other changes in the schedule,
20 or should we just start with Item XIII?

21
22 **MR. RINDONE:** I hope not. We'll go with XIII.

23
24 **CHAIRMAN POWERS:** All right. Agenda Item XIII, everybody.

25
26 **REQUEST FOR PARTICIPANTS: SEDAR 79: SOUTHEASTERN U.S. MUTTON**
27 **SNAPPER**

28
29 **MR. RINDONE:** Okay, folks. The background for Agenda Item XIII,
30 which is the SEDAR 79 stock assessment of southeastern U.S.
31 mutton snapper, the background information includes the terms of
32 reference and the schedule.

33
34 This will be a benchmark-style assessment of mutton snapper, and
35 that is going to be done by the Florida Fish and Wildlife
36 Research Institute, and Luiz is personally going to do all the
37 work for this himself, and he's very excited.

38
39 We are looking for volunteers from the SSC to participate in the
40 different components of this assessment. If we scroll down a
41 little bit, you can see the schedule of events, as it were, and
42 so we have the data workshop, an assessment workshop, and then a
43 review workshop. If you participate in the data or assessment
44 workshops, you cannot be a reviewer on the review workshop, but
45 you can be the review workshop chair, since the chair is more of
46 a coordinator and non-decisional for the review workshop. After
47 the review workshop, it will still come back to you guys for
48 things like BSIA, appropriateness for management, and catch

1 limit recommendations.
2
3 If there are not any questions, we would love to get some
4 volunteers to participate in this assessment, and it will be
5 joint between the Gulf and South Atlantic Councils, and so it
6 will be participation from both camps, is basically what that
7 means, since the stock is in both areas. Julie, did I miss
8 something?
9
10 **DR. JULIE NEER:** Just that you guys don't have to bring a chair
11 to this one, since you chaired the yellowtail last time, and Joe
12 was our illustrious chair for that, and so it's the South
13 Atlantic's turn to provide a chair.
14
15 **MR. RINDONE:** Even better.
16
17 **DR. NEER:** So you can have two actual reviewers.
18
19 **MR. RINDONE:** All right. We can do that.
20
21 **CHAIRMAN POWERS:** I will volunteer for the review part of it.
22
23 **MR. RINDONE:** All right.
24
25 **DR. LORENZEN:** I will, too.
26
27 **MR. RINDONE:** Thanks, Kai. All right. Anyone else for the
28 review workshop? So we still have the data and the assessment
29 workshop, too.
30
31 **DR. NANCE:** I will put my name in.
32
33 **CHAIRMAN POWERS:** There are several people with their hands up.
34
35 **MR. RINDONE:** We'll go down the list. Bob Gill, what do you
36 want to volunteer for?
37
38 **MR. GILL:** My first question, Ryan, was how many folks are you
39 looking for for each, and you can put me as the lowest priority
40 for the assessment side, and, if there is other folks, I can
41 step aside.
42
43 **MR. RINDONE:** Julie, if I remember correctly, we have twelve
44 slots that we can fill, and is that correct?
45
46 **DR. NEER:** Let me pull up the memo. You should have the memo,
47 too.
48

1 **MR. RINDONE:** I should, but I have about forty-seven things open
2 right now.
3
4 **DR. NEER:** I will open it. Give me one second.
5
6 **MR. RINDONE:** It would take me less time to write it by hand
7 than it would to find it.
8
9 **DR. NEER:** Participants memo, Gulf Council. Here we go. You
10 have a total of ten panelists for data, and that includes SSC,
11 AP, and other data providers. The assessment panel is six
12 technical people plus two industry reps to serve as observers.
13
14 **MR. RINDONE:** All right. Okay. I have Bob Gill for the
15 assessment workshop. Jim Tolan.
16
17 **DR. TOLAN:** I was going to volunteer for the review workshop,
18 but it seems to be filling up rather quickly. Since I'm mostly
19 comfortable on the data side of things, I will volunteer for the
20 data workshop.
21
22 **MR. RINDONE:** All right. Data workshop. Thank you, sir. Dr.
23 Nance.
24
25 **DR. NANCE:** Data for me too.
26
27 **MR. RINDONE:** All right. Dr. Chagaris.
28
29 **DR. CHAGARIS:** I will volunteer for the assessment workshop.
30
31 **MR. RINDONE:** All right. Is there anybody else? So far, we
32 have two for each workshop, which is not bad, but we still have
33 some room on the data and assessment side, if anyone else wants
34 to participate. Jud.
35
36 **DR. CURTIS:** Thanks, Ryan. I will volunteer for the data
37 workshop.
38
39 **MR. RINDONE:** Thank you, Dr. Curtis. Speak now or forever hold
40 your piece, folks.
41
42 **DR. SAMMARCO:** I will volunteer for the data evaluation
43 workshop, if you would like.
44
45 **MR. RINDONE:** All right. Thanks, Dr. Sammarco. Mr. Chair, we
46 have four for the data workshop, two for assessment, and two for
47 review, and so, if there aren't any others, I think we're
48 covered.

1
2 **CHAIRMAN POWERS:** That review is a long ways in the future, and
3 so I'm not guaranteeing. That's two years from now.

4
5 **MR. RINDONE:** We have you penned in, and so --

6
7 **CHAIRMAN POWERS:** All right. Thank you. Did you have something
8 on the terms of reference?

9
10 **MR. RINDONE:** No, sir. The terms of the reference and the
11 schedule have already been approved.

12
13 **CHAIRMAN POWERS:** Okay. Thank you. All right. What next? If
14 we're dealing with Other Business, let's open it to what Doug
15 had originally suggested, which essentially was to revisit our
16 control rule and limit it to Tier 1 issues, and, as we can see
17 in previous assessment reviews, and in this one, we're having
18 trouble defining how we do things, and the criteria that we have
19 in our control rule has been kind of loose and hasn't been
20 revisited in some time, and so, Doug, do you want to kind of
21 introduce what you're talking about?

22
23 **OTHER BUSINESS**
24 **DISCUSSION OF ABC CONTROL RULE**

25
26 **MR. GREGORY:** Certainly. Thank you, Joe. I was just thinking,
27 in a simplistic way, of looking for what we could agree and use
28 consistently as a buffer. The P* varies, and, theoretically, it
29 varies according to the PDF. In the beginning, we tried to
30 develop PDFs, and one idea was joint distribution of the
31 different scenarios run in an assessment, and that turned out
32 not to work.

33
34 We have toyed around with the idea of the Ralston method of
35 using a sigma of something like 0.37. Now, since then, the
36 Ralston method has been expanded, I think by the Pacific and the
37 North Pacific Council's SSCs, and there is some documentation on
38 that, and, in one sense, not only does the sigma get larger with
39 the different tiers, but it changes based on how long it's been
40 since there was a previous benchmark assessment. It changes
41 depending on how far in the future you're projecting your
42 landings and some other things.

43
44 I was just simply thinking, well, lately we've been focusing on
45 optimum yield, which appeals to me, and optimum yield tends to
46 give us a little bigger buffer than P* does, and I think a lot
47 of us were disappointed in how ineffectual P* became, and it
48 didn't matter if we chose a P* of 0.3 or 0.4, and it was still -

1 - It gave us an ABC very close to OFL, and I know, at the time,
2 the Regional Director, Dr. Crabtree, who is now retired, was
3 concerned that it didn't give management much chance of managing
4 without exceeding OFL, which is a big no-no, and everybody in
5 management wants to avoid that.

6
7 I was thinking that, okay, let's talk about this. Let's look at
8 P* again, and let's look at OY, and let's look at the Ralston
9 method and come to an agreement, as an SSC, as to which way we
10 want to use going forward -- Which one we want to use going
11 forward for our Tier 1 assessments.

12
13 Now, since I mentioned this to Joe, he has been thinking along
14 similar lines, and he has compiled some papers and some analyses
15 that are more theoretical and more sophisticated, which makes
16 sense, relative to what I was trying to do, but just to try to
17 get away from this concern that we have about, well, the P*
18 doesn't capture the uncertainty that we know is in the
19 population.

20
21 Therefore, we want to do something different. Well, that's not
22 just a good enough excuse, because even what something different
23 is doesn't capture the uncertainty, and so -- All we really are
24 trying to do is have a buffer, a buffer that seems reasonable, a
25 buffer that can be used consistently, and not worry about
26 uncertainty.

27
28 That's a National Standard requirement, and it's not in the
29 Magnuson Act, and it's something that I have been bothered by
30 since day-one, because we all know that the uncertainty that
31 we're dealing with is massive, and it's unmeasurable, and, the
32 more we talk about it, the more nervous I get, from a scientific
33 perspective, since we can't measure it, but we have some means
34 of dealing with it, and I think, if we limit our discussion to
35 Tier 1, we might be able to get through it in one day.

36
37 **It might take more than one day, but I would like to have a day**
38 **of just talking about that and not built into an agenda of**
39 **multiple items, and so, if there's no objection, I would just**
40 **like to kind of make a motion that would say the SSC requests**
41 **the council Executive Director convene an SSC meeting to review**
42 **and discuss our Tier 1 ABC control rule.**

43
44 **MR. GILL:** Seconded.

45
46 **MR. GREGORY:** I've already looked in the SOPPs, and the
47 Executive Director has the authority to convene the SSC, and we
48 don't have to go to the council itself for approval, and not

1 that I don't think they would approve it, but we would just have
2 to wait for them to have a meeting, whereas our Executive
3 Director can make a decision tomorrow.

4
5 **CHAIRMAN POWERS:** All right. Thank you, Doug. As you know, I
6 sort of put through a short little discussion paper about some
7 of the issues that we're dealing with, most of them related to
8 Tier 1, and I would pass that out, but, also, more importantly,
9 the background papers that you alluded to, in terms of how other
10 councils are dealing with this, and one of the things about P*,
11 and I'm sure Shannon would appreciate this, is that we have this
12 elaborate system where you have certain criteria, and you
13 rescale it on a logarithmic scale and it comes out with a number
14 that turns out to be like 0.45 or 0.40 or something.

15
16 It would seem to me that, having been integral in defining what
17 this was, I'm not real happy with it, and it would seem to me
18 that it would be much more straightforward to say, all right,
19 here's a set of criteria that would imply a P* of 45 percent,
20 and here's a set of criteria that would imply a P* of 40
21 percent, and kind of turn it around, and so I think that's kind
22 of what Doug is alluding to.

23
24 The other issue that I have in this document that I will pass
25 through is that, given that you have a model and a biomass at
26 MSY, or a surrogate, it's the same thing -- I'm thinking of P*
27 as the same thing as adjusting the F value, and you can kind of
28 translate one into the other, and so you can couch it in terms
29 of P* or, equivalently, you could couch it in terms of a percent
30 of F 30 percent SPR, that sort of thing, and so, again, that's
31 something to think about.

32
33 Then the last thing that really relates more to Tier 1 is do we
34 want to just set some criteria that, given the assessment does
35 not have a suitable PDF, or overfishing limit, can we substitute
36 something, and how might we modify that, and, as Doug mentioned,
37 some councils adjust it according to how long from the last
38 assessment, and then also how much into the future you're doing
39 projections, and so those are kind of the issues, and I would
40 very much support doing this, because we seem to be always
41 revisiting all of these things, and nobody has ever been real
42 satisfied with how these issues came up, and so I would support
43 this sort of thing.

44
45 Again, by making it an SSC meeting, then I think it would be
46 very helpful that, if we deal just with Tier 1, that we could
47 probably deal with it within a day, and then, secondly, as the
48 SSC Chair, and if I were chairing this, and I presume that I

1 would, then I would probably ask a couple of people to present
2 some strawmen about what kind of criteria would cause you to
3 have a P* of 45 percent or what kind of criteria would cause you
4 to have a CV of 30 percent, those sorts of things, and so that's
5 kind of where we're going now. Shannon.

6
7 **DR. CALAY:** Thank you, Joe. The Science Center would very much
8 like to be involved in this process, and we do service three
9 different councils that have three different ABC control rules,
10 and, to the extent possible, we would like to encourage
11 similarities between the control rules.

12
13 I do want to say that we have done some exploration, and,
14 obviously, we were not completely satisfied with the buffers
15 that evolved through our current ABC control rule, and they
16 tended to be much more narrow than we had expected, and changing
17 just P* itself doesn't lead to a larger buffer if you use the
18 stock-assessment-derived PDFs, because they are very narrow.

19
20 The approach that we have recommended with other SSCs, including
21 the Caribbean SSC, is to actually look at the width of the PDF,
22 using something like the Ralston approach, or the most recent
23 document that built on that approach, and so, while I agree with
24 Joe that we could consider basically categories of P* and
25 guidance for the level of P* that might be most appropriate, the
26 biggest benefit is to actually properly characterize the
27 scientific uncertainty by looking at the expected width of the
28 PDF, the PDF on OFL, for example.

29
30 A wider PDF will produce a larger buffer, even at the same P*
31 level, and we have developed some documentation that we shared
32 with the Caribbean Council, and I would very happy to
33 participate in this meeting and share similar documentation.

34
35 **CHAIRMAN POWERS:** All right. Thank you. We do have a number of
36 documents, including the presentation that Shannon made some
37 months ago about this. Will Patterson.

38
39 **DR. PATTERSON:** I think, if we're going to really get into this,
40 which we've kind of threatened to do over the past couple of
41 years, I think we need to think seriously about just scrapping
42 the whole distribution-based and P* approach. I mean, we've
43 proved to ourselves repeatedly that the distributions that come
44 from the assessments don't match, or don't fully capture,
45 uncertainty.

46
47 If we're going to inject a distribution by saying it's this wide
48 or that wide, it's kind of like -- It's the same thing as if we

1 fixed steepness, where we're really fixing MSY at the same time,
2 but so, if we're going to inject, or impose, a distribution,
3 then we're kind of lying to ourselves that that, in any way,
4 shape, or form, reflects uncertainty.

5
6 It just says that we want the distribution to be wider, and
7 we're going to come up with some type of scientific
8 justification for how wide that should be, and so I would hope
9 that we consider approaches similar to the recommendation to the
10 council after the Sustainable Fisheries Act in 1996, where we
11 had a true target OY, and then the MSY level, and we recommended
12 management based on the OY target, and then, in this case, under
13 the new -- It's not new anymore, but the reauthorized Magnuson
14 Act, you have penalties that occur when you actually exceed the
15 threshold, the OFL threshold, that's the yield at FMSY, or the
16 proxy.

17
18 I would hope that we would consider other approaches than -- You
19 know, beyond just these distribution types of approaches and P*.
20 You know, while the initial P* publications I think were well
21 received and elegant in their approach and simplicity, our
22 experience with this just hasn't borne out that this is a
23 reliable way for us to feel confident that we can fully capture
24 uncertainty, and, if we're going to impose the distribution,
25 then why not just take a step back and say, you know what, we're
26 just going to make a reduction and say this is our target, and
27 it doesn't have to be the target.

28
29 The F OY doesn't have to be 75 percent of FMSY, which was what
30 existed in the Restrepo et al. 1998 document, and we can come up
31 with rules where we would set the two Fs closer to each other
32 than a 25 percent reduction in F, but another thing about the
33 Restrepo et al. approach that I think that's always been
34 appealing to me is that, as stocks approach the OY level, then
35 the difference between the yield at FMSY and the yield at F OY
36 is almost negligible, because you have built in that buffer.

37
38 Even though you're fishing at a much lower rate, and it has a
39 much more appealing scientific basis, in that you're actually --
40 You have a target that you're trying to achieve, and there's not
41 this amorphous uncertainty that we can't fully describe even to
42 try to discount the OFL to the ABC, but, instead, we would come
43 up with a true target. Anyway, that's just my two-cents.

44
45 **CHAIRMAN POWERS:** Thank you, but what you have said, Will, in my
46 mind, is very much translatable into you having picked a P* and
47 having picked a CV. Ultimately, that's what you're doing,
48 indirectly or directly, and you have -- I mean, you suggested

1 what may be good reasons to actually couch it, in terms of F,
2 but, essentially, all these things are related, and so, in a
3 sense, it's how you characterize what you're doing and what's
4 the simplest way to characterize it and the most objective way
5 to characterize it. That's my opinion, but anyway.

6
7 **DR. PATTERSON:** Joe, I think that's true, and, in a given year,
8 and a given circumstance, you could come up with a distribution
9 of a P* that's equivalent to an F reduction approach. Where the
10 two approaches differ is, as the stock recovers, if you have an
11 overfished stock, then you always have that static buffer,
12 unless there's another assessment done and you end up changing
13 what the buffer is, because the stock is performing one way or
14 the other, but, with the F reduction approach, you actually have
15 a convergence, as the stock approaches the -- As the stock
16 approaches the biomass at OY, and you get a convergence in the
17 two yields, and so it's more dynamic.

18
19 **CHAIRMAN POWERS:** But, again, this is the kind of discussion
20 that I think we should have, and it will be limited, because it
21 will presumably be only one day, and so I think, obviously,
22 people are interested in this, and people have been frustrated
23 with where we've stood thus far, and so this motion is an
24 attempt to try to address that, and, without further ado, then
25 let me just ask if there is any other discussion relative to
26 this motion. All right. **Is there any objection to this motion?**
27 **If none, then the motion carries.**

28
29 I will put together some of the documents that we've been
30 talking about, including discussions and that sort of thing, and
31 we'll kind of go from there. Recall that we are limiting it to
32 Tier 1, because that's where most of our difficulties have been.

33
34 All right. Other items? If we're talking about Other Business,
35 Carrie, did you want to talk about the --

36
37 **NEXT TERM APPLICATION PROCESS FOR SSC MEMBERS**

38
39 **EXECUTIVE DIRECTOR SIMMONS:** Yes. Thank you, Mr. Chair. That
40 would be great. I just wanted to let everyone know that it's
41 been three years, in June of 2021, since the SSCs were
42 appointed, and so it's going to be that time, very soon, to
43 reapply.

44
45 If you are currently on the Standing or the special SSCs, and
46 you want to stay on there, you will need to reapply, and so the
47 plan right now is to do that in early April and give you all
48 plenty of time to get your applications in for that, and then

1 the council, during closed session, would deliberate on those
2 applications and make a decision during their June council
3 meeting. We will remind everybody of that as it gets closer,
4 but I just wanted to put that on everybody's radar, and we will
5 be hounding you about that very soon, and so thank you.

6
7 **CHAIRMAN POWERS:** On an issue dear to my heart, I have been
8 Chairman now for going into the third year, I guess, and so when
9 are we going to have an election?

10
11 **MR. RINDONE:** Given that the reappointment is going to be
12 happening this year, it may be premature to have an election
13 now, but it seems like it would be most appropriate to have one
14 after the reappointment process is completed, and so, unless you
15 guys want to do something different, but that's really up to
16 you, at this point.

17
18 **CHAIRMAN POWERS:** Okay.

19
20 **MR. RINDONE:** COVID proved to make things interesting.

21
22 **CHAIRMAN POWERS:** Indeed. All right. Is there anything else
23 that we could do today, because it's four o'clock. Is there
24 anything else to do today that we can take care of?

25
26 **MR. RINDONE:** I think we're probably at as decent a stopping
27 point as we'll have, Mr. Chair. Looking at what's left on the
28 presentations, some of these things just simply can't be moved,
29 and so I think we're in a good spot right now, if you wanted to
30 adjourn for the day. Then we'll begin tomorrow with the red
31 grouper data.

32
33 **CHAIRMAN POWERS:** Okay. Very good then. With that, then we
34 will adjourn until nine o'clock Eastern time tomorrow, and we'll
35 come back then. We don't need to have a motion for this or
36 anything.

37
38 **MR. RINDONE:** Nope. You're still the Chair.

39
40 **CHAIRMAN POWERS:** All right. John Mareska wants to say
41 something.

42
43 **MR. MARESKA:** Thank you, Mr. Chairman. When we were talking
44 about the greater amberjack executive summary, I wanted to loop
45 back and talk about research recommendations, while they were
46 still kind of fresh on my brain.

47
48 **CHAIRMAN POWERS:** Yes. Go ahead. I'm sorry.

1
2 **MR. MARESKA:** I think particularly they could examine the
3 fishery-independent indices, or just examine the fishery-
4 independent SEAMAP vertical line survey, particularly, off of
5 Louisiana, to see how those catch compare to the commercial
6 vertical line indices, just to evaluate if that spike is real or
7 not.

8
9 Also, looking at the video surveys, the combination of the joint
10 combined survey with the FWRI and Panama City, they really did a
11 good job of covering across the shelf, which really picked up on
12 the abundance of juveniles, and that particular information is
13 missing, spatially, from the western Gulf, and so, if there was
14 any way to expand the video surveys across the shelf in the
15 western Gulf, that may help that survey as well, and
16 particularly the combined video survey -- Given the life history
17 of amberjack, the current survey uses fixed cameras that sit on
18 the bottom, and most of us aware that the life history of
19 amberjack puts them up in the water column, and so, if there was
20 any way to incorporate videos from ROVs into abundance
21 estimates, as well as length comps, and particularly maybe age
22 comps, and so those were three things that I had jotted down. I
23 haven't read the LGL report, to know how that may actually be
24 incorporated into future research recommendations. Thank you.

25
26 **MR. RINDONE:** Mr. Chair, I've got those written down. It looks
27 like Joe has gone for five o'clock. Harry.

28
29 **MR. BLANCHET:** My thought was -- We're on this topic now, but
30 then we're getting ready to go into the discussion tomorrow
31 about the Great Red Snapper Count, and my thought was that there
32 may be -- After discussions of that and the Sea Grant AJ study,
33 there may be some methodologies that come out of some of that
34 that might be useful in terms of monitoring some other species,
35 including AJ, and so that might -- I was just saying that some
36 of those might get pulled into some of the research
37 recommendations down the road.

38
39 **CHAIRMAN POWERS:** I just got cut off, and I'm back now, and so
40 I'm not sure what we were talking about.

41
42 **MR. RINDONE:** Harry, for Joe, would you mind repeating what you
43 said?

44
45 **MR. BLANCHET:** Research recommendations be the two research
46 studies, the Great Red Snapper Count and the one that's upcoming
47 on the AJs, and I think that may have some processes, or
48 methods, that might prove fruitful, going forward, in terms of

1 developing appropriate fishery-independent sampling regimes for
2 monitoring the stocks.

3
4 I am thinking specifically of some of the acoustic work,
5 because, in the western Gulf, you have issues with visibility,
6 often, and so some of that kind of stuff might get put into some
7 of the research recommendations, and that was where I was going,
8 but it would probably be more appropriate to discuss it after
9 hearing those two presentations tomorrow.

10
11 **MR. RINDONE:** Okay. Well, all the same, I've got that one
12 written down, too.

13
14 **CHAIRMAN POWERS:** Thank you. I was thinking to discuss this in
15 the context of Kai's presentation, but he sidelined me by saying
16 he wanted to delay this until tomorrow, but we may want to
17 revisit this again a little bit tomorrow, as he gives his
18 presentation.

19
20 **DR. LORENZEN:** I agree, and I think we can revisit that
21 tomorrow.

22
23 **CHAIRMAN POWERS:** Okay. John, are you happy, John Mareska?

24
25 **MR. MARESKA:** Yes, sir. Thank you.

26
27 **CHAIRMAN POWERS:** All right. Then we will adjourn until nine
28 o'clock Eastern tomorrow morning. Thank you. Thank you to all
29 the people that contributed and made presentations. Thank you.

30
31 (Whereupon, the meeting recessed on January 5, 2021.)

32
33 - - -

34
35 January 6, 2021

36
37 WEDNESDAY MORNING SESSION

38
39 - - -

40
41 The Meeting of the Gulf of Mexico Fishery Management Council
42 Standing and Special Reef Fish, Ecosystem, and Socioeconomic
43 Scientific and Statistical Committees reconvened via webinar on
44 Wednesday morning, January 6, 2021, and was called to order by
45 Chairman Joe Powers.

46
47 **CHAIRMAN POWERS:** We'll reconvene, and I believe we are on
48 Agenda Item VII, Review of Red Grouper Recreational Landings

1 Data. We'll start with a presentation by Dr. Sagarese. Ryan
2 can correct me if I'm wrong, but the genesis of this is that the
3 council wished us to look at some of the differences in the
4 recreational landings of red grouper and some of the drivers
5 associated with that, and so, with that background, I would ask
6 Dr. Sagarese to initiate her presentation. Thank you.

7
8 **REVIEW OF RED GROUPER RECREATIONAL LANDINGS DATA**
9

10 **DR. SKYLER SAGARESE:** Good morning, everybody. Today, I'm going
11 to kind of quickly summarize and give a brief review of the
12 SEDAR 61 stock assessment and just highlight some of the
13 justification for this presentation and then try to address some
14 of the inquiries that were made by the council.

15
16 Just for familiarity, what happened in the last council meeting
17 was there was a request for this assessment to come back to the
18 SSC, just to kind of look at some of the differences in
19 recreational landings, and this is really spawned from Amendment
20 53, which is looking at changing, or evaluating, the allocation
21 ratio for red grouper, and, when you do compare the different
22 landings time series, whether it's the assessment-predicted
23 landings versus the ACL monitoring landings, they are not
24 identical, and there are some differences. The council was
25 concerned, with seeing such a large difference, and what can we
26 do about that issue.

27
28 Just to set the stage here, and, if you all remember, back in
29 September of 2019, the monstrous red grouper presentation we
30 had, and, right at the very end of that presentation, we had a
31 slide that said, basically, if we changed allocations based on
32 what we had at the time, which, at this point, when I had given
33 this presentation, the only way that I had, at my disposal, the
34 recreational landings and the commercial landings both in weight
35 units was from the prediction of the stock assessment.

36
37 What I did, at the last minute, for that presentation, was I
38 threw this slide together, and I said, if we were to use those
39 estimates coming out of Stock Synthesis, this is what the
40 allocation ratio would have been, using the same assumptions of
41 1986 to 2005, but, in this case, it wasn't quite using the MRIP-
42 FES raw data, and it was using the assessment-predicted values,
43 and so, when folks look at this slide, they definitely see a
44 different allocation than what would be used, or what would come
45 out of using, the ACL files, and so the topic of what data gets
46 used to determine allocations, as we all know, can play an
47 important role in what those fractions will be.

1 Just to reiterate, this was from that presentation, and so some
2 of the reasons why, at the time, and we kind of struggled with
3 this a little bit when we were working on the first executive
4 summary for red grouper, because we had been requested to put in
5 a table of the landings by modes and by weights, but, during
6 SEDAR 61, and the data and assessment workshop was back in
7 September, and, at the time, this was the first assessment
8 where the new MRIP-FES data was available.

9
10 At the time, we kind of had -- We didn't have the full-blown
11 suite of all MRIP-FES data, and we did not have the weight
12 estimates that are now currently and consistently available
13 within the red grouper data file, and that was just due to the
14 start of FES, and there were a bunch of assessments on the
15 docket right after red grouper, and so SEFSC was really working
16 hard to meet those deadlines.

17
18 There was also some work at SEFSC that had to go on behind the
19 scenes to automate some of their weight estimation procedures,
20 because they do additional analyses on top of the numbers that
21 MRIP provides for FES, and I guess the biggest reason, really,
22 why, at the time, we just forged ahead with the numbers only was
23 that the SEDAR 42 red grouper assessment model had only used
24 recreational landings in numbers, and that's generally how the
25 assessments operate.

26
27 The inputs that we use are landings in numbers, and, at the
28 time, given the other requests, the recreational landings and
29 weight estimates were not prioritized, and, therefore, those
30 weight estimates weren't reviewed at the data workshop, or the
31 data/assessment workshop, and we really didn't dig into those
32 until the very end of this assessment, as we were further
33 refining the executive summary for the council.

34
35 Just some background is I should say now that there is a lot of
36 improvements that are being made, and so the SEFSC, the
37 fisheries statistics, has been making amazing progress with
38 automation, and, if you just look at the new working papers for
39 scamp, a lot of these statistics, in terms of numbers and
40 weights, as well as average weights, all of that information is
41 now available in working papers, and so it's very transparent
42 and easy to find, but SEDAR 61 was just kind of the first one,
43 and we were still working on it.

44
45 The whole reason I am here today is, basically, when you look at
46 -- The figure here is showing just the recreational landings in
47 millions of pounds in gutted weights, and so they're both in
48 gutted weights.

1
2 Over time, and so from 1986, which was the first year of the
3 assessment model, to 2017, which was the terminal year, and the
4 blue line, in this case, is basically the predicted recreational
5 landings in weights from the Stock Synthesis assessment model,
6 and so we input the numbers, and input rec landings as numbers,
7 but then it produces a derived product of what those
8 recreational landings would be in weights, and so that's the
9 blue line.

10
11 Then, when you compare that to what is actually identified as
12 the recreational landings of red grouper in the MRIP-FES ACL
13 monitoring dataset, which now includes MRIP-FES, but it also
14 includes the other sources, like LA Creel, Texas, and headboat,
15 and so, basically, the suite of recreational landings, all in
16 weights, we do see a bigger difference here, in terms of, many
17 of the years, you see that the ACL monitoring, the recreational
18 landings are higher, and there are some years that are somewhat
19 similar, but, for the most part, you see a pretty large
20 difference, and this is the concern that the council had.

21
22 What I want to do now is just to kind of propose a couple of
23 different reasons why we're seeing such a difference, and I will
24 go one-by-one, and I am focusing on this, for now, from the
25 assessment perspective, because the concern is what effect does
26 this have on the assessment, but I also want to highlight, at
27 the end -- Comment on some of the differences with the weight
28 estimates from the ACL files, but I certainly encourage --
29 Vivian Matter is on this call as well, from Fisheries
30 Statistics, and, if I say anything incorrectly, or if she just
31 wants to clarify, I certainly welcome any input.

32
33 Just a refresher for SEDAR 61, and, traditionally, for our Stock
34 Synthesis assessments, we handle the recreational landings as
35 numbers, and that's what we use, and that's what we're fitting
36 to, and, to my knowledge, recent assessments have not used
37 recreational landings in weight estimates, and the need to
38 produce recreational landings in weights really came from the
39 implementation of the ACLs back in about 2010, and so what we do
40 with the assessment is we do have commercial landings in weight
41 units, in gutted weights, and we have recreational in numbers,
42 and, in addition to those landings streams -- As you remember,
43 there is bunch of other different datasets, and so we're fitting
44 to commercial and recreational discards in numbers, and we're
45 fitting to composition data, and we're fitting to indices, and
46 so there's a lot of different pieces.

47
48 The first thing is, when you look at that figure of the

1 comparing weights from the ACL monitoring dataset to the stock
2 assessment, it's not really apples-to-apples, because we're
3 inputting numbers, and then, at that time, the assessment is
4 piecing all this information, and it's fitting to all these
5 datasets, and then it's producing an expected output.

6
7 The second reason -- So, in addition to starting with numbers in
8 the stock assessment, we also -- Within the red grouper
9 assessment model, we're considering a very -- A pretty large
10 uncertainty estimate with those landings, both commercial and
11 recreational, and so, for context, the commercial CV that we
12 input for the landings is 0.15, or 15 percent, and recreational
13 is quite high, at 0.30, or 30 percent, and these CVs were set at
14 the SEDAR 42 review workshop.

15
16 Initially, the analysts, at the time, had CVs of 0.05, and I
17 just want to highlight here that red grouper is kind of an
18 outlier. Traditionally, the other reef fish assessments have
19 much lower errors associated with their landings, essentially
20 saying that those landings are known.

21
22 In this case, because, for red grouper, we do have pretty high
23 uncertainty within the stock assessment model for those data
24 inputs, the model is not fitting them perfectly, and there is
25 flexibility there, and so it's taking into account all the other
26 data sources and the fits and the likelihoods, and it's kind of
27 piecing everything together.

28
29 What we see is that, for the recreational landings, and also the
30 commercial landings, when we look at the predicted landings,
31 they are not identical to our input landings, and so, just
32 looking back at the slide from the SEDAR 61 review, SSC review,
33 to orient you, this is just showing the plots of the landings,
34 and so the black, solid line is essentially the input data, and
35 so those are the inputs that we put into the model.

36
37 The blue, dashed lines are the expected, or the Stock-Synthesis-
38 predicted landings, and so you can see that the top-left is our
39 commercial vertical line, the top-right is showing commercial
40 trap, the bottom-left is commercial longline, and then the
41 bottom-right is what we're really concerned with here, is the
42 recreational.

43
44 Just to orient you, there's also -- This is comparing to SEDAR
45 42, and so each column is either SEDAR 61 or 42, and so,
46 essentially, the take-home here is, with that higher uncertainty
47 that we're allowing, we're not getting perfect fits, and these
48 plots are in the report, and they were reviewed when we reviewed

1 the stock assessment, and nothing was too concerning.
2
3 We do, at least for recreational, when we look at those
4 landings, the fits, those are in thousands of fish, and we do
5 see some -- That the model is essentially not matching the
6 observed input landings in those mid-1980s, but, for the most
7 part, there is no really concerning trend, and, again, this is
8 fitting to the numbers, and then, when you look at the numbers
9 for SEDAR 42, just note that that assessment model started in
10 1993, and so you're not seeing that mismatch that we have in the
11 1980s, because of the SEDAR 61 change in start year.
12
13 In Stock Synthesis, we're fitting to numbers, and we're
14 inputting numbers, and so there's nothing too concerning here
15 about what the model output is showing. What we do see the
16 difference, and what has caused the reason for this talk, is
17 when you look at just talking about the stock assessment first,
18 and so the assessment model has inputs for the length weight,
19 and so it has an equation to convert lengths into weights for
20 the population.
21
22 Those equations are produced by the life history group, and they
23 are developed using a statistical analyses that uses all
24 available data, fishery independent as well as fishery
25 dependent, and so that equation is what the model is using to
26 convert the numbers of fish into weights, and so, in terms of
27 the landings, it's taking into account the selectivity patterns
28 that we specify, and retention, and it's converting the landings
29 numbers into a weight estimate.
30
31 That's what I had shown on that Slide 94 early on, because, at
32 the time, that's what we had for essentially a quick-and-dirty
33 analysis of what it would look like.
34
35 This is quite different from what is done with the ACL
36 monitoring data file, and so I'm going to try to give you a
37 quick summary of what's done with the ACL monitoring data file,
38 but, again, please chime in, Vivian, if I say anything
39 incorrectly, but, essentially, what happens is the ACL
40 monitoring dataset that SEFSC produces is it does have weight
41 estimates, or it includes weight measurements, and so the weight
42 measurements are obtained at the interviews, and so it's
43 actually raw data.
44
45 What that dataset has is weight measurements that are observed,
46 and the SEFSC looks to develop a mean weight that's
47 representative, to allow a conversion from numbers to weight
48 estimate, using that mean weight, and it's by strata, and so,

1 ideally, your best resolution of your strata is you would have a
2 mean weight by -- For species, region, gear, state, mode, wave,
3 and, finally, area fished, and so the finest-scale mean weight
4 you would have is that.

5
6 They hope for a sample size of fifteen fish, and so, if there's
7 fifteen fish at that finest-scale strata, that's the mean weight
8 that is used to then develop a weight estimate. If there's not
9 fifteen samples for that strata, then they go back one, and so
10 then, for example, if there was fifteen by wave, and so you keep
11 going back, in terms of the strata, to the coarsest resolution,
12 until you have a sample size of fifteen, and so, once that's
13 achieved, that's how those weight estimates for ACL monitoring
14 are calculated, and it's from that approach.

15
16 That sample size was recently reevaluated, and a working paper
17 for vermilion paper was uploaded, as well as Vivian had
18 presented that information at the July MRIP-FES workshop, and so
19 there's a very clear difference, in terms of where those weight
20 estimates are coming from, and they're data driven, and they're
21 coming from the data, whereas what we had initially shown on
22 that assessment slide was the expected recreational landings in
23 weights, and so it's not really comparing the same exact things,
24 but it certainly was an interesting analysis to do that, to see
25 how they could differ.

26
27 Just to kind of summarize where we're at here, in terms of why
28 we have always used recreational landings in numbers, that's
29 just traditionally what's been used, and that's what the survey
30 has consistently collected. Weight estimates are now
31 consistently provided by the SEFSC weight estimation approach,
32 and this is a question that we will be looking at for the
33 ongoing scamp research track assessment.

34
35 The assessment development team supported a sensitivity analysis
36 to look into this issue, but I just want to highlight that this
37 was -- We followed the same approaches for SEDAR 42, and this is
38 kind of something that it's worth looking into, but, really,
39 this issue is a difference in methodology, from how the ACL
40 monitoring data is provided and then the derived product that we
41 show from the stock assessment. That's all I have, and I'm
42 happy to address any questions or go back and have any
43 discussions with this.

44
45 **CHAIRMAN POWERS:** Thank you. In my experience, and this has
46 always been sort of a problem with the assessments, in that we
47 have always done -- Even when I was doing them, to make that
48 conversion of recreational catches in numbers to weight, you

1 would use samples that are external to, in those days, the MRFSS
2 process, and so you have a different source of data, and the
3 justification, of course, is because you have lots more data
4 when you do that, and so you get different sorts of issues
5 associated with that.

6
7 I can understand the council's concern, in terms of not
8 understanding -- What they are concerned with, probably, in my
9 opinion, is what's the metrics that they are being managed by,
10 and how is that different from the assessment, and so that's
11 kind of the explanation I think they're looking for, and so let
12 me open it up to questions in general.

13
14 As we go through this discussion, what I am looking for, I
15 think, more than anything else, is how I or Kai is going to
16 explain this and the kinds of things that we need to emphasize.
17 David Chagaris.

18
19 **DR. CHAGARIS:** Thank you, Mr. Chair. Skyler, thanks for the
20 presentation. I think it was really concise and informative,
21 and I think there might be another way forward with the
22 assessment model, if you could include -- You can include mean
23 weight by fleet, and so, if you could get the model to fit to
24 the numbers and the average weight, then that might actually
25 make it more consistent with the ACL monitoring database, rather
26 than trying to convert the landings to weights, and I think
27 that's what that option is sort of set up for, and so I'm
28 wondering if you all have explored that at all, and maybe it's
29 something that we could add to the scamp research track.

30
31 **DR. SAGARESE:** Thanks, Dave, for that insight, and so it's a
32 great idea, and it's certainly something that we have internally
33 talked about with scamp, potentially, and that's certainly one
34 way we could handle this, is input the mean weight, because we
35 do have that SEFSC Fisheries Statistics that includes that in
36 the working paper, and we specifically asked for that. I do
37 think this is something that we will absolutely look at with
38 scamp, and so we could still include numbers, like we have, but
39 then we can include that extra information, yes, to incorporate
40 that information in, and so, yes, thanks, Dave. That's a great
41 comment, and hopefully we'll work together with that on scamp.

42
43 **DR. CHAGARIS:** Excellent. Thank you.

44
45 **CHAIRMAN POWERS:** Thank you. Doug Gregory.

46
47 **MR. GREGORY:** Thank you, Joe. I guess one way to try to avoid
48 this problem in the future is to not use assessment data for

1 anything other than status determination criteria. In other
2 words, that slide that we saw in September shows a 31 percent
3 recreational, and then the Amendment 53 has recreational at 40
4 percent, which I assume is based on the monitoring database, and
5 that's part of the concern.

6
7 How did it go from 31 percent to 40 percent? We didn't catch
8 that in January, when we reviewed the three alternatives that
9 are in Amendment 53, and so I think that's one way to look at
10 it.

11
12 Now, relative to what we did in January, and this is a different
13 type of tangential topic, but related, is, when we looked at
14 those three allocations, we weren't given a comparison to the
15 current allocation, and, when we saw those three, they were very
16 close together, and I think the recreational or commercial
17 percentage varied by 3 percent, or 3,000 pounds, between the
18 three alternatives, and you can't measure that, and so,
19 essentially, the three alternatives were the same.

20
21 We just passed it, and said they're all good, choose whatever
22 you want, but then, later, I got a question from a council
23 member of, well, what's the impact of this change in allocation
24 on discards? In other words, the concern was, if we allocate
25 more to one sector, not only how does it affect the landings,
26 but how does it affect overall mortality, and he was trying to
27 get at that overall mortality through discards.

28
29 I couldn't answer the question, and I don't think anybody could
30 answer his question, but I did look at those three scenarios
31 that we looked at in Amendment 53, and it indicates that, when
32 the recreational sector gets more fish, the estimated OFL and
33 ABC goes down, which indicates that, the more you allocate to
34 the recreational fishery, the higher the overall fishing
35 mortality -- The thing is, when you ask a question like this, or
36 when somebody is looking for answers, the only place they can go
37 to is the stock assessment, because we don't have access to the
38 monitoring database and the, quote, real numbers.

39
40 That's going to be an ongoing force of frustration, I think, for
41 people outside the system, is which numbers can we use to do our
42 own comparison analyses, and so, anyway, I just wanted to
43 comment on that, and I think we do need to try to work on
44 minimizing this type of confusion. Thank you very much.

45
46 **CHAIRMAN POWERS:** Thank you. Jim Tolan.

47
48 **DR. TOLAN:** Thank you, Mr. Chairman, and thanks, Skyler, for

1 putting this together for us. I really should have been quicker
2 typing my name is, because Doug really got at the part of the
3 question that I was asking, in terms of the very last slide you
4 put up, and that was the one with the caveat that says it simply
5 doesn't get at recreational discards, and so can you just
6 refresh my memory in terms of the magnitude of the existing size
7 limits and what magnitude of discards would be for the
8 recreational side, but, again, and Doug pointed to this, is, if
9 you increase the allocation to that side, it's just going to be
10 a bigger problem -- Thank you.

11
12 **DR. SAGARESE:** Hi, Jim. Thanks for your question. Just a
13 refresher, for the recreational discards -- Our discard
14 mortality rate for red grouper is about 11 percent. As we've
15 seen with the MRIP-FES data, the data that's coming out of that
16 data stream now, the recreational landings essentially -- Sorry.
17 The recreational discards, the B2s, can be quite high, but the
18 discard mortality is only 11 percent.

19
20 In terms of within the way that the allocations -- They are
21 based on the average catches that traditionally they have not
22 included any discard information, and the dead discards are not
23 accounted for within those allocation ratios. That is how it
24 was done in the past, and, for consistency at this point, that's
25 how Amendment 53 has approached this, just to look at the
26 landings, but I hear what -- Going back to Doug's question
27 about, again, if the allocation ratio does change -- When you
28 use the MRIP-FES data, it's about 40 percent recreational.

29
30 Amendment 53, I believe, was looking at three different time
31 periods, which, when you look at the ratios between those three
32 time periods, it's pretty similar. The projections that we
33 produced for SEDAR 61 included the old allocation ratio of 76
34 percent commercial to 24 percent recreational, and so there is
35 some comparison that can be made there, but I do understand the
36 concerns of how the discards fit into the projections, but, from
37 the way that we operate our OFL, the projected yields -- It's
38 essentially recreational landings are the As and the B1s, and
39 not B2s, and the commercial landings are strictly commercial
40 landings and no dead discards.

41
42 I think this is a big issue that has come up in the past, and,
43 at least for what the Amendment 53 is currently considering,
44 there's not that large of a change in the derived output, based
45 on those ratios, because they are within -- I believe they're
46 all within 1 percent, but, yes, when you look at the comparison
47 with what was previously on the books, to what is now, and then
48 when you throw in this confusion with the assessment-model-

1 predicted allocations, Doug, I completely agree with you that
2 that slide caused more confusion than helped, but, when you look
3 at all those iterations, it does make a difference, but what the
4 group for Amendment 53 was using was best available science, the
5 MRIP-FES recreational landings.

6
7 **DR. TOLAN:** Thanks, Skyler. That 11 percent number was a little
8 higher than what I remembered, and I thought it was a little bit
9 lower than that, but it was in the general ballpark, but thank
10 you so much.

11
12 **CHAIRMAN POWERS:** Thank you. Harry.

13
14 **MR. BLANCHET:** We essentially have three sets of numbers in this
15 particular case, in that we have what the assessment-output-
16 estimated landings were, and then you've got what the ACL
17 monitoring program has, and you have the report-outs from the
18 MRIP program, and so I think that -- I will agree with the other
19 folks that the effort that you made to get some information to
20 the council was the best you could do at that point, but,
21 obviously, it went kind of sideways.

22
23 The problem with those, of course, is that it's no longer the
24 best estimate of those particular landings. It's the estimate
25 that fits the model the best, and so it may or may not reflect
26 what actually happened in the fishery, and it reflects the best
27 fit to a much larger model, and so then we were left with either
28 the basic MRIP-FES estimate or the MRIP-FES estimate as reviewed
29 by the ACL monitoring, and I think that those two numbers are
30 much closer together, historically, than what we typically get
31 from the outputs.

32
33 I think that the -- For me, the recommendation would be, if at
34 all possible, to use the most reviewed data, which would be the
35 dataset that is going into those stock assessments, rather than
36 the publicly-available data, but I understand where the problem
37 is there, in that that is no longer going to be the data that
38 people are seeing, or is that data that has been seen and has
39 been reviewed, and questions about what is the most appropriate
40 way to estimate weights, whether you're imputing from one
41 direction or another direction or whatever, and that seems like
42 that's kind of a -- That's an improvement on the data, because
43 that thought process has been worked through, rather than just
44 accepting what's on the website.

45
46 **CHAIRMAN POWERS:** Thank you. What we're getting into, I think,
47 is how best to communicate, in general, these sort of issues,
48 and, of course, from an assessment standpoint, the best

1 information is being used. By doing that, the implication is
2 that, well, the catches could be different than what the actual
3 observations are, and the best estimate of balancing all the
4 other indices, size frequency, et cetera, et cetera, ends up
5 being what comes out of the assessment.

6
7 What I think we're talking about here is that, maybe at the
8 level of the executive summary, we need to make those more
9 consistent with the MRIP ACL sort of process, and basically what
10 Harry just said, I think, but maybe through the executive
11 summary.

12
13 Let me ask a question then. When people are -- Doug, when you
14 said you had talked to somebody who had asked a question about
15 this, what are they -- Are they interested in what the catches
16 are or how those catches affect allocation? I mean, what's the
17 goal of wanting to know exactly what those catches are?

18
19 **MR. GREGORY:** It was the discards. The goal is to find out if
20 allocating more fish to the recreational sector would increase
21 overall fishing mortality, which is important, particularly if a
22 fishery is overfished or of concern, and there is no way to
23 determine that directly, and he was trying -- He, and now I have
24 exposed my friend, was trying to look at discards as an
25 indication of increased fishing mortality.

26
27 Of course, my first reaction to these questions is to call
28 council staff, Mr. R, or Mr. J, but I get asked the question,
29 and so I look into it too, and so I don't think we could find
30 any documentation on how changing the allocation changes the
31 discards, and that should have been an important part of the
32 discussion for a fishery like red grouper.

33
34 I have one other request. When looking at this, I went back to
35 SEDAR 12 and SEDAR 42, and SEDAR 12 did have weights in gutted
36 weight, and SEDAR 42 had weights in whole weight, and SEDAR 61
37 just had weights, without -- I assume they were whole weight,
38 but it didn't say that, and I couldn't find it, but, in these
39 stock assessments, to try to -- I think Skyler addressed it
40 going into the future, but report the data in the same way from
41 assessment to assessment.

42
43 The only reason that was important here is because we're trying
44 to compare FES to CHTS and looking at ratios that way, but,
45 anyway, what I found is that the landings were being -- Other
46 than numbers being reported in different units.

47
48 The third thing I want to say is isn't the input data to the

1 assessment the same as the ACL monitoring data, and, if so,
2 isn't the input data what we should be using for anything other
3 than status determination criteria, rather than predicted data?
4 Thank you.

5
6 **CHAIRMAN POWERS:** I believe that last question -- I am going to
7 refer it to Skyler, and I think I know the answer, but one thing
8 I wanted to mention before I call on her is that a lot of this
9 has to do with -- As Doug just said, they want to know what the
10 overall impact of an allocation is, including the discards, and
11 one of the ways to address that, and I've seen this in some
12 assessments, and not in the Gulf of Mexico, but is to look at
13 the contribution to the reduction in spawning potential ratio of
14 individual sectors, which combines all the sources of mortality,
15 and it kind of highlights where it's coming from.

16
17 That might be a useful metric, and it's a little detailed, in
18 terms of general lay public about how to interpret it, but it's
19 also fairly illuminating, and that's just an aside, I think.
20 Skyler, Doug had asked, essentially, about why -- Well, he had
21 asked about the recreational catches in the assessment versus
22 the monitoring.

23
24 **MR. GREGORY:** My question is, isn't the input data in the
25 assessment the same as the ACL monitoring database, and, if we
26 just use that data for other comparisons, then we could avoid
27 the differences with predictions.

28
29 **DR. SAGARESE:** Yes, that's correct, and so, currently, the ACL
30 files that use the MRIP-FES data are the files that are
31 submitted for the assessments, but, as I alluded to earlier, the
32 problem with SEDAR 61 was we had gotten the data -- At the time,
33 it did not include the weight estimates.

34
35 It wasn't until the very end of the assessment process where we
36 developed the -- Where we requested the new data for the 2018
37 landings to be included in projections that we then had weight
38 estimates that were provided, but there might have been some
39 differences with the original, and so the original data used in
40 SEDAR 61, and a year later, the change to the weight estimation
41 procedure, I believe, had been done during that time.

42
43 Normally, yes, they're the same, but I think, for red grouper,
44 there was some growing pains as we moved forward and got
45 everything together, but just commenting that absolutely, moving
46 forward, all of the recreational working papers for data will
47 have the same format and the same data, in both numbers and
48 weights, and the average weights and the assessment report will

1 also have a summary of all that information as well, but it's
2 just that, for red grouper, it was just the first one, and we
3 were kind of working towards where we're going down with the
4 markdowns, but I believe that the recreational landings in
5 weights should have been consistently shown in the assessment
6 report, at least since vermilion snapper, and it should have
7 been in for king mackerel, cobia, and greater amberjack, and so
8 hopefully that will absolutely be consistent.

9
10 **CHAIRMAN POWERS:** Thank you. Do I have enough information here
11 to convey this all to the council? Apparently so.

12
13 **DR. LORENZEN:** I think we may have to mull this over, but I
14 don't see how we can take this much further.

15
16 **CHAIRMAN POWERS:** Okay. All right. Thank you, Skyler.

17
18 **MR. RINDONE:** Hold on one second, Joe, before we move off of
19 this. John.

20
21 **DR. FROESCHKE:** I think the primary objective is to get the
22 SSC's input on the alternatives in the document that use
23 landings data to determine allocation of a historical catch. Is
24 it appropriate to be used in the ACL dataset, which we've done
25 in the document, that results in the approximately 60/40 split?

26
27 Everything that we have discussed prior to that has said, yes,
28 that's the approach that reflects BSIA, and so we want to make
29 sure that the SSC is comfortable with that approach, that those
30 numbers reflect BSIA for the purposes of the amendment.

31
32 **CHAIRMAN POWERS:** Thank you, John. I got distracted by
33 something, and I'm sorry. Can you kind of repeat the issue
34 there?

35
36 **DR. FROESCHKE:** Sure. In the amendment, the alternatives that
37 provide new allocations are based on percentages as computed
38 from the landings and historical time periods, using the FES
39 data, and so those are approximately 60/40, based on slight
40 nuances in the time series used, and those percentages were
41 computed using the ACL monitoring database with FES data and not
42 the weights -- Not the estimated data from the assessment, and
43 so the way it's in the amendment now is consistent with how it's
44 been done in the past, and the previous deliberation of the ACL
45 monitoring reflects the best -- We want to get the SSC's input
46 that they are comfortable with that approach and that the ACL
47 monitoring data reflect the BSIA for this purpose.

48

1 **CHAIRMAN POWERS:** Thank you. To that point, Leann Bosarge.

2
3 **MS. LEANN BOSARGE:** My clarification, and I guess this is for
4 Skyler, and so I know there were some issues with red grouper,
5 as far as the average weights and not having those ready,
6 because I'm pretty sure that was the first assessment where we
7 actually used the FES numbers, and we were waiting -- We
8 actually had to wait. The assessment team had to wait for those
9 calibrated numbers to come out, but so I was under the
10 impression that, regardless of the assessment, that what was
11 input into the model was numbers of fish.

12
13 MRIP-FES, that sampling program, would generate numbers of
14 individual fish landed, killed, whatever you want to say, and
15 then, in the assessment model, you have a length-weight key, and
16 it takes those individual total number of killed fish and
17 converts that to total pounds of killed fish, landed fish, for
18 that recreational sector.

19
20 I was -- My understanding is that is where the big difference
21 was coming in, in some of those years that you showed,
22 especially in the 1980s. I mean, you have years where the ACL
23 monitoring database will show twice as much, or more, as what
24 the assessment was generating as pounds of landed fish
25 recreationally, and, I mean, I remember that one year it was
26 like three-million pounds, per the assessment length-weight key,
27 and it was seven-million pounds on the ACL monitoring, and so
28 those are big differences that have a lot of implications, and
29 not just allocation, but even in your stock assessment model.
30 Which one of those is right?

31
32 It goes to how big the overall stock gets, right, in my mind
33 anyway, but so can you clarify that for me? Do you input the
34 numbers of fish from the MRIP ACL monitoring database, and then
35 convert that to pounds, based on a length-weight key in the
36 assessment, or do you actually enter the ACL monitoring pounds
37 of fish into the assessment?

38
39 **DR. SAGARESE:** Hi, Leann. We input the numbers of fish from the
40 MRIP-FES data file provided for the assessment, and, again,
41 you're right. You're correct that this was the first one using
42 these new numbers, but, at the time, the file that we had did
43 not have the weights, but you're correct in saying that the ACL
44 FES files should have the same numbers in weights that are
45 provided for the assessment and is best available science moving
46 forward, but, for red grouper, at the time, we just had numbers,
47 and we input numbers, and then the model converts those
48 recreational landings -- It takes all the different inputs and

1 produces -- I think Joe said it best, where there's a lot of
2 different pieces of the puzzle moving around, and then, once you
3 get into the expected landings, that may not reflect -- Or it
4 may not be similar, for the reasons that I discussed earlier,
5 but you are correct that it's numbers of fish going into the
6 model.

7
8 **MS. BOSARGE:** Okay, and so let's use a different fish,
9 amberjack, that we just finished up. So, when you took the
10 MRIP-FES database, the ACL monitoring database, you took the
11 numbers of fish, of amberjack, landed recreationally. What
12 about the pounds that are listed on the ACL monitoring? Did you
13 input -- Does that go into that amberjack assessment?

14
15 I am using that because we have this issue with red grouper,
16 where these weights weren't ready, blah, blah, blah, and so I'm
17 trying to understand, on a normal day, how this is done, and so
18 did you enter those weights from the ACL monitoring into the
19 amberjack assessment, or did the assessment model simply take
20 the number of individual fish and then use that length-weight
21 key to generate pounds?

22
23 **DR. SAGARESE:** Traditionally, and for amberjack and vermilion
24 and all of the recent Stock Synthesis assessments, we always
25 input the recreational landings as numbers, and we do not input
26 weight estimates, and so we input numbers, and the model then
27 converts those numbers to weights, but the one difference was we
28 had CVs for red grouper, but a lot of the other reef fish
29 assessments generally have very low errors with their landings,
30 assuming the unknown, and so your observed and your expected
31 would be a lot similar, but, in this case, red grouper was the
32 outlier, because we did have a lot of uncertainty that was
33 allowed, but we always use numbers.

34
35 This is an issue we may consider for the scamp assessment, what
36 if we input recreational landings as weights, but it sounds like
37 inputting it as numbers, but also getting to a mean weight
38 coming from the MRIP survey, might be the best way forward.

39
40 **MS. BOSARGE:** Okay, and then a follow-up, if I may, Mr.
41 Chairman.

42
43 **CHAIRMAN POWERS:** Yes.

44
45 **MS. BOSARGE:** All right, and so there are big differences on red
46 grouper, as far as the pounds. The individual numbers, from
47 what I could see, there are some years that have some
48 differences, but it's not 100 percent differences, like you're

1 seeing on the pounds side.
2
3 That's why I have a bias, inherently, because I'm commercial,
4 and I need to say that, so that you know that, but what I am
5 seeing is that everything should come out in the wash. Even
6 when you reallocate, the quotas that commercial fishermen had
7 before should -- In pounds, they should stay about the same,
8 because, if you think about it holistically, there is a lot more
9 fish out there, and so the OFL and ABCs go up enough to kind of
10 flush out this shift in allocation.

11
12 Well, that only works though if you're using the same sets of
13 numbers for both calculations, and so, when you're shifting
14 allocation based on ACL monitoring pounds, which are sometimes
15 double what is put into the stock assessment, then your OFLs --
16 It doesn't balance out, and so what effect -- Can you tell me,
17 does it have any ramifications on the stock assessment itself?

18
19 So, when you put in landings into the stock -- I mean, you put
20 in fish, numbers of fish, into the stock assessment, and you use
21 the length-weight key, and it generates total rec landings that
22 are sometimes half of what an ACL monitoring database would have
23 been, if you would have input those pounds in, and does that
24 even matter in the stock assessment? Does that stock assessment
25 care at all that it was a much bigger fish, I'm guessing?

26
27 If the number of fish is the same, and the pounds on the ACL
28 monitoring database are twice as much as the pounds generated by
29 the length-weight key, then I have to imagine that, somewhere
30 along the lines, it was bigger fish that were killed, and does
31 that have any ramification on OFL and what comes out of the
32 stock assessment at all?

33
34 **DR. SAGARESE:** Just to mention that the input numbers -- Because
35 red grouper had a CV of 0.3 for rec, the input, and so the MRIP-
36 FES number estimates, would not equal the assessment-predicted
37 estimates, because we allowed for uncertainty, and it's fitting
38 to other data streams, and so there would be some difference.

39
40 I agree with you that some of those differences are quite
41 striking in those landings estimates, but, again, it's -- You
42 know, we're fitting to different inputs, and one thing we can do
43 is look into the sensitivity and do sensitivity runs, which
44 we'll explore in scamp, of using recreational landings as
45 weights, inputting them as weights, but this is traditionally
46 how we've operated in the Gulf assessments.

47
48 We input numbers, and we are fitting to lots of other inputs,

1 and we generally assume relatively higher CVs, errors, for
2 recreational compared to commercial, but, yes, this is certainly
3 an issue that I think we can explore for scamp, as we kind of
4 look for different ways to approach this, but this is an issue -
5 - We input numbers, and, to my knowledge, we don't usually
6 compare the -- But, as I said earlier, because of the high
7 uncertainty for red grouper, and most of the other reef fish
8 assessments assume a lower error for the recreational landings
9 and commercial landings, and so they're treating more as known
10 than they were for red grouper.

11
12 **CHAIRMAN POWERS:** All right. Thank you. We have several people
13 now. We have Harry, Kai, Doug Gregory, and Dave Chagaris, and
14 so let's start with Harry.

15
16 **MR. BLANCHET:** Just a quick question. So, Skyler, essentially,
17 with your table that you had presented on your Slide 3, the
18 information, rather than that data, would be essentially what's
19 currently in the Amendment 53, Table 2.1.2, that begins on page
20 16, or am I reading that correctly?

21
22 **DR. SAGARESE:** My Slide 3 was the assessment-predicted landings,
23 and so that is not the landings estimates that are coming from
24 the MRIP-FES. Correct. These are not the numbers that are
25 currently being used in the amendment. The ones being used in
26 the amendment are the MRIP-FES ACL files.

27
28 **MR. BLANCHET:** So, essentially, if you were redoing that
29 presentation today, the numbers in that ACL file that are in the
30 amendment, that's what you would be putting in that right-hand
31 column?

32
33 **DR. SAGARESE:** Absolutely. That's honestly what should have
34 been done in the first place, but that's my fault, and I just
35 kind of threw something together at the last minute, and right.
36 That whole table should be updated to show the MRIP-FES
37 landings.

38
39 **MR. BLANCHET:** Okay. Just for clarification. Thank you.

40
41 **CHAIRMAN POWERS:** Can you just send me that updated table,
42 Skyler or somebody, as I prepare for the council meeting? In
43 other words, just recreate the table with the different right-
44 hand column in it, and I can use that as a method to kind of
45 explain things. Is that possible?

46
47 **DR. SAGARESE:** I can certainly pull the -- Just to clarify, the
48 commercial column there was well will change, because that's

1 also the assessment-predicted commercial landings, but I can
2 produce this slide using the information that is presented in
3 Amendment 53, which would be the ACL monitoring files for both
4 commercial and recreational.

5
6 **CHAIRMAN POWERS:** Okay. I think that would be helpful, in terms
7 of my explanation. All right. Kai.

8
9 **DR. LORENZEN:** I am still struggling through this a little, but
10 it seems to me that the allocation review has to be based on the
11 ACL monitoring data, because that's also how the allocations are
12 used, sort of moving forward, but there are those questions,
13 and, of course, yes, there are different ways of calculating
14 those numbers, and it's not immediately obvious that one is
15 necessarily better than the other, and I think I am with
16 Skyler's suggestion that we should look into that in the scamp
17 context, to shed more light on that, but it does seem to me
18 that, in terms of the question that John asked, that the best
19 practice should be to use the ACL monitoring data in the review.
20 Thanks.

21
22 **CHAIRMAN POWERS:** Thank you. Doug Gregory.

23
24 **MR. GREGORY:** Thank you. Joe, I think the data you're looking
25 for is in the Amendment, and it's Table 2.1.2 on page 16. It
26 has the ACL monitoring commercial landings and recreational
27 landings from 1986 through 2019.

28
29 **CHAIRMAN POWERS:** Let me come clean here. Basically, I was
30 asking somebody else, and so forgive me.

31
32 **MR. GREGORY:** The other thing is, in reference to John's request
33 about us specifying this is -- The table on page 13 of the
34 amendment, I would be uncomfortable doing that unless there was
35 an analysis in the amendment that indicated how a change in the
36 allocation affects overall fishing mortality on red grouper, and
37 I'm not asking for a detailed change in landings, projected
38 landings, or discards, and it's something I think the Center can
39 do for you, but give an indication that, when you change
40 allocation, that you're changing the selectivity in the fishery
41 overall, and you're changing the overall effective fishing
42 mortality rate, and I think that information should be a part of
43 the evaluation. Thank you.

44
45 **CHAIRMAN POWERS:** Thank you. David Chagaris.

46
47 **DR. CHAGARIS:** Just a quick comment to the motion from the
48 council, and, because the model is fitting to the numbers with

1 the low overall weight, I think the explanation for that
2 difference is likely due to the growth and the length
3 composition, which ties back into recruitment deviations and
4 everything, and so there's a lot going on within the assessment,
5 and small differences in certain areas could cumulatively lead
6 to big differences in total landings. For that reason, I mean,
7 I recommend using the ACL monitoring data to set the
8 allocations. That's all. Thank you.

9
10 **CHAIRMAN POWERS:** Thank you. I think I've got enough guidance
11 here, and I'm sure it will be debated further within the council
12 itself, and so, if there's no other comments or questions, then
13 I think we can move on. Thank you, and thank you particularly
14 to Skyler. I think that was very helpful. Next up is Agenda
15 Item VIII, Interim Analyses, and Ryan.

16
17 **REVIEW OF COUNCIL PROPOSED INTERIM ANALYSIS SCHEDULE**

18
19 **MR. RINDONE:** All right. The council asked for a list, or a
20 schedule, of the species that we might consider for interim
21 analysis, and this is a draft, and so please keep that in mind.
22 You can see the year being considered on the left there and then
23 species and the likely representative index of abundance to be
24 used in the interim analysis, based on the Science Center's past
25 presentations on the topic, a suggestion for terminal year and
26 when we think it might be appropriate to receive that interim
27 analysis, based on when the index data are available, terminal
28 year requested, and some consideration of how each particular
29 fishery operates.

30
31 You will see that red grouper shows up every year, and that's
32 because we have requested red grouper interim analyses annually
33 from the Science Center, and then, the rest of them, we plugged
34 in there based on when other assessment activity was on the
35 SEDAR schedule, and so, if you scroll down a little bit there,
36 you'll see some points to consider here, and so it takes about
37 three months to pull off an interim analysis, or sometimes less,
38 but we should assume that it's going to take a little bit of
39 time for Science Center staff to be able to get it off the
40 ground and running and reviewed and to the council.

41
42 You guys meet five times a year, and you are the sole review
43 body for this work product from the Science Center, and it takes
44 about six months or so, at the best of times, for regulations
45 that are transmitted from the council to NMFS to be implemented,
46 and so these are all things that we tried to think about when
47 putting this together, and so it would be the messiest of
48 matrices, if I were to try to map out all the decisions that we

1 tried to think about in putting this table together here.

2
3 We're certainly looking for your input on this, and also that of
4 the Science Center, and I know we've had this up on the page for
5 a little while now, just to try to make sure that there is --
6 Whether or not there is some sanity in this list and what we
7 need to tweak, and so, Mr. Chair.

8
9 **CHAIRMAN POWERS:** Thank you. I am just perusing this. Any
10 comments or suggestions? Typically, we, the SSC, when some
11 problem arises in an assessment, our immediate reaction is we
12 ought to revisit that, and, of course, revisiting it means
13 changing this whole schedule, and so we need to think a little
14 more strategically, which is essentially what Ryan is trying to
15 do here. David Chagaris.

16
17 **DR. CHAGARIS:** Thank you. Does this imply, Ryan, that, at each
18 of these meetings, we would review the interim analysis for that
19 particular species? I'm just wondering if maybe there's a way
20 to roll them out together, so that we could review more of them
21 all at the same time, since these should be less involved.

22
23 **MR. RINDONE:** So I thought about that, but the point of these is
24 to provide catch advice to the council, and so, in some cases,
25 it's better to have that advice brought forward to the council
26 at specific times, which is why you guys wouldn't be reviewing
27 all of them at once.

28
29 For instance, red grouper coming to us at the beginning of the
30 year allows any updates to the catch limits for red grouper,
31 theoretically, to be able to be put in place before the end of
32 the fishing season, which has recreational and commercial
33 fishery implications, and so there is -- As we get towards the
34 end of the calendar year, there is the possibility of either
35 keeping open the recreational sector and/or adding additional
36 pounds available to the commercial sector, depending on the
37 results of a particular interim analysis, or, conversely, if
38 something needs to close more quickly.

39
40 Greater amberjack uses a split season, and so, by getting
41 greater amberjack in say September, it may open up the
42 possibility of being able to leave the season open in the
43 spring, which is something that we've heard a lot of feedback
44 from stakeholders that they would like, especially in the
45 eastern Gulf.

46
47 King mackerel, the fishing season for the western and southern
48 zone handline, those commercial fishing seasons begin in July,

1 and the recreational season runs year-round and has been impeded
2 for the last two decades, but, for the commercial sector, it may
3 make a difference on whether some of those zones can reopen,
4 depending on when those data are received, and so it's that kind
5 of a balancing act, and, again, that's just one of about twelve
6 different decisions that I had to try to weave together in
7 making this list, but that's why you're not getting them all at
8 once.

9
10 **DR. CHAGARIS:** Thank you.

11
12 **CHAIRMAN POWERS:** Thank you. Katie.

13
14 **DR. SIEGFRIED:** Thank you. Can I wait for my time to comment
15 until everyone else has had a chance, so I can hear all of the
16 comments? Thanks.

17
18 **CHAIRMAN POWERS:** Sure. Carrie.

19
20 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair. I think
21 another thing, and I think Ryan has touched on this, that we
22 need to think about at the council level is, if the council does
23 want to make changes to catch limits, after we receive these
24 interim analyses, or this tool that we have available outside of
25 SEDAR, if they want to act upon these changes, we need to think
26 about a way to change these catch levels in a more timely
27 manner.

28
29 Right now, we're just doing it via framework, and it's taking us
30 eight months to a year to get that through the process sometimes
31 and then make it a rule, make the catch levels change through
32 that process, and so that's one of the other things that we're
33 thinking about, and we're looking at what other regional
34 councils are doing, and I think this is also to Dave's point.

35
36 I mean, if we get all of these at once, it's going to be
37 difficult, and the council says, yes, we want to act upon these
38 changes, and we want to change these catches up or down, it's
39 going to take us a while to prioritize those and get them
40 through the process, and so we also need to think about that.
41 Is this a health check that we think we need for red grouper, or
42 does the council really need to be making changes to management?
43 Thank you.

44
45 **CHAIRMAN POWERS:** Thank you. Julie.

46
47 **DR. NEER:** Thanks. I just wanted to touch base, and I didn't
48 know if Katie was going to speak to it, but has anyone talked to

1 the Pascagoula Lab about the SEAMAP larval index? That index,
2 in particular, needs about an eighteen-month window, and those
3 samples are pulled in, and then they have to be shipped back
4 from Poland and stuff, and so that's not necessarily as easy of
5 an index to update, and I just wanted to give you guys a heads-
6 up that you should probably circle with the Pascagoula Lab and
7 see if that's even feasible, timing-wise, for them to handle
8 that index, and that was my only comment, because I know that
9 one is always a struggle to get updated for any of the
10 assessments that we do. Thanks.

11
12 **MR. RINDONE:** Thanks, Julie. I was thinking about the
13 turnaround time from Poland to get those sample data back, and
14 that's why I left that one out at about two years, and the one
15 for kingfish is kind of difficult, right, because we don't
16 really have a lot of options for a fishery-independent index for
17 kingfish that could be applied to the Gulf as a whole, and so
18 that may be one where a terminal year has to be sacrificed a
19 little bit more than it currently already is, if we want to try
20 to use that index, because, right now, it's my understanding
21 that that's the best index to use for an interim analysis for
22 king mackerel, but we haven't attempted an interim analysis for
23 king mackerel yet, and that's the one that would make the most
24 sense, based on years and spatial coverage.

25
26 **DR. NEER:** I think it's a great idea, if you can make it happen,
27 but I just wanted to make sure that you try and circle back with
28 someone there, to see if that's even feasible, before the
29 council goes, yes, let's do it.

30
31 **MR. RINDONE:** Yes, good point.

32
33 **CHAIRMAN POWERS:** Thank you. Kai.

34
35 **DR. LORENZEN:** I actually had my hand up from the last thing,
36 but, since I'm on here, I did want to point out that the red
37 snapper interim analysis is a very different beast from all
38 other interim analyses on this list, and so it's more like --
39 Since it's involving a new dataset that we haven't fully
40 reviewed and so on, and so we'll come back to that as we discuss
41 it, obviously, but I did want to point out that this is very
42 different from all the others that are really relatively
43 straightforward analyses. Thanks.

44
45 **CHAIRMAN POWERS:** Thank you. Luiz.

46
47 **DR. BARBIERI:** Thanks, Joe. Kai already brought up one of my
48 points, and it was also about the red snapper and the fact that

1 this is a very different process that is going to require
2 different treatment by all involved.

3
4 Two is -- Maybe this is something that Katie will be addressing
5 after our comments, but I wanted to know if this schedule here -
6 - Has this already been vetted and discussed and coordinated
7 with the Science Center? Meaning, does this have already the
8 Center's seal of approval that it integrates well with their
9 workflows and workloads and all the other assessment and
10 analytical products that they have to generate?

11
12 **MR. RINDONE:** No, Luiz, it doesn't. We've tried to work -- We
13 used the presentation that Clay has given a couple of times to
14 the council talking about the indices that would be the best
15 candidates for particular species, and we have not included any
16 species that haven't been previously discussed between the
17 council and the Center as possible candidates for an interim
18 analysis, and I tried to make considerations on terminal year
19 that were -- That accounted for when we've been told in the past
20 that data may be available from an index, combined with when the
21 council might want to get those data and when we could get you
22 guys to review it.

23
24 There are many things all plugging into this, but this hasn't
25 undergone any sort of Science Center blessing. This is purely
26 trying to get feedback, at this point, and this is not something
27 that we're setting into stone tomorrow or anything like that.
28 We're trying to develop it, and this is just all part of that
29 process.

30
31 **DR. BARBIERI:** That makes sense. Thank you, Ryan. The last
32 question is, having heard what you just mentioned, will we be
33 reviewing and looking at this schedule over time, to see if
34 there are changes that need to be made from time-to-time,
35 because this schedule -- The list of interim analysis stocks
36 that are there, scheduled, just like we change the long-term
37 list of species that we have set up for SEDAR, and we may want
38 to look at this, from time-to-time, as an SSC and kind of
39 provide some input.

40
41 **MR. RINDONE:** Yes, of course, and, whenever you guys want to
42 take a look at this, we can certainly do that, as capacity by
43 the Center changes, up or down, for the ability to be able to do
44 interim analysis, and we'll certainly review how many are being
45 requested for a given year and for years in the future.

46
47 This particular analysis, the scheduling for this, will need to
48 be a little bit more nimble, to accommodate both council needs

1 and expectations and what the Center can actually provide. I
2 know that they have a long-term goal of being able to automate
3 this process, to the greatest extent practical, and they're not
4 quite -- I know they're not there yet, but it is something that
5 they're working diligently towards, and hopefully that will open
6 a lot of doors for the council to be able to be more nimble and
7 reactive to changes in how things are going for a particular
8 stock, but you guys can review this as often as you are
9 comfortable doing so,

10
11 **DR. BARBIERI:** Sounds good. Thank you, Ryan.

12
13 **CHAIRMAN POWERS:** Thank you. Will Patterson.

14
15 **DR. PATTERSON:** Thanks, Joe. Even without full automation here,
16 I'm confused about the statement that it takes approximately
17 three months to complete an interim analysis. Does that mean,
18 in 2021, if you have two stocks scheduled, that it would take
19 six analyst months to complete, and then, in 2023, it would take
20 fifteen, or does that three months to complete have to do with
21 getting the data and the indices, the index information, to
22 actually recompute the updated index?

23
24 I mean, what does that three months actually mean? I'm
25 confused, because, if it only takes a couple or three months
26 longer than that to do a full update, why would it take half
27 that much time to do a much simpler analysis?

28
29 **MR. RINDONE:** The time commitment is an estimate, and it will
30 vary depending on which index has to be used and which species
31 we're talking about. The greatest would be about a three-month
32 process, and using the Great Red Snapper Count and red snapper
33 as kind of like the north end of that estimate.

34
35 Red grouper, at this point, Skyler has done three of those, and
36 I don't think it takes her three months to do those anymore, and
37 she can certainly more to that, and Katie could speak more to
38 that, about the different time commitments for different species
39 and indices, but I've tried to tell you guys that the worst-case
40 situation, and we'll use that as the north end of that estimate,
41 knowing that some of these will take less time, but just in
42 order to make sure that we don't have too much overlap, and,
43 again, it's not the same analyst doing all of the interim
44 analyses for all species.

45
46 **CHAIRMAN POWERS:** I think we're approaching the need for Katie
47 to talk, but, John, Mareska, let me go to you first.

1 **MR. MARESKA:** I was just looking at the schedule and thinking
2 that it might be better if we could have an interim analysis on
3 greater amberjack in 2021, and hopefully that would update that
4 video index through 2020, because what we've seen in the
5 assessment was only through 2018, and that would just before
6 we're implementing, or the council is implementing, the changes
7 to catches for 2022, as we discussed yesterday, and so, again,
8 just any way to move that interim analysis up one year.

9
10 **MR. RINDONE:** An issue that we would run into with using -- Or
11 including more data for greater amberjack for the video index is
12 that we may have data for 2019, but 2020 data, for many of the
13 fishery-independent surveys, are going to have holes, due to the
14 pandemic, and I will let Katie talk more about that, but that
15 would just be something to think about.

16
17 The other thing to think about is it's 2021 now, and the Science
18 Center workflow is more or less locked in place, and so the
19 ability to plug in an additional analysis may prove difficult,
20 or it may require a concession elsewhere, in order to make that
21 happen, and so that's just something else to think about.

22
23 **CHAIRMAN POWERS:** Thank you. Katie, I think it's time for you
24 to resolve all our problems.

25
26 **DR. SIEGFRIED:** I will give it a whirl. Everybody has mentioned
27 most of the things that I was going to bring up, and so I can
28 address all of those. First, to address Will's comment about
29 how long per species, I think Ryan did a good job of explaining
30 it, but it certainly doesn't take, for instance, Skyler three
31 months to do the red grouper, and it's more of an average. We
32 were providing an estimate of how long based on the potential to
33 do an MSE for a species, which is how we would determine whether
34 the indices that are shown in the third column are most
35 appropriate for those species.

36
37 Clay has already presented these indices as the best, as far as
38 we know now, but doing all of these probably pushes off the
39 ability to do an MSE for each, and, obviously, we can't do an
40 MSE on all of these species, to determine if those indices are
41 correct, and so we would move forward with these assumptions.

42
43 We would like the ability to investigate that though, and so it
44 doesn't sound like these indices are prescriptive, and it sounds
45 like, Ryan, and this is a nimble schedule and a nimble species
46 list, and so hopefully we could work with you all on that, if we
47 found a different index was more appropriate.

1 **MR. RINDONE:** Absolutely. These indices that are listed are the
2 ones that came out of one of Clay's presentations a while back,
3 with the exception of red snapper, because we plugged in the
4 Great Red Snapper Count there, because that decision came after
5 the fact, but these were just the indices that were listed as
6 the likely best candidate for that species at that time, and so,
7 if it comes to pass, in the future, that another index is more
8 appropriate, then that would require us to revisit the schedule
9 and rethink things like terminal year, and perhaps even delivery
10 date, to accommodate the use of the more appropriate index.

11
12 **DR. SIEGFRIED:** Great. So that was the other issue, is the
13 terminal year may be something we would need to discuss
14 particularly, because 2020 is going to be a problematic year for
15 our indices, and Skyler finished the red grouper interim using
16 the bottom longline survey, which is easy to update, and we do
17 have that automated, and there's been a lot of effort within the
18 Center to get that done, but it was not a complete sampling for
19 that index, and it's something that we would have to explain in
20 better detail when that interim is reviewed by the SSC.

21
22 We don't anticipate it being very easy to review these interims
23 in the next year or two, because of the issues with 2020
24 indices, and maybe into the future, because the year is not --
25 It's going to be burned in our brains for a while.

26
27 Julie is correct that the combined video index is not something
28 that we yet have automated. Kevin Thompson in Florida has been
29 great to provide that for us, but it is better that that's timed
30 in a certain way, and I think that the delivery date might need
31 to be discussed more with him, as to the best date each year
32 when all of the data are read and available to be analyzed.

33
34 One of the other comments was -- I was looking at our master
35 calendar, and we do have some things that we might be able to
36 work with Ryan and other staff on the timing, but it sounds like
37 they're open to that, and so that's something that we can do,
38 potentially, on the fly in between SSCs.

39
40 I don't think that there's any other issues with this, besides I
41 know it takes a lot of effort to consider everything that Ryan
42 has had to consider to create this matrix of interims, and I'm
43 glad that we have time in the Science Center to ramp up our
44 efforts. We're going from two species in 2021 up to four or
45 five by 2024, and so those are all of my comments. Did I not
46 address anything, Joe, that you thought I needed to address?

47
48 **CHAIRMAN POWERS:** Thank you. I think you're okay. Ryan, did

1 you want to comment on that?

2
3 **MR. RINDONE:** Yes, and I just wanted to emphasize that we're
4 absolutely looking for input on this, especially from the
5 Science Center, since you guys are the ones that have to do it,
6 and so, if we need to make tweaks anywhere, let's definitely get
7 all that ironed out, and this is something that, like I was
8 telling Luiz, or responding to Luiz, that we can definitely keep
9 bringing back to the SSC.

10
11 This is a great tool to have in the toolbox, to be able to get
12 these sorts of analyses from the Center, and just keeping that
13 communication open and working together, and hopefully we can
14 maximize the benefits of this ability, but, whatever changes
15 need to be made, we're definitely open to talking about that.

16
17 **CHAIRMAN POWERS:** All right. Thank you. Thank you, Katie. Are
18 there any other guidance or comments? Julie.

19
20 **DR. NEER:** Just one additional comment on that combined video
21 index. I don't know if the SSC has heard, but the SEDAR
22 Steering Committee did approve an indices procedural workshop to
23 look at the combining of video indices as well as some other
24 index issues and other indices development issues. That
25 workshop is, hopefully, on tap for September of this year, and
26 so, after that workshop, there might be additional guidance or
27 tweaks to those combined video indices development processes.

28
29 That's just a heads-up, and soon I will be asking for
30 participants to be part of that workshop, but, additionally,
31 using the combined video index, as designed in these current
32 assessments, may not represent best practices, and we went down
33 the line, and so that just might be something we have to take
34 into account, and Katie is right that the combined video index
35 requires three indices data to be available, and then Kevin
36 Thompson has to produce the combined, and so that is also not an
37 easy or a quick one to get done, but it's a great index, once we
38 have it. I just wanted to provide that information.

39
40 **CHAIRMAN POWERS:** Thank you. No other comments? Then I think
41 we have provided some guidance, in terms of how to proceed.

42
43 **MR. RINDONE:** Yes. Thank you very much.

44
45 **CHAIRMAN POWERS:** All right. The agenda, the next thing on the
46 agenda, originally, was the red snapper supply chain. The Great
47 Red Snapper Count, is Dr. Stunz available before lunch, because
48 this is scheduled to be after lunch.

1
2 **MR. RINDONE:** Yes, he's on now.

3
4 **CHAIRMAN POWERS:** Okay.

5
6 **DR. GREG STUNZ:** I'm here, and I'm ready to go if you are.

7
8 **CHAIRMAN POWERS:** Okay. Great. Then, before you get started
9 though, let's take a ten-minute break, and then we'll move on
10 into the Great Red Snapper Count. Thank you.

11
12 (Whereupon, a brief recess was taken.)

13
14 **CHAIRMAN POWERS:** The next item on the agenda is the Great Red
15 Snapper Count with Dr. Stunz, Greg, but, before we do that, I
16 would note that a short presentation by the Center has been
17 delivered to us, which is to augment our discussion about this,
18 about how this might be used, in terms of an interim analysis,
19 and so that will follow on after Greg has made his presentation,
20 and so let's move then to the presentation. Greg.

21
22 **PREVIEW OF GREAT RED SNAPPER COUNT**

23
24 **DR. STUNZ:** We are just completing, obviously, the Great Red
25 Snapper Count, and that's a name that, as many of you know, kind
26 of was given to us, and it sort of stuck, and so we just went
27 with it, but the real premise and goal of the project, or what
28 the real official title is, it's "Estimating the Absolute
29 Abundance of Red Snapper in the U.S. Gulf of Mexico". It just
30 publicly got known as the Great Red Snapper Count, and so here
31 we are.

32
33 To bring everyone up to speed a little bit about the goal and
34 why we're here and how we arrived at where we are, I thought I
35 would just give a little bit of background. Some of you,
36 obviously, have heard this, and many of the SSC members are
37 directly involved in leading various aspects of this project,
38 and so they're very familiar with that, and, also, what I
39 thought I would do today is really give the SSC somewhat of a
40 preview.

41
42 We're wrapping up the final report, which will be out this
43 month, and it will be followed by a whole variety of outreach
44 and engagement activities and that sort of thing, but, in the
45 meantime, obviously, this group has to evaluate the study, but
46 it's more than what can be done in a short presentation like
47 this, and so you'll kind of get a feel for what it is, and maybe
48 there will be some input, if there's various aspects of the

1 study you would like to hear from the particular PI that was
2 leading that component or something, but you will kind of see --
3 You will get the overview of that here today.

4
5 What was the overall goal? Well, obviously, there was concern
6 about what the status of that population is like, in terms of
7 absolute abundance versus index of abundance, and I probably
8 don't need to tell anyone around this virtual table that, once
9 you have an absolute abundance estimate, you can do very
10 different management than you can off of indices of abundance
11 that, theoretically, would help improve the management of this
12 fishery.

13
14 That was recognized by a variety, including NOAA, but it was
15 funded by Congress, and so it was a \$12 million study, total,
16 and it was about nine-and-a-half million of federal dollars,
17 through NOAA Sea Grant, is how the money was handled, as well as
18 through NOAA, and then we had to match the rest, in terms of the
19 investigators involved, bringing that \$12 million, and so
20 there's twenty-one of us that are involved in the project, and
21 they are leading scientists from around the Gulf that have spent
22 decades, if not much longer, studying red snapper, as well as
23 others even beyond particularly bringing in a variety of
24 analytical expertise, and those are represented by twelve
25 institutions around the Gulf as well.

26
27 The big point there, obviously, is it was an expensive study,
28 and a really unprecedented amount, but it allowed us to do some
29 things that I think will really set the stage or model how we
30 can do some of these other similar studies that are hopefully
31 going to be ongoing soon, or at least proposed, and so, to do a
32 study like this, unfortunately, it just costs a lot of money,
33 with ship time and those sorts of things. For those of you that
34 are involved, you know exactly what I'm talking about.

35
36 How was it estimated? Well, we used a suite of methods, and,
37 unfortunately, there's not a method that just works perfect for
38 the diversity of habitats and visibility and all the constraints
39 we have throughout the Gulf of Mexico, and so we had to use a
40 variety of methods, but it first started with habitat
41 classification.

42
43 We were specifically charged not to do any mapping. In other
44 words, we couldn't spend money to map habitats, one just because
45 of the expense and time associated with that, and so we had to
46 use what was available, and so we spent a lot of time doing
47 habitat classification, but we relied on direct visual counts,
48 where we could, and we had the visibility to do that and the

1 ability to access the habitats where the snapper was occurring
2 with those gear.

3
4 Where we couldn't do that, or didn't have the visibility, we
5 used acoustic, specifically hydroacoustics or bioacoustics, and
6 then, in some areas, we used depletion surveys, and then a
7 contingency of the request for proposals is that we conducted
8 also a Gulf-wide tagging program, and we probably would have
9 felt, early going into it, that that money could have been
10 better served focusing on direct count methods, but it turned
11 out that this tagging program generated some very, very valuable
12 information that I will tell you about in just a little while,
13 as well as just tremendous angler buy-in with the program, and
14 so that was a huge benefit, and so I have the feeling that the
15 SSC probably would like to hear more than I will have time today
16 to talk about this tagging program, because it gave us some
17 really interesting information regarding exploitation rates.

18
19 Who was involved? I don't have time to talk about all twenty-
20 one investigators, and I think everyone probably knows most of
21 these people, and the Harte Institute, our program, led it. Jay
22 Rooker at A&M Galveston led the Texas region. Jim Cowan at LSU
23 led the Louisiana.

24
25 Sean headed up the Alabama component, and Will headed up
26 Florida, and Steve Murawski worked in really all the regions,
27 with his C-BASS, that you will see in a little while, and he was
28 mainly involved in estimating the abundance of fish along
29 pipelines, as well as some of these deeper areas, and, in
30 particular, the unclassified or uncharacterized bottom, where
31 his systems and their vessels could cover large expanses of
32 water in a very efficient way.

33
34 We also tapped the expertise of Matt Catalano at Auburn,
35 particularly for our tagging exploitation piece, and many of you
36 probably know Matt, and that's his area of expertise, and that's
37 what I meant earlier, and you will probably want to hear more
38 from Matt, in terms of the exploitation.

39
40 Marcus Drymon, who many of you know, and who was formerly linked
41 with the SSC, is a red snapper ecologist in his own right, but
42 he also is leading primarily a lot of the engagement and
43 outreach pieces that you will be seeing soon. Rob Ahrens, at
44 the time, was at the University of Florida with Will, but he has
45 since taken a job with NOAA in Hawaii, but he has still remained
46 a lead analyst, helping us work, initially, through the design,
47 but also the final analysis as well, along with Lynn Stokes
48 played a major role in the analytical piece.

1
2 John Hoenig worked closely with Sean and his group, particularly
3 for some of the depletion studies that I will talk about, and so
4 this was pretty much the leadership team, and then a lot of
5 these other folks, and all of these groups have teams of post-
6 docs and students and staff scientists and that kind of thing,
7 and so it was quite a tremendous effort to really pull this off.

8
9 This is where everyone was from, and I think everyone will
10 recognize the institutes here, but I just want to make sure we
11 kind of get the feel for it was a very broad study, where I
12 really spent a lot of time trying to select the best possible
13 group we could to really pull off a study of this magnitude.

14
15 The project was guided through a steering committee, largely led
16 by Clay Porch and others, but Sea Grant was involved, and NOAA's
17 Science Center was involved, and a whole bunch of groups, and we
18 worked together to develop really what are the five milestones
19 of the project.

20
21 The first one was data mining and habitat characterization. We
22 needed to find out what was out there and how much of it, at
23 least the best we could with the maps we had available. The
24 other was calibrating and validating our gear, having to use
25 multiple gear types, and that's important, for obvious reasons.

26
27 The lion's share of the work, obviously, goes into the actual
28 sampling on the water and counting the fish, and then probably
29 just as much time is back at the lab and sorting through video
30 profiles or hydroacoustic profiles or all sorts of information
31 that comes back, and so that takes a lot of time to work through
32 all that.

33
34 Then where we are now, in this last major milestone, is the
35 final estimation, which we have done, which you will hear about
36 today, and we're completing the report, and we were required to
37 do congressional briefings, which has occurred, and we briefed
38 the Gulf Council late last year, and then we'll be having a
39 public and agency kind of stakeholder engagement component that
40 you'll be hearing about a lot more really soon, and I will show
41 you a brief plan for what that is later in the presentation.

42
43 In developing the design, that first step of data mining, we
44 just pulled whatever we could -- That we had available at our
45 hands of red snapper occurrence, really presence/absence of red
46 snapper in the Gulf of Mexico, and any type of habitat mapping
47 we could clearly characterize, and everything else went into
48 this unclassified, where we knew that snapper occurred, but we

1 just didn't know what was there, because we were lacking in
2 mapping or something like that.

3
4 To give you the overall sampling design, and it's a little more
5 complex than this, but I think this will set the stage, and that
6 is we were tasked to do a regional abundance, at least the
7 east/west, and we actually broke it down into four regions, and
8 then each region had a shallow, mid, and deep depths that we
9 could further stratify.

10
11 The habitats we were asked to look at were artificial reefs,
12 natural reefs, and then a habitat that I really want to spend a
13 little time talking about, and that's the uncharacterized
14 bottom, or what we've been calling it now, and probably a more
15 appropriate term, is unclassified bottom, where it's not just
16 mud and sand, although that's a large component of it, but it's
17 interspersed with structures and features, shipwrecks and all
18 sorts of things that we just don't know about, and it's
19 unclassified.

20
21 We suspected, and NOAA and others, and I'm sure that Clay will
22 comment on this at some point, but we suspected, from anecdotal
23 reports of fishermen, that there were a lot of fish over these
24 areas that wouldn't really be traditionally fished or considered
25 snapper banks or snapper habitat.

26
27 We also broke up artificial reefs into large and small. In
28 fact, we've even done it a little more, but, for today, it's
29 really just large and small, because you have things like the
30 artificial reef program off of Alabama that's characterized by
31 many small reef structures, and a lot of that is in Florida,
32 obviously, as well, small reef pyramids and reef balls and that
33 sort of thing, and, as you get out into the western Gulf and on
34 our side of the river, there are much larger oil and gas
35 platforms, things the size of large buildings and that kind of
36 thing, and so that presents some sampling challenges as well,
37 where literally you can see one field of view in an ROV, where
38 in another you're just seeing a very tiny component, and how you
39 assess that matters.

40
41 To give you an idea of what that design looked like across the
42 Gulf of Mexico, this is just a really simple plot, where we've
43 done an ROV survey, a hydroacoustic, where we've tagged fish,
44 where we've done sort of tow, some type of sampling has occurred
45 along all these regions.

46
47 It represents, just to give everyone an idea, a lot of effort,
48 where you have 1,500-plus sampling sites, and you have hundreds

1 of hours of ROV video and C-BASS acoustic transects, which I
2 will show you what that is in just a minute, as well as
3 hydroacoustic profiles in all of our tagging, and that takes a
4 lot of time to go through, and, of course, we've got all that
5 data available and archived and that sort of thing, because
6 we're not only capturing just red snapper with this information,
7 but we're capturing the whole suite of species of reef fish that
8 are using these areas, and so that probably will become valuable
9 for other studies and other things down the line, and so, in
10 other words, I think what we're seeing from this study is a lot
11 of ancillary benefits and unanticipated things in a very good
12 way that are coming out of it that will probably be very
13 valuable to this group and many others in the future.

14
15 On to the direct sampling, and so, when we could see the fish,
16 that's what we preferred, and hopefully everybody here is pretty
17 familiar with ROVs, and it's very similar to the top two
18 pictures that you see in the top-right and left, and,
19 essentially, they are just miniature submarines, surface driven,
20 that we can send down and observe.

21
22 They are geo-referenced, so we can calculate the transect or
23 distance covered with a field of view, and that allows us to
24 estimate density abundances and that sort of thing. We can talk
25 a lot about that later, if you're interested, in terms of how
26 that was done.

27
28 The two gear on the bottom are towed gears, and the C-BASS is
29 what Steve Murawski developed, and, of course, all of this
30 equipment is outfitted with sonar and all sorts of sophisticated
31 echosounders and that kind of thing, in addition to the camera
32 and lights and the traditional things you might find on an ROV.
33 We also have lasers that we can scale and measure the fish, so
34 we get an estimate of size, but the two along the bottom -- The
35 one on the left is called the TARAS, and the one on the right is
36 called the C-BASS, but, essentially, they are towed behind a
37 vessel, non-stop, collecting video imagery as well as acoustic
38 imagery, that is fed back ship-side, and therefore covering
39 these large expanses of unclassified bottom or, in many cases,
40 along pipelines, which run for many kilometers in the Gulf of
41 Mexico.

42
43 To give you an idea of what this looks like and some of our
44 challenges, if you just look at the different images, the image
45 on the left might be a good example of what some smaller
46 artificial reefs might look like off of Alabama. The image
47 below it is blown-up and zoomed-in.

48

1 The top-right is a reef pyramid. Typically, those are smaller,
2 and you can see, in a general field of view, you can really
3 capture most of the fish that are on that habitat, unlike what
4 you might see in the bottom-right, which is just one leg of many
5 times, often, four-pile or eight-pile, or these very, very
6 massive structures, and you're just seeing a very tiny fraction
7 of that, and so we have to sub-sample some of those larger
8 structures, and, of course, the difference with the larger
9 structures -- Typically, the snapper on these smaller structures
10 are associated with the demersal feature on or near the bottom,
11 but, on these bigger oil and gas platforms, they can be
12 distributed throughout the water column, and so that presents
13 some different sampling challenges and things as well, but the
14 point here being that there's very different habitats that we
15 have to sample that we have to account for across the Gulf.

16
17 To give you an idea of what this might look like, we're
18 descending down a rig leg, and I'm about to play this video.
19 Joe, if for some reason it doesn't play -- I haven't clicked it
20 yet, but, if for some reason, it doesn't play, let me know, and,
21 of course, you see amberjack and a bunch of other species, but
22 this would be kind of an average visibility day, not too great
23 and not too bad.

24
25 As you descend down, you will see some lasers in a second,
26 hitting the fish, and they're a fixed distance apart, so we can
27 estimate -- If the fish is oriented in the right way, we can
28 estimate the length of those fish, but that kind of gives you an
29 idea of what we might see on one of these rig surveys.

30
31 To give you another example of why we had to use hydroacoustics,
32 in many situations, is, when you go from the western Gulf to the
33 eastern Gulf, in general, you go from turbid conditions to clear
34 conditions. Even when it's very clear at the surface, in the
35 western Gulf, we get a nepheloid layer that develops, which is
36 essentially a fog or murky, silty layer at the bottom, where you
37 go from forty or fifty-foot visibility, often, to zero
38 visibility, and we know there is snapper in there, from our
39 other surveys and vertical line surveys, and so that presents a
40 problem.

41
42 The video playing on the left kind of shows you what a typical
43 survey might look like in the western Gulf of Mexico, and those
44 two pieces of weighted PVC that you see there -- A way that we
45 zoom-in with the ROV and then back away, to calibrate our
46 visibility and our field of view and that sort of thing, but
47 what you see there is clearly there's red snapper, but how many
48 snapper are behind them, and they kind of come and go, and we

1 have a little bit of trouble -- We don't feel real confident
2 about our visual assessments in conditions like that, compared
3 to maybe a condition over on the right, which would be very
4 typical of maybe a bank that's out in very deep water, where you
5 don't get a nepheloid layer, or out in Florida, where you can
6 really have some really good visibility, where we have much
7 confidence in our visual abilities off of Florida and Alabama
8 than we do in some of the other regions of the Gulf.

9
10 These, you can still see that, in many of our sites with high
11 abundance of red snapper, there is zero visibility, and you
12 can't really see anything, and so, for that, we use other
13 methods, which I will show you in a second.

14
15 To give you an idea of what the sea bass might look like, it's
16 the same thing. It's going from very turbid to clear, and so we
17 might have to use hydroacoustics on the left, and visibility on
18 the right, but, in the Gulf of Mexico, with all the oil and gas
19 infrastructure, there's about 42,000 miles of pipeline.

20
21 In many instances, that's required to be buried, and in many
22 instances not, depending on the depth and other regulatory
23 issues, but, oftentimes, they get scoured out. In fact, it's
24 pretty common for them to be available and useable as a habitat,
25 and so not only did the C-BASS and TARAS, these towed gears,
26 account for this unclassified habitat, but we also looked at
27 pipelines.

28
29 To give you an idea of what that might be, I put together a
30 short clip here of the C-BASS moving along a pipeline, along
31 natural bottom, and then across just open, unclassified bottom,
32 and you will see a variety of fish, and I will go ahead and play
33 it here, and, obviously, you're moving along the pipeline, and
34 you see grouper and snappers, and then red snapper, and this
35 would be just kind of on some unclassified bottom, and this is
36 some natural bottom features, and you can see our lasers there,
37 of course, and you see some red snapper.

38
39 Then, many times, it's just clear, open mud and sand and algal
40 flat kind of things in the Gulf, and so that -- We have just
41 hours and hours of this sort of video that we had to work
42 through and estimate the abundance over these habitat types.

43
44 As I mentioned, many times you can't see anything, and so we
45 rely on hydroacoustics or bioacoustics, and this technique
46 involves using sophisticated sound returns to give us an
47 estimate of how many fish are there, and it's really no
48 different than the bottom machines on most fishing boats, except

1 you can archive, and it's more fancy, and we can really
2 customize it to what we're trying to do.

3
4 To orient you to what you're looking at here, this is a cutoff
5 oil and gas platform. Typically, in rigs to reef programs, we
6 want to retain the habitat, and so this piece on the right would
7 have been on top of this, sticking up out of the water, and it's
8 cut off at a safe navigable distance of about eighty feet and
9 then toppled or set next to it or whatever, and so this was once
10 one piece that's been cut in half.

11
12 What you see here are these sort of upside-down, banana-shaped
13 returns are the fish, and we can generate species composition,
14 so we know what percentage of those and which of those are red
15 snapper, and, using some software, through these returns, we can
16 generate an estimate of red snapper abundance, and similar to
17 the structure that you see over to the left, and those returns
18 are red snapper.

19
20 Why do we need it? Here on the left, if you look at this video,
21 you can see this is a toppled oil and gas platform that's been
22 converted to artificial reef, and it's on its side. Obviously,
23 there is red snapper and triggerfish and other things there,
24 but, when you look further down, we know there is snapper there.
25 If you dropped a vertical longline, you would top out in seconds
26 of fish, and you can really see that nepheloid layer that
27 doesn't allow us to have the visibility we need, and that's
28 actually still pretty good visibility, or you might have
29 something like this video that's playing over to the right.
30 Just off in the distance, you can barely see -- We're down in
31 the nepheloid now, and you see the snapper, but you just don't
32 feel good about assigning a good visual estimate to something
33 like that.

34
35 How this hydroacoustic works, I will play a calibration image of
36 a real image up top of what it looks like visually, and, along
37 the bottom, you will see the echogram. It's probably going to
38 get choppy, because trying to broadcast this over the internet -
39 - It's pretty heavy images, but I think you'll get the point
40 here, and it will stop in a minute, but that's what it really
41 looks like. We wouldn't do this in situations where we could
42 see, obviously, but, to calibrate our gear, we're doing that,
43 and you're generating a profile that you see on the bottom, and
44 that's those same fish, and that's the cutoff oil and gas
45 platform that's down at the bottom that those fish are
46 associated with.

47
48 So how it works is that we have some sophisticated logarithm

1 software that allows us to clip out what we know are not
2 structure or feature, or maybe fish way up at the top of the
3 water column that, through our species composition, we know are
4 not red snapper, or at least a very tiny percentage of them, and
5 we can clip out those pieces that are fish, and then, from that,
6 we can calculate a total red snapper abundance.

7
8 Kevin Boswell led a bunch of this for all the teams, and trained
9 different teams in different regions to be able to do this, and
10 that sounds very simple and straightforward, but it's very, very
11 complex and time consuming to go through all these profiles and
12 pick out all these individual fish and that sort of thing, but,
13 in areas where we don't have any visibility, this is pretty much
14 what -- It's the only method that we could rely on to generate
15 an abundance estimate.

16
17 Then, finally, Sean Powers, off of Alabama, did a bunch of
18 successful work with depletion studies, and you will probably
19 want to hear more about that, and, of course, I'm sure Sean is
20 happy to -- Maybe now, if we have time, or for sure in a future
21 meeting to go into detail about this, but, in general, it
22 involves you do an ROV ahead of time, and you deplete the site,
23 which means you fish it, and you remove a large number of fish,
24 and then you do another ROV survey, and that relationship
25 between what was there before you depleted the fish and what's
26 there after can provide a very successful abundance estimate of
27 the number of fish that are there.

28
29 That is a very brief explanation of how it works, and John
30 Hoenig is an expert at this, and so Sean and his team are
31 experts at doing the work, and working with John from the
32 analytical, and his student there, and it allowed us to generate
33 these depletion abundance estimates.

34
35 Those were the main methods that we used to calculate the
36 abundance estimate, but we did have this tagging piece that I
37 was telling you about that turned out to be extremely valuable,
38 but we did not necessarily use that to calculate the abundance
39 estimates that I am going to present today, and we used it for
40 exploitation and other reasons, but you still could use this
41 data for capture-recapture and that sort of thing.

42
43 Matt Catalano led our tagging piece, and he literally tagged
44 thousands of fish Gulf-wide, and you see this snapper here with
45 two tags. We tagged them with one or two tags, and that gave us
46 an estimate of tag shedding rate, which it turns out was very,
47 very low for the study.

48

1 All of these fish were descended with a SeaQualizer, and you can
2 barely see this small SeaQualizer in the clip there, but they
3 are descending devices to descend it back down to the bottom to
4 reduce the effects of barotrauma. Obviously, a tagging study,
5 where you're relying on returns, in a fish like reef fish, which
6 experiences high barotrauma, can be very problematic, and so we
7 were concerned about that.

8
9 Also, we were precluded from doing genetic studies for this
10 study, but not collecting samples, and so collecting these
11 thousands of fish allowed us to get a very nice genetic sample
12 to be used for future studies across the Gulf, and Eric Salient
13 and David Portnoy were in charge of archiving those samples,
14 which we have, but the other thing was we experienced a
15 phenomenal return rate that I will tell you about in just a
16 minute, and the angler engagement was just phenomenal. We were
17 able to do all sorts of really neat things.

18
19 I think this study really solved that you can catch and release
20 red snapper by using these descending devices, when many folks
21 were out capturing these fish that we had caught not too long
22 before and tagged and returned, and it was a clear demonstration
23 that obviously someone had handled that fish before, and it
24 obviously survived to be caught another day.

25
26 We'll talk a lot more about this, I'm sure, at a future meeting,
27 but this gives you an idea of the general tagging locations. We
28 relied on scientifically tagging and not angler, commercial or
29 recreational, tagging, although we relied on them for the
30 returns.

31
32 We wanted to make sure they were tagged properly, and we knew
33 exactly the lengths and sizes and where and that sort of thing,
34 and that they were descended properly, and we had an idea of
35 that post-release mortality, and so it was a high-reward study,
36 and so we paid \$250 to \$500 per fish, depending on if it was
37 single or double tagged.

38
39 Matt Catalano's models rely on the fact that, if a fish is
40 captured, it is returned, and I can tell you that they were
41 returned. Typically, if you're looking at a 6 percent return
42 rate in a mark-and-recapture study, that is great, and that's
43 very high, and so we're pretty good at budgeting, from all the
44 grants and things we work on, all of us with the team, and so we
45 thought, okay, we'll budget a 10 percent return rate and
46 calculate the money needed for that, and then I doubled that,
47 and we still didn't have near enough money, because we just
48 couldn't believe the amount of return rates that we were getting

1 back.

2
3 We tagged this right before the recreational season, but, also,
4 we got many, many recaptures from, obviously, recreational
5 anglers, but commercial anglers as well, and we had a return
6 rate of 30 percent, which is just astonishing that we would have
7 something that high. Obviously, there are some implications
8 there for exploitation, and we have regional exploitation rates,
9 and where this occurred and that sort of thing, but 30 percent,
10 obviously, sends a clear message that these fish are surviving
11 catch and release.

12
13 I should say that we did truncate this study to relatively
14 shallow depths, and, I mean, it wasn't extremely shallow, but we
15 -- Essentially, about 180 feet and back was the depth that we
16 used, but, still, 180 feet is deep, where most of the fishery is
17 occurring, and so we paid out well over \$100,000 in reward
18 money, and, just this morning, we got another tagged snapper
19 back, and so they're still coming in, and so I'm sure that our
20 return rate will be well above 30 percent for each region, by
21 the time it's all said and done.

22
23 The interesting thing is that it really showed that the
24 exploitation rate for these fish is over artificial reefs, and
25 that will become very important in a minute, when I tell you why
26 and we start talking about where the abundance, or really where
27 the mother loads, of red snapper are occurring, and it's not on
28 artificial reefs.

29
30 They are certainly fished, a lot of them, on artificial reef,
31 but the vast abundance of red snapper in the Gulf are not on
32 artificial reefs, and so that is an interesting management
33 aspect, in the sense that you're not fishing the main abundance
34 of your fishery, which is interesting, and something, obviously,
35 this committee will probably take up at some point.

36
37 I will explain that a little bit more in just a minute, because
38 I'm sure you're wanting to hear what did we really find, and
39 then, finally, what you'll be hearing from, in literally just a
40 few weeks, is you have probably seen, and we have put out a lot
41 of videos, short, more publicly layman-type videos, that were
42 part of a requirement of the study, that we communicate to the
43 public what it's about and what we're doing and what are the
44 findings.

45
46 Well, we have the last one done, and Dr. Drymon is pretty much
47 ready to go on that, as soon as -- We want to wait until the
48 final report is complete, so we can reference that, and there

1 will be -- All along, we've put out different fact sheets, and
2 these are all available at snappercount.org, and we have one
3 final fact sheet, which will summarize the study and talk about
4 implications and meaning and next steps and that sort of thing.

5
6 Mainly, these are for legislative types and the general public,
7 and they're not for SSC types, and we'll have a final report for
8 you guys, a lot of peer-reviewed publications and that sort of
9 thing, to evaluate on that more rigorous scientific level, but
10 that's a little too heavy and too much for the general public to
11 get just a general idea of the study and the overall findings.

12
13 Probably what you're waiting for is what's the big deal, and
14 what did you find, and so I will go through this, and, of
15 course, we can break this down by depth, by region, and I'm
16 going to give it a little high level, just to show you what we
17 have.

18
19 If you recall, we broke the Gulf into four regions, and it just
20 turns out that -- We didn't just arbitrarily break them into
21 state regions, but we looked at really ecoregions, but it turns
22 out that they follow parallel state lines pretty well, and so
23 that makes it nice, from the regional aspects of this fishery
24 that we're involved with and that sort of thing right now, but
25 it also is very ecologically similar.

26
27 I will give the estimate by each region, and each region has
28 either natural reefs, which are well-known natural, what we
29 would call snapper banks, most people would, artificial reefs,
30 which was the charge of the funding, to really assess the
31 abundance on artificial reef, and then the uncharacterized, or
32 unclassified, bottom.

33
34 To give you an idea, I will start with Texas, and so we've got
35 about -- I have just rounded off to the nearest hundred
36 thousand, and, I mean, there are so many fish that we have to
37 really talk in millions, or it just gets too cumbersome, and so
38 5.8, or really about six, million fish on natural reefs in
39 Texas, and these are numbers of fish.

40
41 I should point out that these are numbers of age-two-plus fish,
42 and so these are fish that have recruited to the fishery and are
43 exploitable, and have experienced exploitation and discard and
44 all that sort of thing. These aren't young-of-the-year, newly-
45 recruited fish or something like that.

46
47 We've got about 1.3 million fish on artificial reefs, and then,
48 interestingly, fifteen million fish over this uncharacterized,

1 or unclassified, bottom, which was very, very surprising. I
2 think you'll see this pattern -- Well, I don't think, and I know
3 you'll see this pattern throughout the other regions, bringing
4 that to about twenty-three million fish in Texas, but the idea
5 is that the bulk of the fish are on this uncharacterized bottom,
6 and, just to be very clear, again, to reiterate, these aren't
7 fish evenly distributed across mud flats or sandy bottom, and
8 they are patchy.

9
10 They are reef fish, obviously, and so they're holding to some
11 type of structure, but it's just structures that we don't know
12 about, and they're unmapped, and we don't know what -- Well, now
13 that we sort of know, we can go back and recharacterize, but, at
14 the time, it was just lumped into uncharacterized bottom. That
15 really -- Many people have been saying there's a lot of fish out
16 over these types of bottoms for a long time that haven't been
17 exploited.

18
19 There's a similar pattern in Louisiana, about four million on
20 natural reefs, and they've got a lot more artificial reefs than
21 other regions, and so that makes sense that they have more fish
22 on their artificial reefs, but the same story of eighteen
23 million fish over that uncharacterized bottom, bringing them to
24 about twenty-nine million fish in Louisiana.

25
26 Moving on to Mississippi/Alabama, of course, we could break this
27 out, and that's the ecoregion of the area and how it was
28 assessed, but we could break that out, for management purposes
29 or whatever we needed to do, but, in that region, you've got
30 about ten million fish. They have a lot more small natural
31 reefs there, which is interesting, but still a lot of fish over
32 this uncharacterized bottom, bringing that total to about --
33 Rounding up to about ten million fish.

34
35 Then Florida was done just a little bit different. As you move
36 from Florida to the west, out into the western Gulf, Florida is
37 characterized by a lot of hard bottom, and it's very abundant,
38 and it's high in abundance, and you can design it so you have
39 high confidence, and you can go out and find this sort of
40 habitat. As you move over to the east and west of the river,
41 they are very, very discrete natural features, and there is not
42 a lot of them, like there may be in Florida, and so they did
43 their estimate on natural bottom, and that natural bottom is
44 broken up into unclassified, or just open, bottom and then
45 different levels of relief, where that's not necessarily
46 appropriate or available in other regions.

47
48 Over that natural bottom, which includes unclassified bottom,

1 there's about forty-eight million fish in Florida, and a
2 relatively low number of fish on artificial reefs in Florida,
3 and so bringing that number, again, to about forty-eight million
4 fish in Florida.

5
6 If you put it all together, and you begin to look at what the
7 number of fish is, that's about 110 million red snapper in the
8 Gulf of Mexico, and we were charged with developing a
9 variability about that number of 30 percent or less, and we're
10 really happy to report an overall CV of 11 percent, and, in
11 fact, we have CVs very low. Until you start really getting down
12 into very small strata and very specific habitats does that CV
13 jump up, and, in most cases, it's less than 30, even in that
14 situation, and so we're really happy about the precision of what
15 we have here with that estimate of 110 million snapper.

16
17 To put it in perspective, in terms of what the federal
18 assessment, the last assessment, and, of course, this fishery
19 has changed some since it was last done in 2018, but it's
20 showing about thirty-six million fish, and so we're roughly
21 tripling that federal estimate.

22
23 To give you sort of an example of how that's distributed, it's
24 roughly 50/50, in terms of number, with a few more fish out in
25 the eastern Gulf of Mexico. However, the biomass probably still
26 -- The biomass still holds up when you begin to look at -- There
27 is larger, bigger fish in the western Gulf, and that forty-eight
28 million in Florida, for example, has a lot of small fish, that
29 certainly makes sense from the ecological perspective, if you
30 think about what has happened with that fishery and the
31 recolonization and the things that we're seeing, and that
32 fishery is still recovering, and there is opportunities and
33 habitats for other smaller fish to exploit and that sort of
34 thing.

35
36 When you put it into a real big perspective of like, okay, we're
37 having all of these fights and things about red snapper, and
38 that number is fifteen-and-a-half or whatever, and let's just
39 say fifteen million pounds of fish that we're talking about, and
40 we're looking now at 110 million fish, and that's not pounds,
41 and so pick your six-pound average, or eight-pound average or
42 whatever, and you're talking about 800 million pounds of fish,
43 and so a lot more than we suspected, and I will explain some of
44 the take-home messages here in just a minute, but that's looking
45 at 110 million fish.

46
47 So what are the key takeaways? There's a lot more than I can
48 present here, and, as you're probably seeing, this is a lot of

1 information, and, depending on how the SSC wants it, Joe, we're
2 happy to come back and talk about specific components and talk
3 in a lot more detail, and that's just -- You can't do it all,
4 obviously, in one presentation kind of thing, and so this is
5 sort of just the preview.

6
7 A key takeaway here is science is working, and we never set out
8 to be competitive and disprove NOAA's assessment wrong or
9 anything like that, and it was really a noncompetitive building
10 process, and we suspected there was a lot of fish in that
11 unconsolidated bottom that no one had really looked out there.

12
13 If you really looked at that thirty-six million number from the
14 old assessment, and looked at where the exploitation occurs,
15 which is, to some extent, natural bank, but especially
16 artificial reefs, that number meshes probably pretty well.

17
18 If we only looked at those two habitats, and we didn't look at
19 uncharacterized bottom, we probably would have come in with a
20 number that was somewhat similar, and so I would heavily
21 encourage other red snapper counts that are occurring, on the
22 Atlantic here soon, to really take a hard look at
23 uncharacterized bottom, which they hadn't necessarily intended
24 to do in the beginning, and so that was something that we either
25 got lucky or smart. As Clay will tell you, we suspected they
26 were out there quite a bit, but those groups really need to pay
27 attention to that unclassified habitat.

28
29 The fishery exploitation pattern is critically important,
30 because it's occurring on habitats with the lowest abundance,
31 and so I guess that's a good thing. Depending on you sort of
32 have a reserve of fish out there, and you certainly can target
33 the fish on the uncharacterized bottom, if you know where they
34 are, but it's not as easy, and it's not as obvious, and so the
35 fishery really takes place where you have these really easy-to-
36 get-to and high-catch-per-unit-effort kinds of areas, and so
37 that's really a good thing, in terms of managing that fishery.

38
39 Also, that high abundance over uncharacterized bottom likely
40 explains this weak, or really no, stock-recruit relationship
41 that we all have been struggling with for years of why was the
42 spawning stock at all-time lows, and we have relatively really
43 high recruitment, and so that is probably because we were not
44 accounting for those fish over the uncharacterized bottom.

45
46 Obviously, we're going through all sorts of recalibration things
47 going on right now, and I don't have to tell anyone here about
48 it, but I think, when we do a new assessment, a new research

1 track assessment, or a benchmark assessment, that that thirty-
2 six million number will probably go up, when we start taking
3 into account these fish over uncharacterized bottom.

4
5 That 30 percent tagging rate, first, it just shows that discard
6 mortality is much lower than maybe we suspected, or the catch-
7 and-release worked, and that's, obviously, very, very timely,
8 because of all the issues with incorporating these devices into
9 the fishery, and the DESCEND Act passed late last year, and, in
10 fact, it's on the President's desk right now, and it just passed
11 through the Senate in late 2020, and so I don't think there's
12 any problems with that, and that's awaiting a signature, and, in
13 fact, it might have already been signed, and I'm not sure the
14 exact details, but it's pretty much going to be in play here
15 real soon.

16
17 Really, this is just the beginning. We have been in close
18 communication with Clay and John and Shannon and everybody from
19 the Science Center since the very beginning. In fact, they were
20 on our steering committee, and so they knew what was happening,
21 but we've been in close contact with them all along, and they
22 are well aware of the data and what we're finding.

23
24 We really just see this as the beginning of meeting with their
25 team, to really get into this data, so we know what we have and
26 what they can do, and it sounds like we're going to hear a
27 little bit more about that after this overall presentation here
28 in just a minute, and so that's good, but our team, obviously,
29 many of them are SSC members, but we're more than willing, and
30 more than happy, to work with the Science Center to really mine
31 as much possible data as we can, so we can have the best
32 management possible for this fishery.

33
34 Given that all of us have strong SSC or Gulf Council
35 affiliations, that will facilitate this into direct management
36 integration, and, obviously, a big next step is your committee
37 evaluating this for the best science available and that sort of
38 thing, and so that's the point that we're really at now, with
39 this sort of intro, or preview.

40
41 Then, as I mentioned, we'll have extensive engagements with the
42 stakeholders, and we really have already started that some last
43 fall, but especially you'll be hearing a lot more about it here
44 in just a few weeks.

45
46 Finally, just to end, and, Joe, I will be happy to answer
47 questions, or you tell me how you want to work it, and,
48 obviously, just some important acknowledgements that I have to

1 make is the Congress, who funded this study, and this was a big
2 deal, and it was a lot of money. The good news is there's a lot
3 of data here that can be used, and I hope it set the framework
4 for some of these other studies and ways that -- We've got a lot
5 of lessons learned and things we probably would do different if
6 we knew what we do now, that we can share and that sort of
7 thing.

8
9 Sea Grant and NOAA Fisheries, who facilitated the steering
10 committees and the funding and shepherding of the money, and the
11 last thing I want to bring up is Mississippi-Alabama Sea Grant,
12 who had direct responsibility for this project, particularly
13 LaDon Swann, who led that charge, and along with the steering
14 committee that we worked closely and really helped guide us
15 along the way.

16
17 I really underestimated the administrative workload that a
18 project like this would take, but that's a good thing, but LaDon
19 and his team, and his folks, were really great about that, even
20 up to the very end here and helping us get what we need, so we
21 could focus on the science and not be burdened with all of the
22 administrative constraints. I think I will stop there, Joe, and
23 I can end that, and I don't know if I need to stop sharing my
24 screen or how that needs to work, and I'm happy to answer some
25 questions, and I'm not sure what your timeline is.

26
27 **CHAIRMAN POWERS:** Thank you, Greg. That was very illuminating.
28 I'm sure a lot of people will want to ask more technical
29 questions, and, being the Chair, I am going to take my
30 opportunity to ask mine first. First off, the depletion
31 studies, what sort of timeframe were those done in? Was it like
32 one week or one day or one month or something like that?

33
34 **DR. STUNZ:** More on the day to the week kind of thing. It was
35 very quickly. It was sometimes the same -- I am looking here on
36 the participant list to see if Sean is on, and he's the expert
37 here, and so he could answer. I think he may have had to step
38 away, and I can answer more, hopefully, but what I think, Joe,
39 something to think about, or maybe I would recommend, and,
40 obviously, I don't know, Carrie, and you can give us some
41 guidance here.

42
43 This is a lot of information to take in, and that was like
44 drinking out of a firehose there, probably, and we're more than
45 happy to come in and have a lot of detailed discussions on
46 depletion, or whatever components of the study that the SSC the
47 might be interested in, and really get into the weeds kind of
48 thing, but I am more than happy to answer broader questions,

1 too.

2
3 **CHAIRMAN POWERS:** Well, that's fine. This also relates to the
4 tagging, and what I am leading to is what possibility some of
5 this data has to actually estimate natural mortality rates, and
6 the same thing goes with tagging. What sort of timeframe are we
7 talking about, and did major fishing go on during that
8 timeframe, and whether you might be able to discern something
9 about natural mortality rate.

10
11 **DR. STUNZ:** I think we can, and that's certainly a discussion
12 that we should bring Matt Catalano in, and he has got some very
13 interesting work that we're working on, in terms of not only
14 natural mortality, but exploitation and those sort of things,
15 and, of course, discard mortality is folded in with that.

16
17 He would be someone that we need to bring in to discuss that, to
18 specifically answer your question, and so those fish were tagged
19 before the season, because we wanted them returned, obviously,
20 and so there's some assumptions and things that we did about how
21 that study was designed, and looking at distance from port and
22 all those sorts of caveats that come with it.

23
24 Then the return is still ongoing, and we ended the study, the
25 paid part, in December. One, we just ran out of our second
26 infusion of money and didn't have money left, but, also, at some
27 point, you just have to end it, but, in general, the anglers are
28 still giving us all the information, and so we're collecting
29 return rates, and literally as of just this morning we got one
30 back, and so they're not overwhelmed, like they were in the
31 beginning, but they're still coming in. They were tagged, and
32 they were mixed probably for a week to months before the returns
33 really started coming in.

34
35 **CHAIRMAN POWERS:** Then one last question I have is was there any
36 sort of size differential about fish that were on the
37 unclassified bottom versus other areas?

38
39 **DR. STUNZ:** We're working through that right now, Joe, and not
40 really. It was more of a regional size thing, but there are
41 generally larger fish on the uncharacterized bottom. The
42 problem we have there, Joe, is that, the way we sample that
43 uncharacterized bottom, is you're moving at, let's say, four to
44 seven knots, and you see the fish and you're gone.

45
46 Other areas you're sampling, the traditional fishery has
47 occurred there, and we have very good size estimates of what's
48 there, and we need to -- I highly recommend that, through MARFIN

1 or other funding sources, we get a much better description of
2 the fish that are over that uncharacterized bottom, and, of
3 course, NOAA has been bottom longlining there for a while, and
4 that gear is selective, certainly, but, generally, much bigger
5 fish are over the uncharacterized bottom.

6
7 **CHAIRMAN POWERS:** What I'm leading to is, I think, essentially,
8 the way the assessment process will probably work is that you're
9 talking about a very different selectivity than you thought you
10 had, and how that might relate to the sizes and things like
11 that, and that's what I was interested in. We have a lot of
12 people ready to ask questions, and so let me begin the list.
13 Shannon.

14
15 **DR. CALAY:** Thank you, Joe. I will defer to the SSC first, if
16 you prefer.

17
18 **CHAIRMAN POWERS:** Why? Are you going to say something --

19
20 **DR. CALAY:** No, and I just have two questions from the Science
21 Center, but we can wait until the SSC members have had a chance
22 to speak first.

23
24 **CHAIRMAN POWERS:** Okay. It doesn't matter to me, but all right.
25 Kai.

26
27 **DR. LORENZEN:** Thanks, Greg, for that great presentation, and
28 the whole team for their gargantuan effort, and I am sort of
29 curious about your CV estimate, and I am wondering how that was
30 arrived at and what uncertainties that accounts for, because --
31 So the CV, in that order, is what we often see with sort of
32 relative abundance estimates derived from video surveys and so
33 on, but then there are additional sources of uncertainty
34 associated with actually deriving area-based absolutely
35 abundance estimates, and also noting that a lot of the abundance
36 seems to be in the uncharacterized bottom that's been sampled
37 with that towed video system.

38
39 The CV seems extraordinarily low for the type of the study that
40 you've done, applied to absolute abundance, and I was just
41 wondering if you can illuminate us a bit more on how that was
42 arrived at and what uncertainties it accounts for. Thank you.

43
44 **DR. STUNZ:** Also, for different aspects, I just want to mention
45 too -- If Sean is there, and I know Will is there, and there's a
46 lot of folks that can chime in, and so feel free, Joe, to call
47 on some of other experts that are in the room here, but, Kai, to
48 give you a general -- We can get a CV on every strata, every

1 habitat type, per region.

2
3 They are generally low. To give you an example, the CVs on that
4 uncharacterized bottom might go from 16 in one region, 12 in
5 another, and 30 in another, or maybe something like that, and,
6 in the final report, it's not going to be just, well, here you
7 go, and it's 11 percent. We'll have a table that has the CVs
8 for every strata that we have.

9
10 If you're asking specifically how we came up with those CVs, the
11 lowest level we have it is by region by habitat by depth, and we
12 would have a CV, and, obviously, as you tend to reduce those
13 strata, or become more refined, those CVs grow, based upon your
14 sample size, but, in general, we're not looking at like an
15 overall CV of 11 percent and then, in another habitat, it's 85
16 or something, and, in general, they are low.

17
18 **DR. PATTERSON:** Greg, I have a couple of things to add, if you
19 don't mind.

20
21 **DR. STUNZ:** Yes, sure.

22
23 **DR. PATTERSON:** Kai, the original stratification for this was
24 done with the random forest model, and so Rob had a suite of
25 different fishery-dependent and fishery-independent data
26 sources, which were utilized to predict the probability of
27 finding a red snapper in a given cell, and I'm sitting here
28 unable to capture the cell size in my brain, but maybe Greg has
29 it.

30
31 Anyway, in the cells across the shelf, from ten meters out to
32 160, this random forest model was used to predict the
33 probability of encountering red snapper, and the stratification
34 was done based on three -- A middle third, a lower third, and an
35 upper third of probability of capturing red snapper.

36
37 That is how the stratification was done to produce the design,
38 the sample design. In Florida, we were able to follow that
39 sample design explicitly, and there were 900 stations, and Rob
40 gave us the numbers, and we sampled them.

41
42 In some of the other regions, they had to make adjustments,
43 based on local considerations and issues with visibility, et
44 cetera, but, after the fact, when the data came in and we had
45 the habitat information associated with the data, there was a
46 post-stratification process, which was performed by Rob, and
47 that's where you come up with the different habitat and depth
48 strata that Greg just mentioned. The CVs were produced for each

1 stratum, independently, and then the overall CV was produced by
2 region and then Gulf-wide.

3
4 As far as the other sources of uncertainty, this is an important
5 question. In the eastern Gulf, we tried to address issues of
6 how red snapper react to ROV, which was our principal gear, as
7 well as sonar, by doing a series of calibration experiments,
8 where we used stereo cameras, similar to Somerton et al. 2017,
9 and we used fine-scale three-dimensional acoustic telemetry, and
10 we also used sonar, working with Kevin Boswell's group, and we
11 put a multibeam sonar transducer on the bottom and focused in
12 toward a series of reefs, where we did these experiments.

13
14 I won't get into all the details of the experiments, and we have
15 a paper that we're about to submit on this that Steve Garner
16 led, but the take-home from all of that is that red snapper
17 don't show an overall behavioral pattern that is either positive
18 or negative toward any of the mobile gears that we tested, and
19 so we tested ROV, and we tested the towed camera vehicle, and we
20 actually used the smaller vehicle that was predominantly used in
21 the western Gulf, and not the C-BASS larger vehicle that
22 Murawski uses, and we also tested the towed sonar sled that
23 Boswell uses.

24
25 For none of those -- There was a gradient in reaction, but,
26 overall, it was fairly neutral. For divers that we put in the
27 water, there was a positive reaction to divers, where red
28 snapper came over to check them out, and so we attempted to
29 account for some of that potential bias in the video, and it's
30 more problematic, or difficult, to do that with sonar, but I
31 will let Greg talk about how they examined that in the west.

32
33 **CHAIRMAN POWERS:** Thank you, Will. Jim Tolan. Let's go ahead
34 then, Paul Sammarco.

35
36 **DR. SAMMARCO:** Thank you, Mr. Chair. How are you doing, Greg?
37 It's good to hear you talk. I just wanted to say that -- I just
38 wanted to mention something, and then I've got a few questions
39 for you.

40
41 That was a great study that you showed, and it was a very
42 extensive survey across the northern Gulf, and you assembled a
43 great team and presented some very valuable data, and it was
44 certainly new to me, regarding the abundance of red snapper
45 across the northern Gulf, and so that's great, excellent, and,
46 by the way, very good presentation, and it was very
47 understandable.

1 The first question is you were using a lot of video, and did you
2 sample habitats, which were really pretty deep, and could your
3 video -- Could your ROV reach those depths? I have had some
4 experience with ROVs, and sometimes there is only so much cable
5 available.

6
7 **DR. STUNZ:** Paul, yes, we did -- We were charged with sampling
8 on the continental shelf and back, roughly about 300 meters and
9 back, and our gear worked to those depths. Typically, Steve
10 Murawski handled some of those deeper depths, because of the C-
11 BASS and the gear needed to do that, but the other habitats --
12 The ROVs and the technology is advancing so rapidly, and it's
13 pretty amazing what these small micro ROVs can do, and so the
14 short answer is, yes, we have the cable, and, really, it turns
15 into a power issue as much as cable, to be able to drag that
16 much cable, but the short answer is, yes, we can get down to
17 those habitats.

18
19 Just briefly, Will mentioned about the grid size for our random
20 forest initial design, and that grid size was ninety-by-ninety
21 meters, but the way.

22
23 **DR. SAMMARCO:** Very good. Thank you. Did you integrate your
24 information with published or known data on habitat, which seems
25 to be pretty extensive for the northern Gulf, for your bottom
26 configuration, or in fact were your -- Where you said it's
27 uncharacterized bottom or whatever, or were your sampling areas
28 sort of too fine-scale, and was the information available on
29 bottom configuration too broad?

30
31 **DR. STUNZ:** That's a very interesting question, Paul. I mean,
32 we relied on known datasets that are out there, and, in short,
33 they're not necessarily good enough. We could generate a lot
34 better estimate if we had a lot better mapping information, with
35 the exact size, and, the real known conspicuous features, those
36 are mapped really well, and, I mean, obviously, your work in the
37 Flower Gardens Banks and many of those, and we know those areas
38 pretty well, but, as we all know, there's a lot of banks and
39 things that we know about that aren't described very well.

40
41 Also, on the uncharacterized bottom, that's kind of, really, a
42 catchall category that we just don't have enough information to
43 really know what's out there, and so we had known -- I mean,
44 artificial reefs were pretty well marked and known, and large
45 conspicuous natural banks are pretty well known, but, beyond
46 that, especially in the western Gulf, it's lumped into
47 unclassified bottom, and, unfortunately, that's just what we're
48 up against until we start getting a lot better maps.

1
2 Now, recently, what we've uncovered, through this study, is that
3 BOEM is starting to release a lot of those surface features that
4 was, at the time, proprietary with oil and gas, and they,
5 obviously, don't care so much about the surface features as
6 what's below it, and so there is ways to improve that mapping,
7 and subsequently improve our estimate, but, currently, we just
8 relied on what was available, and we did not generate any new
9 mapping, and what you see there -- There will be a lot more
10 figures of maps in the final report, and those are from known
11 datasets that are available to anyone out there.

12
13 **DR. SAMMARCO:** Right.

14
15 **DR. PATTERSON:** I will just add, Paul, that we tried to actually
16 use the existing mapping data and known features, and then use
17 the bathymetry data that NOAA has published throughout the Gulf,
18 to try to characterize areas that hadn't been mapped, and Vince
19 Lecours, here at UF, led that effort.

20
21 Unfortunately, there were a lot of artifacts in the multibeam
22 data where that existed, but also in the bathymetry data in
23 general, so that it was providing a false image of what was on
24 the seabed, and he pretty quickly found that the artifacts in
25 those datasets just wouldn't enable us to stratify based on
26 habitat, and that's why Rob used the approach of the random
27 forest of using this diversity of data to predict the
28 probability of encountering red snapper, instead of stratifying
29 based simply on habitat.

30
31 **DR. SAMMARCO:** Excellent. It sounds like you've got data, and
32 you don't have missing points, or many, for your fish data
33 versus your habitat data, and so that's really good. One more
34 question. This is an old controversy, and you will probably
35 reel back in your chair, but there has been a controversy, for
36 decades, on attraction versus production on those platforms, and
37 some of it has been focused on red snapper.

38
39 I have my own -- Having done a lot of work on platforms, I have
40 my own thoughts about this, for sure, but, with respect to that
41 species, has this ever been resolved in the literature, that
42 you're aware of, or in your work?

43
44 **DR. STUNZ:** Well, Paul, I think that may depend on who you talk
45 to. In my mind, yes. Well, one, what this study showed, in our
46 tagging, is the fish didn't really move much. They were pretty
47 much returned on the area they were tagged. Now, of course,
48 that wasn't years of time and gradual movement and storms and

1 that kind of thing that we think happens, but some of our work -
2 - Dr. Streich and Dr. Curtis, who was instrumental in this
3 project, that is, obviously, on the call here, on the SSC, and
4 work that we've done here has clearly shown production coming
5 from these artificial reefs, for red snapper in particular.

6
7 I think where the field has progressed, and I'm sure we could
8 have a whole other debate on this, is that there's really not
9 attraction or production, and both are probably occurring.
10 There is some level of attraction, and there is some level of
11 production, and that's sort of where that debate has ended. I
12 mean, I could go on, Joe, but I will kind of stop there.

13
14 **CHAIRMAN POWERS:** On that subject, stop, because it's
15 unresolvable, I think, at this point.

16
17 **DR. PATTERSON:** At this point, but I think what's needed to
18 address that, and it becomes more important now, and Greg
19 mentioned some of the new importance that have been revealed
20 from this work, and it becomes more important to know how fish
21 move from natural bottom to artificial reefs. Do they simply
22 show up there as two-year-olds, as they are leaving the low-
23 relief natural habitat, or do they come in later, as five or
24 six-year-olds or older, and what's that dynamic?

25
26 There really hasn't been any work done on that. There's a study
27 currently being done that's led by Sue Barbieri, and I'm
28 involved with, on the West Florida Shelf, that's attempting to
29 address that, how fish -- Do fish move from natural bottom onto
30 artificial reefs, and, obviously, this issue of vulnerability
31 and where the fishery occurs, versus where the population
32 biomass is, those type of studies, in different regions of the
33 Gulf, I think are going to become increasingly more important.

34
35 **DR. SAMMARCO:** It has been a -- The red snapper has been a red
36 herring in that area, I think, but I have done -- I have spent
37 an awful lot of time diving on these platforms, and you can see
38 firsthand -- You get a feel firsthand for what's going on, and
39 it's purely observational and ad hoc, but it's kind of
40 interesting, but I won't drag you through that at the moment,
41 and I will just say thank you very much for your comments, and I
42 really enjoyed your talk, and, Mr. Chair, I'm sorry I took up so
43 much time.

44
45 **CHAIRMAN POWERS:** Thank you. Let me return to Jim Tolan. Are
46 you back?

47
48 **DR. TOLAN:** Thanks, Greg. That was a really good presentation,

1 and I think you hit the nail on the head when you said the
2 tagging information could provide a new wealth of data for this
3 particular species, and I am just astounded by the 30 percent
4 tag return rate, and that's incredible for as large of a spatial
5 area as covered.

6
7 The question that I have, and I think I know the answer to this
8 already, as it relates to what Paul was talking about with the
9 platforms, but was the lack of tagging off of south Louisiana
10 just a function of access points, because I noticed on the map
11 that there was hardly anything reaching out past Sabine and out
12 there, and so that's all I had, and I think that was a great
13 presentation. Thank you, Greg.

14
15 **DR. STUNZ:** Thanks, Jim, and Dr. Curtis there is in charge of
16 this tagging operation, and so he can tell you a lot more about
17 details. In general, that 30 percent return rate was pretty
18 consistent across the region, and so, in other words, it wasn't
19 like all coming from Texas and nothing from Florida. They are
20 all hovering probably in the low thirties right now, all the
21 regions.

22
23 The short answer to your question on Louisiana is, yes, that
24 region and that shelf -- There's a lot of fish there, and it's
25 hard to access and get out there, and that simply was just a
26 lack of tagging in that region, and we'll explain that a little
27 more in the report, but the tagging effort, for a variety of
28 reasons, was limited in that region.

29
30 **CHAIRMAN POWERS:** Thank you. Ken Roberts.

31
32 **DR. ROBERTS:** Thank you, Mr. Chairman. I've got two comments,
33 and one of them was really covered by Will, and that was an
34 excellent question there and a good response, and the question
35 I've got between the SEDAR 52 of thirty-six million fish and the
36 Great Count of 110 million, most of that appears to be related
37 to uncharacterized bottom, and is that correct?

38
39 **DR. STUNZ:** Yes

40
41 **DR. ROBERTS:** Then the question I have in relationship to that
42 is that's the most difficult area, probably because of depth and
43 visibility and access, et cetera, to sample, and would that be
44 correct?

45
46 **DR. STUNZ:** Yes, and as well as fish as well, exploit that area.

47
48 **DR. ROBERTS:** Is the video method suitable there, or is it

1 basically acoustic?

2
3 **DR. STUNZ:** It's a combination of both, just depending upon if
4 you're doing it closer to shore, with the visibility and there's
5 a lot of suspension of sediments and that kind of thing, and the
6 the acoustics works better, further offshore, in different
7 regions, and so it's just a major challenge that we have with
8 the study, that the Gulf of Mexico isn't a nice, homogenous,
9 beautifully clear place to work all the time, and so we have to
10 use different gears. We used video where we could, but, many
11 times, you can't, in the shallow western Gulf regions, in
12 particular.

13
14 **DR. ROBERTS:** Just by means of making the relationship between
15 the acoustic readings and the video observations, did you ever
16 pull the acoustic gear in association with video, to see what
17 sort of relationship is there? To me, that would be important
18 in the uncharacterized areas in the future, to have knowledge
19 of.

20
21 **DR. STUNZ:** Yes, and that's very important, and a very
22 interesting point to bring up, and that will be summarized in
23 our final report, in terms of calibration, and we did those
24 calibrations to account for any differences in assumptions that
25 we make about the different gear efficiency and catchability, is
26 kind of what you're referring to there, and so that will be
27 summarized.

28
29 Dr. Rooker led a lot of that effort in some of those studies,
30 and he did those in the western Gulf, and Will briefly talked
31 about some of the gear avoidance calibrations, and so all of
32 those will be summarized, and, Joe, that's a good example of a
33 lot of just little details on a study like this that's hard to
34 capture in one short presentation, and so, if there are specific
35 aspects the SSC would like us to address, we can certainly do
36 that.

37
38 While I'm on that topic, just something that -- We, obviously --
39 In any study, there are certain caveats and assumptions that
40 you've got to make to generate your estimate, and hindsight is
41 20/20. Certainly, in a study of this magnitude, we would do
42 things different if we knew what we do today. We would spent a
43 heck of a lot more time out on that unconsolidated bottom, or
44 uncharacterized bottom, but I want to mention that, while no
45 study is perfect, we took conservative turns in every case.

46
47 In other words, you might have a situation where you've got to
48 decide what is the cutoff of the age-two red snapper, for

1 example, or whatever, and we took -- If anything, this is a very
2 conservative estimate, versus adding fish in, where we could
3 have, and we took the conservative approach.

4
5 **MR. ROBERTS:** Thank you very much. You referred to your
6 presentation as brief, but I will refer to it as memorable, and
7 I congratulate you and your team. It's a very good
8 presentation, and it's going to pay a lot of dividends in the
9 future. Thank you so much for your work.

10
11 **DR. STUNZ:** All right. Thank you.

12
13 **CHAIRMAN POWERS:** Thank you. Next up is Luiz and then Walter
14 Keithly.

15
16 **DR. BARBIERI:** Thank you, Joe. Thank you, Greg, for the great
17 summary presentation. Obviously, this is a massive study, and
18 it's very comprehensive, and you did a great job summarizing the
19 main points for us, all the different components, and so I
20 appreciate that.

21
22 I think I am going to keep my more technical questions for
23 later, for some other time, when we kind of have the opportunity
24 to get more in the weeds, to be discussing all the different
25 more technical components of the study, and so what I wanted to
26 ask today is you said that the report is going to be released
27 later this month, and can you give us an idea of the extent of
28 the report? I'm sure that it's massive, but the extent of
29 detail that the report is going to include, including like
30 supporting documentation and working papers.

31
32 I'm thinking about, for something of this magnitude, Greg, we're
33 going to need to kind of look at all the different components,
34 all the technical details, how all of this is integrated, to
35 generate that one estimate, because, in looking at that CV, I
36 have to say that I'm kind of blown away that we did a count of
37 all the red snapper, age-two and older, in the Gulf of Mexico
38 and that we know the number at that level of precision. It's a
39 little counterintuitive, but I'm not saying that you guys are
40 wrong, but it's just it would be nice to see more of those
41 details that led to those numbers.

42
43 **DR. STUNZ:** That will be captured, to a large extent, in the
44 final report. Now, will the final report have everything?
45 Probably not. I mean, it's going to be a pretty intense
46 document, with especially a lot of appendices and that sort of
47 thing, and it's just very difficult -- Probably, I'm guessing,
48 there will be dozens of peer-reviewed papers which will result from

1 this eventually, and so it's a lot.

2
3 Now, for your CV, keep in mind that, one, yes, I am very floored
4 at an 11 percent CV as well, but that's on that overall number
5 across the whole Gulf, across all the habitats. Obviously, as
6 you expand that out, that CV gets less and less, and so, for
7 example, if you were to look at the CV around artificial reefs
8 in Alabama, or let's say natural banks, and I'm trying to
9 remember, that's probably more like 21 or 29 or something like
10 that, and that's higher.

11
12 As you start drilling down to specific regions and specific
13 habitats, that CV grows, but, from an overall perspective in the
14 Gulf, on one number that's not necessarily related to habitat,
15 the 110 million number, that CV is in fact 11 percent, and we're
16 pretty confident with that, Luiz. I mean, we feel good about
17 that, and it's definitely much lower than I think any of us
18 anticipated, but, for example, probably what the report will
19 really boil down to is a table that has regions and habitats and
20 abundance and a CV associated with each one of those.

21
22 Those CVs will be much higher, and they're not going to be out
23 of control. I don't think any of them are above 40, but it gets
24 higher as you begin to look at more detailed aspects of the
25 study.

26
27 **DR. BARBIERI:** Right, and then something else about the process.
28 Considering the magnitude of this study, sort of the novelty of
29 the approach being used, and the fact that our goal is to really
30 review this for integration into management, has the team, NOAA
31 Fisheries and the council, discussed the possibility of having
32 this be reviewed by CIE before it comes to the SSC?

33
34 I am thinking about something similar to our research assessment
35 track now, or what used to be our benchmark, that we would
36 develop a model and it would go to the CIE before it came to the
37 SSC, and has this been discussed?

38
39 **DR. STUNZ:** Very loosely, Luiz, and I don't know that any
40 decisions have been made. To give you an idea of what the
41 products will really look like, and I'm hoping that Will will
42 jump in here in a minute, because Will has, I think, the best
43 grasp and is really going to lead this integration piece that
44 you're talking about, and so, Will, in a minute, feel free to
45 jump in.

46
47 The three general products we see, Luiz, are the overall report,
48 and there might be things in there that we didn't capture as

1 well as others would like, and we can expand on that or
2 something, and that will, obviously, result in a peer-reviewed
3 paper that describes the study's implications and future -- More
4 very much like what you heard today, and then, of course, the
5 final report will be much more detailed.

6
7 Then a separate piece of that is sort of this tagging and
8 exploitation and mortality rate kind of piece that Joe was
9 talking about before, and that's kind of a stand-out piece, and
10 it will be in the final report, but there's much more to
11 develop, even beyond a final report from that.

12
13 Really, what you're talking about is really this third piece,
14 which is what we're calling kind of the integration of how do
15 you -- Number one, this is going to be -- It will sort of set
16 the groundwork, because, obviously, there's a greater amberjack
17 count, and there's a great red snapper count on the South
18 Atlantic side, and so sort of a lessons learned, but also how do
19 you integrate these kind of things into management.

20
21 My preference, and, obviously, I think we did a great job, and
22 this should be the way things go, in terms of absolute
23 abundance, is moving fisheries management forward and that sort
24 of thing, and so I think we're going to spend a lot of time with
25 the whole team, and Will has agreed to lead this, where we talk
26 about how do you integrate this into management, because that's
27 -- Our job was not to integrate this into management.

28
29 Our job is to give you the estimate, but we feel compelled that
30 we don't want to just leave it hanging there on the cliff, and
31 so what that looks like -- I think that would involve folks like
32 Shannon and John and Clay with the Science Center, and it would
33 involve key folks from the red snapper team, and probably people
34 from the SSC, of what does this look like, at the end of the
35 day, kind of what we're talking about here, and how do you
36 really integrate it, and how do you review it and that sort of
37 thing, but, Luiz, those are bridges we largely haven't crossed
38 yet.

39
40 **DR. BARBIERI:** That makes sense.

41
42 **CHAIRMAN POWERS:** Thank you. We need to move on. Ryan, you
43 sort of jumped the line here, and do you have a procedural thing
44 you wanted to say?

45
46 **MR. RINDONE:** I do, Mr. Chair. I was just going to gently
47 remind the SSC that this is a preview of this project and that
48 there will be much, much time afforded for digging as deep into

1 the weeds as you guys care to go in the future.

2
3 **CHAIRMAN POWERS:** Thank you. We're also getting close to lunch,
4 and let me continue on a little bit. I would like to hear what
5 Shannon has to say. If we don't mind, for the four people that
6 are on the list, can we go to Shannon now?

7
8 **DR. CALAY:** I am ready, if the group is willing.

9
10 **CHAIRMAN POWERS:** Yes.

11
12 **DR. CALAY:** Thank you. I have a few questions, which are
13 directly related to how we would implement this information
14 within the interim assessment framework, and so one question is
15 that Dr. Stunz has said that the uncharacterized bottom is not
16 only mud, but also pockets of structure, and we would like to
17 know if most of the fish -- Basically, how was that
18 extrapolated? If most of the fish observed are actually in
19 these pockets, is there a chance that, in the extrapolation,
20 there is an overestimate of the abundance in the uncharacterized
21 bottom?

22
23 **DR. STUNZ:** Well, I can't answer that question for you right
24 now, Shannon. The way we designed it would account for that,
25 any chance of overestimation, but we would need to go back and
26 look at the patterns of how those were distributed among that
27 area.

28
29 If you're randomly selecting sections of uncharacterized bottom,
30 and there's a certain amount of structured features there that
31 are holding the snapper, and maybe they're ephemeral, and maybe
32 they're sunken ships, that they're much more around for longer
33 periods of time, and we don't know that. That would be some
34 post-hoc analysis that we would have to do to go back and really
35 characterize what was it they were holding on and what did that
36 distribution look like when we saw them and that sort of thing,
37 but you would hope that the randomness in the design would
38 account for any type of overestimation issues.

39
40 **DR. CALAY:** Okay. Thank you. Then a second question is, in
41 order to understand the abundance estimates and their
42 uncertainty, we would like to see the methodology used to
43 estimate the overall CV, and we note that, in specific habitats,
44 such as natural reef, for example, the estimated CV is much
45 higher, and it's about 38 percent, than in the uncharacterized
46 bottom, which it looks like the CV might be around 16 percent,
47 and then the overall CV is even lower.

1 We need to understand how that CV was constructed, so that we
2 can understand the uncertainty of that estimate if we're going
3 to apply it to create management advice. I think I'm basically
4 -- The statistics that I just gave were for Texas only, and they
5 weren't necessarily overall, and my apologies, but the point
6 remains that, to create the management advice, it would be
7 important for us to understand the uncertainty around that
8 estimate. Will a detailed description of the methodology be
9 available to us in March?

10

11 **DR. STUNZ:** Yes, and it should be sooner than that. I mean, it
12 should be in the final report, or not should be, but it will be
13 in the final report. Now, if it's at a level you need, or more,
14 and, obviously, we can have that discussion. If you need more
15 details than what is there, we can involve Rob Ahrens and Lynn
16 Stokes, who are primarily involved with calculating and the
17 methods behind that, but we're happy to discuss it further, so
18 you guys feel good about how we arrived at those CVs.

19

20 **DR. PATTERSON:** I will just add that the stratification that was
21 done -- Rob can present the details of the post-stratification,
22 and I know that's kind of a word that make some people a little
23 bit twitchy, or a term, and so Rob can present those details,
24 and hopefully he can make the meeting, when we have this peer
25 review process in front of the SSC or wherever, but one thing
26 that Greg I don't think quite mentioned is that Lynn Stokes and
27 Rob worked independently and with the same raw data, and so the
28 same data from among the various regions, and their estimates
29 were nearly identical, and their CVs were very close.

30

31 The CV that Greg has presented here comes from Rob's work, but
32 Lynn produced an estimate that was nearly identical, and so we
33 were surprised by how low the CV, overall CV, was, but we also
34 were surprised by the stratum-specific CVs and how tight they
35 were.

36

37 The other component of uncertainty though is bias, right, and so
38 we're talking about precision here, but then there's also bias,
39 and we have tried to address that in some ways, but there are
40 some other ways, I think, in our methodology across the Gulf
41 where people may want to ask some questions about the
42 implications of different approaches, or the implications of
43 assumptions, like Greg just mentioned.

44

45 Our intent here is to be fully transparent, and, as a group, we
46 completely understand how fundamental the change could be, based
47 on the results, even in their preliminary form, that have been
48 presented here, and, because of that -- You know, we talked

1 yesterday about the amberjack data from LGL and Benny's research
2 and the need for peer review and to make sure that the SSC is
3 fully aware of all the different caveats and assumptions and
4 information that went into it, and I expect a similar process,
5 obviously, here for red snapper.

6
7 Anyway, I'm kind of droning on here, but I just think it's
8 important that that idea of uncertainty -- That we not only
9 focus on what the precision estimates are, but also the
10 potential sources of bias in those estimates.

11
12 **CHAIRMAN POWERS:** Thank you. I think this discussion could go
13 on a long time, and one thing I would mention, and this is sort
14 of my own little bias, after forty years of doing -- Well, more
15 than forty years of doing stock assessments, but that is the
16 goal of the stock assessment is to estimate annual productivity,
17 and the abundance trends are useful, but you view them more as
18 trends.

19
20 I know that sounds like a copout, particularly to the layperson,
21 but what it all boils down to is the annual productivity that
22 you're looking for, and the absolute abundance is not the only
23 thing that drives what the scientific advice for management is.

24
25 With that comment, we have four people on there, and I think, at
26 this point, what I would like to do is break for lunch, and I
27 don't mind returning to this after lunch. We have four people
28 on the list, and hopefully we can get through that fairly
29 quickly, but, if that's okay with people, then we can bring for
30 lunch now, for like forty-five minutes, and then return to the
31 four people when we get back. Thank you. We'll come back in
32 forty-five minutes.

33
34 (Whereupon, the meeting recessed for lunch on January 6, 2021.)

35
36 - - -

37
38 January 6, 2021

39
40 WEDNESDAY AFTERNOON SESSION

41
42 - - -

43
44 The Meeting of the Gulf of Mexico Fishery Management Council
45 Standing and Special Reef Fish, Ecosystem, and Socioeconomic
46 Scientific and Statistical Committees reconvened via webinar on
47 Wednesday afternoon, January 6, 2021, and was called to order by
48 Chairman Joe Powers.

1
2 **CHAIRMAN POWERS:** When we adjourned, we had four people waiting
3 in line to talk, and that was Walter Keithly, Judd Curtis, Ken
4 Roberts, and Kai Lorenzen. When we finish with those, we also -
5 - There's a very short presentation given by the Center about
6 how to integrate some of this information in over the short
7 term, which I believe will be presented by Dr. Cass-Calay,
8 Shannon. When we get finished with our discussion, we'll move
9 right into that. Let's begin then on the list with Walter
10 Keithly.

11
12 **DR. KEITHLY:** Thank you, Mr. Chairman. Greg, thank you for a
13 very informative presentation. Some questions that have already
14 been asked have helped me out to understand some of the concepts
15 of the study, but one thing I am trying to wrap my head around
16 is the tagging study.

17
18 You mentioned the 30 percent recapture rate seems high, and I
19 know Jim Tolan also mentioned that, and do you have any
20 information, first of all, on the average time between when the
21 fish are tagged and they were recaptured?

22
23 **DR. STUNZ:** Hi, Walter. Yes, we do. Dr. Curtis, on your
24 committee, as I mentioned, is leading that component of the
25 study, and we know exactly when they were initially tagged and
26 when they were returned and what the fate of that fish was, if
27 they were returned back or all sorts of things.

28
29 We typically have good information on their movement, if there
30 was any, and that sort of thing, and, obviously, I didn't have
31 time to really get into that or present it today, and I would
32 recommend that the SSC -- That we talk about that whole
33 component more, because there's a lot of information there, and
34 have Dr. Catalano come in and present some of that, along with
35 Dr. Curtis.

36
37 **DR. KEITHLY:** Okay. In that case, this may be the same as a
38 couple other questions I had, and I will make it quick, since it
39 sounds like we're going to be going into it in a lot more
40 detail, but, out of curiosity, do you know, or does anybody on
41 the panel know, or did you collect information, on the percent
42 of recaptured fish that were retained versus those that were
43 released?

44
45 **DR. STUNZ:** We asked that question, but I don't have that data
46 right at hand. Nearly 100 percent of the tags were removed,
47 because, to collect the reward, part of the deal was you had to
48 have the fish. I would venture to guess that most of those fish

1 were retained, Walter, but I don't know where we -- We would
2 have that information, and I just don't know what that is, off
3 the top of my head.

4
5 **DR. KEITHLY:** I understand, and somebody else had that part of
6 the project and was in charge of that.

7
8 **DR. PATTERSON:** But that information was collected and utilized
9 in the model that Matt produced.

10
11 **DR. KEITHLY:** Okay. Did you try to glean, from the tagging
12 study, what that might indicate, in terms of the fishing
13 pressure on the stock, and, if that 30 percent -- If the average
14 time between tagging recapture is short, and there's a 30
15 percent recapture rate, it just sounds to me like that would
16 indicate a very high amount of fishing pressure, but it sounds
17 like this is questions that need to be asked in a more detailed
18 discussion of this subject. Thank you very much for a very
19 interesting presentation.

20
21 **DR. STUNZ:** Just briefly to that, Joe, Matt Catalano would have
22 a lot more to share with that. There is quite a bit of
23 assumptions with the study, you know that you got all your fish
24 returned back and all those sorts of things. Where the fish
25 were tagged plays into that, and they weren't randomly
26 distributed across the Gulf. We wanted to get recovery rates,
27 and they were tagged varying distances from port, and that was
28 part of that design that I didn't have time to talk about.

29
30 You could make some of those assumptions, Walter, but some of
31 them may or may not be violated, based just upon the design of
32 the study, and so I would recommend that we -- We will have that
33 captured much better in some manuscripts, as well as the final
34 report, and then we can give a separate presentation
35 specifically on the tagging pieces of this study.

36
37 **DR. KEITHLY:** That would be great, and you did mention, in your
38 presentation, that it was not necessarily random and that you
39 only tagged fish out to 180 feet or whatever, but the 30 percent
40 still intrigues, and I would like to learn more.

41
42 **DR. STUNZ:** Exactly.

43
44 **DR. KEITHLY:** Thank you.

45
46 **CHAIRMAN POWERS:** Thank you. Judd Curtis is next, and he may
47 want to comment on this subject as well.

48

1 **DR. CURTIS:** Thanks, Mr. Chair. I just wanted to chime in, and
2 a lot of those questions that both Walter and Ken asked both
3 Greg and Will have kind of responded to, but, basically, to
4 respond to Jim's question about the tagging off of Louisiana,
5 part of the model parameters for the mark-recapture modeling
6 that we did had some specifications in it, such as depth, and we
7 would tag up to a certain depth, and then a certain distance to
8 inlet model.

9
10 A lot of those areas out in kind of remote western Louisiana
11 didn't just quite make it, because, as Greg mentioned too, we
12 wanted to have a pretty avid response from the angling
13 community, as far as being able to recapture these things,
14 because a lot of those sites out in the Louisiana area just
15 didn't quite fit the model parameters.

16
17 Then, Walter, thanks for the comments there too, and there's a
18 lot of additional information, as Greg mentioned, that we're
19 just beginning to uncover at this point, and, primarily, we were
20 just looking at exploitation rates, but we've found a lot of
21 additional important information from this mark-recapture, such
22 as the movement and various discard mortality rates using
23 descender devices.

24
25 Then, just to answer some of your questions, like pretty much
26 nearly 100 percent of the fish were retained, and I was just
27 going through some of the recapture data, and there was just a
28 handful of fish that were released, and then the angler snipped
29 the tag and mailed them in, but just about 100 percent of the
30 fish were retained.

31
32 Then, time-wise, that 30 percent recapture rate, which is
33 remarkably high, that's the last estimate as of the end of
34 December, when we completed the study, and, obviously, the
35 longer the study is occurring, the higher your recapture rate is
36 going to be, because more fish get returned, and so we can model
37 that as well, to see, over time, what the return rates are,
38 until that final estimate. Thank you.

39
40 **DR. KEITHLY:** Can I ask you one question, while you're on? Do
41 you have the information readily available and what percentage
42 of the tags were returned by the commercial fleet versus the
43 recreational?

44
45 **DR. CURTIS:** We do have an estimate, and I don't know it off the
46 top of my head, but the majority was from the recreational
47 fleet. There was very few coming back from the commercial
48 sector.

1
2 **DR. KEITHLY:** Okay. Thank you.

3
4 **CHAIRMAN POWERS:** Thank you. Ken Roberts.

5
6 **DR. ROBERTS:** Thank you, Mr. Chairman. My question is regarding
7 the timeline for the stakeholder meetings, number one, and,
8 number two, is it going to be synchronized out of LaDon's
9 office, or is each individual participating state going to do
10 their own timing and use of stakeholder interaction? So, in
11 general, the timeline, and who is responsible for the
12 stakeholder meetings? Thank you.

13
14 **DR. STUNZ:** Well, it will be synchronized and run out of LaDon's
15 Mississippi-Alabama Sea Grant, and so there won't be something
16 happening from each state. However, I'm sure the different Sea
17 Grant programs and other things within each state will follow in
18 with that and share the information and that sort of thing.

19
20 We don't plan -- Originally, we had planned for in-person
21 stakeholder meetings, and that, obviously, didn't go, for a
22 variety of reasons, and not just COVID, but, even prior to
23 COVID, the attendance at those sort of meetings was just very,
24 very poor, and not necessarily our meetings, but just the
25 meetings in general, and so we moved to a much more online
26 social media type model and other ways to get the word out.

27
28 It will mainly be through press releases and information sheets
29 and social media and that sort of thing. There is not going to
30 be any real formal outreach meetings to groups, unless somebody
31 asks us to present and that sort of thing, which has already
32 occurred and is happening, but there's no formal sort of like
33 public hearing type meetings scheduled or anything like that.

34
35 **DR. ROBERTS:** Very good. Thank you. I appreciate that answer.

36
37 **CHAIRMAN POWERS:** Thank you. Kai.

38
39 **DR. LORENZEN:** I have been sort of taking a step back a little,
40 and I'm thinking about how we discharge our duty to conduct a
41 thorough independent and transparent peer review of this
42 information that will -- That is set to enter into management
43 fairly quickly, and, following on from Luiz's comments, I do
44 note that this is a very complex study, and so the red snapper
45 count title makes it seem a lot more straightforward than it
46 really is.

47
48 It's a very complex study of methods and calibrations and

1 assumptions and so on, and some of those have been brought out,
2 and so it's the sort of thing that I think we need to review to
3 a higher and more detail than is really possible within the
4 setting of the SSC meeting.

5
6 If this was a new assessment, with new methods and so on and so
7 forth, we would put this through a panel review involving SSC
8 members and CIE reviewers and so on, and I do think that the
9 nature of this study really calls for a panel review of this
10 sort, and I also want to add that there are several other
11 factors here that, in particular, point in that direction.

12
13 One is the fact that multiple SSC members have been very
14 involved with this study, and that's great, because we can ask
15 them those questions and so on, but it also creates a little bit
16 of a conflict of interest, but, basically, we have essentially
17 the analysts reviewing their own work, and so I think that adds
18 to a need for independent peer review.

19
20 I also note the high level of political expectations surrounding
21 this project and the use of the information and the fact that,
22 of course, many of our fisheries stakeholders take very
23 different views on this project, depending partly on what sector
24 of the fishery they associate with.

25
26 Where this gets me is that I think we have a duty to be very,
27 very rigorous and very transparent and very independent in our
28 review, and I think that a panel review involving CIE reviewers,
29 and perhaps members of the SSC who were not involved directly
30 with the study would help us do that appropriately. Thank you.

31
32 **CHAIRMAN POWERS:** Thank you. This is somewhat of a concern of
33 mine, and I think it's sort of implied by some of the comments
34 that Shannon made, and that is that, basically, we're talking
35 about what has been called an interim analysis, which isn't
36 really interim, because this is a whole new set of data, some
37 ninety days from now, and we haven't -- We the SSC, and also the
38 Center, haven't seen that, and so it seems like this is on a
39 fast track, and I think we all understand the overriding drivers
40 about why it is, and that may be something we have to live with,
41 but, nevertheless, I agree with Kai that we need to be very
42 careful about being able to have documentation of our vetting of
43 the whole process. Maybe Carrie could comment on that, or
44 anything else.

45
46 **EXECUTIVE DIRECTOR SIMMONS:** I think thank you, Mr. Chair.
47 We're struggling with this ourselves, and we have -- We've had a
48 couple of meetings with the Science Center. We've had a couple

1 of meetings with the Science Center and the Regional Office to
2 figure out the best way, and with Dr. Stunz, to think about how
3 this process would roll out.

4
5 I think, right now, the idea is it would be a multiple-day SSC
6 meeting, going through the results of the study, and then have
7 the Science Center ready to follow that up with how they've been
8 able to incorporate these high-level pieces of information that
9 are pertinent in quick turnaround that could help the council in
10 management after that.

11
12 It would be, essentially, or potentially, a long meeting. That
13 being said, we do have the funds, if the council concurs, to
14 seek outside assistance for review, if this body wants to
15 recommend that, and that's also a possibility, but I know
16 everyone is anxious to get this into management, but I
17 understand there is just a lot of questions, because the final
18 report is just not out yet, and so I think we could tackle it
19 from a lot of different ways. I think we have a lot of
20 different options available, but I do think time is of the
21 essence, and so, the sooner we can kind of pin some of that
22 down, the better.

23
24 **CHAIRMAN POWERS:** I guess one of the things that one worries
25 about is rushing to judgment, and it kind of limits your options
26 later on, if you want to revisit some of these things, and so,
27 if we can have, like I said, some sort of vetted process in the
28 interim, but there isn't much time, because, as I said, we're
29 talking about ninety days before a, quote, unquote, interim
30 analysis is produced, and the report isn't available yet to even
31 begin that. I agree with Kai, and I think perhaps some outside
32 reviewers might be a good idea in this process as well. Will.

33
34 **DR. PATTERSON:** Thanks, Joe. I just have a couple of things.
35 As far as the tagging and the high return rates, I think it's
36 really important to remember that these fish -- The tags had a
37 \$250 reward. The purpose of the high-reward tags was to try to
38 get as high of a return rate, and assuming 100 percent based on
39 that, and some of the fish were double tagged, and so there were
40 \$500 rewards offered for those fish, and the double tagging was
41 to estimate tag loss, and so tag loss was also a parameter in
42 the model.

43
44 The exploitation rates themselves that were estimated among the
45 different regions range from about 30 to 40 percent per year,
46 which is consistent with the Fs that come out of the assessment
47 for both the eastern and western Gulf in the recreational
48 fishery.

1
2 When we start to think about what's the exploited population and
3 what's the population being modeled in the assessment, versus
4 this other biomass of fish that are away from exploited
5 habitats, I think that starts to shed some light on the fact
6 that the assessment, given that the assessment estimates of
7 mortality are similar to what the tagging was and most of the
8 recreational fishery is targeted on those shallow artificial
9 reefs.

10
11 As far as Kai's comments about the panel review, I think that's
12 going to be really important, and I have already talked to some
13 of the folks at the Center about this issue of having SSC folks
14 as members of this, and I think there is that benefit of being
15 able to really get into the details and describe things, because
16 we were part of the process, but there are details from other
17 regions that I am not aware of fully, and I do think it's
18 important to have independent peer review of what we produce
19 here.

20
21 Then, lastly, Joe's comment here about how quickly this is
22 proceeding, I know that politically-charged species like red
23 snapper and the initial presentations that Congress was
24 requesting happen back in the fall with these preliminary
25 estimates, and we haven't really pulled the curtain back yet and
26 gone into the details of how the estimates were produced and
27 what assumptions were tested and which ones weren't and how all
28 of that was put together, but there's still all this pressure to
29 incorporate this into management, and I think we can have two
30 processes.

31
32 There can be a process, moving forward, for how to potentially
33 incorporate these new estimates of biomass and population size
34 into an interim analysis, or thinking ahead to how this may be
35 incorporated into the assessment, while, at the same time,
36 pursuing this peer review process, to fully vet and examine the
37 work that was done.

38
39 I think both of those things can happen at the same time, and I
40 think, getting back to some of what Joe said here, this is going
41 to be a model for the region, and it's going to be a model for
42 the country, and we should think more broadly than just what's
43 happening right here with this one fish that gets so much of our
44 attention in the Gulf of Mexico and do this right, so that we
45 can use the information to its fullest capability, in this case
46 and potentially as a model for other species.

47
48 As far as this reconciliation process, I think it's also

1 important to recall that the 2018 assessment was done with 2016
2 data, and that was before the MRIP-FES recalibration, and the
3 stock has continued to recover, in the east and the west, and so
4 there is some trajectory there that needs to be incorporated.

5
6 Higher biomass and abundance would be estimated with the FES
7 numbers, because of the greater number of removals, and then,
8 also, there's been more recent work done on discard mortality,
9 both in the eastern Gulf and the western Gulf, that would also,
10 if those are thought to be more realistic, which I've been a
11 part of some of that, and I think they are, then that would also
12 estimate -- That would produce estimates of higher removals,
13 which would then, again, produce a higher estimate of population
14 size.

15
16 There's a lot of reconciliation that needs to be done here, not
17 only to incorporate this into management, but also to examine
18 where in the current assessment, if in fact there's this large
19 difference that, at the end of this review, is apparent, and
20 then we need to not only think about what this number is, but
21 also what did the assessment miss, and is it anything more than
22 just not effectively sampling a cryptic biomass, or an
23 underexploited biomass, that's farther than most recreational
24 fishermen can typically pursue fish.

25
26 **CHAIRMAN POWERS:** Thank you. I mean, a lot of those issues that
27 you brought up are something that would have to be considered in
28 an assessment and not in the interim analysis, and that's where
29 I think we're getting the pressure, in the sense that it's
30 essentially the Center is being asked to integrate something
31 into a best estimate of ABC without knowing, at this point
32 anyway, the details of the inputs. Carrie.

33
34 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair. My question
35 relates to the next agenda item, kind of a carryover to the
36 greater amberjack count, and so I will let Kai go first.

37
38 **CHAIRMAN POWERS:** Okay, and, also, relative to what Will just
39 brought up, we do have a short presentation that Shannon is
40 going to give about their thinking about how one might integrate
41 it in for the short-term analysis. Kai.

42
43 **DR. LORENZEN:** This is going to be very quick, and I think I
44 wanted to add to Will's list of considerations with the
45 assessment the natural mortality rate, which we assume is
46 extremely low for red snapper, possibly somewhat unrealistically
47 low, and I wanted to point out that even a slight upward
48 adjustment of the natural mortality rate, as might happen with

1 the next assessment, would generate quite a lot more fish in the
2 sea.

3
4 I think one has to be careful about saying there is three-times
5 as much red snapper as in the assessment, because it's an old
6 assessment and there are many assumptions that go into the
7 assessment that affect the estimate that the assessment makes of
8 the abundance of fish, more so than the management references
9 points, or the catch advice, that necessarily comes from that
10 model, and so I think we need to bear that in mind as we look at
11 those differences. Thanks.

12
13 **CHAIRMAN POWERS:** All right. Thank you. At this point, what I
14 have heard, from Carrie and others, is apparently there's
15 already been discussions about perhaps setting up a multi-day
16 SSC meeting, and I think I'm not hearing any disagreement with
17 that, and also that it would be wise to bring in outside
18 reviewers into that process, and I think that's one of the
19 conclusions that we've had from this discussion, if I'm correct.
20 Are there any other things that we want to go into before we get
21 into Shannon's presentation about integrating the ABC?

22
23 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Chair, I just had one other
24 question for Greg and his team. It kind of relates to the next
25 call for proposals for greater amberjack, and my question is
26 have the PIs been able to quantify enough of the video from the
27 uncharacterized bottom in the Gulf to determine if it's worth
28 focusing on those habitats, or those deep areas, for greater
29 amberjack? Is that really a high priority? Do we have enough
30 information from this study that's been quantified that we would
31 consider it in the next call for proposals for greater
32 amberjack? Thank you.

33
34 **DR. STUNZ:** Carrie, the short answer to that is we would need to
35 look at it more for amberjack, but I would be very cautious not
36 to include it, because the story is sort of similar, from
37 especially the commercial fishery, about a lot of amberjack out
38 over these areas that are not classified well.

39
40 Now, there are some differences, because amberjack tend to be in
41 much higher abundance on artificial reefs, for example, based
42 upon other studies and some of Dr. Gallaway's work and other
43 things, and so it's a little bit different situation, but, given
44 what we've found, I would encourage at least some effort to
45 occur in that unclassified bottom for amberjack.

46
47 **CHAIRMAN POWERS:** Thank you. I am trying to shut this down and
48 move on to Shannon. Will, can you be conclusive in your

1 comments?

2
3 **DR. PATTERSON:** I will just say that we have a little different
4 situation in Florida, because we used ROV, and then we have
5 about two-thirds coverage with sonar, and so the amberjack
6 question is a little easier to pull out of the data at-hand
7 immediately, and we've been working to do that, as well as a few
8 other species, to estimate their abundance and habitat-specific.

9
10 One of the issues I will just point out is that this idea of
11 uncharacterized -- Some people hear unconsolidated, and that's
12 been used to describe that habitat stratum, in some cases, and
13 the terms shouldn't be used interchangeably, and so there could
14 be uncharacterized habitat that we don't have -- That we don't
15 know what's there, and it ends up being a ledge or a higher-
16 profile reef, and so, if it's uncharacterized, it just means
17 that we didn't know ahead of time what the habitat was.

18
19 Then there's also this unconsolidated habitat, and I think, for
20 amberjack, the unconsolidated habitat is probably less of a
21 worry than for red snapper, but it's this uncharacterized
22 habitat that is still a concern, because there can be reef
23 structure there that amberjack are attracted to.

24
25 **CHAIRMAN POWERS:** Thank you. All right. Let's move on.
26 Shannon, you had a short presentation about the thinking,
27 relative to a short-term integration of this?

28
29 **DR. CALAY:** I do. Thank you. I was wondering if --

30
31 **CHAIRMAN POWERS:** I'm sorry. You cut out. Can you repeat
32 yourself?

33
34 **DR. CALAY:** Sure. I was wondering if I could ask the council
35 staff to show the presentation on their screen, and it's only
36 five slides. Thank you.

37
38 We have been asked to put together an interim assessment that
39 incorporates the information received from the Great Red Snapper
40 Count, in preparation for the April council meeting, and so we
41 intend to present results, using one of these approaches, in
42 March, or whenever the SSC meeting is, and I believe it's March.

43
44 I am going to show you two approaches that we are confident that
45 we have the information to populate. The first approach is the
46 simplest, and we would be producing a new ABC recommendation,
47 using a product of the fishing mortality at-age from the SEDAR
48 52 assessment and the numbers at-age from the Great Red Snapper

1 Count, and I want to be clear that the fishing mortality at-age
2 that we are talking about is from the SEDAR 52 rebuilding
3 projection, and so it's that catch recommendation from the
4 rebuilding projections that we would be modifying.

5
6 The numbers at-age that come from the Great Red Snapper Count
7 are the estimates of age-two-plus abundance, and we also have
8 composition data that are available from the Great Red Snapper
9 Count and other sources, and so I want to point out, right away,
10 that this IA, or interim assessment, differs from what this SSC
11 has seen in the past. It is a new approach, because we are not
12 deriving the new ABC estimates from the old ABC estimates
13 directly, by, for example, scaling it to the increase or
14 decrease in a relevant index, and so this is a new methodology.

15
16 Moving on to the second variant, in the second variant, we
17 actually do try to break up into the strata that you see here,
18 and so, essentially, we look at the natural reef habitat, the
19 artificial reef habitat, and the uncharacterized bottom, and we
20 calculate the ABC new, using the fishing mortality at-age, the
21 numbers at-age, and the catch at-age matrices. This way, we'll
22 more appropriately capture the fishery impact on the population
23 if that composition data varies by habitat.

24
25 **CHAIRMAN POWERS:** A quick question.

26
27 **DR. CALAY:** Go ahead.

28
29 **CHAIRMAN POWERS:** The F at-age for each one of those three
30 categories, do you actually have F at-age for artificial reefs
31 and natural reefs and uncharacterized?

32
33 **DR. CALAY:** No, we do not, and so this is an approach that
34 requires some thought, and, if we chose to produce information
35 from this approach, it would be up to the SSC to review our
36 proposal, to see if they felt they could support it, but, no, we
37 don't have that information by these habitats. It would take a
38 little mathematical manipulation to get here.

39
40 **CHAIRMAN POWERS:** Thank you, I think.

41
42 **DR. PATTERSON:** Shannon, would you be relying on size
43 composition data from those various habitats to get to the age
44 composition to estimate mortality?

45
46 **DR. CALAY:** Yes. Yes, we would.

47
48 **DR. PATTERSON:** I don't think that exists in our data for the

1 whole Gulf.

2
3 **DR. CALAY:** I would not be surprised to hear that, and so it may
4 be that, without making assumptions that are difficult to
5 defend, the only possibility, at this time, is to go with the
6 first variant, because, basically, we would need to use proxies
7 and assumptions to use Variant 2.

8
9 That being said, the SSC does -- Sorry. The Science Center does
10 intend to produce a number of explorations, or sensitivity runs,
11 to try to evaluate kind of the effects of incorporating the new
12 Great Red Snapper Count information, and so the first set is
13 that we would consider different types of analyses to produce a
14 new estimate of ABC, using either all the numbers at-age
15 information, the numbers at-age from structure, from the Great
16 Red Snapper Count's numbers on artificial and natural bottom,
17 and the numbers at-age from structure plus the uncharacterized
18 bottom habitats, and so we would see how those ABCs differ
19 between those various components.

20
21 We also propose to test the implications of the Great Red
22 Snapper Count results using a few sensitivity runs, which we
23 have based on SEDAR 52 assessment model results, and so one
24 thing that we propose to do is to evaluate the effect on the
25 stock assessment catch recommendations of fitting to that Great
26 Red Snapper Count abundance estimate inside the stock assessment
27 model, just to get at a new ABC recommendation from the existing
28 stock assessment framework and assumptions.

29
30 The second sensitivity we propose is to demonstrate what effect
31 fishing at that new ABC recommendation from the interim
32 assessment would have on the stock biomass trajectories under
33 our current SEDAR 52 modeling assumptions, and so, basically, if
34 we fished at that new ABC recommendation, what do we think the
35 biomass trajectories would look like east and west of the Gulf
36 of Mexico?

37
38 Then, for reasons which will appear in the next slide, we also
39 would like to look at an exploration of the effect of a presumed
40 higher reference point, such as SPR 40, and I will get at that
41 conversation here in a moment.

42
43 We have a number of concerns and caveats that we would like to
44 bring up to the SSC now for their consideration, and one, of
45 course, we've already touched on, which is that comprehensive
46 documentation of the Great Red Snapper Count methods and
47 assumptions is not yet available to us, and, when we present
48 this information, we are likely to be using those Great Red

1 Snapper Count estimates at face value, and so we won't really
2 have the information we need at the Science Center to be certain
3 that we couldn't have used a different -- The approach that
4 we're offering is the best possible approach, and let's put it
5 that way.

6
7 You have heard, now, that the Great Red Snapper Count suggests
8 that the abundance of red snapper is about three-times higher
9 than our SEDAR 52 estimates. I do want to point out that the
10 estimates from the stock assessment and from the Great Red
11 Snapper Count are actually quite similar on high relief and
12 structure, and that is where the bulk of the data that goes into
13 the SEDAR 52 assessment -- That's where they're from, and so
14 those estimates are actually quite similar.

15
16 Where the Great Red Snapper Count differs is that it suggests a
17 very large amount of the cryptic biomass of red snapper are on
18 these unclassified, uncharacterized bottoms, and I apologize for
19 using the incorrect terminology here, but, presumably, that
20 large, cryptic biomass has always been out there, and it's not a
21 new feature of the population, and so, basically, the Great Red
22 Snapper Count would suggest that we have chronically
23 underestimated the biomass of red snapper, because our data do
24 not extend to these areas with the unclassified bottom.

25
26 In addition, we have a complicating factor, which is that the
27 historic removals are also under evaluation, and it's very
28 likely that they are higher than previously assumed, because,
29 for example, we'll be moving from the SEDAR 52 estimates, which
30 use the Coastal Household Telephone Survey, to the FES
31 estimates, or possibly, in the future, to state survey
32 estimates, and so we have a number of factors here, which may
33 change our perceptions about the productivity of this stock in
34 future stock assessments.

35
36 For example, if a much higher standing biomass of red snapper
37 produces similar amounts of recruits, perhaps the productivity
38 of the stock is less than we had previously assumed, in which
39 case we might need to reevaluate the choice of the reference
40 point, which right now is SPR 26.

41
42 We also want to point out that the biomass on this
43 uncharacterized bottom may be substantially less accessible to
44 fishing, and, therefore, increasing an ABC using the approach
45 that we are proposing here, while it could be sustainable, in
46 that it won't cause overfishing of the stock, could lead to
47 localized depletion in the areas on high-relief habitat that are
48 heavily fished, and so that's kind of the intention of one of

1 our sensitivity runs, is to examine how likely it is that we
2 would start to see some changes in the abundance of fish in the
3 east, for example, where they focus more -- Well, let's just say
4 that, in the east.

5
6 We do have a way forward, which would require us to use,
7 essentially, the numbers of fish produced by the Great Red
8 Snapper Count and the fishing mortality from the SEDAR 52 stock
9 assessment. It would require us to essentially use those
10 numbers at essentially face value, and so that's what we can do,
11 and that's what will be available for your consideration in
12 March, and now I will open the floor to questions.

13
14 **CHAIRMAN POWERS:** Thank you, and so the upshot of this is that
15 we, the SSC, would make a determination in March of that ABC for
16 some specified year is the best available data or not.

17
18 **DR. CALAY:** That's correct, and so this -- Basically, we are
19 willing, and we have been asked, to produce these results, and
20 we will. We have the methodology, but we will not know, at that
21 point -- We won't have a recommendation yet for best available
22 science. I mean, that's going to have to come from a
23 simultaneous review of the Great Red Snapper Count information
24 itself as well as our methodology, and I suppose that burden
25 right now is on the SSC.

26
27 **CHAIRMAN POWERS:** Thank you. Any comments or questions?

28
29 **DR. LORENZEN:** Thanks, Shannon. I have sort of really, really
30 major concerns about the Variant 1, and I want to discuss that a
31 little bit, and, firstly, I think it's important to realize that
32 the fishing mortality at-age pattern from SEDAR 52, of course,
33 is conditional on the biomass estimates in SEDAR 52, and so, in
34 my mind, one can't just take that mortality rate, fishing
35 mortality rate, and apply it to a totally different biomass
36 estimate, because, basically, what that mortality is is it tells
37 us how the catches relate to the estimated biomass.

38
39 Basically, if you apply this to a biomass estimate three-times
40 as large, that would, for a start, suggest that our current
41 catches should also be about three-times as large, which they
42 clearly aren't.

43
44 If we apply this going forward, it would give us a level of
45 exploitation on the sort of available biomass, and, if I stick
46 with that idea of a cryptic biomass in the uncharacterized
47 bottom and a small really exploited biomass around structure, it
48 would mean that we would basically subject the biomass around

1 structure to three-times -- Which is really the available
2 biomass, to three-times the fishing mortality rate that we have
3 at the moment, and I think that takes us back to the sort of
4 level of exploitation that we have last seen at the time of the
5 great depletion of the red snapper stock in the 1970s and 1980s,
6 and so it seems, to me, an extraordinarily risky proposition to
7 go that way.

8
9 The other thing that I think we need to think about is whether
10 what we are looking at is really this biomass on structure and
11 the large cryptic biomass elsewhere, because, from what I can
12 gather from the information we have from the bottom longline
13 surveys, the biomass in the uncharacterized bottom hasn't been
14 constant, but it was very low at the time of the depletion of
15 red snapper, and so it doesn't seem to be as independent from
16 the rest of the biomass as may be perceived, based on this idea
17 of the largely unavailable cryptic biomass.

18
19 Lastly, I do want to come back to the issue that there are other
20 reasons why we might be seeing this difference, and our natural
21 mortality rate estimate is one of those, and so, basically, I am
22 very, very uncomfortable with Variant 1. Thank you.

23
24 **CHAIRMAN POWERS:** Thank you. Luiz.

25
26 **DR. BARBIERI:** Thank you, Joe, and Kai has already brought up a
27 lot of the points and questions that I was going to ask, and so
28 I will try to keep it short, but I have to say that I am also
29 very, very uncomfortable with this process, with what is being
30 proposed here. I just am feeling that this process is being
31 rushed, and it's being put through an accelerated pace, and it
32 may not be well aligned with the degree of scientific rigor and
33 the review that something of this magnitude actually deserves.

34
35 I understand the political implications, and I understand that
36 this study came up due to an appropriation generated by Congress
37 and that everybody is happy with the good news, and so am I. I
38 mean, I think all of us are very happy with the outcome, if the
39 outcome is correct, but understanding all of this I think will
40 take quite a bit of evaluation and review and inspection, and to
41 think that we're going to be conducting an interim assessment by
42 April of this year, or anytime this spring, or even summer of
43 this year, without us even at this point that we are in January,
44 not having had a chance to look at the report and to review
45 everything carefully, and I know that we're going to be
46 scheduling that multiday SSC meeting dedicated to this review,
47 but my guess is that there will be a number of questions that
48 are going to be generated in that meeting that are going to

1 require further evaluation and further discussion of a number of
2 issues and preparation of additional products to come before the
3 SSC.

4
5 I am not trying to exaggerate the amount of review that we would
6 expect for something like this, because, when you consider how
7 much we discuss, the level of detail that we discuss, each and
8 every one of the stock assessments that come before us, I mean
9 even the standard assessments or the updates, and all the
10 detailed questions, because, I mean, just this morning, having
11 the understanding of the significance of that different
12 estimation of the landings from the assessment to the landings
13 that shows up in the ACL tracking database, and how using just
14 the different conversion factors from lengths to weight may be
15 causing some of those differences in the CVs that are used to
16 fit to landings in the assessment -- All of those things matter,
17 and they can impact the outcome of an assessment, to a great
18 degree.

19
20 I think that a study of this significance and importance, and
21 hopefully with excellent news for us, highlights, really, the
22 need for us to be extremely careful and transparent and thorough
23 in the way that we view this process. Thank you.

24
25 **CHAIRMAN POWERS:** Thank you. One of my worries, of course, is
26 that, if we were to go this route, and you make a recommendation
27 for ABC, and it gets approved, then what do you do the next
28 year? Things are likely to change, and how much, and there
29 needs to be some stability in how we operate, and I think that's
30 essentially what we're talking about, is the normal stability
31 that we go through. Doug Gregory.

32
33 **MR. GREGORY:** Thank you, Mr. Chair. I concur with the previous
34 comments that we need consistency, and this, by no means, is an
35 interim analysis. You might call it an exploratory analysis,
36 and it's a lot of work for the Center to go through and run the
37 risk of us, or you all, finding something at the last minute
38 that's off, but we can do whatever you want and bring it, and I
39 certainly wouldn't call it interim, given as much grief as we've
40 gotten over the years of not calling a stock assessment its
41 appropriate category of benchmark, standard, update,
42 operational, and this really pushes the limit, calling it an
43 interim, but, regardless of that, I do want to point out also
44 that -- I think it's still on books, but, in 1990, the Gulf
45 Council prohibited the use of vertical longlines and bottom
46 longlines inshore fifty fathoms west of Cape San Blas.

47
48 That measure put a number of Louisiana fishermen out of business

1 that were using vertical and bottom longlines to catch large red
2 snapper. Now, I assume there were fishing on this
3 uncharacterized bottom, particularly the vertical longlines that
4 were drifting, and, at the time, I asked Phil Goodyear, who was
5 the stock assessment analyst, what effect that may have on the
6 stock assessment by the large fish no longer coming into the
7 fishery and being counted.

8
9 I think he said it would be covered by selectivity estimates,
10 but it could easily be referred to as higher mortality estimates
11 too, or interpreted that way, but I wanted to point out that
12 there is this segment of the Gulf that's been prohibited for
13 vertical longlines and bottom longline gear since 1990, and that
14 leads to your idea of local depletion in other areas, but, in
15 general, I just think this seems premature, to jump and do all
16 of this at this time, when we haven't even seen the data from
17 the Great Red Snapper Count. Thank you very much.

18
19 **CHAIRMAN POWERS:** Thank you. Harry.

20
21 **MR. BLANCHET:** Thank you. A lot of what I was going to say has
22 already been said by everybody else, and I just had one thought.
23 While the Southeast Fisheries Science Center is developing this,
24 and I don't know if this is possible, but talking about
25 localized depletions, and one of the things that we're going to
26 be seeing also with this is, if you increase an ABC, there's
27 going to be a change in your, to put it simply, yield per
28 recruit, so that what we have seen in the last several years, at
29 least in the western Gulf, has been an increase in the size of
30 the average fish, up to a seven or eight-pound average, and also
31 an increase in the age structure.

32
33 What we have demonstrated, as Kai pointed out, is we have
34 demonstrated the ability to pretty much limit that to ages under
35 five in the past, and so there will be some implications, in
36 terms of the size of the individual fish being harvested, if you
37 increase the ABCs, and so depletion is one thing, but also yield
38 per recruit, and, because we're talking about -- You know, we're
39 talking about a lot of these factors that go into the local,
40 such as how close are you to port, what's the water depth,
41 what's the local wind conditions, et cetera, and trying to fish
42 in south Texas is a very different situation than fishing in the
43 Big Bend.

44
45 It may not be possible to tease that out in this brief time, but
46 I think that, at some point, looking at what do you expect to
47 see, in terms of your size structure of your harvest and your
48 availability of fish to an angler or to a commercial harvester

1 is something that should be part of that report-out.

2

3 **CHAIRMAN POWERS:** Thank you, Harry. David Chagaris.

4

5 **DR. CHAGARIS:** Thank you. I mean, we have two competing
6 estimates here. I mean, we have 110 million on one hand and
7 thirty-six million on the other, but I feel like we haven't
8 really stopped to ask why they are so different.

9

10 We sort of assume, or maybe I get the intuition that we assume,
11 that one is superior to the other, but that's not really the
12 question we should be asking, and, if we're always going to be
13 tied to some stock assessment model, or some stock assessment
14 process, that would be the next step, before we use these
15 estimates for any type of management advice, would be to really
16 explore the effect of this estimate within the model and try to
17 understand what happens --

18

19 You know, what are the tradeoffs and fit to the other data when
20 you force the model to fit through this estimate, because that
21 would allow us to then make adjustments to the stock assessment
22 model moving forward, which I think we're still going to have to
23 rely on, unless this survey is going to be repeated on an almost
24 an annual basis. I think we need to use this opportunity to
25 really improve the stock assessment and try to understand where
26 the discrepancies are. Thank you.

27

28 **CHAIRMAN POWERS:** My immediate reaction was -- Taking the
29 results at face value, you immediately start thinking about how
30 you would restructure the stock assessments spatially, and
31 perhaps temporally, and what kind of movement from one area to
32 another and so on and so forth, which is not a trivial task, and
33 so, like I said, even if one accepts, at face value, what these
34 results are, how one incorporates that into an assessment --
35 There is multiple ways of kind of looking at it. Kai.

36

37 **DR. LORENZEN:** The easiest way to make three-times as much red
38 snapper in the model is to increase the natural mortality rate
39 just a little bit, but I wanted to come back to Harry's comment,
40 and I think what he said was very important, because, if we do
41 move to a more spatialized representation, which I think we
42 should, it's important to think about the fact that management
43 also becomes more complicated, because we could have the
44 situation where we are good in terms of the overall spawning
45 biomass depletion, but it could be the sort of head-in-the-oven
46 and feet-in-the-freezer type of good average, where we would end
47 up with very depleted, very poor quality fishing on structures
48 and a big biomass that will maintain recruitment, but not sort

1 of good fishing quality in those heavily-exploited areas.

2
3 I think we need to be aware of this, and we may need more
4 complex management targets, if we go that way, because the
5 localized depletion of biomass and the changes and structure and
6 so on can be quite different from the population average or the
7 situation in the less exploited areas. Thanks.

8
9 **CHAIRMAN POWERS:** Thank you. We have Doug Gregory, Jim Tolan,
10 and Will Patterson. Doug.

11
12 **MR. GREGORY:** I will be quick. I would be quite comfortable if
13 this was put forward as an exploratory analysis, because then it
14 wouldn't be something we would be expected to take and run with
15 it, and, also, to the SSC, if we want an independent review, we
16 probably should put that in a motion. Thank you.

17
18 **CHAIRMAN POWERS:** Thank you. Before we move to that direction,
19 let me get Jim Tolan and Will Patterson. Jim.

20
21 **DR. TOLAN:** I will be quick too, Mr. Chairman. Thank you. I
22 just want to say thanks to Shannon for offering up something to
23 try and -- The first thing that sort of jumps into my mind after
24 the Great Red Snapper Count presentation, and going down this
25 route of giving a new ABC, is that state-water allocations -- If
26 that could be revisited, given what we've just found out about
27 this really important area of this uncharacterized bottom,
28 especially on the --

29
30 **CHAIRMAN POWERS:** Thank you. Will.

31
32 **DR. PATTERSON:** I fully understand the Center's moving toward
33 trying to develop a process here, because the council has
34 already asked them to start to do that, and, obviously, various
35 SSC members have injected concern and tried to caution with
36 that, and so the review and vetting of the report that is still
37 in production will be critically important, but I just want to
38 reiterate, or agree, with Dave Chagaris' commentary from before,
39 and Greg and Sean and Judd on the call have heard me say this
40 within our group, that there needs to be this process of
41 reconciliation.

42
43 Recently, I talked to Shannon about this as well, and what we
44 know is -- What we'll have are two estimates, one from the
45 assessment, whether that's updated or not with the new
46 information that we talked about earlier or whether it's still
47 the 2018 assessment with 2016 data, and then we'll have an
48 estimate of abundance that comes from the snapper study, and so

1 we know the second thing is that both of those estimates are
2 wrong.

3
4 Neither of them will be bias free, and neither of them will be as
5 precise as we want them to be, and so both of them are wrong,
6 and I think it's important, in the review process, to ask, well,
7 how can this count that's been produced independent of the stock
8 assessment be wrong, you know kick its tires and really
9 critically examine where potential biases exist and whether the
10 variance in the data is believable, but also then to look at the
11 assessment and say, okay, well, if the count is more correct
12 than the assessment, where in the assessment can there be a
13 reconciliation, whereby the information isn't as wrong as we
14 think it is, but perhaps an assumption here -- You know, Kai has
15 mentioned natural mortality, and we talked about release
16 mortality, and, obviously, the recreational harvest estimates
17 have changed with FES, which the SSC has accepted as the best
18 science available.

19
20 I think it's important, and I just wanted to agree
21 wholeheartedly with Dave Chagaris' commentary about examining
22 the assessment at the same time, or shortly after, the critical
23 review of the report for the Snapper Count study, so that we can
24 go through this process of reconciliation and improve, right?

25
26 I mean, most of us have worked in some aspect of fisheries
27 management, or fisheries biology, where we have challenged,
28 through our work, the assumptions and information that go into
29 stock assessments. You know, that's what we do as scientists.
30 We improve the process, and we improve the information and we
31 move forward, and so I think that's going to be critically
32 important component of this.

33
34 You know, obviously, there is a lot of attention being paid here
35 to what's going to happen in the interim, or not, approach, but
36 that reconciliation process is going to be important, and I hope
37 it doesn't wait, or have to wait, until three or four or however
38 many more years pass and there is time to do a research track
39 assessment for red snapper. I think this is too important to
40 fall victim of the assessment process, and not the process, but
41 the scheduling issue. I think we need to speed that one up.

42
43 **CHAIRMAN POWERS:** Thank you. One of the things -- Well, what
44 Doug Gregory had mentioned is that our consensus, I believe
45 anyway, consensus about recommending a review process with
46 outside review, that that should probably be put in the form of
47 a motion, and I would ask -- Doug, do you have perhaps a draft
48 of such a motion?

1
2 **MR. GREGORY:** Not really, and I don't recall who initially
3 suggested that.
4
5 **DR. LORENZEN:** I have a draft.
6
7 **CHAIRMAN POWERS:** Okay. Go ahead.
8
9 **DR. LORENZEN:** The SSC moves to request a review of the Great
10 Red Snapper Count results by an independent panel, including SSC
11 representatives and CIE independent reviewers.
12
13 **CHAIRMAN POWERS:** All right. By Kai Lorenzen, this is a motion.
14 Is there a second?
15
16 **MR. GILL:** Seconded.
17
18 **CHAIRMAN POWERS:** Second by Bob Gill. Is there any other
19 discussion? We've been discussing this for some time, but not
20 the specifics of the wording here. Sean.
21
22 **DR. POWERS:** I'm in favor of the motion, and, obviously, I was a
23 PI on the count, one of the co-PIs, but the thing that gives me
24 some pause is the CIE reviewers, just because I think that that
25 might slow the process down a fair amount, and it's a very
26 different type of study than the CIE reviewers usually do, and
27 it's not an assessment, and it's the synthesis of a study, and
28 so I think that an independent panel, including SSC
29 representatives, would be fine, but to not include CIE reviewers
30 specifically, and just let the council, or council staff, choose
31 appropriate fishery scientists from the country.
32
33 **CHAIRMAN POWERS:** I would note that the CIE has actually done
34 things like reviews of bluefin tuna aerial surveys, and so they
35 are fairly broad, but I can still see your point of not being
36 specific about CIE.
37
38 **DR. LORENZEN:** If I could just add to that, and so I was
39 thinking of CIE reviewers that specialize in those types of
40 surveys, and so it wouldn't be necessarily the people we usually
41 have to look at stock assessments, but people who have expertise
42 in this particular area. Thanks.
43
44 **CHAIRMAN POWERS:** In terms of Sean's comments, Kai, do you
45 suggest changing the wording about CIE or other independent
46 reviewers?
47
48 **DR. LORENZEN:** I guess it could be or other -- I do think it

1 would be good to have reviewers that are from outside the region
2 and have good expertise in those sorts of survey methodologies,
3 and CIE seemed, to me, to be a good mechanism for that, but I am
4 good with CIE or other, but I wouldn't want to take CIE out.

5
6 **CHAIRMAN POWERS:** Okay. Thank you. Ken Roberts. Ryan, do you
7 have a quick comment, while Ken is unmuting?

8
9 **MR. RINDONE:** I'm here, Joe. Sorry. We're chatting at each
10 other here in the office. As far as recommendations for
11 representatives and/or other people, the latter part of that,
12 the other independent reviewers, have been doing the SEDAR
13 reviews and the SEDAR work now for about ten years, and I've got
14 a pretty decent list of people I can think of that would be
15 appropriate for taking a poke at this, and so I think that,
16 between that and the expertise of the SSC, and just the
17 fisheries science community as a whole that the council works
18 with on a regular basis, I think finding independent reviewers
19 should not be the difficult part of this task, and so I have
20 good confidence there that we would be able to find some people
21 to help with this. That's all.

22
23 **CHAIRMAN POWERS:** Ken, are you back yet?

24
25 **DR. ROBERTS:** The only comment I have here, and maybe it doesn't
26 have to be in the motion, but perhaps in a bit of discussion,
27 and it has been mentioned that there is a timeline involved in
28 all of this, and it might be worthwhile to have some discussion
29 or entrance into the motion that this be completed by a certain
30 period of time, a certain date, but that's my comment. Thank
31 you.

32
33 **CHAIRMAN POWERS:** Thank you. It stuck me too, and whether we
34 put it in the motion or not, but there's an expectation here, I
35 believe, that this would happen before it gets presented to the
36 council. I'm not sure if that can happen, given that the report
37 isn't actually available yet. Jim Nance.

38
39 **DR. NANCE:** In thinking here, other independent reviewers,
40 you've got the National Academy of Science, and I think they
41 would be appropriate, and I think the key is just to get some
42 outside the region independent reviewers, and that's my input.

43
44 **CHAIRMAN POWERS:** My experience with the National Academy of
45 Science is that the timeline of that would be hard to do within
46 a six-month period even, but I'm not sure about that.

47
48 **DR. NANCE:** I'm not either, Joe.

1
2 **CHAIRMAN POWERS:** Luiz.
3
4 **DR. BARBIERI:** Thank you, Joe. I want to go back, if I may, to
5 Shannon's presentation, or the outcome of her presentation
6 there, and ask a question in the context of this motion.
7 Shannon, I know this is a hard question, and you may not have a
8 response right off the top of your head, but, I mean, looking at
9 this presentation, the variants and the exploratory runs that
10 you presented here, the Center has been investigating ways to
11 get this interim assessment completed, but it hasn't really been
12 able to converge towards what will be a more definite process,
13 or analytical process, to get this done. Do you have any idea
14 if you would estimate having that better defined by the spring?
15
16 **DR. CALAY:** There's been a challenge with the timing, because
17 the Great Red Snapper report is not due until a little bit later
18 in this process, and so we've been working collaboratively to
19 get some of the preliminary estimates from the team, and, to
20 date, the full data and estimates are not available to us, nor
21 is the documentation, and so we have a limited set of data in
22 front of us, and so we've been able to only hypothesize about
23 approaches that could be useful. If we had the full suite of
24 data, with the full documentation, and it had been peer
25 reviewed, there might be additional approaches that could be
26 explored.
27
28 **DR. BARBIERI:** Right. Yes. Thank you.
29
30 **CHAIRMAN POWERS:** Kai and then Jack Isaacs.
31
32 **DR. LORENZEN:** This was actually -- I don't know if my hand was
33 still up, but I don't have anything to add.
34
35 **CHAIRMAN POWERS:** Jack Isaacs. While we're waiting, Bob Gill,
36 unless you're trying to call the question.
37
38 **MR. GILL:** No, Mr. Chairman, I'm not.
39
40 **CHAIRMAN POWERS:** Okay. Jack Isaacs, and then we'll get to Bob
41 Gill.
42
43 **DR. ISAACS:** I was just wondering if the motion should include
44 something about trying to find reviewers outside of the region
45 or if it's sufficient as-is.
46
47 **MR. RINDONE:** Staff understands, if that's what it's a matter
48 of.

1
2 **CHAIRMAN POWERS:** We have developed a record of what our desires
3 are, through our discussion.
4
5 **DR. ISAACS:** All right. Very good. Then we don't need to go
6 that route. Thanks very much.
7
8 **CHAIRMAN POWERS:** Bob Gill.
9
10 **MR. GILL:** Thank you, Mr. Chairman. I agree with Ken Roberts'
11 comment, and I wonder if we could accommodate that, Kai, by a
12 friendly, by changing "request to review" to "requesting an
13 expedited review".
14
15 **DR. LORENZEN:** I am good with that. I would add, also, that I
16 think Will Patterson suggested to me a friendly amendment that
17 would add "independent reviewers with expertise in the
18 methodologies used", and so this makes it explicit that we're
19 looking for people.
20
21 **CHAIRMAN POWERS:** Thank you. Sean and then Carrie, and then
22 let's vote on this after that. Sean.
23
24 **DR. POWERS:** I just wanted to bring up the point of do we want
25 this review to include what the Science Center is going to do in
26 their proposed methodology, because it does have the actual
27 review of the Red Snapper Count, but, in some ways, speaking as
28 one who is familiar with the count, I also would love to get
29 input from outside on some ideas on what to do with -- Whether
30 this reconciliation, for lack of a better word, the Science
31 Center plans is a good idea or not. It might be a good idea to
32 just comment on the methodology they propose.
33
34 **CHAIRMAN POWERS:** I would not want that in this motion. To me,
35 that's --
36
37 **DR. LORENZEN:** No, and, I mean, Sean, I struggled with the same,
38 and I think we are looking at both, but I think this should be a
39 stand-alone thing, and anything that the Science Center might do
40 in the short term I think would probably be -- Let's say sort of
41 simple enough that we could deal with that in an SSC review,
42 where, here, we're talking about a very in-depth review of this
43 major piece of research. Thanks.
44
45 **CHAIRMAN POWERS:** Thank you. Carrie, did you want to say
46 something before we vote?
47
48 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair. I think we

1 understand this needs to be expedited, and the council has been
2 asking about this. We were generally aware of the methodologies
3 that have been presented in the presentation, but, I mean, I
4 would ask again. When will the final report be available for us
5 to look at and try to organize this, because this is -- We need
6 to get that information to get this organized.

7
8 **CHAIRMAN POWERS:** Yes, and that needs to be decided very
9 quickly. When you're talking about the final report, you mean
10 the final report of the Great Red Snapper Count?

11
12 **EXECUTIVE DIRECTOR SIMMONS:** Yes, and so I guess that's to Dr.
13 Stunz and his team.

14
15 **CHAIRMAN POWERS:** All right. Greg, do you want to mention a
16 date, or should we sort of -- I mean, is there a date where we
17 can all be reasonably assured that we can look at this?

18
19 **DR. STUNZ:** I don't have a specific date, Joe, when it will be
20 available. We're working on it as fast as we can. I mean, I'm
21 projected to have it done here in just the next few weeks, or by
22 the end of the month, but, you know, I can't -- I don't know
23 that our team can be pinned down to a specific date at this
24 point.

25
26 **CHAIRMAN POWERS:** All right. We have the motion on the board,
27 and we've discussed it thoroughly. **Is there any objection to
28 this motion?**

29
30 **DR. PATTERSON:** Joe, I don't object, but I abstain from this.

31
32 **CHAIRMAN POWERS:** Okay. Thank you. **With that, the motion
33 carries with one abstention.** All right. One of the things I
34 think we, the SSC, has to be prepared for, with or without this
35 review, is that the Center will be directed to do something like
36 one of the renditions that Shannon has presented.

37
38 That will be brought back to us, the SSC, and we will have to
39 make a determination about what that ABC is for some period of
40 time, and so I think all of us should be prepared to have the
41 background to make our decisions relative to that and be
42 prepared to actually make that decision, up or down. Luiz.

43
44 **DR. BARBIERI:** Thank you. Just to clarify, Joe, I thought that
45 Shannon had mentioned that the Center is in the process of
46 working on these proposals and developing more detail on the
47 proposed approaches and that a proposal, a comprehensive
48 proposal, explaining what they have in mind in more detail would

1 be brought back to the SSC for review and approval, and is that
2 correct?

3

4 **CHAIRMAN POWERS:** I am not sure.

5

6 **DR. CALAY:** Luiz, we are limited to the data that we have
7 received to-date, and so the approaches that have been outlined
8 -- Really only the first can be done without making additional
9 assumptions and using proxies, and so we intend to bring to the
10 SSC in March -- We are obligated to bring, because we have a
11 council request in place, one of those methodologies with any
12 concerns or caveats that might be associated with it.

13

14 In addition, we've talked a little bit with Clay and John, and
15 we are also prepared to bring, as a contrast, the standard
16 interim assessment approach, which just uses an index of
17 abundance to adjust the previous assessment result, but, given
18 the time constraints, that's all that we can do at this time,
19 and so the more comprehensive examination that you're referring
20 to could continue, but, until that peer review has been
21 conducted, we can't really make substantial progress.

22

23 **DR. BARBIERI:** Got it. Thank you, Shannon.

24

25 **DR. CALAY:** Thank you.

26

27 **CHAIRMAN POWERS:** Thank you. Ryan.

28

29 **MR. RINDONE:** Thank you, Mr. Chair. I have been asked by a
30 couple of folks to try and elucidate a little bit about the
31 current timing, and so, right now, we have a tentative SSC
32 meeting on the books for March 23 to 25, which was the meeting
33 for which I think the Science Center was aiming for being able
34 to provide this interim analysis, and the council meeting is a
35 couple of weeks after that.

36

37 It may be possible to fiddle with the date of that SSC meeting a
38 little bit and maybe push it back a week, but, if the goal is to
39 meet that April 12 to 15 council meeting, like others have said,
40 it is really putting a lot of assumptions on when things will be
41 delivered and whether or not certain things will be possible,
42 and adding a formal review of this nature in the time window
43 that we're talking about, between now and then, and getting
44 people together and getting them all the materials -- It just --
45 I am not saying that -- I don't know whether that's going to be
46 possible, and so I'm just asking you guys to consider those
47 sorts of things, about the timing and whatnot, as we're moving
48 through this and thinking about all of this.

1
2 **CHAIRMAN POWERS:** I am skeptical about all of these pieces
3 falling into place, which is why I made my comment that we, as
4 individual SSC members, should be prepared for something less
5 than optimal and that we should be prepared to individually
6 justify our own positions relative to what an ABC might be based
7 on on the Red Snapper Count. Thank you.

8
9 Can we move to amberjack? The next agenda item -- I forgot what
10 the number was, but it was basically the amberjack research
11 discussion that Dr. Lorenzen, Kai, was going to present us, I
12 believe, and can we go ahead and move into that?

13
14 **DR. LORENZEN:** It's the last item for today, right?

15
16 **CHAIRMAN POWERS:** Unless we can -- We can't move anything from
17 tomorrow up to today, can we, Ryan? I was thinking of the
18 overage discussion.

19
20 **MR. RINDONE:** That is still scheduled for tomorrow. You mean
21 the carryover thing? That's still for tomorrow. Dr. Stephen is
22 scheduled to present that to you guys tomorrow. We already
23 moved the mutton thing up, and we dealt with that. Dr. Murawski
24 and Dr. Barbieri are both also tomorrow, with their
25 presentations.

26
27 **CHAIRMAN POWERS:** We also have to deal with the ABC for
28 amberjack.

29
30 **MR. RINDONE:** Which is also tomorrow, and so, yes, today, we
31 just have Kai's discussion of the Sea Grant and NMFS greater
32 amberjack research program, and then that ties us off for today.

33
34 **CHAIRMAN POWERS:** Okay. Kai, you have the floor until we get
35 tired of listening to you.

36
37 **DISCUSSION OF SEA GRANT/NMFS GREATER AMBERJACK RESEARCH PROGRAM**

38
39 **DR. LORENZEN:** Okay. Do you want to -- You have brought the
40 presentation up, and I am happy to go with that, if you want to
41 show it.

42
43 **MS. MATOS:** It's up to you. Do you want control, or do you want
44 me to keep it?

45
46 **DR. LORENZEN:** No, I think it's fine, and there is nothing
47 fancy. I will just tell you when to advance. Let me start by
48 saying that we -- When we put this on the agenda, it was sort of

1 a little unclear whether the RFP would have been released before
2 now, and it was due to be released on the 4th, and I believe it's
3 now due to be released on the 8th, and so what I wanted to do
4 here is to give you a bit of background on the visioning for
5 this program.

6
7 The reason we moved it to now, after we have had the discussion
8 about the Great Red Snapper Count and the incorporation of the
9 Great Red Snapper Count into assessments is that this is sort of
10 really, in a sense, the follow-up of the Great Red Snapper
11 Count, focused on greater amberjack, and I think moving it to
12 this spot has been very useful, because you now know what the
13 starting point here is, and I think we may be able to distill
14 some additional recommendations for the amberjack research
15 program from this discussion.

16
17 A quick overview of the greater amberjack research program, and
18 it's a \$10 million sort of multiyear research program
19 implemented by the National Sea Grant Office and NMFS. It's
20 managed by the seven Sea Grant programs from Virginia to Texas,
21 with Mississippi-Alabama Sea Grant as the overall lead, and
22 Florida Sea Grant was asked to do a regional visioning process
23 for this program.

24
25 The goal, overall, of this program is to develop additional data
26 sources, assessment approaches, and knowledge to improve agency
27 and agency-independent estimates of the abundance of greater
28 amberjack throughout its range. Range here should be read as
29 range within the continental U.S., and so it covers the Gulf and
30 the South Atlantic, but it doesn't cover the Caribbean or the
31 oceanic islands or anything.

32
33 The research program is divided into three phases, and there was
34 a visioning phase that is just about to conclude, and then there
35 is the implementing phase, where basically a request for
36 proposals will be issued and research done, and then there's a
37 documenting phase, where the research results will be documented
38 and passed off into use and assessment and management.

39
40 For the upcoming implementation and documenting phases, the
41 Mississippi-Alabama Sea Grant is in charge, and, for the
42 visioning phase, Florida Sea Grant took the lead on that, and
43 there is a steering committee that acts throughout that whole
44 program, and so, among the people we have on the call here,
45 Carrie Simmons is part of the steering committee, for instance,
46 and so she may be able to answer any questions that pertain
47 specifically to the steering committee.

1 I participated in the steering committee calls, but I'm not
2 technically part of it, and so we're having a bit of a
3 separation of church and state here, and the visioning feeds
4 into this process, but the steering committee is ultimately in
5 charge.

6
7 For the visioning phase, we identified recommendations from
8 several sources, and one of those was the congressional intent,
9 review of existing information, a situation assessment, and,
10 basically, we conducted stakeholder interviews throughout the
11 region, asking people about their perceptions of the state of
12 the fishery, the management, the use of science, and so on, and
13 so we did this very broad situation assessment.

14
15 We then developed a set of research recommendations that we too
16 took to regional listening sessions for feedback and eventually
17 derived a set of core recommendations that are really a
18 reflection, partly, of the very broad-based information
19 gathering from stakeholders that we did and review of existing
20 information and partly a result of what was understood to be the
21 congressional intent of this program, because the intent of the
22 program wasn't to spend \$10 million on anything that makes sense
23 in the context of greater amberjack, but it was understood to
24 place a strong emphasis on obtaining an absolute abundance
25 estimate and building on the methods developed for the Red
26 Snapper Count.

27
28 We accommodated that by essentially combining the information we
29 gathered from stakeholder interviews and reviews and on so with
30 the understanding of that intent, and so what we have ended up
31 with is a set of recommendations that essentially set out --
32 Recommendations for how this program should be structured or
33 what it should address, in a sense as an adaptation of what was
34 done for the Great Red Snapper Count.

35
36 This slide just gives you the regional listening sessions that
37 were held, and I do want to say that we did interview a number
38 of SSC members from our SSC and the South Atlantic SSC as part
39 of the original stakeholder interviews, and other members
40 participated in some of the listening sessions, and so there has
41 been some interaction with SSC members throughout this process.

42
43 Now what I want to give you is the big-picture recommendations
44 that we provided to the steering committee, and number one is
45 what we call the big three, to estimate absolute abundance and
46 characterize distribution and movements throughout the
47 continental range of the greater amberjack, and so this does
48 emphasize absolute abundance, but, at the same level, it

1 emphasizes understanding distribution and movements.

2
3 The rationale for that was that greater amberjack stock
4 components show extensive seasonal movements, which must be
5 accounted for when interpreting local abundance estimates, and,
6 also, the distribution and movement information will help
7 address stakeholder concerns about different regional conditions
8 and more regionalized management.

9
10 Regional exploitation rates can be estimated alongside movement,
11 for example in tagging studies, and will provide further
12 important information, and that an integrated suite of visual
13 and acoustic survey methods and tagging programs can address
14 these three.

15
16 I think, when you think over the discussions we are having now
17 about how to utilize the information that is coming out of the
18 Great Red Snapper Count, you see that understanding of
19 distribution movement and exploitation rates is really central
20 to making sense of the absolute abundance estimate and how that
21 information can be used in management, and so our recommendation
22 here reflects that, and, effectively, it asks for the
23 distribution and movement and exploitation rate components of
24 that research to be upweighted somewhat relative to the absolute
25 abundance estimate, rather than having that as the one main
26 thing, and it's those several things that have to be tackled
27 together.

28
29 The second is that there were a number of issues brought up to
30 do with surveying greater amberjack that are somewhat different
31 from issues encountered with red snapper, and so we're saying
32 here that it's important to address those issues, and that
33 includes difficulties differentiating greater amberjack from
34 similar-looking species, behavioral responses to survey
35 equipment, which seem to be much more pronounced in greater
36 amberjack than in red snapper, use of the full water column, and
37 accounting for these issues clearly is critical in developing
38 survey approaches. Also, there was a suggestion to include some
39 routine eDNA sampling with the survey, just as sort of an
40 independent check on estimates and species identification and so
41 on.

42
43 Then the suggestion was that the applicants for funding under
44 this program should be tasked with designing the specifics of an
45 approach to address the big three, and so the abundance, the
46 distribution, and movement that is appropriate to greater
47 amberjack, and the rationale for that was that estimating
48 abundance and characterizing distribution and movements

1 appropriately poses some challenges, given that we have more
2 limited a priori information on stock structure and movements,
3 and the known challenges that we have for red snapper, for
4 example, and, basically, it's saying that, rather than
5 specifying this down to the smallest detail in the RFP, the
6 applicants should be tasked with developing approaches that will
7 address these challenges and provide appropriate justification.

8
9 Overall, the approach should build on what was done in the Great
10 Red Snapper Count, but it also needs to allow for modifications
11 that account for important differences between red snapper and
12 greater amberjack.

13
14 Then we encouraged auxiliary sampling for life history
15 information and age composition and future genetic studies,
16 because the information on greater amberjack life history
17 reproductive parameters, like growth, natural mortality, and age
18 composition are comparatively poor, and improving life history
19 and age composition data has been identified in many SEDAR and
20 council research recommendations.

21
22 Samples of fin clips can easily be collected for future genetic
23 studies, and so, of course, is this similar to what was done, as
24 I understand, in the Great Red Snapper Count, and moderate
25 funding allocations for auxiliary sampling can help address some
26 of those long-standing recommendations.

27
28 Then we encouraged synergies with other and existing efforts,
29 and so there are many related ongoing survey and sampling
30 efforts, as well as parallel, and so there is the South Atlantic
31 red snapper count on the same timeframe, and there is previous
32 information, for example, from the red snapper count in the Gulf
33 and the Louisiana reef survey and the BOEM survey that have
34 information on greater amberjack, and applicants should be
35 encouraged to explore and leverage such synergistic efforts, to
36 basically enhance returns to investment.

37
38 Then there were a number of things that came up that were sort
39 of more distinct studies that were brought up by stakeholders in
40 our consultations, and so one of those was discard mortality,
41 which was frequently mentioned, and it was subject to very
42 different perceptions, and so some people felt there was very
43 little discard mortality in greater amberjack, and others felt
44 that there was a really major issue, and it seems that depends
45 on where you fish and how, and so that was flagged as a
46 priority.

47
48 It was also a priority, I think, in some of the research

1 recommendations from SEDARs, and recent increases in shark
2 depredation were frequently mentioned, and there were
3 suggestions to include that in some studies, and, also,
4 identification of spawning aggregations in space and time, with
5 respect to management, was brought up.

6
7 Where we are is we made these recommendations to the steering
8 committee in December, and, in fact, we gave them this same
9 presentation, and we also actually basically edited an initial
10 RFP document, with these recommendations in mind, and then
11 handed them back to the steering committee, and I will say I do
12 not know what the steering committee has done subsequently, and
13 so you will probably see some of those recommendations
14 implemented in the upcoming RFP, but not all of them.

15
16 We are still working on more detailed reports on some of those
17 outputs, and that will include information on additional
18 research priorities and management issues that are deemed
19 outside the scope of the greater amberjack research program, but
20 we don't want those things to be lost, because, for example,
21 those interviews, which we conducted with close to ninety
22 stakeholders across the region, provided a lot of useful
23 information that we don't want to be lost.

24
25 The visioning team will continue to monitor the SSC review of
26 the Great Red Snapper Count, as we're doing right now, and its
27 use in interim management advice and to identify possible
28 lessons for the greater amberjack research program, and this is
29 really, perhaps, a question that I want to pose back to the SSC
30 here. Are there things that, having looked at the previous
31 presentation and discussions, are there things that we should
32 add as recommendations here for the greater amberjack research
33 program?

34
35 I think that concludes it, and this just shows the visioning
36 team, and you can see there is a bunch of us from Florida Sea
37 Grant at UF, and then there were Sea Grant people from
38 throughout the regions who did the interviews and the listening
39 sessions and so on. This is just gives you the reference to the
40 visioning page, where the remaining products will turn up, in
41 due course. Thank you.

42
43 **CHAIRMAN POWERS:** Thank you. It sounds interesting. Are there
44 questions? Luiz.

45
46 **DR. BARBIERI:** Thanks, Joe, and thanks for the presentation and
47 review, Kai. Just out of curiosity, to understand how this ties
48 into our regular process for fisheries assessment and management

1 in the southeastern U.S., are you aware of the reasons behind
2 this study? I mean, what is it trying to achieve on a bigger-
3 picture scale, meaning we know we just reviewed the stock
4 assessment for greater amberjack, Gulf greater amberjack, this
5 week, and we know that we have a species that has a lot of data
6 needs, data gaps, that need to be filled.

7
8 Were those things -- Do you know if those things were taken into
9 account, or this is a lack of trust on the current assessment
10 results and a way to try and bring a separate number, kind of
11 similar to what happened with the Great Red Snapper Count?

12
13 **DR. LORENZEN:** All of the above. When we started this process,
14 we started out with a very broad look at research
15 recommendations and so on, and I think, if I can give you the
16 lowdown on the really where this is coming from, it's sort of a
17 continuation of the quasi-earmark that was there for the Great
18 Red Snapper Count, and it's sort of using basically the same
19 mechanism and applying that to a different species.

20
21 I don't know how they came up with greater amberjack, and, in
22 fact, some of the stakeholders we interviewed sort of expressed
23 a bit of a surprise, and it was, well, I don't understand why
24 anyone would spend \$10 million on greater amberjack, quote,
25 unquote, but one of the reasons is to do with the fact that the
26 stock has been overfished and undergoing overfishing for a long
27 time in the Gulf, and it was extended into the South Atlantic,
28 where the situation is very different, and so the South Atlantic
29 stock is less heavily exploited.

30
31 I think the -- I did mention, and it was made very clear to us,
32 by both the National Sea Grant office and the NMFS leadership,
33 that the intent was similar to the Great Red Snapper Count, in
34 the sense that Congress wanted an independent estimate of
35 numbers, and that's where the big emphasis on an absolute
36 abundance estimate that can be compared to the stock assessment
37 comes from, but, also, that would contribute to information to
38 future assessments, and we have done our best here to emphasize
39 that research recommendations that were highlighted in the
40 SEDARs, for example, and in council priorities should be worked
41 into this program, and so that's -- Most of those were to do
42 with things like maturity, and possibly estimating natural
43 mortality, and things like that.

44
45 Those recommendations, of course, did not ask for an absolute
46 abundance estimate, and they were more biological information,
47 akin to the information that we typically incorporate into stock
48 assessments, and requests for more extensive monitoring, long-

1 term monitoring, data, which is somewhat outside of the temporal
2 scope of this very short program.

3

4 **DR. BARBIERI:** Right. Okay. Thank you so much, Kai.

5

6 **CHAIRMAN POWERS:** Thank you. Bob Gill. Then Will Patterson.

7

8 **MR. GILL:** Thank you, Mr. Chairman. Thank you, Kai, and I may
9 have missed it, but would you talk about the participation in
10 the workshops, the range of participants in all those workshops,
11 and was it high or low? How was it?

12

13 **DR. LORENZEN:** In the -- I don't remember all the exact numbers,
14 but I would say, in the final listening sessions, it was not
15 super high in range, from a handful to about twenty, but I do
16 want to emphasize that we did do in-depth interviews with close
17 to ninety individual stakeholders, and I'm talking about hour-
18 long, or longer, interviews, and that was fairly evenly
19 distributed throughout the region, and it had about thirty each
20 of commercial and private recreational and charter stakeholders
21 in the fishery, as well as some researchers and managers, and so
22 there was quite a lot of input from that side.

23

24 **MR. GILL:** Excellent. Thank you, Kai.

25

26 **CHAIRMAN POWERS:** Thank you. Will.

27

28 **DR. PATTERSON:** When Kai mentioned the big three here, and the
29 number-one being an estimate of greater amberjack abundance,
30 when I read the early materials on this from Congress, and then
31 from Sea Grant, when they were soliciting proposals from the
32 various state Sea Grants about who might lead this, given it
33 went from North Carolina to Texas, I didn't see that idea of
34 abundance being sort of the central issue.

35

36 I was encouraged by that, because greater amberjack is not red
37 snapper. There have been more studies and more work done on red
38 snapper than maybe any fish in the world, and there could be
39 another one out there, like Atlantic cod, or bluefin tuna,
40 maybe, but, anyway, we just have a multitude of studies and
41 information on red snapper, and we have an incredibly data rich,
42 highly-parameterized stock assessment for red snapper.

43

44 As I look at this, I think about greater amberjack, and, on the
45 one hand, we just reviewed an assessment that there was quite a
46 bit of uncertainty that we discussed, and we had debates about
47 best available science and what's going on with amberjack and
48 why are we always on this same loop, it seems, like Groundhog

1 Day, with greater amberjack assessments.

2
3 Maybe, in that context, an independent assessment of abundance
4 would be quite useful, and the red snapper project was twelve-
5 and-a-half-million dollars, and this amberjack project is
6 supposed to be -- It's funded for \$10, with some of that money
7 already removed for this visioning process, and it also is 50
8 percent greater shelf, including the U.S. Atlantic coast from
9 North Carolina to Florida.

10
11 I mean, it's going to be tough to pull off an abundance study on
12 amberjack, for the behavioral issues and lots of other things,
13 but it's also -- You know, there's so much unknown about their
14 biology and their migratory patterns, and I don't know. Just
15 putting those into the category of other information that could
16 be collected, it seems to me that that should be the focus of
17 this, is the biology of the fish and trying to estimate some of
18 these basic biological parameters that we don't have, and that
19 could have a much greater impact on the assessment and the
20 management of amberjack, and that's what I read in the material
21 that I saw, was improving the assessment and management of
22 amberjack, but maybe I just missed what the ultimate goal of
23 this was, or is.

24
25 **DR. LORENZEN:** Well, I don't disagree with that view, and I
26 think we really upweighted the movement and migration aspect
27 here, and so remember that is part of what we call the big
28 three, and that, I think, is something that really came out of
29 the visioning as a much greater priority than was perhaps
30 anticipated originally.

31
32 We did have multiple calls with Sea Grant leadership and with
33 the Science Center and so on, and it was made very clear that
34 the read of both of those on this request was that an absolute
35 abundance estimate was sort of the highest priority, and I don't
36 necessarily personally agree with that, but what it made clear
37 to us, I think, is that we had to work as much of those other
38 identified priorities into this program that basically came out
39 with a very strong prior on producing an absolute abundance
40 estimate, and I think we have done that, to the extent possible.

41
42 As I said, there is emphasis particularly on movement, and there
43 is emphasis on bringing that basic biological information in,
44 and I would say, also, that we did have quite a broad range of
45 priorities for biological information, and there was not one
46 particular thing that stood out, and so it wasn't like, well, we
47 have identified this and this and this as really much more
48 important than getting an absolute abundance estimate also, but

1 there was quite a broad range of things that we don't know well,
2 and we have sort of aimed to combine as much of that as possible
3 with this major thrust to have an absolute abundance estimate.
4

5 I think it's a bit of a compromise between the congressional
6 intent and the other considerations and priorities that were
7 previously identified, but I do think that the overall
8 recommendations here will serve to give us a good amount of
9 useful information.

10

11 **DR. PATTERSON:** Thanks, Kai.

12

13 **CHAIRMAN POWERS:** Thank you. Any other questions or comments?

14

15 **DR. LORENZEN:** If I can add sort of one thing, and I think Luiz
16 asked about how does this relate to our normal processes, and,
17 of course, I have thought about that too, because this is a
18 little bit outside the way we usually do things with requests
19 from the SSC or the council to provide certain bits of
20 information and so on, and this originates from a congressional
21 request.

22

23 One thing that I think is clear, from looking at how the Great
24 Red Snapper Count unfolded and the incorporation into management
25 that we're discussing now, is that -- Maybe one of the lessons
26 from that would be to say maybe there should be more involvement
27 of the SSC, SSC members, outside the contractors or grantees
28 here, in the design and analysis of the study, so that, instead
29 of having the situation where, at the very end, we are presented
30 with a report as-is, to bring this more into the usual process
31 we have, with people being involved in multiple stages of an
32 assessment.

33

34 This is not an assessment, because this is sort of really more
35 of a data collection exercise, but it's a question I have been
36 sort of struggling with a bit, is how we can bring this more
37 into the normal process of doing things.

38

39 **CHAIRMAN POWERS:** Thank you. What congressional delegation was
40 the driving force behind this?

41

42 **DR. LORENZEN:** I believe Alabama.

43

44 **CHAIRMAN POWERS:** Okay. You can kind of -- Judging that, you
45 can kind of guess, in terms of what the expectations are in the
46 overall objectives, and so I think it's important to know that.

47

48 **DR. LORENZEN:** I think Senator Shelby was the main protagonist.

1
2 **CHAIRMAN POWERS:** All right. Good. Any other questions about
3 this?

4
5 **DR. GALLAWAY:** Joe, if I may ask a question.

6
7 **CHAIRMAN POWERS:** Sure.

8
9 **DR. GALLAWAY:** Kai, the Great Red Snapper Count pointed that
10 that different methodologies were required in different regions,
11 owing mainly to factors such as turbidity, et cetera. Will
12 there be more of a regional context to this study, or will it
13 still be managed as one large project with many participants
14 working under a central management scheme?

15
16 **DR. LORENZEN:** That is -- So we did bring out those regional
17 differences, and those were brought out within the Gulf, but
18 also, in particular, between the Gulf and the South Atlantic, as
19 you can imagine, and how -- In terms of the contracting, how
20 that would be dealt with, I don't know, and that's something
21 that is now up to the steering committee, and so we were not
22 asked to examine that, and we were looking at what should be the
23 science components of this.

24
25 I don't know how that -- What that will look like when the call
26 comes out, and I think one could imagine a separate South
27 Atlantic and Gulf team, or one could imagine something combined,
28 and, also, I think there is a tension, obviously, between the
29 need to coordinate, and not only coordinate, but to cross-
30 calibrate and so on between regions with different
31 characteristics and so on, and, at the same time, having
32 approaches that are most suited for those places, and, in
33 principle, I think that need is a little separate from how you
34 organize it.

35
36 You could have the model of the Great Red Snapper Count was one
37 big team, but there is actually a fair bit of regional
38 variation, down to sub-teams, and, to my mind, one could do the
39 same thing with a larger number of smaller teams that somehow
40 have to coordinate, or one could do it with a big team that has
41 sub-components, but that was left to the steering committee to
42 consider, and so we didn't look at that aspect of how to
43 organize it.

44
45 **DR. GALLAWAY:** The main reason for that question is it bears on
46 the proportional cost that is dedicated to management versus
47 science and how that is best approached to maximize the science,
48 and so that was part of the reason for the question. If there's

1 one group managing, it's a pretty full-time job, I'm sure, and
2 Greg could probably give another talk on that.

3
4 **CHAIRMAN POWERS:** All right. Thank you. Any other questions
5 with this? If not, then I think we're done for the day, but,
6 before we do, let me ask a question to either Dr. Siegfried,
7 Katie, if you're on, or Shannon. Do we still have the
8 expectation of getting the amberjack information first thing in
9 the morning?

10
11 **DR. SIEGFRIED:** Yes, that's correct.

12
13 **CHAIRMAN POWERS:** What I would like to do is have it available
14 for people first thing in the morning, and then, while the other
15 talks are going on, we can multitask and kind of take a look at
16 it before whatever presentation you make, just to kind of make -
17 - I am trying to get everybody -- To make sure we're up-to-speed
18 as soon as you begin your presentation, and so if that's
19 possible. Thank you.

20
21 With that, then we are done for the day, and tomorrow we have
22 the remaining items, which were the Steve Murawski, the gag
23 grouper, the amberjack, and the carryover. I believe we made
24 the agreement to begin with the protogynous gag grouper
25 presentation and Dr. Barbieri. Thank you, and so we'll meet
26 again at nine o'clock in the morning. Thanks.

27
28 (Whereupon, the meeting recessed on January 6, 2021.)

29
30 - - -

31
32 January 7, 2021

33
34 THURSDAY MORNING SESSION

35
36 - - -

37
38 The Meeting of the Gulf of Mexico Fishery Management Council
39 Standing and Special Reef Fish, Ecosystem, and Socioeconomic
40 Scientific and Statistical Committees reconvened via webinar on
41 Thursday morning, January 7, 2021, and was called to order by
42 Chairman Joe Powers.

43
44 **CHAIRMAN POWERS:** Good morning, everybody. Welcome to the third
45 day, final day, of the meeting. We have a number of things on
46 the agenda today, and they are the presentation and discussion
47 relative to gag grouper by Dr. Barbieri, the habitat research
48 presentation and discussion by Dr. Murawski, discussion of

1 carryover presentation by Dr. Stephen, and then addressing the
2 amberjack OFL and ABC, and public comment.

3
4 We're going to go until we're finished, and I wasn't planning on
5 breaking for lunch or anything, and so we'll have appropriate
6 ten-minute breaks, but we'll just go until we're finished.
7 First off, have those projections been made for the amberjack?

8
9 **MR. RINDONE:** They have, and they should be up on the website,
10 and I think Jess sent them around to everybody, or she's about
11 to.

12
13 **CHAIRMAN POWERS:** If you could email them to me, because, while
14 I'm talking, I don't want to be searching around the website.

15
16 **MR. RINDONE:** They will be on way momentarily.

17
18 **CHAIRMAN POWERS:** All right. Thank you. Then let's begin then
19 with the Testing Assumptions about Sex Change and Spatial
20 Management in the Protogynous Gag Grouper. First is the
21 presentation, and then we'll get into discussion. Dr. Barbieri.

22
23 **REVIEW: TESTING ASSUMPTIONS ABOUT SEX CHANGE AND SPATIAL**
24 **MANAGEMENT IN THE PROTOGYNOUS GAG GROUPEr, MYCTEROPERCA**
25 **MICROLEPIS**

26
27 **DR. SUSAN LOWERRE-BARBIERI:** Thank you. First, I would like to
28 thank all of you for being willing to let me stick with this
29 morning spot. Yesterday afternoon was overscheduled, and it did
30 in fact blow up, and so it was really helpful that you guys were
31 willing to do that. I will try and keep this as short and
32 sweet, so there's time for discussion, as possible. I know
33 you've got some extra things you're going to fit in today.

34
35 The bottom line is really looking at what are the drivers of sex
36 change in gag, how many are out there, and so the sex ratio,
37 male sex ratio, and does it matter.

38
39 A little background, and not so much about me, but my research,
40 in terms of reproductive potential and putting it into this
41 ecological concept of reproductive success and how babies are
42 made in marine fish is really quite different, or at least in
43 terms of the traits that impact population growth is quite
44 different, than what you see in something like whitetail deer,
45 and spatial and temporal traits can have a really big impact on
46 reproductive success, basically where and when you spawn.

47
48 There have been a number of fairly recent papers coming out

1 highlighting that there may not be a really strong relationship
2 between adult abundance and recruitment. I think anybody who
3 has dealt with spawner-recruit relationships is already familiar
4 with that, and genetics also supports this, that you have a lot
5 of fish, adults -- You can have a large adult census abundance
6 without necessarily having proportional numbers that actually
7 produce offspring that survive.

8
9 This led to this concept of the reproductive resilience paradigm
10 in a paper, or a couple of papers, but this paper that really
11 targets this. I am working with some brilliant, much smarter
12 than me, scientists to bring this together, and Claire Paris has
13 done a lot with the early life history work, and Steve Cadrin
14 has done a lot with modeling and the importance of spatially-
15 explicit stock assessments and a geneticist.

16
17 The idea being, again, that there are these traits, in addition
18 to fecundity, or adult abundance, that will have a major impact
19 on reproductive success and population growth and that they need
20 to be considered -- That they will be species-specific and that
21 they need to be considered in some cases, with gag really being
22 the poster child for this, in that they have a very complex
23 spatial ecology, and they are also protogynous species, and so
24 they start out as females, larger older fish turning into males,
25 and there is some concern about low male sex ratios and sperm
26 limitation.

27
28 The way I set up this talk, and, in all honesty, I was
29 desperately trying to remember what I said in this talk this
30 morning, before signing on, and so I'm going to refresh a little
31 bit, or just review, the results of the 2014 assessment and what
32 were considered knowns and known unknowns at that time, and then
33 I will get into our study and what we found, and then some
34 thoughts, in terms of putting this into perspective with other
35 protogynous species and the need to integrate combined sexes to
36 estimate reproductive potential in gag.

37
38 I think a lot of you, if not all of you, were involved or
39 reviewed the 2014 gag grouper stock assessment. The big take-
40 home message was that you got very different results, in terms
41 of stock status, if you used female only or combined sexes as a
42 measure of reproductive potential.

43
44 The combined sexes did not seem realistic, given that it
45 suggests that gag have been overfished most of the whole time
46 since the 1960s, and there were some estimates of only about 2
47 percent male sex ratios out there, including based on the ages
48 and age at transition within the stock assessment, but the two

1 studies that were showing that had really low sample sizes, and
2 so, taken all together, it just didn't seem like this was a
3 realistic picture of what was going on, given that there have
4 been MPAs put in place to protect gag spawning aggregations and
5 the males, which are believed to stay out there year-round.

6
7 There were a number of uncertainties identified. One was that
8 really rapid increase that was associated with two year classes,
9 2006 and 2007, and headboat indices, and there was some concern
10 that maybe that was being overly weighted. Obviously, the
11 female versus combined sex is SSB, and the video and catch-based
12 indices did not show much agreement, and the stock-recruitment
13 relationship for gag is fairly uninformative, and steepness was
14 set at 0.85.

15
16 In terms of ecology and what was accepted at that time, as I
17 mentioned, they are protogynous, and they are believed to
18 aggregate to spawn at the shelf edge and that males remain in
19 these deeper waters, where females migrate back to shallower
20 water and undergo spawning migrations.

21
22 They are believed to form spawning aggregations from December to
23 May, with peak spawning in February and March. They have a long
24 pelagic larval duration, and it just seems crazy that they spawn
25 at the shelf, but have nursery areas in the estuaries. It's a
26 long distance, and a long time, and lots of time for their
27 offspring to die in between.

28
29 Sex change is believed to occur only on the spawning grounds, or
30 almost exclusively on the spawning grounds, and to be mediated
31 by social interactions, male abundance or relative size of the
32 fish within the aggregations, and that this would occur within
33 the spawning season or just after it.

34
35 Once a fish had gotten the cue to transition to male, it would
36 act like a male and remain on the spawning grounds. These were
37 the concepts that led to the belief that forming marine
38 protected areas, protecting the spawning aggregations, would
39 have this excellent, excellent protection for reproductive
40 potential, because not only would you be protecting females when
41 they were spawning, but you would be protecting all the males,
42 once they got the cue, within those areas, and so, based on
43 that, some modeling efforts.

44
45 One by the Heppell suggested that MPAs would result in 15
46 percent male sex ratio, and then one with Joe and Robert Ellis
47 integrated potential male density kind of feedback loops and
48 suggested 5 percent as a potential increase in the MPA.

1
2 As you guys know, gag are highly regulated, and so they have a
3 minimum size, and they have area closures, and they have spatial
4 management and an IFQ for commercial fishermen. Certainly you
5 would think that, with this amount of regulations, we would have
6 a healthy stock, but some things that aren't known, or weren't
7 known, anyway, were the efficacy of the MPAs to increase male
8 sex ratios, and so models suggest this would be helpful, and at
9 least the Heppell model suggested it would get them back to 15
10 percent, which is close to the historic level, but that hadn't
11 been tested.

12
13 We really didn't have a good handle on sex ratio and whether we
14 had improved the sex ratio since the 1990s, when there was
15 concerns about sperm limitation. There is poor understanding of
16 sex change in general, and not just gag, but all protogynous
17 species, except for blue-headed wrasse, and what cues sex
18 change, and, also, of course, the million-dollar question is
19 what is the optimal male sex ratio for stock productivity.

20
21 **MR. RINDONE:** Sue, I think we lost you there. Are you still
22 there?

23
24 **DR. BARBIERI:** I think she got disconnected from the Wi-Fi. The
25 Wi-Fi probably blipped. I am actually in my separate home
26 office in the garage, and I can go in there and kind of let her
27 know, because she may not know, or notice.

28
29 **MR. RINDONE:** Thanks, Luiz. We'll just hold for station
30 identification then.

31
32 **DR. BARBIERI:** Okay.

33
34 **DR. LOWERRE-BARBIERI:** Hello. Sorry about that brief interlude
35 there. My internet went out, and I hope you guys got extra
36 coffee. What was the last slide that people heard me talk
37 about?

38
39 **MR. RINDONE:** The sex cues and poor understanding of sex change.
40 You were talking about how most folks are probably familiar with
41 the disconnect between the proportion of males and females and
42 how gag spawn offshore and it's remarkable the great distances
43 that they travel inshore as larvae into the estuaries, and then
44 you were talking about the sex cues that they experience once
45 they're offshore, related to their hermaphroditism.

46
47 **CHAIRMAN POWERS:** It was Slide 9.

48

1 **DR. LOWERRE-BARBIERI:** Okay. So moving on to Slide 10, and so
2 to our actual study, which was from 2016 to 2018, and our
3 objectives were to look at the spatial ecology.
4
5 **MR. RINDONE:** We can't see your presentation just yet.
6
7 **DR. LOWERRE-BARBIERI:** What do you see?
8
9 **MR. RINDONE:** We see Luiz confined to the garage for bad
10 behavior. Now I see testing assumptions about sex change and
11 spatial management, et cetera.
12
13 **DR. LOWERRE-BARBIERI:** Yes, and so I'm trying to get -- Because,
14 on mine -- Do you see it now?
15
16 **MR. RINDONE:** No. If you would like, we can pull it up on our
17 end, and you can ask Jess to advance the slides for you.
18
19 **DR. LOWERRE-BARBIERI:** That might be a good idea.
20
21 **MR. RINDONE:** Okay. We'll do that now then.
22
23 **DR. LOWERRE-BARBIERI:** Thanks, Jess. Sorry. This was working
24 in the test, and I'm not sure what happened, but I guess that's
25 the excitement of the digital age. Okay. So this is, finally,
26 to our actual research and what our objectives were.
27
28 We wanted to assess the spatial ecology, specifically in terms
29 of understanding pre-spawning aggregations that we had heard
30 form in the fall and early winter, prior to females migrating to
31 deepwater spawning sites, as well as this idea of males staying
32 there year-round, while females leave after the spawning season.
33
34 Estimate the current male sex ratio and how it differs with
35 spatial management, and what I mean by that is, obviously, the
36 hypothesis was you would have higher sex ratios in the MPA, in
37 Madison-Swanson, and presumably intermediate in the area
38 closure, in the Edges to the south, which is closed for the
39 spawning season from December through April, and the lowest in
40 an open area, which we sampled to the northeast of Madison-
41 Swanson.
42
43 Then we assessed where and when sex change occurs and its
44 relationship with size and age, and then, to put it in context,
45 the sex ratios we've seen with gag, with what was reported in
46 prior studies, as well as other protogynous species.
47
48 I am not going to go into a lot of detail, in terms of the

1 methods, but the important thing to get from this slide is to
2 the right, the map, and so, in this study, in this paper that
3 you guy have in your packets, we used data from our three-year
4 study, which, as I mentioned, was at the MPA and the Edges, and
5 that's A and B, those little green dots, and data contributed
6 from a fisherman that we collaborate with, and that's C, and
7 that's the nearshore pre-spawning aggregations.

8
9 Then the other markers on that map are data that came from our
10 fishery-independent monitoring survey, which we integrated into
11 the study, and that was fish that they began to collect in 2009,
12 and it gave us a much larger spatial distribution to put our
13 results in context. We also had samples from the fishery-
14 dependent monitoring sampling, but we didn't have locations for
15 those.

16
17 The two methods we used for collecting data were videos, and we
18 have what we fondly call the PICA video, which is a camera
19 system with three cameras to give us a close to 360-degree view,
20 and it's really more like a 300-degree view, to get abundance
21 and behavior.

22
23 Then, for the capture-based samples, we took a wide range of
24 biological data. For sex, we looked at pigments and took
25 photos, as well as trying to macroscopically assign sex based on
26 the gonads, which turns out to be impossible. Gonadal tissue
27 for histology, blood for hormones, and then, obviously, size and
28 age.

29
30 First, to our results, in the first hypothesis we wanted to
31 test, it was about those pre-spawning aggregations. They do
32 consistently form in shallow waters, at least based on what
33 we've seen from our collaborative fishermen and some preliminary
34 sampling we've done since, and so his site is where that little
35 yellow star is, and he consistently captures high numbers of gag
36 at those sites, starting in about November, and so as soon as
37 the cold fronts start going through until about February, and
38 then the catch drops off.

39
40 He reached out to us in 2016, and he was getting good catches,
41 and we collaborated with him before, and we still collaborate
42 with him, and asked if we would like to get some gonadal samples
43 and look at development, which we did.

44
45 On that day, he caught 100 fish, 100 gag, and the largest ones
46 we got gonadal samples from, and a number of those were
47 beginning to develop, and they were all female, but, just to put
48 it in comparison, his 100-catch day, the maximum catch we ever

1 had in Madison-Swanson was twenty-three, and that was with four
2 fishermen, one of those being the deckhand, and we chartered a
3 very highly-reputable fisherman to charter those trips, and they
4 were multiday trips, and so we were out there all day fishing,
5 and I have a number of really good fishermen within my lab, and
6 so I'm sure fishing experience might have played some role, but
7 not a four-fold role in those numbers. We've also done some
8 preliminary sampling at those nearshore areas, and, yes, catch
9 per unit effort is much higher there than in Madison-Swanson.

10
11 Another hypothesis was looking at do gag in fact spawn only in
12 deepwater sites and this idea of sexual segregation, with males
13 staying there and females migrating to and from the spawning
14 sites, and you can see, in this graph, males on the left, and
15 they're blue, and females are on the right, and they're red, and
16 it's pretty conclusive that males do in fact use the deeper
17 water and stay in the deeper water.

18
19 The results are a little more critical, in terms of females, and
20 we do see females in those same areas, obviously, during the
21 spawning season, and that's where actively-spawning females have
22 been captured, and we determined the spawning season, and,
23 actually, rather than December through May, we only saw active
24 spawners from 1 February through 18 April, through mid-April,
25 and only in these deeper depths, again, and so sixty-five to
26 ninety-nine, and so, yes, they are spawning in deeper water.

27
28 The males do appear to stay in the deeper water year-round.
29 Males were captured from forty-nine to 128 meters, and the
30 spawning season is a little shorter than previously believed.

31
32 Do they form spawning aggregations? We didn't find any strong
33 evidence of this, and, in fact, even the historic record
34 suggests really small aggregations, never more than a hundred
35 fish, and there were always more scamp than gag. I think, when
36 many people think of spawning aggregations, we think of Nassau
37 grouper and just these masses of fish, and you can see the
38 picture below the Nassau grouper is the most gag we ever saw,
39 and, in fact, there are three more in that frame, and you can
40 see some of the special things that we saw through reviews to
41 identify them, but you can see nine there, and I think twelve is
42 the highest number of gag we ever saw on the video.

43
44 Looking at a couple of different indicators of changes in
45 density with the spawning season versus outside of the spawning
46 season, and so that's the table here at the bottom, and mean
47 catch per unit effort in the spawning season is S, versus non-
48 spawning season to the right, and you can see there's not a

1 whole lot of difference there, and it did not differ
2 significantly, and that would be the best indicator that you
3 actually have spawning aggregations.

4
5 Looking at maximum catch per unit effort in the spawning season,
6 versus outside the spawning season, we did see increased levels
7 with the spawning season, which makes sense if females are
8 migrating there, and it looks like they are. In terms of the
9 maximum number that were captured in a fishing event, we also
10 saw increases with the spawning season, and that was in the
11 Edges.

12
13 In terms of numbers on the video, gag are just really camera
14 shy, and they're usually right on the edge of what you can see,
15 and it's really interesting. A number of species, when you put
16 your camera in, will just zoom right up to see if there's food
17 involved, like greater amberjack and red snapper and porgy, and
18 the gag just are very standoffish, and so it's hard to tell how
19 well video estimates abundance of gag, but, at any rate, we did
20 see an increase outside the spawning season in the open area,
21 compared to within the spawning season, which was really cool.

22
23 Chris Koenig, who collaborated with us and shared all of his
24 past expertise and knowledge, had said that this was a pre-
25 spawning aggregation, and we didn't see fish there, or in any
26 numbers anyway, until the third year, and then we saw these
27 increased numbers.

28
29 Again, the spawning season, and it looks like I wrote it
30 correctly here, was from February through mid-April, and there
31 was consistently spawning activity in Madison-Swanson and at the
32 Edges. I don't think spawning had been documented at the Edges
33 before, but we did not have evidence of spawning aggregations.

34
35 Obviously, it would be really helpful, in terms of trying to
36 estimate sex ratio and determining what months you get
37 representative samples of both mature females and males, to
38 better understand these migrations, and so, back to looking at
39 females and whether they migrate, we looked at depth as an
40 indicator of habitat and development state, to get an idea of
41 whether they would in fact demonstrate what you would expect if
42 you have all of your spawning offshore and fish are beginning to
43 develop inshore and moving offshore to spawn and then returning.

44
45 In fact, our data did support that hypothesis, but one of the
46 things that I want to point out is this regenerating, the box to
47 the furthest right, of this huge range, and this is because we
48 saw a really high number of regenerating females on the spawning

1 grounds as well, and so this idea of whether they all leave,
2 probably not.

3

4 We did sample in June, July, and October, and 85 percent of the
5 catch was female, but, without a way to electronically track
6 individuals, we can't confirm for sure that those females stay
7 there year-round, but it looks like they do, and this high
8 percentage of regenerating is actually rather disturbing. 33
9 percent of the females during the spawning season were
10 regenerating, and that suggests skipped spawning.

11

12 Just to further address this issue of female migrations, we
13 wanted to look at the age distribution, to see if we could get
14 an understanding of how many females might stay in the MPA,
15 based on this first year of sampling, which you can see, over on
16 the right in the bar graphs, the top graph, and you can see
17 higher than what you would expect from a typical age
18 distribution number of six-year-olds, and that would be the 2010
19 year class, but you can't follow that through in consequent
20 years, and so, assuming that all ages classes have the same
21 catchability, the decrease in this 2010 year class has to have
22 come about because those fish left the MPA, assuming there
23 wasn't exceptional poaching of that particular year class, and
24 I'm assuming there wasn't.

25

26 It does look like female migration is the most common behavior,
27 although you have some females that stay there, and then I just
28 wanted to add that marker there, again, on the bar graphs for
29 2006, since those are supposed to be the high year classes, 2006
30 and 2007, and we didn't see anything, in terms of year class
31 distribution, from the spawning grounds at any rate, that
32 suggested that those were higher than expected, that there was
33 higher than expected abundance in those year classes.

34

35 To the meat of what we were funded to estimate, and that is the
36 sex ratio, and what did we find? Sex ratio varies with month,
37 and we sampled from December through May, and you would expect
38 that, right, if females are migrating to the spawning grounds.

39

40 Given our understanding of the spatial ecology of gag, and that
41 females are migrating to the spawning grounds, the only time you
42 can get a representative sample for sex ratios is going to be
43 during the spawning season, and so the sex ratio in Madison-
44 Swanson during that spawning season, and so from February
45 through mid-April is 5 percent. Outside of the MPA, it was
46 considerably lower than that, and I think that's one the next
47 slide.

48

1 Anyone who hasn't seen a copper belly, the photograph on the
2 left -- That's what the scales actually look like, and it can be
3 easy for observers to think that a fish with a dark belly is a
4 copper belly if they have never seen a copper belly, but the
5 males actually do have these very distinct black pigmentation,
6 and we did find that to be a very good indicator of sex, much
7 better than macroscopically staging the gonads, although we have
8 also found some males that do not have this pattern in our
9 current study in more southern waters, and that's the sex
10 ratios.

11
12 The bars that you can see, the top two are the Edges, and
13 females on the left and males on the right, and then the bottom
14 is Madison-Swanson. The take-home message is a lot more fish
15 with better age distribution in Madison-Swanson, which is what
16 you would hope with an MPA, and it does look like that in fact
17 is working.

18
19 It's much lower in the Edges, but they still have some of the
20 older fish, and no Category 4 fish, and so no fish sixteen-plus,
21 but some fish up to fifteen years old, but then, when you look
22 at the males, that one single male out there is pretty
23 disturbing. In fact, our effective sex ratios for the Edges and
24 the open area was zero percent, and, looking at the sex ratio in
25 all of the fishery-independent samples, over multiple years, it
26 was only 1 percent, and so this raises concern that in fact we
27 do have very low male sex ratios.

28
29 If you have a population where the male component is increasing,
30 as was expected with MPAs, you would expect both your male sex
31 ratio and your age at 50 percent transition to increase, and
32 what we found is that sex ratio did not increase, or at least
33 not to historic levels, which were about 15 to 17 percent, but
34 age at transition did, and so age at transition historically has
35 been 10.9 years, and that's what has been used in the last
36 several stock assessments, but, in Madison-Swanson, it was
37 thirteen.

38
39 Looking at the size and age distributions of males and females,
40 like previous studies, there were really significant differences
41 in size and age, without a whole lot of overlap between the two,
42 but we did find some small males, and so males as small as 623
43 millimeters, which suggests that there is not a physiological
44 reason why younger males could not occur, but there's something
45 else driving this lack of small males and the ability for the
46 stock to adjust to age truncation.

47
48 As I mentioned in the beginning, the dogma was that sex change

1 only occurs on the spawning grounds, and it occurs primarily
2 after the spawning season, and so April and May, and
3 transitionals are extremely rare. Out of our thousand-plus
4 samples, we only got eight, but what's really important about
5 these eight is that they were distributed throughout this period
6 of December through May, and they were distributed over space,
7 including one collected from our collaborative fisherman there
8 at D, and that one was 675 millimeters, and so what you can see
9 there is that there probably is a feedback loop, in terms of
10 size, what's driving the size of a male at transition, with the
11 smallest occurring in female-only spawning aggregations, because
12 those females are going to be smaller to start with.

13
14 Then, if you look at the Edges, we have the transitional at 845,
15 but, in Madison-Swanson, it's 1,000, and so that makes sense, if
16 there is a social component and a size-driven component of who
17 transitions, but, again, the take-home important point here is
18 that you can get transitions in these pre-spawning aggregations.

19
20 That changes our understanding of what drives transition, and we
21 had thought that it would only occur in spawning aggregations
22 with males there, this idea of sizing-up the sex ratio, but, in
23 fact, that's not the case, and it may, even on the spawning
24 grounds, be driven primarily by female-to-female interactions,
25 aggressive interactions, and certainly, in pre-spawning
26 aggregations, that's what we hypothesize is the case, is that
27 the largest, most aggressive females are the ones that get the
28 cue to change to male.

29
30 This has been done in some other protogynous species as well,
31 and we think this will probably end up being something that is
32 more commonly seen, once people start looking.

33
34 We do have some fish that transition on the spawning grounds,
35 and, as shown in Ellis and Powers, the sex change there is going
36 to be moderated by male abundance, and so you probably -- You
37 may not get to the sex ratio that you need to, if that is just
38 an enclosed area, and potentially you also aren't getting these
39 smaller fish recruiting there.

40
41 Down at the bottom panel, you can see by sex and depth, right,
42 and so nearshore, and these are females that have recently
43 recruited to the fishable population, and they're mature.
44 They're at fifteen to twenty-two meters, and you can get some
45 transitionals.

46
47 Then you have mid-water foraging habitat for larger, older
48 females, and this was shown really nicely in Caruthers, and you

1 do get these spawning migrations to deepwater spawning sites,
2 where males stay.

3
4 In terms of sex change, it's not just going to be based on size
5 and individual reproductive value going up when you're larger or
6 older, but it's also being mediated by the mating group, and so
7 what do I mean by that?

8
9 If you have something like red grouper, that are harem, but
10 they have widely distributed harems, fairly isolated from each
11 other, if you take one, but take the male out, you have to have
12 rapid transition, or else you lose a whole season of
13 reproductive effort for that group, and that's what we see in
14 blue-headed wrasse, which is the best understood protogynous
15 species, and there's a very rapid transition.

16
17 If you have something where you have harems that are
18 overlapping, and you can have a male that will just take over
19 another male's territory, you don't need that rapid transition.
20 If you have spawning aggregations, you don't need that rapid
21 transition, because taking one male out won't have the same
22 impact on reproductive output, and, if you have leks, you won't
23 have the same situation.

24
25 Leks are something that happens commonly in terrestrial mating
26 systems, and it's not as common in fish, although it's been
27 reported for a couple of species, the idea being that males
28 aggregate in a certain habitat and compete for females and to
29 mate with them. In gag, although I think I have a slide that
30 shows that later, but gag do appear to be peer spawners as well,
31 which supports this hypothesis of a lek mating strategy.

32
33 Looping back to stock assessments and why any of this matters to
34 stock assessments, in the 2016 updated report on gag, there was
35 concern raised by fishermen, and others, in terms of those
36 2006/2007 year classes, and that might be unrealistic, and the
37 continuity model, in fact, showed less of an increase.

38
39 There were some concerns about the data in the model and how
40 much emphasis should be put on management advice from this
41 model, and then one of the things that I think is a red flag and
42 supports our idea that it looks like there's not a lot of gag
43 out there is that commercial fishermen aren't meeting the quota.

44
45 Given the price per pound for gag, that seems like a really
46 clear indicator that maybe that's because there aren't a lot of
47 gag out there to catch, and so our results, again, we did not
48 find aggregate behavior on the spawning grounds, but we did

1 increase spawning aggregations where fishing pressure is high,
2 because it's closer to shore, and this is the population that is
3 just recruiting to adulthood, ages three to six, including some
4 males.

5
6 Spawning reserves do not fully protect the male recruitment
7 process, and potentially a lot of the fish that would turn into
8 males are being captured before they can get through the
9 gauntlet to the spawning grounds. Madison-Swanson, the most
10 productive spawning grounds in the Gulf, has a male sex ratio of
11 about 5 percent. Outside of the reserve, it looks like it may
12 be as low as 1 percent, and what we saw was not what we
13 captured, but that's just in terms of the video versus capture-
14 based sampling, and there was pretty poor agreement between
15 those two, and, again, I think that has to do with gag behavior.

16
17 Can gag male sex ratios really be this low? So, since I didn't
18 believe this the first go-round, before I started this research,
19 I want to hammer home why I think they really are this low.
20 Chris shared with me his reports from a similar study in 2011,
21 and he got similar results, in terms of sex ratios in Madison-
22 Swanson. The approximate 1 to 2 percent sex ratios that it
23 looks like is occurring in unprotected areas is similar to the
24 two studies that provided sex ratio data to the last assessment,
25 and the stock assessment itself, just based on age and sex and
26 age at transition, is estimated to be about 2 to 3 percent male.

27
28 That was with an age at 50 percent transition of about eleven
29 years, and so this does in fact appear to be the case, and it
30 looks like we have really low male sex ratios, and I think that
31 should be of concern.

32
33 How does that compare to other species? We just recently
34 finished assessing the reproductive data for scamp for the stock
35 assessment for gag, the scamp assessment for the Gulf, and they
36 have a sex ratio of 41 percent. They have a lot of overlap in
37 male and female size, similar to what you can see on the top bar
38 graph to the right for red grouper, with males being the dark-
39 colored bars and the lighter color being females.

40
41 Red grouper, similarly, have a higher sex ratio, of about 14
42 percent male, based on our recent estimates, and hogfish, based
43 on a paper by Angela, had about 12 to 17 percent, and so no one
44 is coming even close. None of these other protogynous species
45 are coming even close to 2 to 3 percent male, like what we're
46 seeing in gag, and they all have more overlap between male and
47 female sizes and ages and appear to be better at adapting to
48 fishing pressure, or age truncation, than gag are.

1
2 This graph at the bottom is just to highlight that, in the
3 1970s, and so historic sex ratio, is about 15 percent. When we
4 were really concerned that gag were overfished and undergoing
5 overfishing in the 1990s, the male sex ratio was 2 percent, and
6 it looks like that we're about at that place right now.

7
8 Again, just to highlight why it's so important to use combined
9 sexes instead of female, just a really simple example. If you
10 use the age at 50 percent transition of thirteen, compared to
11 the one historically used, and you look at only female stock
12 reproductive potential, you're going to get a much higher
13 estimate, or you will get a higher estimate. It will look like
14 there's more reproductive potential than there is, potentially
15 at a time when we should be most concerned about what's going on
16 with the males.

17
18 In addition, if you look at the 90th percentile of age, estimated
19 at MSY currently, and Skyler looked this up for me, and thank
20 you, Skyler, it's age-four. The youngest male we observed was
21 age-seven. Pre-spawning aggregations -- I think, hopefully,
22 we've made the point that these are potentially a bottleneck.
23 You get high density there, and you may be getting
24 hyperstability, and they may not be a very good indicator of
25 true abundance, and they certainly may not be a very good
26 indicator of abundance that makes it to the spawning grounds.

27
28 I think it's really important to take that holistic approach,
29 given the complex spatial ecology of gag, and then, as I
30 mentioned earlier, unlike Nassau grouper, gag are believed to
31 peer spawn, and so, if you are an aggregate spawner, or even a
32 group spawner, you usually have sperm competition, which needs
33 to higher gonadosomatic indices. In gag, the maximum GSI we
34 ever saw was 0.58, and, in fact, even during the spawning
35 season, you can barely strip-spawn a male gag, compared to 16
36 percent for Nassau grouper, and so it's just a very different
37 animal, in terms of their reproductive strategy and what
38 elements of their reproductive potential we might need to
39 protect.

40
41 Of course, the question is just how many males do you really
42 need, and I've had many long discussions with Clay about this,
43 and I can't give you -- I wish I had a way to quantify that. At
44 this point, we don't really have the technology to get samples
45 that can do that. Clay likes to bring up the fact that one male
46 sheep can impregnate a hundred females, which led to me reading
47 a number of papers on ungulates, but, in fact, in natural
48 populations, the sex ratio is more like parity, and so this does

1 not seem to be a healthy sex ratio for an animal that needs
2 resilience in a natural setting.

3

4 With the sex ratios we're seeing in gag, I think there is
5 potential for sperm limitation. That doesn't mean that you
6 won't still get some strong year classes, given the long pelagic
7 larval duration, and there's a lot of impacts, in terms of
8 current and weather, that are going to play a role there, but,
9 again, I think 1 to 2 percent is clearly not what it was
10 historically, which was 15 to 20, and I doubt it's what you need
11 for decent productivity, and I think it might be where you
12 actually should start getting scared, and, compared to an
13 estimated virgin sex ratio, and, again, Skyler estimated this.

14

15 Skyler, I think, at the time, it was the day before I was
16 supposed to give this talk, and I asked you to do it when you
17 were really busy, and so I apologize for that, because you had
18 plenty of time to do that, but it's actually 37 percent, and so,
19 again, I'm not suggesting that we need to get to 50/50, because,
20 even in the virgin sex ratio, it doesn't look like it was that,
21 but, if you did like the equivalent of like a sex ratio SPR, and
22 so 30 percent, you would be at about an 11 percent sex ratio,
23 and we're simply not there.

24

25 Why so different in gag from most species? They are
26 protogynous, and we know that it's important to have both sexes
27 to have fertilization, and we just don't know how many males we
28 need, but, when you put that in this larger perspective of their
29 mating strategy, in terms of leks and peer spawning and then
30 spatial ecology, there is a need to protect these vulnerable
31 pre-spawning aggregations, where you have maturing females and
32 males beginning to transition, and, currently, I think that's
33 something that we need to take into consideration, the most
34 important thing for the stock assessment being using the
35 combined sexes, but maybe having a workshop or something in the
36 future and thinking about protogynous species and spatial
37 ecology as well, or mating strategies and what that means, in
38 terms of coming up with the best measure of reproductive
39 potential.

40

41 I would just like to acknowledge NOAA and MARFIN for their
42 support and Sportfish Restoration and all the technicians and
43 volunteers who have gone on these trips, and they all look
44 really happy here, but I know that the eight-hour drive to
45 Panama City, a five-day trip on a boat, twice a month for six
46 months during the winter, got a little old.

47

48 There's a number of great captains that we worked with, and

1 Chris Koenig, whose willingness to share his expertise and years
2 of work on this species really made a big difference, in terms
3 of where we were starting and what we could try to understand,
4 and, with that, I would be happy to take any questions.
5

6 **CHAIRMAN POWERS:** Thank you very much. Before we get into
7 questions, just to remind me, because I can't remember, but
8 what's the status of gag, and is it overfished and overfishing,
9 and what was the criteria? What SPR criteria was there?
10

11 **DR. LOWERRE-BARBIERI:** Did you want me to answer that, or did
12 you want somebody who is --
13

14 **CHAIRMAN POWERS:** No. Sorry. Probably Ryan.
15

16 **MR. RINDONE:** Not overfished and not undergoing overfishing, at
17 present, based on an SSB using a female biomass only.
18

19 **CHAIRMAN POWERS:** Okay. It was roughly about a 30 percent SPR
20 as the surrogate for MSY?
21

22 **MR. RINDONE:** 30 percent SPR. That's correct.
23

24 **CHAIRMAN POWERS:** All right. Thank you. Doug Gregory.
25

26 **MR. GREGORY:** Congratulations. That was a beautiful study and
27 good analysis. My question is you said transitionals were
28 rarely seen, and doesn't that imply that the transition occurs
29 quickly? If it did have a two-month duration, wouldn't you
30 expect to see a lot more than what you did see?
31

32 **DR. LOWERRE-BARBIERI:** So you have to think first what is the
33 proportion that is transitioning, right, versus what proportion
34 of that survives for us to sample, and so the majority of our
35 samples came from deeper water. If in fact the shallow water is
36 an important location for transition, a lot of those fish may
37 have been killed before they ever made it to the deeper water,
38 and so we only had fifty-nine samples from the shallow water,
39 with 600-plus from our study in the deeper water, and another
40 300 or so from the FIM.
41

42 I think that's a great question, and I think that's exactly
43 where we need to go, and, in fact, I have a proposal in for
44 that, is to really understand what role these pre-spawning
45 aggregations in shallow waters are playing, in terms of
46 transition, and whether that in fact is driving transition
47 rates, but, if you compare them to other species, and so I've
48 looked at red grouper and scamp, you do get more transitionals

1 in both those species, but transitionals are still fairly rare,
2 and we don't really understand the ecological process for that,
3 and we don't understand if there's a, potentially, stress that
4 goes on while your gonads are switching around, and maybe you
5 don't feed as much, and we really don't know, and whether
6 there's something that affects catchability during that time.

7
8 Transitions are always lower than you would expect, if you just
9 looked at the male sex ratio and what you would expect to
10 recruit in a given year, and you always see fewer transitions
11 than that.

12
13 The reason we came up with a two-month time period for gag is
14 that most of the fish undergoing transition don't have any signs
15 of oocyte atresia anymore, and so, for that to happen, they have
16 to have resorbed their developed oocytes, and that process, at
17 these water temperatures, although I don't have this data for
18 gag, and this is based on anchovies, takes about forty-five
19 days, I believe it is, and so that's where we came up with that
20 idea that it's taking between one month to two months to
21 transition. Also, there's a really nice study done on rock hind
22 in captivity, and they showed that those fish took two months to
23 transition.

24
25 **MR. GREGORY:** Great. Thank you.

26
27 **CHAIRMAN POWERS:** Thank you. As I recall the assessment, the
28 overall biomass dynamics are estimated reasonably well, or not
29 well, but, I mean, they're typical of other things, but the
30 issue here is how you define productivity, and that's why I
31 asked the question about the SPR and that sort of thing, because
32 it always seemed to me that maybe, in doing the stock
33 assessment, perhaps you could -- Instead of having just an age
34 at transition, have to have some sort of density-dependent model
35 of transitions, and I'm not sure how that would work, and this
36 is just sort of pie-in-the-sky kinds of things, but it's this
37 kind of study, I think, that helps guide those sorts of
38 decisions. Andrew Ropicki.

39
40 **DR. ROPICKI:** Thank you for the wonderful study. My question,
41 or comment, isn't specific to the study itself, but I was just
42 wondering -- Is there any preliminary analysis on that
43 Something's Fishy that is currently ongoing with gag grouper
44 that has all the responses? I mean, what are the fishermen
45 saying, and this is just for anyone on the line that would know.

46
47 **CHAIRMAN POWERS:** Is Emily on? We haven't done gag grouper for
48 Something's Fishy, have we?

1
2 **MR. RINDONE:** We don't have results for Something's Fishy yet
3 for gag.

4
5 **DR. LOWERRE-BARBIERI:** Although I did -- I mean, I gave a talk
6 on this study to the Reef Fish AP, and I did ask the fishermen,
7 and a couple of them were really forthcoming and said that, yes,
8 they had concerns about gag. Ryan, you would have been on that,
9 right?

10
11 **MR. RINDONE:** Yes, and I was there also, and concerns were
12 expressed about, like Dr. Barbieri said, about the commercial
13 guys not landing the commercial ACL and there being concerns
14 about being able to find them in certain parts of the year. The
15 winter bite tends to be pretty hot, especially as they move in a
16 little bit closer to shore, which can increase accessibility in
17 the latter part of the calendar year for recreational fishermen,
18 but it also makes the trips a little bit more economical for
19 commercial fishermen.

20
21 Then the AP also talked a little bit about the effort that they
22 have recommended to the council for modifying the regulations in
23 the MPAs, specifically Madison-Swanson and Steamboat Lumps, and
24 the council selected a preferred alternative that would close
25 those areas to fishing, including surface trolling, year-round,
26 and that was sent to NMFS for approval.

27
28 **DR. ROPICKI:** I just wanted to add that I was looking at the IFQ
29 market data, and it points to issues there. If you look at the
30 difference between what they're getting dockside and what the
31 allocation price is -- I mean, the data I have from the IFQ
32 annual report only goes through 2019, but, in 2015, that
33 difference is \$3.41.

34
35 In 2019, it's all the way up to \$5.19, and we kind of saw the
36 same thing with red grouper, with the problem, and, basically,
37 what you're seeing is the market is telling you that there is no
38 decrease in demand, and the dockside price is staying the same,
39 but the fact that the allocation price is dropping, and that
40 spread is getting bigger, is it's harder to catch, and so I am
41 definitely interested in seeing what comes out of the
42 Something's Fishy for grouper, because the IFQ market data does
43 not look great.

44
45 **CHAIRMAN POWERS:** That's interesting. Will Patterson.

46
47 **DR. PATTERSON:** Thanks, Joe. Awesome stuff, Sue. Really
48 fantastic, and you kind of alluded to this a bit in the middle

1 slides there, when you're talking about the assessment, and I
2 guess, going back to the last benchmark, and I think it was the
3 one that Jake Tetzloff led, as the analyst, for gag, and we were
4 having to make this decision about to use output derived from
5 female only or sexes combined. Could you go back to that slide,
6 perhaps?

7
8 **DR. LOWERRE-BARBIERI:** The stock assessment from 2014, that's
9 Slide Number 6, and I think that might be what you're talking
10 about. The 2016, what I had in here was just that rapid
11 increase on the -- From the 2006 and 2007 year classes got
12 tamped down in the update, and so I think that's Slide 6.

13
14 **DR. PATTERSON:** As they're trying to locate that, you know, you
15 mentioned -- Here we go. Here, we have the different scenarios,
16 and you mentioned, when you started this work, that you were
17 perhaps a bit skeptical whether gag male sex -- If the ratio,
18 percent male, could be as low as 2 percent, and that you were a
19 bit skeptical that that was actual reality, and so you did this
20 comprehensive study.

21
22 My recollection of the discussion about utilizing combined
23 sexes, or female only, was that, while there was a very
24 different picture that resulted from that assumption, if we only
25 used females, then it was fairly optimistic, and we were
26 skeptical whether that was actually true, but, when we used the
27 combined sexes, it was so pessimistic that I think we were
28 hesitant to go there as well.

29
30 We didn't really have the information to inform that decision,
31 and there was a lot of discussion about this in the room, and,
32 obviously, that was quite a few years ago, and I am recalling
33 this from memory that is probably flawed, but that was my
34 recollection of that discussion.

35
36 From your work, and you kind of hinted at this, but do you think
37 that was a bad assumption and that we should have used the
38 combined sex approach, and that really would have been more
39 accurate, with respect to the status of gag in reality?

40
41 **DR. LOWERRE-BARBIERI:** I think, given the gag reproductive
42 strategy, you need to use something other than female only, your
43 traditional stock assessment measure of reproductive potential.
44 Whether it has to be combined sexes -- So, in terms of the last
45 stock assessment, it looks like there were a combination of
46 things, including some things within the model that may have led
47 to the combined sexes results being lower than they should have
48 been, and I talked to Skyler and folks to try and -- We're

1 trying to tease some of that out.

2
3 I think that may have led to this totally disparate two choices,
4 one overly optimistic and one overly pessimistic, and so I think
5 there's some things that probably can be improved in the model
6 that would result in more reasonable combined sexes, or I think
7 you can set the equivalent of an SPR for sex ratio, what you
8 need that to be and what does it take to get there.

9
10 Now, that would be totally outside of what's been done, and so I
11 don't necessarily expect anyone to do that this round, but those
12 are the things that I have been talking about with Clay and
13 Skyler and some of the others at the Southeast Fisheries Science
14 Center.

15
16 More importantly, I think -- Maybe we should be thinking about
17 this, and I know that Shannon supported this idea, or should we
18 get together a workshop to discuss some of these issues, in
19 terms of reproductive potential and how best to begin to look at
20 some of the species that don't follow the standard reproductive
21 potential, based on fecundity pattern, and that would be at the
22 larger scale, and then, for gag, I do -- That's why I really
23 wanted to come and present this to you guys now, because we're
24 just starting the stock assessment.

25
26 My lab is helping the Panama City Lab, in terms of assessing the
27 reproductive data for the Gulf, and I will be very engaged, but
28 I think it's really important, and I know this wasn't really in
29 the TORs, but I think it's really important that we make sure
30 the results take into consideration that we have very low male
31 sex ratios, and potentially low abundance, and, if we do female
32 only, and I suggest something other than that, then maybe we
33 need to look a little closer.

34
35 **DR. PATTERSON:** I think definitely those things are great
36 suggestions. You know, Bill Enberg also is working on a
37 manuscript from some of his artificial reef work that has some
38 really compelling information that shows hyperstability in catch
39 rates for gag, or hyperstability of the observations of gag, in
40 different habitat types, and so he has experimental reef units,
41 where some of them are just a few modules, and some of them are
42 a much, much larger volume and higher-profile constructed reefs,
43 and he shows, through different red tide events, that the gag
44 clearly select for the more complex, higher-relief habitat.

45
46 If you then -- So those are experimental artificial reefs, but,
47 if you carry that forward and extrapolate to natural bottom,
48 then you can definitely see the potential for hyperstability in

1 catch rates, and this really gets back to the Something's Fishy,
2 or comments from the AP.

3
4 If fishermen who target these animals, year in and year out, are
5 starting to say that there are some real problems here, given
6 the potential for hyperstability in catch rates, then,
7 obviously, we should pay really close attention to what they're
8 saying.

9
10 **DR. LOWERRE-BARBIERI:** I completely agree. They're the ones
11 that are going to give the best feedback loops, and I think
12 that, and the fact that they -- I have talked to Bill a lot, and
13 I know he's been showing that, and this is where they're
14 actually forming aggregations, and spawning aggregations often
15 have hyperstability, and so it's not surprising that the pre-
16 spawning aggregations have that, but I don't think we've really
17 integrated that into our thinking about our abundance indices in
18 the past.

19
20 **CHAIRMAN POWERS:** Thank you. We have a long list here, and so
21 let's move on. John Mareska.

22
23 **MR. MARESKA:** Thank you, Sue. That was very interesting, and
24 I've got two questions. You alluded to skip-spawning, and do
25 you have any estimate of skip-spawning for the females?

26
27 **DR. LOWERRE-BARBIERI:** John, what I have is that samples from
28 the spawning grounds during the spawning season, and 33 percent
29 of those females were not developed, were not developed at all,
30 and, since it takes about two months to develop oocytes, and
31 given when those were sampled, it's doubtful that they would
32 participate in that spawning season.

33
34 Now, that's really different than most understanding, in terms
35 of skip-spawning, and so, typically, skip-spawning is believed
36 to be energetically driven, and, if you undergo spawning
37 migrations, and you're not -- If you're not going to contribute,
38 and you're not going to participate in reproductive effort that
39 year, you never make that migration, because you don't have the
40 energetics to do that, and so, physiologically, you just don't
41 meet that threshold.

42
43 With gag, something else seems to be going on, and I know
44 there's a paper, with Chris and Felicia, suggesting that that
45 may be due to sperm limitation, but, physiologically, I'm not
46 quite sure how that would work, because it doesn't take a male
47 for females to decide to develop, and so I'm not sure what's
48 going on there, and I'm not sure if you have issues, in terms of

1 energetics, within Madison-Swanson, and it's certainly been
2 interesting to see the huge numbers of red snapper and how that
3 population has been increasing, and I don't know whether that's
4 impacting competition, but, back to your question, in terms of
5 skip-spawning, it looks like there's a high number of females
6 that are not contributing eggs, at least in Madison-Swanson.

7
8 **MR. MARESKA:** All right. Thank you. My second question is
9 information on spawning behavior, and so it sounds like sheep
10 are not very particular in their spawning behavior, but is there
11 any information that maybe the male gag grouper are more
12 selective for the larger females that are already on the
13 grounds, versus those that are migratory and coming in?

14
15 **DR. LOWERRE-BARBIERI:** That's a great question. Well, first, I
16 think sheep -- So sheep, in natural populations, and if you
17 think about any nature shows that you might have watched, like
18 moose or other ungulates that are related to sheep, males are
19 usually solitary, or elk, and elk is a good example.

20
21 They have large numbers of females, but the overall sex ratio in
22 those populations is much closer to parity, and it's never 1
23 percent, and so my understanding of what the mating strategy of
24 gag is, but that's based on, at best, taking this data and
25 trying to put it together in puzzle pieces that seem to fit, as
26 opposed to really having the data you would need, because nobody
27 has actually been able to observe the behavior, and I'm super
28 jealous of these people that study sequential hermaphrodites of
29 reef fish that they snorkel over and watch them do their thing,
30 but it looks like males come together, loosely come together, at
31 specific sites.

32
33 In Madison-Swanson, there are some specific sites with higher
34 relief, where it looks like males will distribute themselves,
35 and it looks like there's some competition between males for
36 those sites, and then those males spawn with females. Whether
37 there's a selectivity on the male part -- For the most part,
38 that's considered to be something that the females do.

39
40 They probably just don't have a whole lot of males to really be
41 picky about right now, and we did some back-of-the-envelope
42 calculations of just how many females each male would have to --
43 How many eggs each male would have to fertilize, given about a
44 seventy-five-day spawning season and estimate spawning every
45 four days, I think it is. It's literally millions of eggs.

46
47 Looking at how low the reserves are, I just don't think you have
48 enough males to actually fertilize that number of eggs, and so

1 are the females choosing males? It doesn't look that way, and
2 it does look like there is potentially male-to-male competition
3 for the best spawning sites, and the females choose those sites.
4

5 **MR. MARESKA:** Thank you.
6

7 **CHAIRMAN POWERS:** Thank you. Judd Curtis.
8

9 **DR. CURTIS:** Hi, Sue. Thank you, Mr. Chair. Great
10 presentation, Sue. Just looking at the sex-specific spatial
11 ecology that you found in Madison-Swanson, and I know you guys
12 have done a lot of acoustic telemetry work in that area as well,
13 and have you been able to tag, acoustically tag, these gags, and
14 have you gleaned any information on some of that spatial ecology
15 and some of those behavioral patterns?
16

17 **DR. LOWERRE-BARBIERI:** Well, the short answer is no, and boy do
18 I wish. We tried tagging several fish, to see if they would
19 survive, but they are at depths where the barotrauma mortality
20 is just too high, and I know Chris Koenig did some in situ
21 tagging of fish, and I don't have a good idea of how many of
22 those survived, but, given the amount of sharks we're seeing, I
23 wouldn't feel comfortable with my people doing that, and so, at
24 the spawning grounds, we can't really tag those, but we have
25 just started a preliminary study, and, again, I have a proposal
26 in to try and do more of that, to tag gag in these shallow-water
27 aggregations.
28

29 Then we do have receivers out to pick them up. We have
30 receivers in the estuary, to see when they leave the estuary,
31 and we have receivers at near-shore areas, where they aggregate,
32 and we have receivers on the Middle Grounds and receivers in
33 Steamboat Lumps, and so I guess the jury is out. Hopefully, in
34 a couple of years, we'll have a better idea, but it will take
35 tagging these younger, shallow-water fish and then seeing if
36 they survive long enough to get out there.
37

38 **DR. CURTIS:** Okay. Thank you.
39

40 **CHAIRMAN POWERS:** Thank you. Steve Murawski.
41

42 **DR. STEVE MURAWSKI:** Thanks for inviting me to participate.
43 Just a quick question for Sue, and that was a great
44 presentation, and I wonder, from the point of view of skipping
45 ahead to management, whether anybody has taken a look at the
46 potential for a slot limit to protect the males and whether or
47 not the balance of bycatch mortality versus protection would
48 actually be helpful.

1
2 **DR. LOWERRE-BARBIERI:** Is that a question for me, Steve, or
3 would you like the larger group to weigh-in?
4

5 **DR. MURAWSKI:** I'm sure you're more than qualified.
6

7 **DR. LOWERRE-BARBIERI:** Well, so our hypothesis right now is that
8 a lot -- That gag could adapt to age truncation and have males
9 recruit at smaller sizes and younger ages if we better protected
10 those pre-spawning aggregations.
11

12 If that is the case, you have such a wide size range of males,
13 and so like our smallest male we saw is about 650 millimeters,
14 and I am not quite sure how you would get a slot size, because
15 they're the same size as a lot of the females that are maturing
16 and recruiting to the population as well, is that three to six
17 age group, but I think potentially having some level of
18 decreased fishing in December can -- Thinking about potentially
19 closed areas for commercial fishermen.
20

21 Again, I don't think that's where we're at right now, because I
22 think we have to get the data to better demonstrate that in fact
23 you are having a large proportion of males recruiting from that
24 area. I think, for this assessment, the huge question is how
25 are you going to measure reproductive potential, because female
26 only is not going to reflect, I think, what's going on with this
27 species.
28

29 **CHAIRMAN POWERS:** Thank you. Doug Gregory.
30

31 **MR. GREGORY:** I think you've already answered my question, in
32 talking with John, and I was curious why you thought -- Because
33 there were so many females with regenerating ova, that they were
34 skip-spawning, but I think you said later that it's because the
35 process is slow, and, if they had reproduced earlier in the
36 season, you would see more, I guess, regressing and other
37 activities in the gonads that indicated that spawning, and the
38 fact that you didn't see it was the strong suggestion that they
39 didn't spawn at all, and so thank you very much.
40

41 **DR. LOWERRE-BARBIERI:** Exactly.
42

43 **CHAIRMAN POWERS:** Thank you. Paul Sammarco.
44

45 **DR. SAMMARCO:** Good morning, and thank you very much for that
46 excellent talk. It was great, and it was very interesting data,
47 and it was very informative and complete. I have sort of a
48 major question for you on top and then a couple of sub-questions

1 under that.

2
3 Looking at the graphs, and thinking about this population, or
4 this species, I was wondering why you think that there's this
5 highly-skewed sex ratio in this species, and is it at least
6 partially natural, and do you think it might be due to
7 differential catchability of the males versus the females, or
8 differential behavior relating to catchability? In other words,
9 are we seeing a natural process in these things, or, in fact,
10 are we seeing a catch bias, which would skew the population?

11
12 **DR. LOWERRE-BARBIERI:** Let me break that down. Gag, I think a
13 virgin population of gag would not have sex ratios of 50/50, and
14 that does not seem to be their natural reproductive strategy,
15 and that's why we looked at the estimate of what the sex ratio
16 would be in the virgin population, and I think that was about 36
17 percent.

18
19 There is some issues, in terms of back-calculating those virgin
20 populations from a fished population, but, that said, I am
21 guessing that you always -- That it's natural for gag to have
22 less than 50 percent male, and so that was the first question.

23
24 We actually looked at -- I know there was this question a while
25 back and a belief that males were -- That there was an increased
26 catchability of males and that they were more aggressive and apt
27 to take the bait faster than females, and we actually looked at
28 our sampling, to see -- Actually, I joked with somebody in my
29 lab that they should give this talk, of what does it take to
30 catch a male.

31
32 We did not actually see that. There was no evidence that males
33 were the first to be caught in a fishing session or that they
34 were disproportionately caught over the females in a fishing
35 session, and so I don't think it's a catchability thing with
36 males. I think it's literally we may have a problem with male
37 recruitment.

38
39 We thought that males were protected, because they have this
40 deepwater -- Once they become male, they're staying in this deep
41 water, and so, if you have MPAs, that's really a huge impact, in
42 terms of protecting those, and we can see, from data from
43 Madison-Swanson, that, in fact, the MPA has completely changed
44 the size and age distribution of that population and increased
45 the sex ratio, but it's not enough for the whole population.
46 What my research suggests, but, again, what I can unequivocally
47 say is I would be worried at 2 percent male. I would be worried
48 that fishermen are not meeting IFQ.

1
2 In terms of the process of sex change and what will it take to
3 increase our male population, I'm guessing that's on the
4 recruitment side, but we need to better understand that before I
5 would want to impact anybody's livelihood or fishing.

6
7 **DR. SAMMARCO:** Thank you. That's pretty interesting. Thank
8 you.

9
10 **CHAIRMAN POWERS:** Thank you. Actually, that's what Andrew
11 Ropicki more or less is supporting, in terms of the fishermen's
12 response to that, in terms of difficulty of catching and so on.
13 Shannon, final word.

14
15 **DR. CALAY:** Thank you. I just wanted to remind everyone on the
16 SSC, and those listening in, that the gag grouper stock
17 assessment, which is SEDAR 72, is already underway. We have a
18 working paper submission deadline of January 29, and a data
19 assessment workshop, via webinar, on February 9 through 11, and
20 any information that you have about gag grouper would be very
21 welcome. We would very much like to see it, and the appropriate
22 point of contacts are listed on the SEDAR 72 project schedule,
23 which is online, and the lead analyst is Lisa Ailloud, and her
24 email is listed there on the project schedule, and please also
25 copy Kate Siegfried. Thank you very much, and this is very
26 exciting work, and we hope to see it fully represented during
27 the gag grouper stock assessment.

28
29 **CHAIRMAN POWERS:** Thank you. Leann.

30
31 **MS. BOSARGE:** Dr. Sue, that was an amazing presentation, and it
32 was very interesting, and I learned a lot, most notably that
33 Luiz is a very lucky man, and he better hang on to you.

34
35 In seriousness, I wanted to actually follow-up on something that
36 was kind of secondary that you mentioned, and you mentioned that
37 you really didn't want to put your people in the water, because
38 of the sheer numbers of sharks that you were seeing, and,
39 obviously, I mean, that's going to be a natural occurrence in
40 this fishery, but I wonder. Did you happen to collect any, or
41 record any, data on the types of sharks and numbers of sharks
42 that you may have encountered during this year-long study?

43
44 I ask that because our fishermen, from all the different
45 sectors, commercial, for-hire, and recreational, have been
46 telling us, for years now really, that, look, we've got to do
47 something about the sharks, and we've got just so many that the
48 population has just blossomed, and that's anecdotal data, and

1 we're working on trying to collect that and aggregate that for
2 the scientists, but I think maybe, if we started to collect some
3 of that information in studies that are not for sharks, but for
4 gag and for other things, so that maybe we could just kind of
5 garner long-term trends, as you continue your gag studies over
6 the years.

7
8 I think that would be very important to go along with some of
9 the scientific information that we have on sharks now, and so I
10 was just wondering. Did you happen to record any of that?

11
12 **DR. LOWERRE-BARBIERI:** Yes, and so, for this study, and we have
13 an ongoing study that we're finishing up this year in Steamboat
14 Lumps for gag, and so, in our video analysis, we track a number
15 of species and their abundance, including the shark species. We
16 see a lot fewer sharks in Steamboat Lumps than we do in Madison-
17 Swanson, and I do think it's a very complex issue, in terms of
18 the shark recovery and what is a healthy stock and how we all
19 are adjusting to what is healthy for sharks, but we weren't used
20 to.

21
22 That said, a study we did in the Keys on greater amberjack, at
23 their spawning sites on the seamounts, we lost two fish to
24 sharks for every one we landed, and so I think it's a really
25 important question, and we do collect that data.

26
27 I mean, it's so expensive, and so much work goes into especially
28 these deepwater studies, that we try to collect everything we
29 can, and we do keep track of shark abundance, and species, as
30 best we can on the video data, as well as any that get caught
31 through bycatch.

32
33 **MS. BOSARGE:** Thank you. I appreciate that. You were ahead of
34 me already. Thanks.

35
36 **CHAIRMAN POWERS:** Well, thank you, and I will remind you again
37 what Shannon said about any contributions to the assessment
38 process, and we would really appreciate that, not only in data,
39 but in terms of assessment approaches and things like that. All
40 right. Let's take a five-minute break, and then we're going to
41 come back and Steve Murawski will talk about the habitat
42 research, and so a five-minute break.

43
44 (Whereupon, a brief recess was taken.)

45
46 **CHAIRMAN POWERS:** Next, Steve Murawski will be presenting some
47 research on habitat. I will give the floor to Steve.

48

1 actually, as part of this project, included sea turtles as well,
2 and so we were able to quantify that.

3
4 One of the problems, obviously, that we as fishery biologists
5 have is that many of the traditional techniques that we utilize
6 can't be used in hard bottom, and, obviously, there are a number
7 of camera-based systems that are providing data, and they're
8 primarily drop cameras. It's difficult to quantify the area
9 that a drop camera actually selects from, in terms of estimating
10 absolute densities, and so that becomes an issue.

11
12 One of the things that we wanted to do is try to adapt both
13 camera technologies and the bathymetric mapping, to see if we
14 could go for some direct estimates, not only for things like red
15 snapper, but other animals in there as well, and so our target
16 species were snappers and groupers, and some secondary targets
17 were other reef fishes as well.

18
19 The objectives of this particular program were to provide about
20 2,400 square kilometers of new high-resolution bathymetry, and,
21 right now, just in terms of the West Florida Shelf system,
22 that's about 200,000 square kilometers, and so we have basically
23 added about a percent-and-a-half to that, but, of course, not
24 all habitat is created equal, and that is the rub here, is
25 trying to assess what we would consider high-quality habitat,
26 particularly for reef fishes.

27
28 We wanted to look at the relative and absolute abundance of
29 fishes and turtles in those areas that we looked at, and we
30 wanted to develop methods to re-process the existing multibeam
31 bathymetry, so that we could make comparable habitat maps to the
32 areas that already have been mapped previously, and that's part
33 of the work that the folks at the University of South Florida
34 and NOAA and others have been doing for a very long time, and
35 that is can we actually make a cumulative map of things.

36
37 One of the challenges we have, of course, is that it's easy for
38 us to mow the lawn with multibeam, but actually characterizing
39 that, in terms of what habitats they are, is a problem, because
40 you can get a wide bandwidth with multibeam, but any kind of
41 visual system is going to, by necessity, only characterize a
42 very small proportion, and, in fact, I will show you some
43 examples of using about 1 percent of the area with eyes on it to
44 extrapolate those maps, and that's been a major part of our
45 program, and that is a robust extrapolation method to the
46 habitats we're looking at.

47
48 We certainly wanted to provide the Gulf Council and NMFS with

1 information as they consider additional protections, and there's
2 the ongoing issues about habitat areas of particular concern and
3 MPAs, and so trying to add some information that might be
4 helpful to that process was a major goal of this project, and
5 certainly one of the things that -- One of the reasons why we're
6 here today is to convey these messages and get some feedback.

7
8 Then, in this realm, technologies are developing very rapidly,
9 and, actually, the cost of these things is going down, which is
10 promising, and so the last thing we wanted to do is, based on
11 the experiences that we've had, trying to map these areas, what
12 have we learned about likely areas where we're going to find
13 other important habitats for reef fishes, and how might that be
14 used in the process of identifying future priorities.

15
16 Just a little bit about the eastern side of the Gulf of Mexico,
17 and the graphic on the left-hand side represents the cumulative
18 multibeam mapping that NCEI, which is the National Center for
19 Environmental Information, has, and you can see that the West
20 Florida Shelf is, historically, compared to some of the other
21 parts of the Gulf, very unmapped.

22
23 The irony, interestingly, is that we have better maps for the
24 deep part of the Gulf of Mexico than we necessarily have on the
25 shelves, and part of that is related to BOEM's compilation, and
26 they were able to work with the oil and gas industry to look at
27 the bottom topography, from all the seismic work they've done,
28 and so you see this very detailed map from the deep part, but,
29 unfortunately, not the West Florida Shelf, which, compared to
30 the rest of the Gulf, seems to be historically under-mapped, and
31 that's ironic, because, of course, many of the things that we're
32 talking about today relate to the importance of these areas of
33 potential reef fish habitats.

34
35 This is a compilation of what we've been able to glean from the
36 literature about existing mapped areas, and that includes the
37 Madison-Swanson area that Susan talked about, Steamboat Lumps,
38 and the Florida Middle Grounds, all three of which are HAPCs,
39 and then there are other seasonal closed areas, things like the
40 Edges, et cetera.

41
42 The background map here is a heat map based on the VMS
43 information from reef fish fishers, and so we're able to utilize
44 the VMS data, and this is a PhD program that I had with a past
45 student, and strip off all the steaming area, and so we had this
46 sort of hot spot right in the middle between Steamboat Lumps and
47 the Florida Middle Grounds, and so, as we started our program,
48 we thought, well, who better to know where the reef fish

1 habitats are than the reef fish fishermen, and so that was kind
2 of our, if you will, the treasure map that we used to try to
3 identify areas of high priority, and so this has actually been
4 quite successful, in terms of locating areas where reef fish are
5 likely to exist, but, of course, you see a lot of other heat on
6 that map, and so, even though we tried to utilize what we would
7 consider high utilization areas, where reef fish are likely to
8 be found, there are a lot of other areas as well.

9
10 This little red outline are all the new areas that we have added
11 to, and one of our strategies was to try to connect some of the
12 existing HAPC areas that have been mapped and to look at a
13 larger landscape, and the reason for this is that we're trying
14 to look at the geological processes that likely resulted in
15 these high-relief habitats, and so, if we can do something more
16 broad-based to put these maps together, then maybe we can learn
17 a little bit about the geological processes, and that might help
18 us in any kind of future mapping arena, to actually identify
19 high priorities.

20
21 Just a little bit of history here, and this was the mapping
22 program that David Naar at the University of South Florida and
23 Stan Locker and Dave Mallinson and Brian Donahue did, and it
24 took them six years of NOAA funding to actually get this high-
25 resolution map for the Florida Middle Grounds, and, of course,
26 many of us who work in fisheries in the Gulf of Mexico know this
27 map well.

28
29 One of the issues, of course, was that, even though there was
30 funding, it wasn't a lot of funding, and so it was kind of catch
31 as catch can, and it took a long time to do this, and so what
32 we're trying to do is build on the legacy that we have for a
33 number of these areas.

34
35 The sort of recipe for our project is this, and there are sort
36 of three pieces to this. Number one is the multibeam
37 echosounder information, and so we used the SeaBat multibeam
38 echosounder, and we also used -- We towed a video system called
39 C-BASS, and that's an acronym, and you can see it there, to
40 provide the groundtruth for the habitat mapping, and then we
41 also used a Simrad EK60 to do some water column sonars and near-
42 bottom sonars, and this is really important, because,
43 particularly for animals, reef fishes, that get up off the
44 bottom and are above the camera view, getting a full rendition
45 of the biomass means that we're going to have to extrapolate in
46 the water column as well.

47
48 We were able to basically do a first-order analysis, which is

1 construct the bathymetry, and, of course, bathymetry is one data
2 feed that we get from multibeam, and the other one is the
3 backscatter, which is an index of the hardness of the bottom,
4 which is really useful, and I will show you how that fits.

5
6 Basically, in the video, we were able to actually classify the
7 habitats, and NOAA, and other government agencies, have a
8 habitat classification scheme called CMECS, and the towed system
9 also has environmental sensor data, temperature, salinity, et
10 cetera, and then, also, from the video, we can analyze the
11 abundance, and with some careful geometry, you can actually
12 figure out the density of fish and turtles in the sea.

13
14 Cooking this down a little bit, interrelating these things to
15 look at the benthic habitat maps and their characteristics, the
16 fish and habitat relationships, and then combining these, of
17 course, into biomass, and then the ultimate products from this
18 are species habitat maps, that is what is where, and then
19 stratified population estimates, and that is habitat-stratified
20 density estimates extrapolated up to these physical sizes of the
21 habitats, to provide an overall biomass estimate, and, of
22 course, we weren't the first to emphasize the fact that, if we
23 only had a really good universal habitat map, fishery biology
24 would be a lot easier in the Gulf of Mexico, and we are trying
25 to chip away on this, but also demonstrate the utility of this
26 kind of approach in putting the maps together.

27
28 Our enabling technology is the two ships that the Florida
29 Institute of Oceanography run, and both of these are equipped
30 with the capabilities to run multibeam sonar, and we also used a
31 third vessel that was retired from the fleet as well, and so
32 both of these vessels are in current operation, and particularly
33 the Hogarth is well suited for future mapping activities.

34
35 You can see the setups, and these are the lab setups onboard the
36 ship for actually doing this, in the upper-right-hand column,
37 and this is literally the control panel that one sees as we're
38 doing the multibeam mapping. The interesting part about this is
39 that you literally can fly not only the multibeam sensors, but
40 also the camera systems, and so, in the lower-left, you actually
41 see the scene from the camera being towed across the bathymetry,
42 and so this gives you an opportunity to actually look at real-
43 time data feeds, and then, of course, with the water column
44 sonar as well, you can see a couple of things.

45
46 Number one, you can see whether or not there is bathymetry you
47 need to hop, because the camera is towed behind the ship, at a
48 fairly long distance, and so, if you have an obstruction coming

1 up, you can hopefully fly that camera up above it. That works
2 most of the time.

3
4 The kinds of products that we're developing, this is an area
5 called the Elbow, which is about 100 kilometers west of Tampa
6 Bay, and you can see it's an interesting geological area, and it
7 has a long north/south spine, which is a sea-level stand from
8 about 12,000 years ago, and then there's quite a bit of sort of
9 backwash, and this was a barrier island about 12,000 years ago,
10 and it looks suspiciously like what Tampa Bay looks like right
11 now, and you can see the back bays, et cetera. It has also
12 transitioned with grouper holes and other transient bed forms,
13 and, as well, there are a number of what we call cultural parts
14 of this as well, shipwrecks, and just to the north is the Gulf
15 Stream pipeline.

16
17 Just in terms of the overall part of this, certainly the idea of
18 mowing the lawn with bathymetry is well known, and we also need
19 to take into account vessel motion and the sound velocity, which
20 changes with the salinity and temperature, and the tides, and
21 these are all accounted for in the computer magic that allows
22 one to extrapolate the maps.

23
24 I wanted to show you an example of -- This is an extension of
25 the Florida Middle Grounds that we've completed, and you can see
26 -- I hope you can see my cursor, but, basically, this is this
27 long north/south ridge that originates in the Florida Middle
28 Grounds and goes to the south, and I wanted to show you a little
29 video clip, and the video clip starts at the edge and goes up to
30 where the map joins, and so hopefully I can get this to run.

31
32 Basically, we're going up along this ridge, and you can see that
33 it's a really interesting profile, and it's very much like what
34 we would recognize as barrier islands, and there's a little bit
35 of a cliff up there, and so you can see that it's a complex
36 habitat, and there's a lot of reasons why we see a lot of
37 fishing effort in this particular area, and the stripes that you
38 see are basically an artifact of the multibeam mapping.

39
40 There are a bunch of challenges that we have, in terms of using
41 the towed cameras to count the fish along these things, and the
42 first, of course, is the attraction, or avoidance, of fish to
43 camera systems, and my former student, who now is one of the
44 major project scientists on this, Sarah Grasty, did a lot of
45 work looking at the potential for attraction or avoidance of
46 fish to cameras.

47
48 The interesting thing about this is that the cameras are towed

1 relatively quickly, about four knots, and, a lot of times, what
2 happens is you come across the fish, and it isn't until they're
3 very close to the camera that they actually show some kind of
4 behavior, and so, generally speaking, except for a few species,
5 it looks like, by and large, we see the fish before they
6 actually sense the presence of the camera and avoid it.

7
8 We also know that some fish are attracted to this, and, in fact,
9 in using a towed camera system and looking backwards, we attract
10 a lot of barracuda, and we also attract a lot of things like
11 amberjack, and so it's a new thing introduced in the system, and
12 there's, obviously, a big scope for doing some of this
13 attraction and avoidance work, and folks like Will Patterson and
14 others have been doing some of this with red snapper, and,
15 generally, I think their work buttresses this notion that
16 particularly the snappers, or red snapper, seems to be somewhat
17 neutral to the camera system.

18
19 Second, and probably one of the bigger issues in the Gulf of
20 Mexico, is the visibility, and that is the detection probability
21 of actually seeing a fish that's actually in the video pathway,
22 and this is not so much an issue on the West Florida Shelf, but
23 it's a major issue up around the Mississippi River mouth, and I
24 will show you a little bit of this.

25
26 This is something that we have kind of poked into. If we're
27 going to do a lot of this kind of work, I do think that we need
28 to do some experiments looking at siting probability models,
29 similar to what line transect sampling for marine mammals and
30 turtles and other things would be, and that is distance off the
31 track line and general visibility.

32
33 The third issue is the calibration of the view to estimate
34 densities, and that is how do you actually know what the area
35 swept of the video system is, and there are some first-order
36 calculations that relate to the camera angle observed, as well
37 as height off the bottom, but certainly those can improve.
38 Again, the biggest issue is stratifying the habitats, and I will
39 show you an example of this with the Elbow.

40
41 It's really important, because some of these high-resolution
42 habitats, the ones that have a lot of vertical habitat, really
43 can have a very much differential fish density, and so this is
44 important. Generally speaking, out on the West Florida Shelf,
45 it's mostly sand, and I think most of us know that, and the sand
46 has density, and there's a lot of it, and so it contributes a
47 certain quantity to the overall biomass, but it's these high-
48 resolution habitats that seem to be the most important.

1
2 Certainly understanding water column and near-bottom abundance
3 is important, and many of the fish species that we observe can
4 stack over high-relief habitats, and so integrating both the
5 water column and the near-bottom is important. One of the
6 problems of just using acoustics is there's what is called a
7 dead zone with surface acoustics right near the bottom, and
8 that's where a lot of the animals that we're talking about
9 congregate, and so combining camera systems and water-column
10 acoustics is actually a pretty powerful combination of
11 technologies.

12
13 One of the problems that we encountered with this is you can
14 shoot a tremendous amount of imagery, and, in terms of the
15 camera systems that we have, and we're looking at six
16 simultaneous cameras, and we can wear out a lot of graduate
17 students and technicians looking at a lot of data, and they do a
18 tremendous job, but one of the issues that we wanted to try to
19 address with this is advancing to auto-processing of the video
20 imagery, and I think we've got some pretty exciting work on this
21 that's happening.

22
23 Last, if we wanted to do something like a Great Red Snapper
24 Count, what is our concept of operations? If we wanted to do
25 these kinds of things routinely, as sort of a -- What could we
26 do on the West Florida Shelf over a month surveying? What is
27 the concept of operations, and that is how many samples at what
28 density and over what habitats would you do, and so using this
29 not as a one-off, like a \$10 million one-off that we did with
30 the Great Red Snapper Count, but integrate this into the routine
31 sampling. You know, how would we scale this up to a population-
32 level assessment, and that's a really important question.

33
34 Just, in terms of the leveraging of technologies, the schematic
35 of the C-BASS camera is on the left, and you can see the sketch
36 of how this actually works. In practice, the way we actually
37 did this was we did the multibeam maps on a separate cruise, so
38 that we would actually have the refined map before we towed the
39 video over it, and so we would know, actually, if we were
40 approaching some obstructions, and, with this particular system,
41 it's not automated, in terms of flying at a constant level, and
42 the flight near the bottom, at about two to four meters above
43 the bottom, is controlled by the amount of cable you lay out and
44 the speed at which the vessel occurs, and so understanding if
45 there is obstructions in the path is really important.

46
47 As well, you can see, for most of the areas, we have the width
48 of the multibeam spread is a lot wider than the video, and so

1 actually trying to locate where you are is not a trivial issue,
2 and so estimating the layback, and that is the position of the
3 camera relative to the position of the antenna, as you pass over
4 it, is not a trivial aspect.

5
6 We've done quite a bit of work on this, to try to make sure that
7 we can link up the map and the habitat with the actual video
8 groundtruth that we've got, and so you can just see deployment
9 of the video system, and it's actually quite easy to deploy.

10
11 One of the aspects that's really important is that this was
12 developed using the CTD cable from the research vessel, and so
13 the CTD cable is electrified, and so we actually not only can
14 send power down to the system, and you can see it's got cameras
15 and lights and whatnot, but also -- This was really clever
16 engineering, but we can actually send the video image from any
17 particular camera back up to the vessel in real-time, so you can
18 actually see what the video is sampling, and that's pretty
19 important, and here's just some imagery from the video, and this
20 happens to be the Gulf Stream pipeline that comes out of Tampa
21 Bay, and you can see the stacking up from the water column
22 sonar.

23
24 This is an actual image, and I think the Dunkin Donuts coffee is
25 important here. As you're flying along, you can actually get
26 the video image from any of these particular cameras, and you've
27 got a lot of real-time feedback, in terms of the environmental
28 parameters, the water depth, et cetera, and so flying this is
29 sometimes a white-knuckle thing, particularly if you like to hug
30 the bottom, which is my problem, and so it's a real hands-on
31 kind of operation.

32
33 The visibility spectrum in the Gulf of Mexico ranges from top-
34 right, which is basically zero visibility, to bottom-left, which
35 is nearing Florida-Keys-type visibility. With the three panels
36 on the bottom, the good to excellent visibility, we can
37 confidently count the number of fish in the scene.

38
39 In some of the marginal visibilities, you can see fish, and it's
40 very likely that we're missing fish in those, and so
41 understanding the operating window of a technology like this is
42 really important and doing work on the visibility and siting,
43 and, as you can see, it's going to be a really important aspect
44 of this, and that's an issue that we ran into with the Great Red
45 Snapper Count as well.

46
47 Just, in terms of visibility, we did some work on looking at the
48 visibility in various parts of the Gulf, and what we found is

1 that, particularly up around the river, it's really difficult to
2 work, particularly in shallow waters, with a camera system like
3 this, but, once you're in deeper water, and certainly on the
4 eastern part of the Gulf, it's a lot easier.

5
6 We were able to work pretty confidently also in the western part
7 of the Gulf, away from the influence of the Mississippi River,
8 and then so, if we're talking about actually doing consistent
9 types of sampling, understanding the flow/outflow rates in the
10 Mississippi River and trying to find timelines within the normal
11 seasonal cycle is pretty important, and so you can see that the
12 Mississippi River discharge varies quite a bit.

13
14 One of the things that I talked about before was this auto
15 recognition, and so here is a scene that we've been able to
16 utilize a software product that was developed by SRI
17 International, and so what it's doing is it's going through
18 these things, and this is a hands-on kind of thing, where it's
19 trying to classify both the habitats and the fish, and one of
20 the difficulties, of course, is tracking an individual fish over
21 time in this, and so this is actually a technology that, in the
22 future, will kind of revolutionize this kind of work, and so you
23 can see it's very -- It's a trainable system, and so the idea is
24 to basically figure out what these fish are.

25
26 It puts it in thumbnails, and then, basically, it fine-tunes it,
27 and we found that two or three iterations through a scene really
28 allows you to confidently figure out what's being seen, and so I
29 think, as projects go on, this will be a really important aspect
30 of this, and certainly this has applicability not only for towed
31 systems like ours, but also even the drop camera systems that
32 are out there as well, and so we hope that this can be part of a
33 larger concept of operations.

34
35 In terms of the overall procedure of converting the multibeam
36 maps into video, into both habitat maps and stratified abundance
37 measures, it's really this. It's combining the towed underwater
38 video and the multibeam sonar and estimating habitat-specific
39 fish densities and extrapolating them based on the amount of
40 area of each of the habitats and then basically doing the
41 multiplication to get overall fish abundance estimates, and, of
42 course, this is somewhat conditioned on things like our ability
43 to detect the animals and the uncertainty of 100 percent
44 identification, et cetera.

45
46 In terms of habitat, I wanted to kind of switch this a little
47 bit. The CMECS, or the Coastal Marine Ecological Classification
48 Standard, that NOAA and other federal agencies have adopted for

1 the federal government, has four basic components, and that is
2 the water column component, what we're calling the geofom
3 component, and that is the larger structural characteristics,
4 and, most important for us, the substrate component and the
5 biotic component, and that is what lives on a particular
6 substrate.

7
8 One of the interesting things about the West Florida Shelf is
9 that it's generally an underlayment of carbonate rock with sand
10 on the top, and so sometimes you get a very thin sand
11 overlayment, but you can tell it's rock there, because some of
12 these attached components are actually there, and we know that
13 some of the invertebrate species need to actually have a strong
14 attachment point to a rock, and so we can actually infer what
15 might be under the sand underlayment, based on the biotic
16 component, and so, in particular, we focus on the substrate
17 component and the biotic component, to basically classify
18 something called a biotope.

19
20 I wanted to show you some of the video that we have for what we
21 call our testbed, and that is this Elbow region west of Tampa
22 Bay, and so you can see that the scene starts out, and it's
23 mostly sand, but then you get into a harder carbonate rock
24 surface, and what you notice is that you see a bunch of the
25 attached invertebrates, but you also see this is where the fish
26 are.

27
28 Not exclusively, of course, but, as we are going over the rock
29 habitats, you can see that this is where fish diversity and fish
30 abundance is high, and then, when you get back over to some of
31 the sand habitats, you can see that the fish density is lower.

32
33 This is our challenge of having a spatial resolution that's
34 sufficient to catch this detail, because sometimes these are
35 fairly mixed habitats, in terms of where we are, and so having a
36 map that is a very high scale of resolution isn't going to be
37 helpful, in terms of identifying these things, and so, with
38 multibeam, you can scale the maps from centimeters to
39 kilometers, and so what is the right resolution for things with
40 these interspersed habitats that you're trying to focus on?

41
42 This is a picture of the Elbow area, and this is about ninety-
43 square kilometers of multibeam map, and so, in order to
44 extrapolate the biomass, what we did was a did a series of
45 transects with the towed camera system. As I said before,
46 there's a strong north/south spine across here, and so we wanted
47 to make sure that we sampled that relatively well, and so you
48 can see a couple of the transects are right up the middle, but

1 we also wanted to sample the sand habitats as well, and so you
2 see the zig-zag transects that are out there. Again, we have
3 both the bathymetry and the backscatter that comes from the
4 sampling here.

5
6 With the bathymetry and backscatter data that we have, there are
7 a number of metrics that one can generate. From the bathymetry,
8 of course, you get the absolute depth, but, also, you've got the
9 curvature and the relative position, and that is the degree of
10 slope, et cetera, and you can also generate the rugosity of
11 that, and that's basically just the standard deviation of the
12 bathymetry over a particular area, and then you've got the
13 orientation, and that is the north/south and east/west
14 orientation, and there are a number of slope derivatives that
15 one could generate.

16
17 On the backscatter, backscatter is basically -- There are a
18 number of classification schemes for backscatter, and it's based
19 on these gray-level cooccurrence matrices, and that is how dark
20 the particular backscatter is, and that means it's proportional
21 to the hardness of the return, and also sort of the nearest
22 neighbor, and that is the cooccurrence matrix of the particular
23 grayscale that you've got, and so there are a number of
24 different metrics that one can generate from both the
25 bathymetry, and the backscatter as well.

26
27 The idea here, in looking at different areas, was to look at all
28 these variables and see if we can extrapolate the habitat types
29 that we see on the video from some of these derivatives, and
30 this is really important, because, as I said before, we're only
31 able to put eyes on, in this case, 1 percent of the actual
32 habitat that we're looking at, and so can we use the backscatter
33 and the bathymetry to actually extrapolate what the habitat
34 should be, based on the other 99 percent, where you have the
35 multibeam, but you do not have the video, and so it's
36 interesting, in terms of using the basic bathymetry, the
37 backscatter, and then the terrain attributes and the texture
38 attributes.

39
40 On the right-hand side, you basically can see the results of
41 some regression tree models that my student put together, in
42 terms of the importance of different types of variables, in
43 terms of their meaning in terms of explaining, or classifying,
44 the habitats you're looking at, and so you can see, for example,
45 in the Florida Middle Grounds, the bathymetry itself is really
46 important, and, to a certain extent, the slope and some others.

47
48 In the Elbow, it's really the slope that's important, and the

1 rugosity as well, and so you can see that a variety of these
2 metrics are important, in terms of reliably classifying the
3 scene, but they differ, depending on the different types of
4 habitat that you're looking at, and so that's important as well.

5
6 Based on these regression tree models, we're pretty confident
7 that we can extrapolate the habitats for the larger scene that's
8 indexed by the multibeam bathymetry, and so that's pretty
9 important.

10
11 In terms of making habitat density estimates of the fishes, this
12 is our ultimate map, is on the right-hand side, of the place
13 called the Elbow, and it's very consistent with a map that the
14 Florida Fish and Wildlife Research Institute did, based on side
15 scan, and you can see that the hard-rock habitat is confined
16 mostly to that north/south spine and there's another spine to
17 the west, and then it's kind of interspersed, but, again, it's
18 mostly sand.

19
20 In terms of looking at the density, and that is the number per
21 square kilometer, you can look at all the fishes that were
22 classified, both on rock and on sand habitat, and you can see
23 that the average density of animals on the rock habitat is very
24 much higher than on sand, and you can see, for different
25 species, it's pretty consistent.

26
27 For things like sand tilefish, you have, obviously, a lot more
28 higher proportion over the sand habitat, and, again, this little
29 inset shows the area, and so you can see that the sand habitat
30 represents nearly eighty-four square kilometers, whereas the
31 rock is only 3.5, and so it's a really small proportion. The
32 real question is, when you weight these all by the amount of
33 habitat, what do you come up with?

34
35 That is exactly what has happened here. The important point
36 here is that, because of the dominance of the sand habitat, even
37 though you have a low density or are extrapolating it to a large
38 area, and so the interesting thing is there's a substantial
39 amount of fish on these low-relief habitats, and so, if you're
40 doing an overall fish assessment, you need to account for it.

41
42 I recall the same thing happened when I was working in New
43 England, and we had this issue about where do monkfish reside,
44 and certainly the majority of them reside on a very narrow
45 habitat, but you have to account for the low densities over the
46 larger habitat. In this particular case, more than 50 percent
47 of the fish in the Elbow area were on 4 percent of the habitat,
48 and that is the rock habitat, and so this is sort of the

1 ultimate piece of information that one could generate, and
2 hopefully use this over a larger area as well.

3
4 We have done this not only in the Elbow area, but we've also
5 tried to extrapolate to what we call the Southwest Florida
6 Middle Grounds, which is this large area adjacent both to the
7 Steamboat Lumps and the Florida Middle Grounds, and as well as
8 the Elbow region, and use training datasets.

9
10 We can also look at model validation, and that is how well the
11 models of habitat extrapolation do, and so you have these more
12 or less confusion matrices that we can generate, in terms of the
13 predictions of rock and sand habitat, and the test statistic is
14 this so called Kappa statistic, and, in most cases, the Kappa
15 statistic indicates that we have a high degree of precision, in
16 terms of doing this.

17
18 One of the issues, of course, is that we have such a dominant
19 sand habitat that, even if the rock classification is poor, the
20 overall accuracy is high, and so that's something that you have
21 to pay attention to.

22
23 Again, what we've done is taken the extrapolation of the
24 multibeam data, based on the video training sets, and
25 extrapolated it to all the maps, including the existing maps of
26 the Florida Middle Grounds and the Steamboat Lumps, which is in
27 here, and so now you can get a much more integrated map of
28 what's going on.

29
30 The other thing that we did was looked at sea turtles, and it's
31 really interesting. We saw a total of nearly eighty turtles
32 doing this really interesting thing, and that is the density of
33 sea turtles that we saw on the Gulf Stream pipeline, which is,
34 again, this pipeline that goes from Tampa Bay to Mobile. The
35 density of sea turtles on that pipeline was thirty-seven-times
36 higher than what we saw in terms of the density on natural
37 habitats, and so this kind of begs the question about, if the
38 pipeline is concentrating turtles, are we doing enough, in terms
39 of conservation activities, recognizing that the pipeline is a
40 heavily fished area.

41
42 It's heavily fished by sport fishers in areas, particularly off
43 of Tampa Bay, and people will go out a hundred miles to fish on
44 this pipeline, and, as well, we know that there is commercial
45 fishing activities there as well, and so this kind of begs the
46 question about, if the potential for interactions with takes of
47 turtles, which can be non-lethal takes, is higher there, then
48 what provisions are accounted for the in the management of

1 turtles that would reduce the potential for interactions there?
2 This is really important.

3
4 In terms of the next steps for our program, we would -- We think
5 that, by inference, from what we've been able to do, we need to
6 extend the high-resolution mapping in the eastern Gulf to about
7 15,000 square kilometers, which would probably encompass most of
8 the offshore reef fish areas of high importance for both sea
9 turtles and fishes.

10
11 We also think that assessing the Gulf of Mexico Fishery
12 Management Council's Amendment 9 HAPC nominations is also
13 important, and classifying the habitats, and, again, this is a
14 methodology that we've worked out. We think that the archives
15 of data that NCEI holds, and FWRI holds as well, are important,
16 and we certainly would like to keep engaging regulatory
17 agencies, in terms of their priorities, and that's one of the
18 reasons why we're here today.

19
20 One of the experiments that we have ongoing is to work with FWRI
21 in the Elbow area to inter-calibrate both the towed video and
22 the stationary video, to see if we can come up with some ways to
23 extrapolate the stationary video cameras for densities, as
24 opposed to relative indices, and then we would certainly like to
25 create what we would call an enduring community of practice.

26
27 It took us years to get the people in place to do this and then
28 derive all the technologies and get up to speed, and so doing
29 this is not trivial. There are a number of groups, like Vince
30 Lecours' group at UF and Will Patterson's group, that are doing
31 density estimates, and we think there's a good community here,
32 and one of the things that I wanted to emphasize, right at the
33 end of my talk, is a new NOAA-funded mapping center that is
34 headquartered at USF, and we will be in this business for a
35 while.

36
37 One of the things that I mentioned before was that we thought
38 there might be something like 15,000 square kilometers of
39 important habitat, and that's based on a little bit of the
40 geological understanding that we have of the region, and so this
41 is the results from seismic surveys that we did both in the
42 Southwest Florida Middle Grounds and also the Elbow.

43
44 These are not like the air guns that the oil exploration
45 industry uses, and these are what USGS calls bubble guns, but we
46 were able to actually understand the structure of a place like
47 the Elbow, and you can see that these are lithified sea level
48 stands, and so, basically, 12,000 years ago, or maybe a little

1 bit longer, and since then, the sand has turned to rock, and you
2 can see this relatively shallow formation under the sand veneer,
3 and so that's pretty important, in terms of understanding, and
4 it's primarily important because you can see -- If you look at
5 the areas where we've got the circles, these areas, like the
6 Elbow, exist throughout the West Florida Shelf.

7
8 Like I said, these are probably areas that we should be mapping,
9 because it's more than likely that they are high-abundance areas
10 for things like reef fishes, and, also, there are a number of
11 places where you've got mounds and pinnacles and banks, like the
12 banks that we've talked about before, and, basically, drowned
13 barrier islands as well, and so interpreting these and doing
14 more habitat work is going to ultimately be pretty important for
15 reef fishes and turtles.

16
17 Again, we talked a little bit about the council's Amendment 9
18 coral protection areas, and many of these have not been mapped.
19 We did a re-map on Parker Bank, which was originally mapped by
20 NOAA, and we actually found that the map was not particularly
21 well registered previously, and so we think that new maps would
22 be helpful to the council, in terms of these kinds of things.

23
24 The last thing I wanted to talk about was the new mapping
25 center, and the acronym is COMIT, the Center for Ocean Mapping
26 and Innovative Technologies. This is supported by the Office of
27 Coast Survey at NOAA, and it's a five-year grant that we've got,
28 and part of the reason for COMIT is to develop new technologies
29 that are better, faster, and cheaper, and so we'll be looking at
30 remote sensing technologies and the potential for a variety of
31 autonomous vehicles to do this kind of work and doing some
32 experiments out on the West Florida Shelf.

33
34 It's a partnership with NOAA, and one of our major partners is
35 the University of New Hampshire, which also has a mapping
36 center, and so we'll be looking at enhancing the local
37 capabilities and partnerships that we can potentially generate,
38 and so I would urge people to go to the website, or look at our
39 Twitter account, in terms of some more information about it,
40 but, basically, the new center has a number of major themes.

41
42 It's particularly looking at nearshore integration into unmanned
43 systems, and that is it's difficult to run a research vessel in
44 relatively shallow water, but a lot of these unmanned systems
45 work well there. Enhancing geodetic observations, and that is a
46 multibeam map only works if you have a really good understanding
47 of what the water depth was when you were actually collecting
48 the data, and so that's the notion of the geoid.

1
2 We're looking at disaster responses and how hydrography might
3 help, using other remote sensing technologies and then doing
4 some education and outreach programs, and one of the things that
5 we're trying to think about is using what we would call
6 crowdsource bathymetry, and that is using private vessels,
7 commercial vessels, et cetera, to help develop these maps and to
8 calibrate them, particularly in areas in the nearshore, where
9 research vessels are expensive, because of the shallow beam
10 spread, and where you've got a lot of vessel activity anyway,
11 and certainly we know, on the West Florida Shelf, there's lots
12 of vessel activity.

13
14 In terms of management thoughts, there is a number of things
15 that I wanted to put on the table for sort of where we go from
16 here. Some of these areas are potential candidates for
17 additional HAPCs or other management areas, and so we've been
18 able to discover some areas that look promising, and entering
19 into that discussion about whether it's worthwhile to include
20 some of these others as candidates is important.

21
22 As I said before, the Gulf Stream pipeline is an important sea
23 turtle habitat, and the issue of are protections adequate, and
24 it's likely that recreational fishers, for example, are much
25 more likely to encounter a sea turtle on the pipeline than they
26 would in some of the other natural habitats, even relatively
27 close by. Have we done a good job of informing recreational
28 people about safe hook release and other things? There are a
29 variety of things that we could do.

30
31 The use of direct estimates of population size in stock
32 assessments, I'm sure that was well covered yesterday by Greg's
33 presentation, and I think this is the kind of ultimate prize in
34 a lot of what we're doing, and certainly the kinds of methods
35 that we've been able to develop here may lend to this larger
36 discussion about this in the future.

37
38 The sort of notion of additional research on the visual methods
39 for stock assessment, autorecognition, both in our line transect
40 studies and then extrapolating those to some of the other camera
41 systems, and siting probabilities will always be an issue.

42
43 We know that, with the scenes of both fish and their habitats,
44 there is a lot of room for what we would call spatial ecology
45 and the fractal geometry of fish and habitat relationships, and,
46 also, the multispecies associations.

47
48 With normal lethal sampling that we do for fisheries, we tend to

1 aggregate over a large geography, and, for example, an
2 individual trawl haul, we somehow have in our mind that each of
3 these animals was associated with one another in the area that
4 was swept. Well, actually, that's probably not true, that you
5 have these microhabitats that hold different species, and so I
6 think using video data to actually understand the scale of
7 multispecies associations is helpful.

8
9 Then this dialogue about priority areas for additional mapping
10 is really important, I think, and so I will just finish up and
11 say, really, this is our crowd, many of whom are on the call
12 today, and I want to thank them, and I want to thank the SSC and
13 the council for allowing us to make this presentation, and I
14 would be happy to answer any questions you all might have.
15 Thank you.

16
17 **CHAIRMAN POWERS:** Thank you. That was very interesting. One of
18 the things that comes to my mind is one of the things that I
19 think ought to be investigated as well is what scale of sub-
20 sampling might you need, so that, if you wanted to do this every
21 three years or every five years or something like that, and
22 perhaps use the information as a monitoring aspect for a
23 particular species, in terms of densities and that kind of
24 thing, and maybe even use it as part of a management procedure
25 in an MSE context. That's the sort of thing that I think would
26 be interesting, is can you scale this to a reasonable economic
27 level to reproduce it on a semi-regular basis.

28
29 **DR. MURAWSKI:** Joe, that's a really compelling question, and
30 that is, if you do a large regional assessment, you're going to
31 find where the hotspots are, and so the question would be can
32 you develop something that would be a subset that you would
33 monitor over time.

34
35 Number one, if in fact half the fish are in 4 percent of the
36 habitat, does that tell you a lot about what the changes in
37 density are? Now, that can go both ways, and we've seen where
38 high-density areas can be high-density areas until the stock
39 collapses, and so I think some strategy that mixes monitoring on
40 these high-value habitats and then some monitoring in the larger
41 area is probably a strategy to guard against that, but I don't
42 disagree with you that understanding where the fish are and what
43 kind of habitats they prefer is a big leg up, in terms of sort
44 of blind non-stratified sampling or using strata that aren't
45 relevant to the animals.

46
47 **CHAIRMAN POWERS:** Thank you. Katie, did you have a question or
48 a comment?

1
2 **DR. SIEGFRIED:** Thank you. Thank you for the presentation, and
3 we just had a quick question for you. During any biomass
4 extrapolations that the group has done, is there any attempt to
5 make, or to differentiate, between the sand that's adjacent to
6 rock and then sand that's in the middle of nowhere?

7
8 We're just thinking about this in terms of whether applying
9 these density estimates from the adjacent -- Or rock near sand
10 to all sand would potentially bias the sand estimates, and have
11 you all thought about that?

12
13 **DR. MURAWSKI:** Yes, indeed, and so part of this is what's the
14 optimal pixel size to make the extrapolation from, and, as you
15 said, you have these mixed habitats, or ecotones, and, in fact,
16 some of the work we've done in the Florida Middle Grounds, the
17 highest densities are right at the edges, and, in some cases,
18 the edges between habitats are distinct, and so certainly you
19 have the highest biodiversity along the ecotones, which is sort
20 of well-known in ecology, but one of the things that Alex Illich
21 has done is actually blend some of the scenes before and after,
22 to make sure that you're looking at a consistent habitat and not
23 a mixed habitat. I think, actually, by having another
24 classification that is these mixed habitats that are kind of the
25 fringe areas around the hardbottom habitat is kind of the way to
26 go there.

27
28 **DR. SIEGFRIED:** Okay. Thank you.

29
30 **CHAIRMAN POWERS:** Thank you. Paul Sammarco.

31
32 **DR. SAMMARCO:** Great presentation, and I enjoyed it, and this
33 stuff is very close to my heart, actually, but it was very good
34 information. It's clearly important for species distribution
35 and abundance of fish and the geography of the bottom.

36
37 We have done a lot of work, very similar work, with my lab team
38 on thirteen banks in the northern Gulf, and we have been able to
39 show -- I mean, as you have, and you know that these data
40 matrices are absolutely huge, and we had the same thing, and
41 what we analyzed is we analyzed for a number of things,
42 including species diversity and relationship to the bottom and
43 relationship to the banks and so forth.

44
45 One of the things that fell out of it that was kind of
46 interesting was we found a direct relationship between the
47 diversity, or species richness, of benthic species, and I think
48 fish were thrown in there as well, on these mesophotic reefs and

1 relief, and you're probably seen this as well, and I was
2 thinking that you have these data as well, and these sorts of
3 correlations can be done, but I would bet dollars to donuts that
4 you have a high correlation between the amount of relief and
5 your fish and your species diversity.

6
7 It's not an unknown relationship, and people have been looking
8 at this on a smaller scale since probably the 1970s, or maybe
9 earlier, but I was wondering if you have looked at that at all,
10 or do you have an interest in or whatever?

11
12 **DR. MURAWSKI:** Well, thanks, Paul, and I appreciate your work on
13 the banks in the northern Gulf of Mexico, and certainly those
14 are really interesting habitats. They're sort of suspended in
15 the mud and sand area around them as well.

16
17 You're exactly right. I mean, there are benthic species, like
18 sponges and other things, that are part of this classification
19 scheme that are predictive of the types of habitats, and
20 certainly, all things being equal, they are going to be directly
21 related to the quantity and diversity of near-bottom fishes and
22 invertebrates as well, and so we haven't worked on a lot of
23 that.

24
25 Part of our project was basically doing the mapping work, and I
26 think there's a tremendous capacity for our graduate students to
27 work with these data, now that they're up and running, and this
28 is a point that my colleague, Chad Lembke, makes, that we're
29 very happy to work with graduate students who might want to mine
30 these data for these kinds of hypotheses about how things are
31 interrelated, and we do classify the invertebrates that we see
32 related to these as well, and so that's a really good point to
33 make.

34
35 **DR. SAMMARCO:** We actually found that you could predict
36 diversity from the relief. In other words, if you wanted to do
37 that, you can scan. Once you have the relationship for this
38 general region, you can actually scan for relief and then
39 predict the diversity in a particular area, based on your
40 numerics, and so it can be valuable. It can be pretty valuable.

41
42 **DR. MURAWSKI:** Well, that's right. I mean, the whole point of
43 habitat areas of particular concern is finding locations that
44 are relatively unique and understanding their characteristics,
45 and this kind of gets back to Joe's point earlier about
46 monitoring some of these places over time.

47
48 You know, will we have reductions in overall diversity with

1 things like climate change on the shelves and whatnot, and
2 should these be sort of areas that you periodically monitor, not
3 only for counting fish for fishery management purposes, but,
4 generally, how does biodiversity change with all these different
5 structures.

6

7 **DR. SAMMARCO:** Right. Well, thank you very much.

8

9 **CHAIRMAN POWERS:** Thank you. Before we go to Will Patterson,
10 also, one of the things that struck me, when I was looking at
11 this, is the scale of the density of lionfish, and they're
12 pretty predominant there, and presumably that scale has
13 increased over the last twenty or thirty years, and, prior to
14 that, it probably was next to nothing, and so this has some
15 implications, I think, in terms of interpreting what is
16 happening to gag and red grouper and that sort of thing.

17

18 **DR. MURAWSKI:** You know, it's interesting. My colleague, Sarah
19 Grasty, has done some work on the grouper holes out there, and,
20 particularly in Steamboat Lumps, most of the grouper holes,
21 particularly if you've got a red grouper in it, there are also
22 actually lionfish in the depression, and so the lionfish have
23 taken over a number of these grouper holes, and we know that
24 they are competing for small demersals, which may include things
25 like juvenile snappers and groupers, and so it's not only things
26 like artificial reefs, and I'm sure Will will want to comment on
27 that, but also these natural habitats.

28

29 They are ubiquitous at this point, and, of course, our project
30 doesn't go back in time, for sort of the invasion of lionfish,
31 but certainly they were found on all of these different
32 habitats, and they're really a pretty amazing animal, in terms
33 of the diversity of habitats they can actually occupy.

34

35 **CHAIRMAN POWERS:** That's interesting. Thank you. Will.

36

37 **DR. PATTERSON:** Thanks, Joe. Steve, you mentioned some of the
38 issues about attraction and avoidance, and then visibility, that
39 can affect the detection of animals when you're using the C-
40 BASS, but one thing you didn't mention, and maybe you've done
41 some work here, and so I'm curious, but, when you get into these
42 more complex habitats, and fish have more places to hide, then
43 detectability can be affected by that, and Holden Harris did
44 some nice work here, looking at less-complex artificial reef
45 habitats and more complex natural reef habitats and
46 detectability of lionfish, using some depletion methods to
47 examine that.

48

1 I'm curious if you've done any comparative work with smaller
2 gear, like ROVs, that might be a little more nimble for this
3 habitat, or even divers, technical divers, in some of these
4 discrete habitats along the West Florida Shelf, and compared
5 your density estimates among methods and tried to get a sense of
6 whether the C-BASS is having similar issues with detectability
7 or if it may be less or more, and any work done in that respect?
8

9 **DR. MURAWSKI:** That's a good issue, Will, and thanks for
10 bringing it up. You know, there's a tradeoff here of working,
11 for example, with the technologies that Will has, which are
12 smaller ROVs, where you can basically work around a coral head
13 or a habitat and kind of peer in, particularly if it's highly-
14 diverse habitat, where there is overhangs, et cetera.
15

16 Our goal was to basically move along in a fairly rapid pace, and
17 so one of the things that we've said is we're probably not good
18 at detecting things under about fifteen centimeters, just
19 because you're moving fast and they are small animals, and
20 there's a tradeoff for how much habitat you can actually look
21 at.
22

23 I do think that that's probably an issue in these extremely
24 high-relief habitats, where you have boulder fields and crannies
25 and whatnot, and a single pass is certainly not going to do
26 that, and I think your point about doing more calibration work,
27 in particularly those high-relief habitats, where you might
28 actually be underestimating fish densities, is pretty important,
29 and I know you've done a little bit of that work as well, and so
30 this is one of the reasons why we're working with Ted's group to
31 do an inter-calibration with the fixed cameras, but the Elbow
32 really doesn't have a lot of that habitat, in terms of overhangs
33 and whatnot. I think it's more the higher-relief habitats that
34 are going to be problematic for that, but it's a good point, and
35 maybe we should team up and do something together.
36

37 **DR. PATTERSON:** Sounds good.
38

39 **CHAIRMAN POWERS:** All right. Thank you. I think I will shut it
40 off here. That was very interesting, and I hope to see how this
41 progresses, because it certainly can be utilized in terms of
42 developing assessment models and management advice associated
43 with that.
44

45 We will move on then to the next agenda item on carryover,
46 Agenda Item XIV, and Dr. Stephen is -- I think there's a couple
47 of presentations, actually. Jessica, if you can begin there
48 with the carryover, and what we're going to need to do is look

1 at the information that's presented here, in terms of the IFQ,
2 and make some judgements about how to proceed based on that, and
3 so if you'll go ahead then, Jessica.

4
5 **CONSIDER CARRYOVER OF UNCAUGHT COMMERCIAL QUOTA FOR IFQ MANAGED**
6 **SPECIES**
7

8 **DR. JESSICA STEPHEN:** What I have today is some information
9 about if the council decides to go through with a carryover, due
10 to the pandemic impacts.

11
12 I just want everyone to keep in mind that the council is still
13 considering whether to do a carryover provision for 2020. What
14 I have for you are preliminary 2020 landings, and we'll do a
15 little bit of comparisons to past years, so you can see how
16 that's working in comparison.

17
18 What we're looking for from the SSC is advice needed prior to
19 the carryover action, and so we're looking to have your thoughts
20 or comments about how much carryover we should do by share
21 category, if it needs to be done by all the share categories or
22 not, and, of course, we need to consider, with the carryover,
23 whether there will be negative impacts on the SSB or rebuilding
24 timeframes, as well as the buffer between the ABC and the OFL.
25 If we are going to exceed it, we would need approval to exceed
26 the ABC for each share category.

27
28 Some of the things that might make carryover a little bit more
29 complex in our consideration are the flexibility measures within
30 the IFQ system and the multiuse considerations. Within the
31 deepwater and shallow-water complexes, we have what are called
32 flexibility measures, and we have three species, scamp, warsaw,
33 and speckled hind, that can be landed under either category.
34 There are rules for how they get landed under each category, and
35 that is taken care of automatically within the online system,
36 and those rules are that it must be landed under its first
37 primary category, and only when all allocation within that
38 category is exhausted for that shareholder can it then be landed
39 under the other category.

40
41 When we get to red grouper and gag multiuse, it's a little bit
42 more complex. For these categories, what we do is we take a
43 percentage of the released quota and convert it into multiuse
44 category, and so part of red grouper becomes red grouper
45 multiuse, and part of gag becomes gag multiuse. The multiuse
46 provisions are disallowed when under rebuilding plans.

47
48 For the gag and red grouper, the way we decide what proportion

1 of the quota goes over to multiuse is a formula that has been
2 derived through the SSC in previous years, and this formula
3 ensures that neither red grouper nor gag landed under either
4 category would exceed the ACL for those species.

5
6 Again, the system does determine how this is used. For example,
7 here, with gag, gag would first be landed under the gag
8 category, and next it would be moved to the gag multiuse, which
9 was originally generated from the gag category, and then,
10 finally, it could be used under the red grouper multiuse
11 category.

12
13 When we're thinking about carryover for these two species, one
14 of the considerations, or thoughts, we would like to get from
15 the SSC is whether we should carry it over all as a primary, and
16 keep in mind we'll have some people that only have gag multiuse
17 and not gag, and should that all just go over as primarily gag?
18 Should we leave it as it is in the remaining accounts, which
19 could contain both the primary and the multiuse, or should we
20 take it all together and do a proportional formula, as we used
21 for distributing the 2021 quota?

22
23 Now I want to get into some of our preliminary landings data,
24 and keep in mind that we just migrated our system over, and so
25 we were working within a new database, and we were a little bit
26 last-minute grabbing these data, as it ended in 2020, on
27 December 31.

28
29 Preliminary, we do have that, for red snapper, 99 percent of the
30 quota has been landed. This is similar to past years. Red
31 grouper landed around 79 percent, a little bit higher than some
32 of the past years, but please keep in mind that the red grouper
33 quota itself dramatically dropped between 2018 and 2019, from
34 7.78 million pounds to three million pounds.

35
36 Gag grouper was also similar in 2020, although slightly lower
37 than previous years, at about 51 percent, and then we have the
38 three remaining categories, and deepwater, shallow-water, and
39 tilefish are all a little bit lower than what we've seen in past
40 years, and deepwater grouper had 79 percent, roughly, although
41 that has been shown in past years, but it is one of the lower
42 amounts that we've seen landed. Shallow-water was at 31
43 percent, and shallow-water grouper, in general, the percentage
44 of quota landed, fluctuates tremendously year-to-year. Then
45 tilefish was lower, at 60 percent, compared to some of the past
46 years.

47
48 I did that as percentage of the quota, and sometimes it's a

1 little bit easier to look at it in actual pounds, and so what I
2 wanted to show you here was what the remaining 2020 pounds were
3 within each category and what those percentages calculated out
4 to.

5
6 Red snapper was around 67,000 pounds, and red grouper at 631,000
7 pounds, gag grouper at 463,000 pounds, and deepwater is at
8 220,000 pounds. Shallow-water is at 360,000 pounds, and
9 tilefish is at 233,000 pounds. You can see that, in comparison
10 to the quota, some of these are a rather significant amount of
11 remaining allocation, if we were to carry over the entire
12 amount.

13
14 We also did a little bit of investigation into how many of the
15 accounts that held allocation throughout the year were accounts
16 that also had remaining allocation in it, and, by share
17 category, it varied considerably. We had red snapper, where
18 only about thirty accounts that had held red snapper throughout
19 the year still had remaining allocation, and remember they did
20 land 99 percent of their quota, and the bulk of these accounts
21 held somewhere between 101 to 1,000 pounds.

22
23 Looking at red grouper, we did split it out between red grouper
24 and red grouper multiuse, as shown here, and it's around 63
25 percent of the accounts holding that, and, again, primarily,
26 we're looking at accounts that are anywhere between one to 1,000
27 pounds being held within those.

28
29 The same thing with gag grouper, and we broke it up between the
30 gag and the gag multiuse categories, and around 69 percent of
31 the accounts had some form of allocation remaining in them, and
32 the bulk of them was a little bit closer to that 100 to 1,000
33 pounds per account category.

34
35 Then deepwater grouper was 60 percent of the accounts had
36 remaining allocation. Here, they were primarily in the eleven
37 to 100-pound category range, and shallow-water grouper was 74
38 percent of all accounts, and it's primarily dominating in the
39 eleven to 1,000-pound range. Finally, tilefish, which was 58
40 percent of the accounts, and, here, you can see that those
41 accounts were primarily anywhere from one pound up to 1,000
42 pounds per category.

43
44 Here, what I wanted to show you is we went and we looked at the
45 OFL, the ABC, what the buffer is between the two of those, and I
46 compared the overage, and I have to apologize. The shallow-
47 water grouper, the line is incorrect in this graph, and I don't
48 believe we have an OFL for shallow-water grouper, due to issues

1 we had with black grouper, which is one of the species in that
2 category.

3
4 The columns that are highlighted in red is where the overage, or
5 what we have remaining within the IFQ system, if we were to
6 carry it over, is actually exceeding what that buffer is, and
7 so, realistically, we could probably carry over the red snapper
8 and gag without much work, but, in looking at the other species,
9 we would have to either raise an OFL or ABC to carry over the
10 full amount or consider how to proportion out what to carry over
11 of those remaining accounts. Here, I would like to kind of open
12 it up for any questions or if John and Ryan have anything more
13 to add to it.

14
15 **CHAIRMAN POWERS:** Are there questions?

16
17 **MR. RINDONE:** Just to echo what Dr. Stephen said about the
18 deepwater and shallow-water grouper complexes and how the catch
19 limits for those are just a little bit different, because the
20 recreational landings for those tend to be lower by species, and
21 so we have poundages listed for the quotas that are used in the
22 IFQ programs, but all of the landings -- Just to clarify that
23 all of the landings commercially and recreationally are still
24 counted.

25
26 **DR. ANDERSON:** Could I ask that we put the last slide up again?

27
28 **MR. RINDONE:** We're working on it. The computer is having its
29 own mind today sometimes.

30
31 **CHAIRMAN POWERS:** Lee, did you have a specific question about
32 it, or did you just want to peruse it?

33
34 **DR. ANDERSON:** I just wanted to peruse it.

35
36 **CHAIRMAN POWERS:** Okay. We will probably want to refer back to
37 this as we go on to discussion. At this stage, Andrew, did you
38 have another question?

39
40 **DR. ROPICKI:** I realize it's probably not fair to ask this, but
41 do we have any dockside price data, like how it changed
42 throughout the year and what they were getting for the different
43 species groups in 2020?

44
45 **DR. STEPHEN:** Give me a second, and I probably have something
46 for the council for that, and I can look up and see if I have
47 something for you.

48

1 **MR. RINDONE:** Dr. Stephen has been presenting the impacts of the
2 pandemic on share prices, dockside prices, et cetera, to the
3 council now for the past several meetings, and that's been very
4 informative, and you can see the progression of those
5 presentations and those data in the archived council briefing
6 materials for I think just about every meeting since July, or
7 June, rather.

8
9 **DR. STEPHEN:** I think I did add it as supplemental slides in
10 this, and so if you can go to Slide 17. It's in graphical
11 format, and so this is -- I have one for each share category,
12 and what you see here is red snapper, with the bottom graph
13 showing the ex-vessel price.

14
15 To orient you a little bit to the graph, the gray line is the
16 average of 2017 to 2019, and the black-dotted line was 2019, and
17 that blue-dashed line is representing 2020, and so here, in red
18 snapper, you can see the dip down when the pandemic was really
19 affecting things, but, as different states opened up, or
20 different businesses figured out how to open restaurants or sell
21 fish in fish markets, we see kind of that increase in the ex-
22 vessel price in 2020 and the later weeks, and so we could page
23 through each of these, if there's any particular species that
24 anyone had interest in. For the deepwater, shallow-water, and
25 tilefish, we picked one species to represent each one of those
26 categories.

27
28 **CHAIRMAN POWERS:** Okay. You had asked for questions at that
29 stage, and did you want to continue on with the presentation?

30
31 **DR. STEPHEN:** The rest of the slides that I have are really just
32 supplemental, if you were going to ask questions, and we might
33 want to go back to kind of the beginning slides and think about
34 some of the questions of which categories would be worthwhile to
35 consider or give advice towards the council about, as well as,
36 if we do consider doing anything with the categories that have
37 flexibility measures or multiuse, some decisions or thoughts
38 about how to best accomplish that.

39
40 **CHAIRMAN POWERS:** Thank you. I think it was the previous slide
41 that you had there, and can you go back to that? One had sort
42 of the questions to be asked. Essentially, that category is
43 what we're trying to address. Let me open the floor.

44
45 I think we're being asked to provide some guidance, and let's
46 take the first step, on whether carryover affects the SSB levels
47 to any large extent or rebuilding times, and those are species-
48 by-species kinds of decisions, and so I think -- Well, Lee will

1 get us started. Thank you. Lee.

2
3 **DR. ANDERSON:** I hope so. Can you tell us what has been done in
4 the past with respect to carryover, what percentage, because
5 some of those ones in red on that last page, that's going to be
6 a big carryover relative to the buffer, but what have they been
7 in the past, please?

8
9 **DR. STEPHEN:** I can answer, or Ryan can, but we have not done
10 carryover in the IFQ, and it is currently not an action that we
11 take year-to-year, and Ryan probably can speak more to, when we
12 were considering carryover provisions for stocks within the
13 Gulf, we actually decided not to include the IFQ, due to a
14 variety of different issues that may come up from having the IFQ
15 kind of in effect and carrying over. Ryan, do you want to add
16 to that?

17
18 **MR. RINDONE:** I was just going to say none, and so we have not
19 done carryover in the Gulf ever. We had presented a document to
20 the council that they ultimately tabled, and the presentation
21 for which is actually one of the next items under this agenda
22 item that I was going to go through, so you guys can see what
23 the council's train of thinking was as they were going through
24 this. That's really your pleasure about where you want to
25 advance for this agenda item at this point, Mr. Chair.

26
27 **CHAIRMAN POWERS:** I think we're kind of struggling about how to
28 go ahead, and so, at this point, I think the presentation, the
29 other presentation, go ahead and do that, and we'll kind of
30 formulate our thinking in the process.

31
32 **MR. RINDONE:** Okay. I will go through it briefly. Just to kind
33 of recap what the council is asking of you guys for this
34 particular agenda item, if we go back to the scope of work and
35 head down towards the bottom of that, the council is asking you
36 to review and discuss all of this information and make
37 recommendations to them relative to the relevance and
38 feasibility of carryover of unharvested quota within the IFQ
39 programs.

40
41 The committee should also consider whether it's appropriate to
42 modify the ABCs for certain species to accommodate carryover
43 from 2020 to 2021, if I appropriate, and, of course, there are
44 multiple things to consider here, and not just the biology, but
45 also social and economic considerations.

46
47 If we bounce back over to the carryover presentation, if we look
48 right here, and this is based on 2017, when we got this document

1 off the ground, and you can see that there were varying amounts
2 of overages and underages for the different components of -- Or
3 the different fleets for each species.

4
5 One of the things that we tried to focus on with respect to
6 carryover was to ensure that any carryover was applied to the
7 smallest divisible component of each sector, or in each fleet,
8 and so, for example, greater amberjack would just be the
9 commercial and recreational sectors, but, for kingfish, you have
10 the recreational sector, and then you have the different zones
11 and gears for the commercial sector, and so carryover for
12 kingfish shouldn't be applied just to the commercial sector, but
13 down to the smallest degree possible, and so, as an example, say
14 the Western Zone handline component of the commercial sector.

15
16 That's to ensure that assumptions that are made in the stock
17 assessment about things, like gear selectivity and catchability,
18 et cetera, that those are not violated by carryover fish, and
19 one component of a sector, or one fleet, may select for a
20 different size and/or age than another one, for a variety of
21 reasons.

22
23 These are some of the rules that we have put in place, the first
24 one being the smallest managed portion that I just talked about.
25 That if the combined sector landings exceeded the sector or the
26 stock ACL, that no carryover should occur. That the amount to
27 be carried over, when added to the ABC, cannot result in an ABC
28 greater than the OFL. Then the carryover would only be an
29 underage of the original ACL and not the adjusted one, and so,
30 if in Year X, you didn't land your ACL, and so, in Year X-plus-
31 one, there was a carryover, and you didn't land your ACL again
32 in Year X-plus-one, then there would not be a subsequent
33 carryover to Year X-plus-two.

34
35 These are just some of the options that were considered by the
36 council prior to pulling the plug on this particular document,
37 and the council preferred saying that carryover would not apply
38 to species that were currently overfished or that did not have
39 their fishing year close as a result of the ACL or quota being
40 met or projected to be met.

41
42 This table here just shows, based on that decision at the time,
43 which species would be eligible, and the species eligible is in
44 green, and the species not eligible are in red.

45
46 Then we talked about how to adjust for management uncertainty.
47 For some species, in some fleets, NMFS does a pretty good job
48 with being able to manage those to their ACTs or ACLs, and an

1 example is the for-hire component for red snapper has been able
2 to be maintained at or under its ACL for the last couple of
3 years, but one that we struggle a little bit with is amberjack,
4 and also sometimes triggerfish, and so consideration of
5 something to help account for some of that management
6 uncertainty, when we're fiddling with the ABC and the ACL like
7 that, was considered.

8
9 The council said that -- They had preferred adjusting the amount
10 of the ACL to be carried over by limiting how much the
11 difference between the ABC and the OFL can be reduced, and so
12 they said that they didn't want to reduce it by more than 50
13 percent, and so just kind of as a little bit of added insurance,
14 especially since, for some species like red snapper, the stock
15 ABC is only 2.5 percent and change underneath the OFL, and so,
16 depending on species, it can be a razor-thin margin, kind of
17 like you guys talked about yesterday with reservations about the
18 way the P* process works with our current control rule.

19
20 Then we talked about modifying the framework procedures to
21 automate pieces of this process, and the idea was just to make
22 it as automatic as possible, so that we didn't have long,
23 lengthy bureaucratic-management-related delays, wherever we
24 could avoid them.

25
26 Ultimately, this was tabled, because, if you're going to carry
27 over quota, like we've talked about in the past, then you should
28 also be willing to pay back any overages that occur, and so, for
29 some species, our current accountability measures don't exactly
30 cater to that, and the payback side of things is a little bit
31 more difficult of a pill to swallow than being able to gain
32 something through a carryover, but, for every yin, there's a
33 yang, and the Science Center has done extensive simulations on
34 this, to show that, pound-for-pound, you can carry over what was
35 foregone in Year X to Year X-plus-one, but, if you're going to
36 do that, in keeping with balance, you need to be willing to pay
37 back, whenever there is an overage, pound-for-pound, as well,
38 and so that balancing act is what keeps us in check with our
39 rebuilding timelines and making sure that we don't eat up too
40 much of our principal by allowing carryover, but not doing any
41 paybacks. That is a gross simplification of the simulations,
42 but are there any questions?

43
44 **CHAIRMAN POWERS:** Okay. Andrew, did you have a question or a
45 comment?

46
47 **DR. ROPICKI:** Just so I'm clear, what we're considering right
48 now would be a one-time thing, right, just for the pandemic

1 year?

2

3 **MR. RINDONE:** That is correct.

4

5 **CHAIRMAN POWERS:** Sean and then Lee Anderson.

6

7 **DR. POWERS:** Ryan, can you go back to I think it's Slide 7 that
8 showed the eligible species? I have big reservations on doing
9 any carryover, especially with what we heard about gag and what
10 we know about red grouper, and probably less over tilefish, but
11 the management -- I will agree that the overages need to be paid
12 back, but it's a target, and sometimes we go -- Hopefully
13 sometimes we go low, and rarely do we go above, but, for some of
14 these species that we have talked about, we have significant
15 concern.

16

17 While they're not technically classified as overfished or
18 overfishing, we have been talking that the assessments may not
19 be accurately reflecting those stocks, and I definitely have
20 that opinion for all the groupers involved, and, like I said,
21 less so, probably, for tilefish, but it's been a while since
22 we've had a new tilefish assessment, I believe. Anyway, that's
23 my thoughts, and I just mainly wanted to see this slide.

24

25 **CHAIRMAN POWERS:** Thank you. Lee.

26

27 **MR. RINDONE:** Mr. Chair, just to Sean's point?

28

29 **CHAIRMAN POWERS:** Go ahead, Ryan. Sorry, Lee.

30

31 **MR. RINDONE:** For what you guys have before you for what the
32 council is requesting right now, it's just for the IFQ species,
33 and it's important to remember that, as far as overages are
34 concerned for the IFQs, for the IFQ programs, it's not something
35 that those programs deal with, because of the way that they're
36 structured and the way the whole program works. Overages just
37 aren't a thing for that. When you guys are thinking about it,
38 that's just something to remember for those species, for this
39 instance, that you're being asked for consider for this. Thank
40 you.

41

42 **DR. ANDERSON:** Should I jump in here?

43

44 **CHAIRMAN POWERS:** Yes, please.

45

46 **DR. ANDERSON:** I am just interested in what is the --

47

48 **MR. RINDONE:** Lee, we lost you there. I think you were asking

1 what the motivation was, and something that -- I'm going to take
2 a guess, since we lost your audio, that that's what your
3 question was, but the motivation behind this, at least from what
4 we've heard at the council meetings, is that there are fishermen
5 that have invested in this fishery, or these fisheries, under
6 the presumption that 2020 would be just like any other year, and
7 clearly it was anything but.

8
9 There are fishermen that are carrying around, or at least were
10 carrying around, pounds of fish that they weren't able to go and
11 catch, and those pounds represented a financial commitment, and
12 those fishermen are now in the hole on those pounds, and this
13 was primarily something that applies to fishermen, commercial
14 fishermen, that lease quota from other people.

15
16 If they don't use that in a particular year, then it doesn't
17 carry over for them to the next year, and they're just out that
18 money that they paid to lease those pounds of fish, and so what
19 the council is trying to consider is a way to help make those
20 fishermen whole, given that what happened in 2020 was not
21 something that was able to be predicted, and the ability to
22 carry over from one year to the next, as long as other
23 conditions are met, is not expected to result in any long-term
24 negative effects to the species that are being considered.

25
26 **DR. ANDERSON:** Thank you.

27
28 **CHAIRMAN POWERS:** Thank you. Let's go to the slide from Dr.
29 Stephen's original presentation that actually had that table in
30 it, and I have forgotten which one, but what the buffer was. I
31 think this is kind of the decision table that we have to deal
32 with, I think, in answering those particular questions. Walter.

33
34 **DR. KEITHLY:** Thank you. Jessica, you showed it on red snapper,
35 I believe, just now, but could you refresh my memory -- I
36 believe, at the previous SSC meeting, you had a graph, or
37 graphs, of all the different IFQ species, in terms of their
38 prices during the pandemic versus pre-pandemic, and could you at
39 least refresh my memory as to whether prices for those species
40 were significantly below the pre-pandemic prices?

41
42 **DR. STEPHEN:** I think I included most of the slides here as
43 supplemental, starting -- I showed you Slide 17, but, if we move
44 to Slide 18, it would be gag, and then looking at the bottom
45 graph is where you would be looking for the ex-vessel prices,
46 and you can see a little bit different story going on with gag,
47 with how the fluctuations were occurring there, where we were
48 definitely under during when the pandemic first hit, and then

1 moving up with the other ones.

2
3 If we move to the next slide, this would be red grouper, and
4 what you're seeing in most of these slides is that, by the end
5 of the year, we're seeing the ex-vessel price come up with
6 those, and that's somewhat indicative that the market is
7 beginning to recover, although I will leave that to the
8 economists to determine.

9
10 This is yellowedge grouper, which is our representative species
11 for deepwater grouper, and keep in mind this was one of the
12 categories where the landings weren't as high as they had been
13 in previous years, which you can see in the upper-right-hand
14 corner. You also can notice here that the ex-vessel price never
15 quite came up to where we had seen it in previous years.

16
17 Then one more slide here should be scamp is the species we
18 picked for shallow-water grouper, and, within shallow-water
19 grouper, and this is a somewhat different fishery, as it isn't
20 one that is always targeted within our fisheries and IFQ, but
21 you do see that the ex-vessel price here is approaching the 2019
22 values, but it's a little bit under what we've seen in the
23 average of 2017 to 2019, and I believe we have one more with
24 tilefish, with golden tilefish representing it. Here, you see
25 similar to what you saw with deepwater grouper, and the
26 landings, overall, didn't match up to what we had seen in
27 previous years, and the ex-vessel price was lower.

28
29 **DR. KEITHLY:** Okay. Thank you.

30
31 **DR. STEPHEN:** Yes.

32
33 **CHAIRMAN POWERS:** Jason and then Andrew Ropicki.

34
35 **MR. ADRIANCE:** Thank you, Mr. Chair. I was looking at the table
36 in Slide 5 and looking at how these landings had compared over
37 recent years, and, really -- Obviously, accounting for red
38 grouper having a quota change, proportionally, it still looks
39 roughly the same, and the only one, to me, that looks like it
40 really is off a good bit would be tilefish. I'm not sure if
41 that's something to think about in a decision, and it's kind of
42 going to Ryan's point as to making me wonder how far off is it
43 for some of those folks that are stuck with some leasing issues.

44
45 **DR. STEPHEN:** If you do want to see more detailed years,
46 starting at Slide 11, I have some further back in time,
47 throughout the entire IFQ program, and I think Slide 11 has
48 deepwater and tilefish in there, and that just gives you an idea

1 of how those landings have fluctuated over time in comparison to
2 the quota. Keep in mind the quotas have changed over time for
3 various species.

4

5 **CHAIRMAN POWERS:** Thank you. Andrew.

6

7 **DR. ROPICKI:** Just the slides, and I think it's 17, and down at
8 the bottom, are helpful, but it's kind of hard to tease out,
9 when you're looking at total ex-vessel value, what's happening
10 to prices dockside, in terms of average ex-vessel, and is there
11 any chance we've got that somewhere, where we could see what
12 they were getting per pound through time?

13

14 **DR. STEPHEN:** I know we have the weekly ex-vessel price slides
15 that we did for the last council meeting, and I won't be all the
16 way through to the end of the year. Ryan, do you have those
17 handy to show?

18

19 **MR. RINDONE:** Do I have what?

20

21 **DR. STEPHEN:** Do you have the last presentation that we did for
22 the last council meeting? We had a weekly ex-vessel slide in
23 the groups of slides like this. Is that something we can
24 quickly grab and display?

25

26 **MR. RINDONE:** Quickly might be relative, but we can find it.

27

28 **DR. STEPHEN:** Let me also see if I have someone here who can
29 grab it too, and I can email it real quickly and see what we can
30 do.

31

32 **MR. RINDONE:** We're digging for it right now.

33

34 **CHAIRMAN POWERS:** In the meantime, let me recognize Tom Frazer.

35

36 **DR. FRAZER:** Thanks, Joe. My question for Jessica really is,
37 again, to Ryan's point, and so a lot of the discussion was about
38 people that held leased shares, and so is there a way to
39 identify, for each of these particular fisheries, how many
40 outstanding leased shares there are?

41

42 **DR. STEPHEN:** We're in the middle of still going through that
43 analysis, and keep in mind that we only started trying to do
44 this on January 4, because of waiting for the end of the year,
45 and we also have gone over a complete system overhaul, and so we
46 had to rewrite all of our code to generate it. We will have
47 that by the council meeting though.

48

1 **DR. FRAZER:** Okay. Thank you.

2
3 **CHAIRMAN POWERS:** All right. I want to go back to the original
4 table. Well, Lee, let me go ahead with you. Lee.

5
6 **DR. ANDERSON:** I am having some heartburn about the people that
7 rent and how they should be treated. I can see both points, but
8 I am not sure that the council needs to step into the market and
9 say, well, if you bought it and then something happens, we're
10 going to protect the sale or something, and I'm not sure that I
11 agree with what I just said, but it's kind of a funny way to
12 look at it, to separate it and say the guys who rented have to
13 be treated separately, and I would like to hear what other
14 people say on that.

15
16 **CHAIRMAN POWERS:** Jim Tolan.

17
18 **DR. TOLAN:** Thank you, Mr. Chairman. I tend to agree with Lee,
19 being that this is just geared towards the IFQ program, but
20 couldn't the same financial case be made by recreational
21 fishermen who bought a boat at the very beginning of the year
22 and, because of COVID, he wasn't allowed to go out fishing? It
23 seems like an odd place for the council itself to step into the
24 market, because the reason behind it wasn't specifically just
25 the IFQ. Thank you.

26
27 **CHAIRMAN POWERS:** Thank you. We need to focus on what our
28 decisions are in this and then some basic economic advice that
29 we might give them. In terms of the decisions, I mean, on the
30 basic decisions, my feeling is if you -- If whatever carryover
31 it is is less than the buffer, and it remains within the ABC,
32 then that's fine, in terms of the conservation objectives. If
33 it doesn't, then that's not fine, in terms of the conservation
34 objectives.

35
36 Then the other question that was being asked is do we want to
37 modify the ABC, and certainly not at this point, and there's no
38 reason for us to suggest modifying the ABC.

39
40 Now, I think, in general, that's at least my opinion, in terms
41 of advice about the conservation sorts of issues, and I would
42 like to get some sort of agreement about that, and then we can
43 go on then as well about the economic implications of this and
44 whatever advice we might give the council in terms of how they
45 proceed relative to this, but I would like to kind of focus on
46 that original table that had the overages for the seven or eight
47 species that we're talking about.

1 **DR. STEPHEN:** I think was Slide 7.
2
3 **CHAIRMAN POWERS:** Okay.
4
5 **DR. STEPHEN:** My bad. It's Slide 8.
6
7 **CHAIRMAN POWERS:** Okay, and so, again, what I would like to do
8 is kind of deal with those sorts of issues first, and Bob Gill
9 and Will Patterson and Andrew, if you will keep the comments to
10 these sorts of issues that I just mentioned, about the
11 conservation objectives. Bob.
12
13 **MR. GILL:** Thank you, Mr. Chairman. I agree with your comments,
14 and I will pass.
15
16 **CHAIRMAN POWERS:** Will Patterson.
17
18 **DR. PATTERSON:** You've addressed this, with respect to the
19 earlier conversation, and I just didn't see anything in what's
20 been presented that would allow us -- You know, there's no
21 analysis to say what the economic impact of this could be, or
22 the biological impact of this could be, and so, on the one hand,
23 I don't see how the SSC has anything to comment on here, except
24 to say the math is right in this table.
25
26 I mean, there's no real science being discussed here, and these
27 are policy issues and management issues that the council can
28 choose or choose not to affect the market in this way, but,
29 really, there's not -- I don't see any science here for us to
30 comment on.
31
32 **CHAIRMAN POWERS:** All right. If that is a tacit agreement, I
33 don't feel the need for a particular motion associated with
34 this, but the general opinion of the SSC, and we can move on
35 then to the economic issues, and I would open again for the
36 discussion about what information we might provide the council
37 in terms of interpreting what they might do, and perhaps what
38 information they might look at, as they proceed into that sort
39 of decision-making. Andrew.
40
41 **DR. ROPICKI:** I had put my hand down, and it was kind of off-
42 topic.
43
44 **CHAIRMAN POWERS:** Lee.
45
46 **DR. ANDERSON:** I agree with your point exactly, Joe. In fact,
47 that's what I was trying to get at, and I couldn't say it as
48 clearly as you did, but, in this case, you change this only if

1 it does not affect the biological health of the fishery, and so
2 the red herring would have been in that to treat lessees
3 different than owners, but, even in that case, I would not go
4 for it.

5
6 Looking at these numbers here, and that other thing that we had,
7 it looks like red snapper, the overage -- Even if it was all
8 going to people who rented, you could give that back, and you
9 would still be within -- You would not cut the buffer by more
10 than 50 percent, which was something that was the preferred
11 option, and so that's as far as I think we can go. Economics is
12 important in certain ways, but I do not think that economics and
13 people's pocketbooks should overrule the safe biological
14 catches.

15
16 **CHAIRMAN POWERS:** Thank you. Mandy.

17
18 **DR. KARNAUSKAS:** In terms of what sort of information the
19 council might want to look at, in terms of an economic analysis,
20 I thought that Andrew made a good point earlier about the share
21 prices, and, for example, the share price of gag grouper he
22 mentioned is possibly bottoming out.

23
24 That could potentially be an indication that the quota is too
25 optimistic and the reason they can't make the quota is because
26 they can't find the fish, and so I think one piece of advice
27 that the SSC might offer is to look at those share prices and
28 try and differentiate where the fish aren't being caught because
29 there is no market demand and where the fish aren't being caught
30 because they can't be found.

31
32 **CHAIRMAN POWERS:** Thank you. Andrew Ropicki.

33
34 **DR. ROPICKI:** I just wanted to kind of touch on what Lee said,
35 because it is very difficult, with how much bouncing around
36 there is, in terms of percentage of the quota that gets
37 harvested every year, to tell much about red and gag and
38 deepwater and shallow-water grouper and tilefish as to how much
39 of this is problems related to the pandemic versus just a normal
40 year.

41
42 I mean, the one that I actually think would make the most sense
43 to allow an overage, looking at the data you have going
44 backwards, is red snapper, even though it's small. I mean, if
45 you look at landings as a percentage of quota, going back to
46 2014, and, now, 99 percent doesn't sound like we're way down,
47 but it's usually 99.4 or 99.6, and they harvest pretty much all
48 of it, and, I mean, the one year where they were below 99 was

1 2015, and there was a big mid-year increase, and so that was
2 kind of a different animal.

3
4 I mean, given the difference, the OFL and ABC buffer, and the
5 overage being so small in our fairly common trend of 99.5
6 percent of it being harvested every year, I think there's
7 definitely an argument to be made for a carryover there, whereas
8 the other ones -- I think a lot more data would be needed to
9 make a really informed decision on whether what we're seeing is
10 pandemic-related or just normal kind of bouncing around that we
11 have through time.

12
13 **CHAIRMAN POWERS:** Okay. Thank you. Ken Roberts.

14
15 **DR. ROBERTS:** My comments relate to red snapper and being in
16 agreement with Lee. The only thing I want to add is that
17 there's no need to correct a potential unanticipated impact on a
18 group of people that are suffering some cost that hasn't been
19 anticipated in their actions very quickly.

20
21 I think the gist of the discussion has been, well, we have an
22 impact, and let's see how we can deal with it without affecting
23 the buffer too much, but why not have the council give some
24 thought to a two or three-year recovery period, instead of
25 trying to have these people be corrected, so to speak, or have
26 their problem corrected, within one calendar year?

27
28 I think it would be useful, if they're going to have a
29 compensation program, and not direct payment, but a compensation
30 in terms of giving them a chance to recover some of their
31 business decisions, that it be done over a two or three-year
32 period, and so I guess my comment is just to make sure that you
33 don't try to correct a one-year event with a one-year reaction.
34 Thank you, Mr. Chairman.

35
36 **CHAIRMAN POWERS:** Thank you. What we're doing here is providing
37 some background information to our advice to the council about
38 how they might approach this issue, given that they were to do
39 it, and this is sort of separate from the sustainability issues
40 that we've come to agreement with. Jessica, you had a comment?

41
42 **DR. STEPHEN:** I just wanted to add that, when we're looking at
43 this data, some of the differences may not be all due to the
44 pandemic, and we had several severe major hurricanes that shut
45 down the fisheries, particularly in the Louisiana area, and that
46 also would have an effect throughout for all the landings per
47 year.

48

1 **CHAIRMAN POWERS:** Okay. Thank you. Ryan.

2
3 **MR. RINDONE:** I was going to mention that as well, that it
4 seemed to be, in 2020, that, if we were going to hold a council
5 meeting, it was going to get interrupted by a hurricane, and I
6 know that correlation seemed to almost turn into causation, or
7 at least that was the joke amongst staff.

8
9 Beyond that, when you guys are considering all of this, what's
10 being requested of you is to consider whether it's appropriate
11 to do this carryover from 2020 to 2021, but something that NMFS
12 has provided guidance on for integration into the council's
13 control rules is the application of carryover and phase-in
14 approaches to changes in catch limits.

15
16 Phase-in can be to address positive or negative changes in catch
17 limits, whereby that change is phased in, as it were, over a
18 period not to exceed three years, but neither one of those is
19 something that we functionally have in our current ABC control
20 rule, and so that would be a point adjustment, if you will. Mr.
21 Chair.

22
23 **CHAIRMAN POWERS:** Thank you, I think. At this point, Ryan, you
24 don't really -- We have said all we have to say about this,
25 correct?

26
27 **MR. RINDONE:** I mean, I am writing this up, and I feel like I've
28 captured what you guys' discussions have been, and you guys will
29 see that when you see the draft of the summary for your
30 approval, and we've got a couple of council members that are
31 listening in as well, and so they've heard those discussions.

32
33 I know that they asked you for a recommendation on what to do,
34 and it's up to you guys whether you want to actually provide a
35 recommendation in the form of a motion or if you just want them
36 to try to grab it from what we've put in the summary.

37
38 **CHAIRMAN POWERS:** I would prefer to do it via the summary,
39 because, basically, it's live with the ABC/OFL sort of
40 arrangement we have now, and, if a carryover doesn't go over,
41 fine. If it does, don't do it. Doug Gregory.

42
43 **MR. GREGORY:** I agree with that. There's no biological problem
44 here, and, free market capitalism aside, it certainly wouldn't
45 look good for the SSC to recommend to the council not to do
46 this, when Congress has done this twice, for many, many
47 businesses, many of whom didn't need it as much as the fishermen
48 probably need it. Thank you.

1
2 **CHAIRMAN POWERS:** Thank you. All right. We're going to move on
3 then, because we're hopefully getting towards the end of this
4 meeting, but a big item remains, and that is the OFL and ABC for
5 greater amberjack.

6
7 **MR. RINDONE:** Katie and Nancie, are you guys ready?

8
9 **MS. CUMMINGS:** Yes, I'm ready. Thanks.

10
11 **CONTINUED DISCUSSION OF SEDAR 70**
12

13 **CHAIRMAN POWERS:** Just a second. Before we actually get to the
14 presentation, where we were before was we had made a motion,
15 which carried, for the -- Basically, it said that the assessment
16 was the best available information, and that, based on that
17 assessment, we were determining that the stock is overfished and
18 undergoing overfishing.

19
20 The vote, about a third of the people voted no on that, and
21 largely because of the -- Well, some difficulties in terms of
22 the understanding about what the assessment -- It's not so much
23 the assessment itself, but the data and lack of understanding
24 about some of the basic biology and information about amberjack
25 and how that relates to what has happened over the last thirty
26 years.

27
28 I sort of interpreted the vote that we had there as essentially
29 agreeing that the assessment provided us information that didn't
30 indicate that we should change our minds about whether it was
31 overfished or overfishing, and now we kind of move to the next
32 step, which is determining the overfishing limit and the ABC,
33 and we had asked for another set of projections which modified
34 the gap years related to this, and this is what the projections
35 are that are being presented here, and so let me open the floor
36 then for Nancie to present the new information that was passed
37 out this morning.

38
39 **MS. CUMMINGS:** Thank you, Chair. Before I begin, I just want to
40 make one small administrative edit from my acknowledgements on I
41 think it was Tuesday, and I just want to make sure that I
42 acknowledge all those external data providers and the reviewers
43 from the panel that were not SAFMC reviewers, and I don't think
44 I did that in my slide, and there were just a number of staff
45 and individuals on the panel from outside of Southeast Fisheries
46 that provided input, and they were really good input, and so I'm
47 very grateful for that, and also for the folks from the SSC that
48 have contacted me one-on-one about the presentation, and I

1 really appreciate your thoughts, and those were really good
2 questions and points.

3
4 Thank you, Joe, for giving us a snapshot of the reason for this
5 addendum, set of projections, and then, as we were -- Basically,
6 I have here the -- I have repeated the assumptions and then the
7 goal then of the updated projections was to change some of the
8 inputs, in terms of how the 2019 data were used, and they were
9 before used as an average, and now they're being used as 2019,
10 and they're still preliminary, but it's my understanding that
11 they're fairly close to being final.

12
13 Then 2020 and 2021 were informed by the 2016 to 2018 average,
14 and no other changes were made to the rest of the projection
15 assumptions, and, again, we're using the SS 3.30 Stock Synthesis
16 model software, and that was the same, and so these are the only
17 differences that were made.

18
19 Again, this is the same Magnuson-Stevens reference points table
20 that you saw earlier, and there were no changes in any of this,
21 and so this is a repeat, but it's presented here for
22 completeness sake. I have two slides, and one figure, of the
23 updated OFL and updated F rebuild calculations.

24
25 The way this is set up is similar to before, and I have several
26 columns of the key metrics that are were in the projection. We
27 have year, recruits, fishing mortality instantaneous, the F to F
28 SPR 30 ratio, the spawning stock biomass, the spawning stock
29 biomass to the spawning stock biomass at F at SPR 30 ratio, SSB
30 to MSST and MSST being defined as 0.5 times SSB at SPR 30. We
31 have also SSB per year, divided by the ratio of unfished
32 biomass, and, finally, the calculated OFL.

33
34 Then we're characterizing the entire projection series of when
35 does the stock spawning biomass attain MSST and greater, and/or
36 greater, and when does the stock, spawning stock biomass, reach,
37 attain, the SSB SPR 30. Then, for comparison, I have given you
38 the OFL calculations from the -- I call them the pre-SSC, and
39 they were presented at the SSC, but they were not these updated
40 landings, and they were from Monday afternoon.

41
42 Then, as sort of a cheat sheet here for you, I have given you
43 what the MSST is, again, defined as 0.5 times SSB at SPR 30, and
44 I've given you the F SPR 30 value, and then I've given you the
45 SSB at SPR 30.

46
47 The upshot of this, with the OFL series, is that we -- The stock
48 reaches recovery, again to MSST, the overfishing definition, in

1 2023, and there is no change, and it attains SSB at SPR 30 in
2 2036. The difference, the take-home, is that there is a
3 slightly lower OFL from this projection, and we can talk about
4 any details in a moment, if you would like.

5
6 Moving on to the F rebuild projection, the F rebuild on the
7 table that you see before you is similar to same layout as
8 before and the key metrics from the projection. When the stock
9 reaches the -- When it passes the SPR 30 50 percent value is
10 2023, and when the stock is rebuilt to SPR 30, within the
11 rebuilding period, and the rebuilding period being before or
12 equal to 2027, and the stock does attain that value in 2027.
13 The previous scenario was the stock -- I think it was one year
14 earlier, 2026.

15
16 I have highlighted, in both of these projections, the OFL and
17 the F rebuild projection, I have highlighted those years when it
18 reaches those two levels. The upshot of this, or the take-home,
19 again, is that you -- In the initial years, you have a slightly
20 lower OFL, and then here is a composite, sort of similar to some
21 of our previous tables that we used to present, with the OFL --
22 Excuse me. The criteria, meaning at SPR 30 and/or at the F
23 rebuild scenario, the retained catches by year, and we have
24 presented five years here, and, again, the year the stock
25 reaches, attains, MSST and attains or is greater than SSB at SPR
26 30.

27
28 Then a plot of the retained yield, and retained yield in whole
29 weight, millions of pounds, by year, these being the historical
30 years and these being the projection years, and, again, the
31 projections have begun in 2022, but these 2019, 2020, and 2021
32 years, the historic yield being specified by your definitions of
33 2019, and 2019 was used as 2019, and 2020 to 2021 is used as
34 2016, 2017, and 2018, and the projection period going from 2022
35 forward.

36
37 I am just reminding the group that the other assumptions
38 regarding the projections, regarding the relative F by year,
39 selectivity, and retention then, for these years, would follow
40 those definitions of being the 2016 to 2018 average. Thank you,
41 and I will take any questions or comments.

42
43 **CHAIRMAN POWERS:** Thank you. Can you refer back to the table,
44 the summary table, that was the five years?

45
46 **MS. CUMMINGS:** Okay. Thank you.

47
48 **CHAIRMAN POWERS:** All right. The reason I focused on the five

1 is that, traditionally, we haven't wanted to make
2 recommendations many years out into the future, for obvious
3 reasons.

4
5 I would remind people that we really didn't get a consensus when
6 we voted on the original motion about the overfished and
7 overfishing, and, again, I sort of interpreted that as not
8 necessarily that they disagreed with it being overfished and
9 overfishing, but rather the uncertainties in the data model
10 mismatches that seem to be bothering us for a long, long time.

11
12 As we go through this, I fully expect those same issues to come
13 up, in terms of people's comments about how we approach OFL and
14 ABC, and so I am very much cognizant of that, and so let me
15 begin by opening the floor to Bob Gill.

16
17 **MR. GILL:** Thank you, Mr. Chairman. Thank you, Nancie, for the
18 work in producing this, and I have a couple of questions. The
19 first one is on the detail slides, and you indicated, in the
20 right-hand columns, the 2017 average yield, and did you mean
21 2019? Could you clarify for me which presentation you were
22 referring back to with those columns? I think you meant the
23 2019.

24
25 **MS. CUMMINGS:** Yes, and I apologize. This is cut, and this
26 should say -- I apologize. This was 2017 to 2019. I apologize.

27
28 **MR. GILL:** Thank you.

29
30 **MS. CUMMINGS:** But I need to also clarify that the updated
31 projections, for both the OFL and the F rebuild, 2019 landings
32 were used for 2019, but, for the average, for 2020 and 2021, it
33 was the average of 2016 to 2018, and those were the definitions
34 that were given to me by the group and also emailed to me by
35 Ryan, and so this should say 2017 to 2019 average landings for
36 all gap years, and this is the pre-SSC, the one you saw on
37 Monday. My apologies. Thank you.

38
39 **MR. GILL:** Thank you for that clarification, and so I tried to
40 compare the three projections that we've seen, from the report
41 to the supplemental to the version you see in front of you, and,
42 dealing with the one we have currently, what is striking is that
43 this yield stream follows the supplemental ABC yield stream more
44 closely, but, on the other hand, the OFL yield stream follows
45 the original yield stream in the SAR, and that seems a little
46 confusing. I was wondering if you would compare these and
47 consider what the differences were and what generated them.

48

1 **MS. CUMMINGS:** Yes, I can, and thank you. The SAR -- At the
2 time of the SAR, I just want to point out that we were not using
3 the average recruitment from the last ten years, and we were
4 still using -- I believe we were still using off the stock-
5 recruitment curve, but, since the time of the delivery to the
6 council for the SAR report, there were several changes made to
7 the assumptions, and that was --

8
9 Basically, that's the reason that you're probably seeing the
10 difference between the OFL, but I will point out that the final
11 that we delivered on Monday afternoon -- Those were the final
12 before this decision was made, or this request was made, to
13 consider the different gap years information, informing the gap
14 years, and so I would say that the projections presented in the
15 SAR were very preliminary at that point, because there was
16 changes made to the instructions for projections before that,
17 and the main reason was the -- The main decision was, I believe,
18 the stock-recruitment from the last ten years was not being used
19 at that point.

20
21 **MR. GILL:** Thank you.

22
23 **MS. CUMMINGS:** Then I will point out that we have the one -- I
24 think you recall the spike in the F rebuild error, the band
25 here, that we had a little problem with the 2021, the first
26 year, and that was due to the thing that Katie talked about
27 yesterday with the little -- There's a little issue with SS, as
28 to how it's calculating the error.

29
30 After the presentation, after the delivery of the SAR report, we
31 worked with Rick Methot and one of the other developers as a
32 work-around for that problem that was showing a large
33 uncertainty, a spike in the uncertainty. Thank you.

34
35 **CHAIRMAN POWERS:** Thank you. Ryan.

36
37 **MR. RINDONE:** Thank you. Could we go to the next slide, please?
38 We had fixed the information for 2020 and 2021 at the average of
39 2016 to 2018, and so I have two questions, as it relates to
40 those two data points.

41
42 The first is they don't look to be the same, and if you could
43 elaborate as to why, and the second is about the uncertainty
44 around those two fixed point estimates and where that estimate
45 of uncertainty is coming from. Then I have another question
46 after that.

47
48 **MS. CUMMINGS:** Thank you, Ryan. I'll address the first one.

1 The landings information that went in for 2019 is 2019, and that
2 is true. 2020 and 2021 was the average of the 2016 to 2018, and
3 that's what is going into the landings. What you're seeing here
4 is the SS estimated retained yield, and so what is going on --
5 Because, in the F rebuild projection, what is happening is that
6 that F is being moved around to achieve the expected landings,
7 and those expected landings are being calculated based on those
8 assumptions regarding the 2016, 2017, and 2018 relative F
9 selectivity and retention patterns, and those are going forward
10 from 2021 on, because what we assume for the rule regarding
11 setting of caps and allocations, as to when that could start,
12 was 2021 forward. In both sets of projections that has been the
13 rule. That's why you're seeing the retained yield for 2021
14 looking a little different, and your second question was
15 regarding uncertainty?

16
17 **MR. RINDONE:** Yes, the uncertainty about those 2020 and 2021
18 fixed values.

19
20 **MS. CUMMINGS:** The uncertainty is coming from within SS, as I
21 mentioned, but the input values are the 2016, 2017, and 2018 for
22 2020 and 2021.

23
24 **DR. SIEGFRIED:** Nancie, if I may help you.

25
26 **MS. CUMMINGS:** Yes.

27
28 **DR. SIEGFRIED:** One of the additional comments that I would like
29 to make about this is that this is in yield, in millions of
30 pounds whole weight. However, the recreational landings are
31 entered in numbers, and so, even though we have a fixed value
32 that went in in both 2020 and 2021, the model calculates the
33 weight of those, which changes a bit, because F has changed a
34 little bit in each of those years, and so it's a slight
35 difference. We have had this occur in the past, when we've had
36 fixed landings for an interim time period, and that's why it
37 looks just a little bit different there, Ryan.

38
39 **MS. CUMMINGS:** Thank you very much, Katie. I forgot about the
40 weight.

41
42 **MR. RINDONE:** Okay. I'm onboard.

43
44 **MS. CUMMINGS:** Thank you very much. That's an excellent
45 question, Ryan.

46
47 **MR. RINDONE:** So then the other question that I had was as it
48 relates to looking at the uncertainty as it balloons there in

1 2022, and then it kind of narrows out. Usually we tend to see
2 the opposite of that, as we get further into the projections,
3 which is one of the reasons why we have a little bit of a
4 reticence to use projections further out than say three, or, at
5 the most, five years, because circumstances can change, and I
6 realize that we're already kind of stretching that here, because
7 the terminal year in the model is 2018, and we're starting our
8 projections in 2022, considerate of everything that we talked
9 about on Tuesday. Maybe it's not really a question, but it's
10 just something that I noticed that looked different.

11
12 **MS. CUMMINGS:** I think that's a valid, very valid, observation,
13 and I think that's one concern I have regarding using 2022
14 forward for your projection years, as opposed to 2017 through
15 2019 average for those three years, but it's the purview of the
16 SSC, as to your desire.

17
18 **MR. RINDONE:** I think the problem though with starting the
19 projections earlier is we know for a fact that -- Well, I mean,
20 just about the fact that whatever it is that comes out of this
21 meeting is not going to be something that's implemented in time
22 to affect the 2021 fishing season, given the pace at which
23 amendments are developed and rules are implemented by NMFS, and
24 there's just things that are typically in the way.

25
26 In the interim, there is a May season that may open up, and we
27 have no idea what actually happened in 2020, and so we could
28 start the projections in 2020, knowing that whatever it is
29 that's been put in there is likely not what was landed, and that
30 whatever we're saying is going to happen in 2021 is likely not
31 what is going to be landed, and with no way of knowing the
32 degree to which that recommended catch limit will be exceeded or
33 not.

34
35 While there is a cost associated with that, in terms of the
36 uncertainty about the recommended catch limits, I would
37 encourage folks to think about that with respect to when we've
38 requested these projections to actually begin and when we can
39 actually affect catches in some measurable way.

40
41 **CHAIRMAN POWERS:** That with the tacit agreement we had on
42 Tuesday is that we didn't want to adjust for the existing -- I
43 wouldn't say known catch, the actual data that we had for
44 catches for 2019, and then whatever averaging we needed to do
45 for the gap years, 2020 and 2021. Katie.

46
47 **DR. SIEGFRIED:** Thank you. I just wanted to follow up on what
48 Ryan was saying, and the Science Center doesn't actually

1 recommend using projections past three to five years for the
2 state of management, and I know, Ryan, it's difficult, with the
3 timing, to have that first year be the year you're getting the
4 information, because of the lag of management, and I just wanted
5 to also comment that we are working on a forecasting -- We have
6 a forecasting working group starting in the Center to get at
7 this uncertainty better in our projections, because it should
8 get much larger. As we move forward in time, the uncertainty
9 should get larger, we agree.

10
11 **CHAIRMAN POWERS:** Well, that's largely because it's all -- Once
12 you get out a little bit into the future, it's all driven by the
13 recruitment, and that's driven by the sigma-R, which is
14 constant, and so that's why that band stays pretty much constant
15 as you go forward.

16
17 **DR. SIEGFRIED:** Right.

18
19 **CHAIRMAN POWERS:** OFL and ABC, the previous slide, if we can go
20 back to that, and I think that's kind of where we stand.

21
22 **MS. CUMMINGS:** I am sorry, Joe, and I apologize. I was
23 listening, but I didn't hear. This slide here?

24
25 **CHAIRMAN POWERS:** Yes.

26
27 **MS. CUMMINGS:** Okay. Thank you.

28
29 **CHAIRMAN POWERS:** So how do we want to proceed with OFL and ABC?
30 Ryan.

31
32 **MR. RINDONE:** Just a reminder to the SSC that these values are
33 in the MRIP-FES data currency, and so, when you're looking at
34 these and thinking about what we have now, what we have now is
35 in CHTS.

36
37 **CHAIRMAN POWERS:** When you say what we have now, are you meaning
38 the current ABC?

39
40 **MR. RINDONE:** Yes, sir. The current OFL and ABC were
41 established using the MRIP Coastal Household Telephone Survey
42 data currency, and these data that are presented now are using
43 the Fishing Effort Survey calibrated data, and so it's not
44 apples-to-apples.

45
46 If you guys recall, the table that Nancie had shown as part of
47 her presentation that showed the differences in the equilibrium
48 yields when the different data were applied to the same model,

1 you can glean what that difference in equilibrium yield actually
2 ism as it's attributable to the change only in data currency
3 without any consideration of changing the biological condition
4 of the stock.

5
6 **CHAIRMAN POWERS:** Okay. Thank you. One other last question, as
7 we get into thinking about the future, and there is -- Is there
8 a date for a specified next time that the amberjack assessment
9 is supposed to happen?

10
11 **DR. SIEGFRIED:** I can take a look at the master calendar, but
12 there's also the -- There's been an interim request that we saw
13 yesterday, and then there's also the greater amberjack count,
14 and so there's a couple of pieces that will probably come before
15 the next assessment.

16
17 **MR. RINDONE:** We have a memo out to Katie to request monthly
18 interim analyses, and she's very excited. Just looking at our
19 Gulf assessment schedule that we put together for the council
20 members, to help them keep a bead on what's coming up when, we
21 have an awful lot of activity for other species, but greater
22 amberjack is not on the schedule between now and 2024.

23
24 For the interim analyses, the interim analysis schedule that you
25 guys saw the other day, in 2022, we're requesting an interim
26 analysis for greater amberjack, and then we're requesting the
27 same again in 2024, and that would be using the combined video
28 index as the representative index of abundance.

29
30 **CHAIRMAN POWERS:** Okay. Thank you. I am just thinking ahead
31 and how long we should -- If we make recommendations for OFL and
32 ABC, how long they should last before they get revisited, and,
33 essentially, in terms of an index of abundance that will be
34 relooked at in this context, you would look at 2024 and see
35 whether something has changed, relative to these original
36 recommendations. Paul Sammarco and then Jason Adriance.

37
38 **DR. SAMMARCO:** Thank you, Mr. Chairman. Actually, just a quick
39 question for Ryan. The graph that we were looking at before, if
40 Nancie could take us there, although we probably know it pretty
41 well by know, for overfishing versus rebuilding, and, if there
42 is that level of uncertainty, as you were mentioning, Ryan, with
43 respect to the 2020 data and projected 2021 data, how would you
44 recommend we proceed? How does one rebuild this graph? Would
45 you use an average of the previous two or three years, or where
46 would you -- How would you recommend filling in those dots, if
47 you feel those dots are unreliable?

48

1 **MR. RINDONE:** Well, after hearing the explanation for it, it
2 makes a little bit more sense. We input -- We started with the
3 catches from 2016 to 2018, which, as Dr. Siegfried said, those
4 are input as numbers, and then the model has to convert those
5 numbers to pounds.

6
7 Then you also have the added requirement of adjusting the
8 fishing mortality rate, in order to meet the rebuilding
9 timeline, and so those points that you see there for 2020 and
10 2021 are in fact yield, and they're not fixed values of the
11 pounds that would represent the average that we say was caught
12 between 2016 and 2018. They are projected yields that the model
13 predicts will have been caught in 2020 and 2021, and, as we
14 know, as you go from one point to the next, what we say can be
15 caught in 2021 relies on what is listed as having been harvested
16 in 2020 actually being harvested to the pound, and that's true
17 of every subsequent year, as it relates to its previous year.

18
19 I am comfortable with all of that, personally, and knowing that
20 there's going to be some estimation error associated with how to
21 adjust F on an annual basis, to try to meet the end goal of
22 being able to rebuild the stock by a fixed point in time, and so
23 I think the things that Dr. Siegfried was touching on about what
24 the Science Center is working on to better describe uncertainty,
25 being that the uncertainty at the tail-end of this visualized
26 projection period is more narrow than we would think it would
27 be, given how wide it is for 2022, and that's probably a
28 separate task for another time, but I don't know that it limits
29 you guys making a decision here.

30
31 **DR. SAMMARCO:** Thank you. Thanks very much.

32
33 **CHAIRMAN POWERS:** Jason, do you have a proposal?

34
35 **MR. ADRIANCE:** No, I do not. I have a clarification question on
36 the previous slide, Slide 8. On the left-hand side there, those
37 should both read "OFL", correct?

38
39 **MS. CUMMINGS:** This should read OFL, and this is ABC. This is
40 annual yield, retained yield, at rebuild, which is the defined
41 ABC for the stock, unless I am misinterpreting this, and our OFL
42 definition is for the projection for retained yield at F SPR 30,
43 the proxy for FMSY.

44
45 **MR. RINDONE:** The OFL is set at the annual yield at the maximum
46 fishing mortality threshold, or the MSY proxy, and then an
47 annual yield for F rebuild, like Nancie said, is 75 percent of F
48 at MSY, or 75 percent of F at 30 percent SPR.

1
2 **CHAIRMAN POWERS:** No.
3
4 **MS. CUMMINGS:** No, Ryan.
5
6 **CHAIRMAN POWERS:** No, it's the F that gets it to --
7
8 **MR. RINDONE:** Sorry. You're right. The F that gets you to
9 rebuild at 2027.
10
11 **MS. CUMMINGS:** Thank you, Chair.
12
13 **MR. RINDONE:** I'm sorry. You're right. The OFL are the values
14 on the top, and the ABC is on the bottom.
15
16 **MR. ADRIANCE:** Sorry that. I was flipping through multiple
17 tables, and I confused myself. Thanks.
18
19 **MS. CUMMINGS:** It's okay. Thank you for the question.
20
21 **CHAIRMAN POWERS:** So, basically, the supposition here is we're
22 not going to go through this defining what ABC is based on some
23 sort of buffer, that that's essentially been defined for us by
24 the objective of rebuilding by 2027, and that default will
25 become the ABC.
26
27 **MR. RINDONE:** Right, and that output is something that's
28 prescribed in the terms of reference for the assessment, and so
29 this is what you guys are supposed to see, is F at rebuild.
30
31 **CHAIRMAN POWERS:** So a proposal? Nobody is excited about this,
32 not even to get to lunch? Doug Gregory.
33
34 **MR. GREGORY:** Thank you, Chair. I don't see us going forward
35 with any sort of average, even if you take an average of the
36 ABCs of the first three years, and it's higher than the first
37 year OFL, and so we're stuck with annual OFLs and ABCs, and I
38 think the question is do we just go for three years or go for
39 five years, but I have no such motion.
40
41 **CHAIRMAN POWERS:** Ryan.
42
43 **MR. RINDONE:** Thank you, Mr. Chair. I think, with some fiddling
44 of the interim analysis schedule to be expected, by 2024, we
45 should have been able to get another interim analysis in front
46 of you guys for this species, for you to, at a minimum, heat
47 check the progress of rebuilding for the stock, and so, as long
48 as you go out to at least 2024, I think you should be covered,

1 and I'm happy to hear some information from Dr. Siegfried on
2 that, but I would expect us and them to be able to put one
3 together for you guys by that point.

4
5 **CHAIRMAN POWERS:** Thank you. All right. If we do not make a
6 recommendation, presumably the ABC and OFL will remain what it
7 is, but have to be converted into the FES metric, and is that
8 correct?

9
10 **MR. RINDONE:** Sorry. We were conversing here. Can you repeat
11 that?

12
13 **CHAIRMAN POWERS:** The question I have is we're not getting much
14 response, in terms of moving forward, and so, if we do not
15 recommend an OFL or an ABC, then presumably the existing ones
16 remain in place, but those would have to be corrected to the FES
17 metric, and is that correct?

18
19 **MR. RINDONE:** Well, they are currently collected in FES, and
20 then they're back-calibrated to the Coastal Household Telephone
21 Survey data currency. If you guys don't do anything here, as
22 far as recommending a change in the catch limit, the catch
23 limits that we have on the books, by their equivalent, if
24 converted to FES units, would be considerably higher than what's
25 being recommended here, just to put that simple calibration math
26 there in front of you. John, did you want to say something?

27
28 **DR. FROESCHKE:** Just as a follow-up, in the recent past, with
29 all the stocks that we've done assessments and switched from
30 CHTS to FES, they have come with changes in allocation between
31 the sectors as part of the amendment process that we're working
32 on, and we haven't completed any of those.

33
34 Since amberjack has a sector allocation, it's likely that that
35 could be a component of the amendment, in which case we would
36 have to come back to the SSC to ask for a review of projections
37 at different allocations as part of the alternative, and so this
38 would be the Alternative 1 in an allocation scenario. If they
39 chose to go with other things, we would still be required to
40 come back. I don't know if that figures into your calculus, but
41 it's likely to require some additional work at any rate.

42
43 **CHAIRMAN POWERS:** Well, my calculus is I'm not hearing much
44 enthusiasm for providing advice. If we do not provide advice,
45 what Ryan said is the existing ABCs and OFLs will be
46 considerably higher. Is that correct?

47
48 **DR. FROESCHKE:** I guess my concern is that the stock, based on

1 the assessment, is overfished and overfishing, and the current
2 catch levels are too high to end overfishing, and so a
3 recommendation -- Something has to be done, in order to lower
4 the catch levels sufficient to end overfishing and rebuild the
5 stock.

6
7 **CHAIRMAN POWERS:** All right. I guess that's my point.

8
9 **DR. SIEGFRIED:** Mr. Chair, if I can just make a clarification to
10 something, and I think it was Doug that brought up earlier about
11 the fact that we can't really take an average of the ABCs,
12 because it will be larger than the OFLs in any one year, and we
13 can also average the OFLs, and so then I don't think we would
14 have the same issue that he was -- Not we, but you all can
15 average the OFLs and the ABCs, to get a constant catch allowance
16 before the next interim is done, and that has been done with the
17 OFLs in the past.

18
19 **CHAIRMAN POWERS:** Yes, and we know that. Doug Gregory.

20
21 **MR. GREGORY:** I was wrong earlier about that. That was just my
22 way of looking at things to see if taking -- Much like I did
23 with king mackerel and looking at the equilibrium OY, and is
24 that an extreme position, or is it in line, and, of course, an
25 average of the ABCs would be less than the average of the OFLs,
26 and so that would be acceptable, but we do need to make a
27 recommendation.

28
29 This body clearly accepted the assessment and claimed that the
30 fishery was overfished and overfishing, and, like John said, we
31 can't go forward saying nothing about OFL and ABC. That would
32 be highly irregular and negligent for a fishery that's been
33 overfished for twenty or thirty years.

34
35 **CHAIRMAN POWERS:** So I will not recognize anybody that doesn't
36 have a motion to recommend an ABC and OFL. Paul Sammarco.

37
38 **DR. SAMMARCO:** Mr. Chairman, in order to get this ball rolling,
39 I would recommend that we accept the recommendations as-is,
40 period, and that will open up the discussion to tweaking these
41 recommendations, as has been discussed over the past half-hour
42 or so.

43
44 **CHAIRMAN POWERS:** You have to be more specific about
45 recommendations for what years, et cetera.

46
47 **DR. SAMMARCO:** Well, there's been a lot of discussion about 2014
48 and -- I'm sorry. 2024 and 2026, one being an interim year and

1 the other being another final year review, and those could be
2 used.

3

4 **CHAIRMAN POWERS:** I need something specific to begin this
5 process.

6

7 **MR. RINDONE:** Dr. Sammarco, do you want to recommend catch
8 limits for 2022 to 2024 or from 2022 to 2026?

9

10 **DR. SAMMARCO:** I believe 2022 to 2024 is more realistic.

11

12 **CHAIRMAN POWERS:** All right. Thank you.

13

14 **DR. SAMMARCO:** Then a review again after that period.

15

16 **CHAIRMAN POWERS:** When you accept the recommendations, and we'll
17 probably have to reword this, it's basically -- I mean,
18 typically, when we make these motions, and particularly if
19 there's only three numbers, we list what those numbers are, and
20 I think that's essentially what you're asking for. Is there a
21 second to this?

22

23 **DR. NANCE:** I will second this.

24

25 **CHAIRMAN POWERS:** Okay. Thank you. Let's go ahead and enter in
26 what those numbers are, and these are in millions pounds whole
27 weight. Okay. Thank you. All right. Go ahead, Will.

28

29 **DR. PATTERSON:** The table that Nancie put together, these aren't
30 recommendations. These are just projections based on the
31 parameters that we asked to be projected, and so we need to
32 remove any statement here about recommendations.

33

34 **CHAIRMAN POWERS:** Yes, and it was basically -- It's not
35 accepting it, but it's basically we recommend the amberjack OFL
36 and ABC for 2022 to 2024. Is that our motion that Paul put
37 forward and Jim Nance seconded? Is there other discussion, or
38 is there discussion? Bob Gill.

39

40 **MR. GILL:** Thank you, Mr. Chairman. I am one of those that
41 likes motions that are self-standing, so that anybody that looks
42 at them later understands what goes into them, and, with that in
43 mind, I would suggest that we define what the OFL and ABC are,
44 the yields and the F rebuild yields, et cetera, as part of the
45 motion, and I also suggest that we tie this back to SEDAR 70.

46

47 **CHAIRMAN POWERS:** I am not sure that I understand the first part
48 of that. The OFL and the ABC are as we've defined. Is that not

1 the case? I am not sure. Can you repeat the --
2
3 **MR. GILL:** I am suggesting that the OFL is the yield at F SPR 30
4 percent and ABC is the yield at F rebuild, based on rebuilding
5 by 2027.
6
7 **CHAIRMAN POWERS:** Okay. As you wish. If Paul or Jim are
8 amenable to that, can you suggest some exact wording there that
9 we can put in there?
10
11 **MR. GILL:** I can if they are amenable.
12
13 **DR. NANCE:** I am, Bob.
14
15 **CHAIRMAN POWERS:** Okay. Go ahead.
16
17 **MR. GILL:** After "OFL", "is based on the yield at F SPR 30
18 percent. After "ABC", based on the yield at F rebuild by 2027.
19
20 **CHAIRMAN POWERS:** Okay. Thank you. All right.
21
22 **DR. NANCE:** I'm not sure you can see my hand, Joe.
23
24 **CHAIRMAN POWERS:** I can't see. Go ahead, Jim.
25
26 **DR. NANCE:** I was just going to say that we asked for these
27 projections, and Nancie did a great job in running those, and I
28 don't see any issues with this motion, and so I think it's
29 acceptable to me.
30
31 **CHAIRMAN POWERS:** Thank you. Paul.
32
33 **DR. SAMMARCO:** After the "SSC", would it be appropriate to put
34 in "the SSC accepts and recommends the greater amberjack OFL as
35 based on the yield of F SPR 30 percent and ABC as based on the
36 yield at F rebuild by 2027 as presented by the report for 2022
37 to 2024", and so it would be the SSC accepts and recommends the
38 greater amberjack OFL as based on the yield at F SPR, blah,
39 blah, blah, ABC as based on the yield at F rebuild by 2027", and
40 would you like to put in something right there that says as
41 reported in such and so, or is that implied?
42
43 **CHAIRMAN POWERS:** That is implied.
44
45 **DR. SAMMARCO:** Okay.
46
47 **CHAIRMAN POWERS:** All right. I think we've reached the end of
48 our rope here, or at least I have.

1
2 **DR. PATTERSON:** Bob Gill recommended that we put the "SEDAR 70"
3 in here, and I think that still needs to be done.
4
5 **DR. SAMMARCO:** Right after "accepts".
6
7 **CHAIRMAN POWERS:** SEDAR 70 didn't provide these projections.
8
9 **MR. RINDONE:** Mr. Chair, the projections aren't directly from
10 the stock assessment, but they do rely on a lot of assumptions
11 that were made based on data that was generated by the model,
12 for what that's worth.
13
14 **CHAIRMAN POWERS:** Well, ultimately, it's the SSC that is making
15 these decisions. Anyway, I can go along with it, I guess.
16 Harry.
17
18 **MR. BLANCHET:** I'm sorry, and I was trying to take my hand back
19 down. If we wanted to add something at the end about those
20 yield streams coming out of the projections provided today, and
21 that is -- I get where you're coming from, that it's not coming
22 from 70, and it's coming from the yield streams that we were
23 given today, but -- Because that was predicated on how we use
24 those historic and interim years to get to where what the status
25 would be when we start implementing those regulations, but I
26 don't know how to frame it more clearly than that.
27
28 **CHAIRMAN POWERS:** I think we're trying to dance on the head of a
29 pin here. We've built a record of what we're doing, what we
30 have done, and our basis for doing that, and I think the motion
31 is pretty self-explanatory. Katie.
32
33 **DR. SIEGFRIED:** Thank you, Chair. Just very briefly, we'll
34 update the Executive Summary for SEDAR 70, and it will include
35 the most recent projections, and so that's where your
36 documentation will occur.
37
38 **CHAIRMAN POWERS:** Is there any other discussion about this
39 motion? If not, then we will vote on the motion. Let me first
40 ask if there are any objections, and I expect that there might
41 be. **Are there any objections to this motion? If there are not,**
42 **then the motion carries.**
43
44 All right. We have almost reached the end of our agenda, and we
45 also have now an opportunity for public comment. Ryan, if we
46 would open the floor for that.
47
48 **MR. RINDONE:** Sure.

1
2 **CHAIRMAN POWERS:** We will give ourselves a little bit of time
3 here, and, in the meantime, we will -- I do want to thank all of
4 the presenters here, and we've had a good mix of topics, both
5 purely scientific and purely mundane management sorts of issues,
6 and I appreciate people's contributions to both of those, and I
7 will try to faithfully present this information to the council
8 at the next meeting.

9
10 **DR. ANDERSON:** Good job.

11
12 **CHAIRMAN POWERS:** Thank you. Public comment, we have Bob Zales.
13 It's nice to hear from you, Bob.

14
15 **PUBLIC COMMENT**

16
17 **MR. BOB ZALES, III:** This is Bob Zales, and I'm down here in
18 Doug Gregory's country, and so I've got problems with logging in
19 and doing everything else technology-wise, but a couple of
20 things.

21
22 Number one, on amberjack, clearly this whole amberjack thing has
23 been a cluster since 1990 with the Amendment 1, and I sent an
24 email earlier in the week, and I don't know if you all got it or
25 not, but, in the 1990s, I tagged a lot of amberjack. Two fish
26 that are the most memorable to me that we tagged in Panama City
27 Pass, one was twelve inches, and one was fourteen inches. Three
28 years later, both of those fish were recovered by a boat off of
29 Destin, and fishing the same area that we fished, and they were
30 thirty-two and thirty-four inches.

31
32 Now, that told me, back then, that if you've got a fish that
33 will grow up from twelve to thirty-two or thirty-four inches
34 within three years, that, if you're got proper management, you
35 can effectively farm that fish. Well, apparently, all the
36 management that we've tried since that period of time hasn't
37 worked, because we're not able to farm those fish, and we still
38 have an overfished fish, and we've got a fishery that is
39 undergoing overfishing.

40
41 We've got our second, at least second, or maybe the third, ten-
42 year rebuilding plan for this fish, and we still are no closer
43 to getting it fixed than we have been in the past, and this is
44 what I kind of relate to as National Marine Fisheries Service
45 cafeteria-style management, where they pick and choose what they
46 want to do and how they want to manage different species.

47
48 When you go back to 2007, red snapper was declared as undergoing

1 overfishing, and the Fisheries Service essentially shut down the
2 quota, and they cut it back so far that private rec people got
3 one or two days of fishing that year, and the charter guys got
4 about six days, and the commercial guys lost a lot of quota.
5 Well, after that year, that fishery started rebounding, and so
6 they stopped overfishing.

7
8 Now, with amberjack, we have never done that, and so apparently
9 amberjack is not important enough to the government to do that,
10 but we've got a serious problem, and I blame myself and some
11 other fishermen, because we pushed the council, during these
12 years, to allow us to continue to catch amberjack, but, unknown
13 to us until this recent stock assessment, we never knew that
14 this fishery had been overfished since like the 1950s, from what
15 you were saying, and so this fishery clearly has a problem.

16
17 It should be able to be properly managed, to where you can
18 continually harvest some rate of these fish, but we haven't
19 gotten to that point yet, and how we do it I don't know, but the
20 overfishing has got to be addressed, because, with the limited
21 knowledge I've got about fishery management, if you're
22 overfishing a stock, you will never rebuild it, and we have
23 continued to overfish that stock of fish.

24
25 When it comes to the issue of carryover, to be sure you all
26 understand where this is, these guys that lease quota, because
27 they can't buy quota, and there is no quota for them to buy, and
28 they have to lease it, year after year, because of their history
29 of fishing, they lease certain amounts that they expect to fish,
30 regardless of what the weather or markets may be.

31
32 That's in normal times, but, this past year, with COVID, it
33 killed a lot of our friends, and it killed a lot of our family,
34 and it almost completely destroyed all the markets in this
35 country, and these people leased fish, expecting, prior to
36 COVID, to be able to do what they normally do, and they got
37 caught here, and so they're sitting on quota that they've paid
38 money for that they can't fish.

39
40 Now, that quota, what they have leased, their shares, that's
41 within the overall quota, and so, if you let them fish what
42 their shares are that they haven't been able to capture in 2020
43 and 2021, you're not overfishing the quota, because it's within
44 there, and so I hope all that makes sense, and I appreciate all
45 the work that you all do, and I'm glad that all of you all are
46 healthy.

47
48 **CHAIRMAN POWERS:** Thank you. In terms of the latter aspect,

1 that's essentially what the SSC is suggesting there, from a
2 conservation standpoint. If you can live within the ABC by
3 carrying it over, fine. Are there any other public comments?
4 If not, then I believe -- This isn't a public comment, but, Paul
5 Sammarco, did you want to make a comment?
6

7 **DR. SAMMARCO:** No, and I was just going to respond to a point
8 that the gentleman made. If I remember correctly, there has
9 been interest by the federal government in mariculture,
10 particularly recently, fish mariculture, and particularly
11 offshore, which is, of course, a challenging area, and I'm not
12 entirely certain whether amberjack is an eligible candidate for
13 that, but I do know that there is interest, and I do know that
14 there was legislation passed within the past five years or so to
15 make it possible to do offshore pelagic mariculture, and so the
16 gentleman might want to chase this down, and this is funding for
17 offshore mariculture. Thank you.
18

19 **CHAIRMAN POWERS:** Thank you. A subject for another time. All
20 right. If there is no other public comment, then, again, I
21 appreciate all the input from both the SSC and the participants,
22 and I am going to move to adjourn, and I'm going to second it,
23 and we will adjourn, and thank you very much.
24

25 (Whereupon, the meeting adjourned on January 7, 2021.)
26

27 - - -
28