

1 GULF OF MEXICO FISHERY MANAGEMENT COUNCIL

2
3 JOINT MEETING OF THE STANDING & SPECIAL REEF FISH, MACKEREL,
4 ECOSYSTEM & SOCIOECONOMIC SCIENTIFIC AND STATISTICAL COMMITTEES
5 AND THE SOUTH ATLANTIC SSC
6

7 WEBINAR

8
9 JULY 21-22, 2020

10
11 **STANDING SSC VOTING MEMBERS**

- 12 Joseph Powers.....
- 13 Lee Anderson.....
- 14 Luiz Barbieri.....
- 15 Harry Blanchet.....
- 16 David Chagaris.....
- 17 Benny Gallaway.....
- 18 Bob Gill.....
- 19 Douglas Gregory.....
- 20 Walter Keithly.....
- 21 Kai Lorenzen.....
- 22 Robert Leaf.....
- 23 Camp Matens.....
- 24 James Nance.....
- 25 Will Patterson.....
- 26 Sean Powers.....
- 27 Kenneth Roberts.....
- 28 Steven Scyphers.....
- 29 Jim Tolan.....

30
31 **SPECIAL REEF FISH SSC VOTING MEMBERS**

- 32 Jason Adriance.....
- 33 Judson Curtis.....
- 34 John Mareska.....

35
36 **SPECIAL MACKEREL SSC VOTING MEMBERS**

- 37 Jason Adriance.....
- 38 John Mareska.....

39
40 **SPECIAL SOCIOECONOMIC SSC VOTING MEMBERS**

- 41 Jack Isaacs.....
- 42 Andrew Ropicki.....

43
44 **SPECIAL ECOSYSTEM SSC VOTING MEMBERS**

- 45 Paul Sammarco.....

46
47 **SOUTH ATLANTIC SSC VOTING MEMBERS**

- 48 Dustin Addis.....

1 Walter Bublely.....
 2 Scott Crosson.....
 3 Churchill Grimes.....
 4 Anne Lange.....
 5 Genny Nessler.....
 6 Amy Schueller.....
 7 George Sedberry.....
 8 Fred Serchuk.....
 9 Alexei Sharov.....

10
 11 **STAFF**
 12 Matt Freeman.....Economist
 13 John Froeschke.....Deputy Director
 14 Lisa Hollensead.....Fishery Biologist
 15 Mary Levy.....NOAA General Counsel
 16 Ava Lasseter.....Anthropologist
 17 Jessica Matos.....Document Editor & Administrative Assistant
 18 Natasha Mendez-Ferrer.....Fishery Biologist
 19 Emily Muehlstein.....Public Information Officer
 20 Ryan Rindone.....Fishery Biologist - SEDAR Liaison
 21 Bernadine Roy.....Officer Manager
 22 Charlotte Schiaffo.....Administrative & Human Resources Assistant
 23 Carrie Simmons.....Executive Director
 24 Carly Somerset.....Fisheries Outreach Specialist

25
 26 **OTHER PARTICIPANTS**
 27 Juan Agar.....SEFSC
 28 Shanae Allen.....FWC
 29 Leann Bosarge.....GMFMC
 30 Eric Brazer.....Shareholders Alliance
 31 Catherine Bruger.....
 32 Erika Burgess.....FWC
 33 Julia Byrd.....SAFMC
 34 Shannon Calay.....SEFSC
 35 Rob Chesire.....
 36 Chip Collier.....SAFMC
 37 Roy Crabtree.....NMFS
 38 Nancie Cummings.....SEFSC
 39 LaTreease Denson.....
 40 Dale Diaz.....GMFMC
 41 Michael Drexler.....
 42 Michael Errigo.....SAFMC
 43 Francesca Forrestal.....
 44 Kristin Foss.....
 45 Aubrey Foulk.....
 46 Tom Frazer.....GMFMC
 47 Sarah Gibbs.....
 48 Martha Guyas.....GMFMC

1 Frank Helies.....
2 Peter Hood.....NMFS
3 Michael Jepson.....NMFS
4 Shelly Krueger.....
5 Dan Leurs.....
6 Richard Malinowski.....
7 Morteza Marzjarani.....
8 Michelle Masi.....SEFSC
9 Nikhil Mehta.....
10 Trevor Moncrief.....
11 David Moss.....
12 Julie Neer.....SEDAR
13 David Nieland.....
14 Kelli O'Donnell.....
15 Halie O'Farrell.....
16 Chris Parmeter.....SEFSC
17 Jeffrey Pulver.....
18 Adyan Rios.....SEFSC
19 Ashford Rosenberg.....Shareholders Alliance
20 Philip Sanchez.....
21 Chris Schieble.....LA
22 Sensei Guber Shrimptako.....
23 Katie Siegfried.....SEFSC
24 Matthew Smith.....
25 Chris Swanson.....FWC
26 CJ Sweetman.....
27 Michael Travis.....NMFS
28 John Walter.....SEFSC
29 Erik Williams.....SEFSC
30 Yuying Zhang.....
31
32 - - -
33

TABLE OF CONTENTS

1
2
3 Table of Contents.....4
4
5 Table of Motions.....6
6
7 Introductions and Adoption of Agenda.....7
8
9 Approval of Minutes: June 29, 2020 and July 8-9 Webinar Meetings.11
10
11 Scope of Work.....12
12
13 Selection of SSC Representative for the August 24-28, 2020
14 Virtual Gulf Council Meeting.....13
15
16 Review of SEDAR 64 - Southeastern U.S. Yellowtail Snapper Stock
17 Assessment.....13
18 Assessment Presentation and Stock Status Determination.....14
19 Stock Assessment Executive Summary.....40
20 Projections.....45
21
22 Review of SEDAR 28 Update - Gulf of Mexico Migratory Group Cobia
23 Stock Assessment.....72
24 Assessment Presentation and Stock Status Determination.....72
25 Projections.....90
26
27 Continued Discussion of SEDAR 64.....105
28
29 Continued Discussion of SEDAR 28 Update.....128
30 Stock Assessment Executive Summary.....139
31
32 Update on Operational Assessment Process.....146
33
34 IFQ Capacity and Technical Efficiency Study.....164
35
36 Review of Proposed Timelines and Stock Identification Process
37 for SEDAR 74: Gulf of Mexico Red Snapper.....196
38 SEDAR 74 Stock ID Process Terms of Reference.....196
39 SEDAR 74 Milestone Schedule Approval.....200
40 SEDAR 74 Stock ID Process Volunteers.....202
41
42 Review of Shrimp Stock Assessment Terms of Reference.....203
43 Flow Chart.....203
44 Draft Statement of Work - SEAMAP Trawl.....203
45 Draft Statement of Work - Effort Estimation.....206
46 Draft Statement of Work - Observer Data.....211
47 Draft Statement of Work - Shrimp Catch Estimation.....211
48 Shrimp Life History/Environmental Data.....211

TABLE OF MOTIONS

PAGE 38: Motion that the SSCs determined that the SEDAR 64 assessment of southeastern yellowtail snapper represents the best scientific information available on the stock and based on the assessment results the stock is not overfished and not undergoing overfishing. The motion carried on page 39.

PAGE 98: Motion that the SSC determined that the SEDAR 28 update assessment of Gulf migratory group cobia represents the best scientific information available on the stock and based on the assessment results the stock is not overfished, but is undergoing overfishing. The motion carried on page 98.

PAGE 60: Motion that the joint SSCs estimate OFL to be 4.17 million pounds for the yellowtail snapper stock during 2021 to 2023 based on results of SEDAR 64 and assessment projections. This value is the mean of the annual year-specific OFL (yield at F 30 percent SPR) projections for those years. The joint SSCs set ABC for the same time period to be 4.12 million pounds, which is the mean value of P* equals 37.5 percent applied to annual PDFs of OFL for years 2021 to 2023. The motion was tabled on page 128.

PAGE 130: Motion that the SSC estimates OFL to be 3.03, 3.21, and 3.31 million pounds whole weight for the Gulf cobia stock during fishing years 2021 to 2023, respectively, based on results of the SEDAR 28 update assessment and assessment projections. The SSC sets ABC for the same years to be 2.34, 2.60, and 2.76 million pounds whole weight, respectively, with annual ABC being the projected yield at 0.75 F SPR 30. The motion carried on page 138.

PAGE 200: Motion that the SSC recommends that the TORs for SEDAR 74 stock ID process be accepted as amended. The motion carried on page 200.

PAGE 202: Motion that the SSC endorses the milestone schedule for SEDAR 74 as presented. The motion carried on page 202.

- - -

1 The Joint Meeting of the Gulf of Mexico Fishery Management
2 Council Standing and Special Reef Fish, Mackerel, Ecosystem, and
3 Socioeconomic Scientific and Statistical Committees and the
4 South Atlantic Fishery Management Council Scientific and
5 Statistical Committee convened via webinar on Tuesday morning,
6 July 21, 2020, and was called to order by Chairman Joe Powers.

7
8
9

INTRODUCTIONS AND ADOPTION OF AGENDA

10 **CHAIRMAN JOE POWERS:** Good morning. My name is Joe Powers, and
11 I welcome all of you as the Chair of the Scientific and
12 Statistical Committee of the Gulf of Mexico Fishery Management
13 Council. We appreciate your attendance on this webinar and
14 input in this meeting.

15

16 Representing the Gulf Council is Dale Diaz. Council Staff in
17 attendance are Ryan Rindone and Jessica Matos. Notice of this
18 meeting was provided to the Federal Register, sent via email to
19 subscribers of the council's press release email list, and was
20 posted on the council's website.

21

22 Today's meeting will include the following topics: Adoption of
23 the Agenda, Approval of Minutes, Discussion of the Scope of
24 Work, Selection of an SSC Representative for the August Council
25 Meeting, Review of SEDAR 64, Review of SEDAR 28, Discussion of
26 IFQ Capacity, Update on the Operational Assessment Process, and
27 Review of the Proposed Timelines and Stock Identification
28 Process for SEDAR 74, Gulf of Mexico Red Snapper. Then, also,
29 we'll have the Review of the Shrimp Stock Assessment Terms of
30 Reference and Request for a Volunteer for Technical Chair for
31 SEDAR 68, the scamp assessment, and then Other Business.

32

33 This webinar is open to the public and is being streamed live
34 and recorded. A summary of the meeting and verbatim minutes
35 will be produced and made available to the public via the
36 council's website.

37

38 For the purpose of voice identification and to ensure you are
39 able to mute and unmute your line, please identify yourself by
40 stating your full name when your name is called for attendance.
41 Once you have identified yourself, please re-mute your line. To
42 signal you wish to speak during the meeting, please use the
43 raise-your-hand function, and staff will display your name.
44 Please remember to identify yourself before speaking and to also
45 re-mute your line each time you finish speaking. Now can we
46 have the roll call?

47

48 **MS. JESSICA MATOS:** Yes. Lee Anderson.

1
2 **DR. LEE ANDERSON:** Lee Anderson, here.
3
4 **MS. MATOS:** Thank you. Luiz.
5
6 **DR. LUIZ BARBIERI:** Luiz Barbieri.
7
8 **MS. MATOS:** Dave Chagaris.
9
10 **DR. DAVID CHAGARIS:** David Chagaris, here.
11
12 **MS. MATOS:** Benny Gallaway. Bob Gill.
13
14 **MR. BOB GILL:** Bob Gill.
15
16 **MS. MATOS:** Doug Gregory.
17
18 **MR. DOUGLAS GREGORY:** Doug Gregory.
19
20 **MS. MATOS:** Walter Keithly.
21
22 **DR. WALTER KEITHLY:** Walter Keithly.
23
24 **MS. MATOS:** Robert Leaf.
25
26 **DR. ROBERT LEAF:** Robert Leaf, here.
27
28 **MS. MATOS:** Kai Lorenzen.
29
30 **DR. KAI LORENZEN:** Kai Lorenzen.
31
32 **MS. MATOS:** Camp Matens.
33
34 **MR. CAMPO MATENS:** Camp Matens, here.
35
36 **MS. MATOS:** James Nance.
37
38 **DR. JAMES NANCE:** Jim Nance is here.
39
40 **MS. MATOS:** Will Patterson.
41
42 **DR. WILL PATTERSON:** Will Patterson is here.
43
44 **MS. MATOS:** Joe Powers.
45
46 **CHAIRMAN POWERS:** Joe Powers, here.
47
48 **MS. MATOS:** Sean Powers.

1
2 **MR. RYAN RINDONE:** Jessica, Sean is CNA today.
3
4 **MS. MATOS:** Okay. Thank you. Steven Scyphers.
5
6 **DR. STEVEN SCYPHERS:** Steven Scyphers is here.
7
8 **MS. MATOS:** Thank you. Jim Tolan.
9
10 **DR. JIM TOLAN:** Jim Tolan is here.
11
12 **MS. MATOS:** Jason Adriance.
13
14 **MR. JASON ADRIANCE:** Jason Adriance is here.
15
16 **MS. MATOS:** Judd Curtis.
17
18 **DR. JUDSON CURTIS:** Judd Curtis is here.
19
20 **MS. MATOS:** John Mareska.
21
22 **MR. JOHN MARESKA:** John Mareska.
23
24 **MS. MATOS:** Kari Buck.
25
26 **MR. RINDONE:** She is also CNA.
27
28 **MS. MATOS:** Thank you. Jack Isaacs.
29
30 **DR. JACK ISAACS:** Jack Isaacs is here.
31
32 **MS. MATOS:** Andrew Ropicki.
33
34 **DR. ANDREW ROPICKI:** Andrew Ropicki is here.
35
36 **MS. MATOS:** Cam Ainsworth. Mandy Karnauskas. Paul Sammarco.
37
38 **DR. PAUL SAMMARCO:** Paul Sammarco, here.
39
40 **MS. MATOS:** Thank you. We also have Dale Diaz.
41
42 **MR. DALE DIAZ:** Dale Diaz, here.
43
44 **MS. MATOS:** Thank you. I will go through the South Atlantic
45 members that we have on today, too. Genny Nesslage.
46
47 **DR. GENNY NESSLAGE:** Genny Nesslage, here.
48

1 **MS. MATOS:** Thank you. Scott Crosson.
2
3 **DR. SCOTT CROSSON:** Scott Crosson, here.
4
5 **MS. MATOS:** Thank you. Churchill Grimes.
6
7 **DR. CHURCHILL GRIMES:** I'm here.
8
9 **MS. MATOS:** Amy Schueller.
10
11 **DR. AMY SCHUELLER:** I'm here.
12
13 **MS. MATOS:** Thank you. Alexei Sharov.
14
15 **DR. ALEXEI SHAROV:** Alexei Sharov, here.
16
17 **MS. MATOS:** Thank you. George Sedberry.
18
19 **DR. GEORGE SEDBERRY:** George Sedberry is here.
20
21 **MS. MATOS:** Fred Serchuk.
22
23 **DR. FRED SERCHUK:** Fred Serchuk, here.
24
25 **MS. MATOS:** Wally Bublely.
26
27 **DR. WALTER BUBLEY:** Wally Bublely is here.
28
29 **MS. MATOS:** Dustin Addis.
30
31 **MR. DUSTIN ADDIS:** Dustin Addis.
32
33 **MS. MATOS:** Anne Lange.
34
35 **MS. LANGE:** Anne Lange, here.
36
37 **MS. MATOS:** Okay. Great. Thank you.
38
39 **CHAIRMAN POWERS:** Thank you. We have had the introductions, and
40 now we'll go through the agenda. Just an aside that this is a
41 joint -- For certain sections of this meeting anyway, this is a
42 joint meeting of both the South Atlantic and the Gulf of Mexico
43 Scientific and Statistical Committees, and, in a couple of
44 minutes, we'll kind of go through what the procedures are when
45 we go through SEDAR 64, and see if everybody is happy with that.
46
47 First, let's get through a little bit of business. We have the
48 Adoption of the Agenda, and you'll all see the agenda there, and

1 is there a motion to adopt?

2

3 **MR. GILL:** So moved, Mr. Chairman.

4

5 **MR. RINDONE:** Mr. Chair, if I could jump in.

6

7 **CHAIRMAN POWERS:** Yes.

8

9 **MR. RINDONE:** Just a point of clarification and a change
10 consideration for you guys. Obviously, a lot of the things that
11 we were going to cover on -- Well, everything we were going to
12 cover on Wednesday has been removed from the agenda, but,
13 because the meeting had already been federally noticed, we've
14 just gone and struck it out, but left it there, and so we,
15 obviously, won't be covering that material right now, and so
16 we'll just continue through the agenda to the next item, which
17 is the IFQ capacity and technical efficiency study, and Doctors
18 Agar and Parmeter have asked if they could speak after lunch on
19 Wednesday, and so that would be a requested change.

20

21 **CHAIRMAN POWERS:** All right. Thank you. With those
22 notifications, I believe there was a motion to adopt from Bob
23 Gill, I believe.

24

25 **MR. GILL:** As modified, Mr. Chair.

26

27 **CHAIRMAN POWERS:** Do we have a second?

28

29 **DR. NANCE:** Second.

30

31 **APPROVAL OF MINUTES: JUNE 29, 2020 AND JULY 8-9, 2020 WEBINAR**
32 **MEETINGS**

33

34 **CHAIRMAN POWERS:** Any objection? With no objection, the agenda
35 is adopted. Similarly, for approval of minutes of our last two
36 meetings, and this was the June 29 meeting and the July 8 and 9
37 meeting about MRIP and FES and so on. Again, let's handle it
38 all at once. Are there any -- Is there a motion to adopt both
39 of these items?

40

41 **MR. GILL:** Move approval of the minutes, Mr. Chairman.

42

43 **CHAIRMAN POWERS:** Thank you. We have a second from Jim Nance.
44 Thank you.

45

46 **DR. NANCE:** Yes, I second.

47

48 **CHAIRMAN POWERS:** All right. Are there any objections to

1 adopting the minutes? Without any, the minutes are adopted.
2 All right. Ryan was going to talk about the scope of work that
3 lists all of the agenda items, and, also, he will speak a little
4 bit about the procedure, and so, Ryan.

5
6 **SCOPE OF WORK**
7

8 **MR. RINDONE:** Thank you, sir. For the South Atlantic folks, the
9 scope of work is just kind of a roadmap for all of the agenda
10 items and what is expected to be accomplished, or at least
11 attempted, but, before we get into that, something that you guys
12 should come to terms with between yourselves is how you would
13 like to vote for the yellowtail snapper items, since that's the
14 joint part of the meeting.

15
16 The South Atlantic Council makes recommendations by consensus,
17 whereas the Gulf Council votes by individual -- The South
18 Atlantic SSC is by consensus, and the Gulf SSC is voting by
19 individual SSC members, and so, just amongst you guys, if you
20 want to make a decision about how you want to vote, that will
21 need to be done.

22
23 **CHAIRMAN POWERS:** Thank you. I think, ideally, we could
24 accomplish this by essentially having motions, and, if they're
25 accepted without objection, then that's essentially the same
26 thing as a consensus. If in fact there are objections, then,
27 presumably, we would have to go through a voting process, and I
28 would believe, I guess, that the voting process would have to be
29 done council-by-council. If somebody on the South Atlantic, or
30 anybody, if you want to make a comment on that. No?

31
32 Then we'll play it by ear then, but, basically, for SEDAR 64,
33 the idea is essentially that the scientific consensus is there,
34 and we would make our recommendations accordingly. If there's
35 not, then we will fall back to the other situation.

36
37 **MR. RINDONE:** Okay.

38
39 **CHAIRMAN POWERS:** Ryan, do you have anything more on the scope
40 of work?

41
42 **MR. RINDONE:** Just if anyone has any questions, and we can go
43 back to the scope of work before each agenda item, to kind of
44 talk about what's in store for that particular item, but I
45 wasn't going to go through the entire thing in one shot.

46
47 **CHAIRMAN POWERS:** Okay. Great. Thank you. Another bit of
48 business is selection of an SSC representative for the virtual

1 council meeting towards the end of August, August 24 through 28.
2 Are there any volunteers to be the SSC representative?

3
4 **SELECTION OF SSC REPRESENTATIVE FOR THE AUGUST 24-28, 2020**
5 **VIRTUAL COUNCIL MEETING**
6

7 **MR. RINDONE:** Mr. Chair, just as a reminder, for this particular
8 council meeting, the SSC representative is going to be
9 responsible for summarizing the June 29, the July 8 and 9, this
10 July 21 to 23, and the August 11 through 12 SSC meetings, and so
11 put your helmet on for that one, whoever decides to be the
12 volunteer.

13
14 **CHAIRMAN POWERS:** All right. The enthusiasm is overwhelming.
15 One thing that I was thinking about, in relation to this, is
16 that -- Because it's a virtual meeting, there's no reason that
17 more one person couldn't handle certain things, and so what I
18 will do is I will volunteer to be the representative, and, in
19 the ensuing time period, I will probably try to get others to
20 help me through this process, and so maybe more than just myself
21 would be involved, if that's acceptable. All right. Then we
22 begin now with the review of SEDAR 64, and, Ryan, could you just
23 kind of quickly go through the scope of work for this?

24
25 **REVIEW OF SEDAR 64 - SOUTHEASTERN U.S. YELLOWTAIL SNAPPER STOCK**
26 **ASSESSMENT**
27

28 **MR. RINDONE:** Sure thing. The committees, which is the Gulf and
29 the South Atlantic SSCs, are going to review the presentation,
30 the models results, and the projections from SEDAR 64, which
31 assessed southeastern U.S. yellowtail snapper, and the
32 analytical body for this assessment was the Florida Fish and
33 Wildlife Conservation Commission, and we have Shanae Allen and
34 Chris Swanson on the line to tell you about their great work,
35 and you guys will recommend any modifications to them, as
36 appropriate.

37
38 You will determine whether the assessment represents the best
39 scientific information available and inform the councils of the
40 stock status of yellowtail snapper, based on status
41 determination criteria, and you will also decide whether the
42 assessment is suitable for management advice, and, if suitable,
43 recommend values for the overfishing limit and acceptable
44 biological catch.

45
46 You guys should consider annual and constant catch yields, and
47 you guys should also take a peek at that stock assessment
48 executive summary and provide any feedback to Chris and Shanae.

1 Mr. Chair.

2
3 **CHAIRMAN POWERS:** All right. Thank you. There are a number of
4 background documents, the whole SEDAR 64 assessment process, the
5 report of the review committee, and the individual CIE reports,
6 and those are all available for review, and there has been --
7 There was some response to that review committee, in terms of
8 what the assessment people provided afterwards, and so all of
9 that information is available, and so let's begin now with the
10 presentations, I believe, that we are going to get, and Shanae
11 and Chris will be presenting that information, and so please go
12 ahead.

13
14 **ASSESSMENT PRESENTATION AND STOCK STATUS DETERMINATION**

15
16 **MR. CHRIS SWANSON:** Thank you, Mr. Chair. Shanae and I will be
17 going back and forth and presenting various portions of this
18 presentation, and so I will begin. As you all are very well
19 aware, the southeastern U.S. yellowtail stock is managed as
20 separate stock units between the two councils, with the boundary
21 being U.S. Highway 1 through the Florida Keys and into the Dry
22 Tortugas, and the State of Florida also manages in its own
23 waters, but, in terms of past assessments, as well as the
24 present one being presented here, we're treating the South
25 Atlantic and the Gulf of Mexico as a single stock unit.

26
27 In terms of management history, for the South Atlantic, a
28 twelve-inch total length minimum size limit for commercial and
29 recreational fisheries was established in 1983 with the Snapper
30 Grouper FMP, and Florida enacted a similar regulation in 1985.
31 In 1992, an aggregate daily bag limit of ten snappers for the
32 recreational fishery was established, with Florida establishing
33 it in 1986.

34
35 In 1999, Amendment 11B set the 30 percent SPR as an MSY proxy,
36 and a 40 percent SPR was established for an optimum yield proxy.
37 In 2013, Regulatory Amendment 15 established the ABC equal to
38 the ACL, which was equal to that OY, and, in 2014, the MSST was
39 modified to be 75 percent of the spawning stock biomass
40 associated with that 30 percent SPR, and that was from
41 Regulatory Amendment 21.

42
43 In the Gulf, the twelve-inch size limit was enacted in 1990,
44 with an aggregate daily bag limit of ten snappers, and reference
45 points for yellowtail are currently under development, and the
46 Gulf of Mexico defers to the South Atlantic at the moment.

47
48 In terms of the assessment history, for SEDAR 3, an ICA model,

1 an integrated statistical catch-at-age model, was used for data
2 from 1981 to 2001, and it was found that the yellowtail snapper
3 stock was not overfished nor undergoing overfishing. When the
4 stock was assessed again in 2012, via SEDAR 27A, the ASAP
5 Version 2 model was used for data on 1981 to 2010, and a similar
6 condition was found, where the stock was found to be not
7 overfished nor undergoing overfishing.

8
9 This slide just looks at your quota history, and so, since SEDAR
10 27A, the quotas that were established -- In the Gulf of Mexico,
11 the commercial and recreational fisheries have an ACL of around
12 900,000 pounds. In the South Atlantic, the commercial has an
13 ACL of around 1.5 million pounds, with some closures occurring
14 in 2015 and 2017. The recreational fishery has an ACL of about
15 1.4 million pounds.

16
17 Now we're going to get into the data portion of the assessment
18 and some of the decisions that were made in that process. In
19 terms of age structure, for Florida waters, we have fish from
20 zero to twenty years old observed, with a max age of twenty-
21 eight off of the Carolinas. In the graph to the right, all of
22 the black circles are the fish length at-age observations within
23 Florida, and the red triangles are observations outside of
24 Florida, mostly coming from off of the Carolinas.

25
26 In Florida, 58 percent of our otoliths were between the ages of
27 two and three, while 90 percent were between the ages of two and
28 six. 99 percent of our otoliths were from Florida, and, within
29 Florida, 61 percent of them were from the Florida Keys, and 35
30 percent were from southeast Florida, and so the observations for
31 the stock are largely coming from the Florida Keys.

32
33 This is just a table that shows where these ages are coming from
34 for the different fisheries, and so, for commercial, we got them
35 from TIP, and we got them from the headboat survey, and some
36 from the MRIP program, and you can see that most of them are
37 coming from commercial and headboat, about 21,000 for the
38 commercial and 21,000 for the headboat, and we have some
39 fishery-independent surveys over the years that had collected
40 some, about 1,800 of them, and so you see the ranges there. Our
41 age-zero fish are coming exclusively from these fishery-
42 independent surveys, and there was no weighting added to these
43 ages.

44
45 We modeled the length-at-age data externally, using a size-
46 truncated von Bertalanffy growth model, following Diaz et al.
47 2004, and we truncated the data at the minimum size limit, which
48 is that twelve-inch total length, or approximately 24.8

1 centimeters fork length, for the fishery-dependent data,
2 starting in 1983, which coincides with the Snapper Grouper FMP.
3
4 Some things were inversely weighted, with an age-twelve-plus
5 group, and we used about 45,000 otoliths for this one, and you
6 can see the L infinity was around 42.3 centimeters, with a K of
7 0.2.
8
9 For the length data, we received retained lengths from each of
10 the fisheries, and so the commercial, headboat, and MRIP
11 fisheries, and the sample sizes you can see on the right-hand
12 side, and the fork length ranges, the years that they were
13 collected, and how they were weighted, and so, for the retained
14 lengths, they were weighted by the landings. For the discards,
15 which were coming from the commercial reef fish observer
16 program, they were weighted by the discards, and the MRIP and
17 headboat observer programs -- Those discard lengths were
18 weighted by the discards.
19
20 For the surveys that we had, we had length compositions that
21 were weighted either by the landings or the discards, depending
22 upon the fishery, and, for the -- What you will see here is the
23 RVC, the Reef Fish Visual Census Program, and that was a
24 fishery-independent survey that I'll talk more about, but they
25 were weighted by the number of secondary sampling units.
26
27 This is showing our whole weight at length relationship, and, in
28 the table down at the bottom that is highlighted in green,
29 that's our -- Those are the AB parameters for the weight-length
30 relationship, and so we used 16,000 fish to produce this
31 relationship in the graph, and the southeast Florida is the
32 yellow, and then the Florida Keys is the blue. The Florida Keys
33 does also go all the way down. It's just kind of being masked
34 right now by the southeast Florida data on top, but you can see
35 that relationship there.
36
37 For the maturity at-age and length, we used data coming from
38 Barbieri and Colvocoresses 2003, which used samples off of the
39 Florida Keys and southeast Florida. There was no update to the
40 maturity information for this assessment, and so this uses the
41 exact same information that was done in SEDAR 27A. Maturity at-
42 age had an A50 of 1.7 years and L50 of 19.2 centimeters, or 192
43 millimeters. The sex ratios in the literature were one-to-one.
44
45 For natural mortality, we used Hoenig's all taxa equation from
46 the 1983 paper to estimate instantaneous natural mortality,
47 where we used a Tmax for Florida at age-twenty, and then we used
48 that estimate of instantaneous M as the target M to create a

1 mortality at-age vector, following Lorenzen 2005, and that gives
2 us our maturity at-age vector that you see in the plot on the
3 left-hand side, ranging from 0.558 per year to 0.198, for the
4 zero to twenty.

5
6 Before we get into the landings and discards portion of the
7 presentation, I just wanted to start off with one of the things
8 that came out of the assessment workshop, was that the
9 assessment panel recommended a start year of 1992.

10
11 As most of you all are aware, the data for recreational starts
12 in 1981, and even beforehand with the commercial data, but, due
13 to the high uncertainty in the recreational landings and
14 discards prior to 1992, as well as our age composition data
15 becoming really available after 1992, and likewise with our
16 indices of abundance or biomass that we had becoming available,
17 the assessment panel recommended a start year of 1992, and we
18 had a sensitivity run with a start year of 1981. In SEDAR 27A,
19 the assessment started in 1981.

20
21 Landings for the commercial fleet come from Florida's Marine
22 Trip Ticket Program and the NOAA ALS, and we used data from
23 Florida only from 1992 to 2017, but we did have it available
24 beginning in 1962, and standard errors in log-space were
25 weighted by the landings.

26
27 For the headboat, our landings come from the Southeast Region
28 Headboat Survey, from 1992 to 2017, but we did have it available
29 from 1981. Because there is no variance estimates that come
30 from this survey, standard errors in log-space were assumed
31 equal to 0.25 and constant through time.

32
33 For MRIP, for the private, shore, and charter modes, the
34 landings came from the fully-calibrated APAIS, FES, and FHS
35 datasets, from Florida only from 1992 to 2017, and the CVs were
36 transformed to standard errors in log-space.

37
38 This is a chart showing the retained landings on the left in
39 numbers in millions and in metric tons on the right-hand side.
40 For the numbers, you can see MRIP and commercial are about half-
41 and-half, with some real high estimates in the early 1980s and
42 late 1980s and early 1990s, and then those values are in metric
43 tons on the right. You can see headboat isn't a very large
44 component at all.

45
46 For the discards, for commercial discards, effort and discard
47 rate data from the vertical line trips in southern Florida,
48 that's been reported in the commercial logbooks, and between

1 2002 and 2017 were used. For the earlier years, 1993 to 2001,
2 the discard rates were averaged over the years 2002 to 2006 and
3 used with the effort data that was available at that time period
4 to produce those discard rates. CVs were provided by the
5 Southeast Science Center using the method from SEDAR 32 that
6 they established. The CVs were pretty high, 1.94 to 5.61.

7
8 For the headboat fleet, coming from the headboat logbook data
9 from 2004 to 2017, which was validated using the Florida at-sea
10 observer program, for the years 1981 to 2003, they were
11 hindcasted using that discard ratio between the MRIP charter
12 boat and the headboat discards, and it was a proxy method, and
13 the standard errors for this were assumed equal to 0.5 and
14 constant through time. For the MRIP fleet, the discards came
15 from the MRIP data, that fully-calibrated data between 1992 and
16 2017, but it was available back to 1981.

17
18 This is the discards in millions for each fleet, and you can see
19 the commercial discards were extremely low, and the same thing
20 with the headboat, and MRIP comprises the vast majority of it.

21
22 For discard mortality rates, it was decided at the data workshop
23 that, for the commercial fleet, 10 percent would be used, with a
24 sensitivity run of 15 percent, and, for the headboat and MRIP
25 fleets, again, 10 percent would be used, with sensitivity runs
26 using 20 percent and 30 percent discard mortality rates.

27
28 For our indices of abundance and biomass for the fishery-
29 independent index of abundance, the data came from the Reef Fish
30 Visual Census Program, where we used data from the Florida Keys
31 and the Dry Tortugas, and this was sampling that was done in
32 1999 and 2000, and then biannually from 2004 to 2016. From this
33 dataset, we were able to produce a juvenile and an adult index
34 that was split right there at the nineteen-centimeter line.

35
36 For our fishery-independent indices, we had a commercial
37 vertical line index of biomass that came from the commercial
38 logbook data from 1993 to 2017 in southern Florida, which
39 includes southeast Florida, through Sarasota, and the Dry
40 Tortugas. Then we used MRIP total catch data to create an index
41 of abundance from 1991 to 2017 in similar regions, southeast
42 Florida and the Florida Keys, including the Tortugas.

43
44 This is these indices that are normalized to their own means,
45 plotted, and so you can see there's a little bit of an initial
46 decline in the early and mid-1990s, and then the indices
47 increased through time, through the terminal year.

48

1 This is a slide that's showing some of the modifications or
2 updates that were done with this assessment, as compared to the
3 previous assessment, SEDAR 27A. In terms of data structure, the
4 biggest change comes from the MRIP dataset itself having been
5 changed, where estimates are now two to five-times higher than
6 what they were previously.

7
8 In this assessment, it was decided to use Florida-only data to
9 inform this assessment model and to manage the Florida stock,
10 and there is an addition of seven years of data, and so the
11 terminal year in the previous assessment was 2010, and so now
12 we're including through 2017, and, while the decision from the
13 panel was changed to have the start year changed to 1992, which
14 was technically a removal of eleven years of that early data,
15 from 1981 to 1991, it still -- That data is still in the model,
16 and it's being used to inform the early recruitment deviations
17 and to estimate initial population sizes, and so the start year
18 is 1992, but the data do exist in the .dat file for SS, which
19 you will see later.

20
21 In this assessment, there was an exclusion of the headboat index
22 of abundance, whereas there was one in the last assessment, and
23 that was a decision made at the data workshop by the index
24 working group. Because we are using SS for this model, we have
25 the inclusion of length composition data to be fit by the model,
26 and, also, in terms of the commercial discard mortality rates,
27 they were changed from eleven-and-a-half percent in the last
28 assessment to 10 percent this time, but the recreational fleet
29 discard mortality remained the same, at 10 percent.

30
31 In terms of life history, between the last assessment and this
32 one, the amount of length-at-age information that we had
33 essentially doubled. We went from about 20,000 otoliths to
34 50,000 otoliths, to be able to use, and so, with this, came
35 updates to the external von Bertalanffy growth parameters used
36 outside the model and within it, and, with this assessment, it
37 was the use of fork length instead of total length to derive
38 some of these life history parameters.

39
40 With this update, at the length at age information, it also
41 allowed updates to the constant and age-varying natural
42 mortality estimates, and the methods were the same, but, because
43 the life history information was updated, it changed it
44 slightly, too. We had our update to length-weight parameter
45 estimates, and the spawning timing was changed from the middle
46 of the year to January 1 for this assessment. Before I move
47 forward into the model configuration portion of the
48 presentation, is there any further questions about the data?

1
2 **CHAIRMAN POWERS:** Let me open the floor for questions, briefly.
3 Let me ask a question, quickly, if you could kind of elucidate
4 about why the headboat was -- That the data workshop wanted to
5 exclude the headboat.
6
7 **MR. SWANSON:** The headboat index, the information -- I am trying
8 to remember back from the data workshop, but, basically, the
9 amount of uncertainty associated with the headboat data -- It
10 caused some doubts as to how we wanted to use it, or if we
11 wanted to use it, and the trends that it was showing deviated
12 from all of the other indices, and that's the gist of --
13
14 **MS. SHANAE ALLEN:** I can also add to this for a moment, if
15 that's okay.
16
17 **MR. SWANSON:** Yes. Go ahead.
18
19 **MS. ALLEN:** Okay. The major issue with the headboat survey was
20 that the coverage was very low in the South Atlantic and very --
21 Over time, how many vessels were involved, and there were a few
22 other reasons as well that are listed in the index working
23 paper, but I would have to dig that up.
24
25 **MR. SWANSON:** The reporting issues.
26
27 **CHAIRMAN POWERS:** Yes, and, as I remember too, overall, the
28 headboat was pretty small, and, also, all the other catches were
29 focused in the Keys. All right. Dale Diaz, did you wish to
30 speak?
31
32 **MR. DIAZ:** Thank you, Mr. Chair. I just had a question. On
33 page 19, we were talking about discards there, and I noticed one
34 year was extremely high, and it seemed to be -- I was just
35 wondering if there was any explanation of why that year, and it
36 looked like maybe 1991, was so high.
37
38 **MR. SWANSON:** I don't have a good explanation as to why. When
39 that datapoint was looked at in the data workshop, there was
40 some -- We were wondering whether or not it was just coming from
41 one interview or what was causing that huge spike, but I think
42 there was a couple of interviews.
43
44 **MR. RINDONE:** There were three, Chris. There was one that had
45 reported a hundred yellowtail discarded in one day and two
46 separate ones that had both reported fifty yellowtail discarded
47 in a day.
48

1 **MR. SWANSON:** Okay.
2
3 **MS. ALLEN:** Let me clarify that I think that was just for the
4 charter mode. In the private mode, which makes up most of the
5 MRIP landings, it was fairly consistent over all strata, and
6 Vivian Matter at the Southeast Fisheries Science Center did a
7 thorough investigation of that year and found that it was a
8 fairly consistent increase in many strata.
9
10 **MR. DIAZ:** Thank you.
11
12 **CHAIRMAN POWERS:** Thank you. Ryan, did you have anything more?
13
14 **MR. RINDONE:** No, that was it. It was just to clarify.
15
16 **CHAIRMAN POWERS:** All right. Thank you.
17
18 **MR. SWANSON:** Thanks, Ryan.
19
20 **CHAIRMAN POWERS:** Then, with no other questions, Chris, go ahead
21 and proceed.
22
23 **MR. SWANSON:** Okay. Thanks, Mr. Chair. This gets into the base
24 model configuration portion of the presentation. For SEDAR 64,
25 the base model was configured in Stock Synthesis Version
26 3.30.14, and it's a model of moderate complexity for the years
27 1992 to 2017, with early recruitment deviations starting in
28 1981.
29
30 It's a one-season, one-area model, with spawning beginning in
31 January and settlement occurring also in January, at age-zero,
32 at two-centimeters fork length. It's a combined-sex model with
33 female-only spawning stock biomass.
34
35 In terms of life history parameters that were used as initial
36 inputs, these were all coming from the externally-estimated von
37 Bertalanffy growth model. There was twenty ages in the model,
38 with an age-twelve-plus group that was used, and natural
39 mortality came from that estimate of mortality at-age and was
40 fixed within the model as a vector. Maturity at-age was used as
41 a fixed vector, and fecundity was set equal to spawning biomass
42 at length, and the parameters for the length-weight relationship
43 were also fixed, following the analyses that I had presented
44 earlier in the presentation.
45
46 We had three fleets in the model, the commercial, headboat, and
47 MRIP, where landings and discards were provided for each of the
48 fleets, and, for the surveys, we used the commercial CPUE, the

1 RVC fishery-independent indices, with the juvenile and adult,
2 and then the MRIP total catch CPUE numbers.
3
4 For our length composition data, we included commercial landings
5 and discards, headboat landings, MRIP landings, and then a
6 combined headboat/MRIP discard length composition, because the
7 length compositions were the same. We had length compositions
8 coming from the RVC survey as well, and conditional age-at-
9 length data was also supplied for the commercial landings,
10 headboat, and MRIP landings, and then we had a fishery-
11 independent source that was not any fleet. This is just a graph
12 that shows the usage of all those data components within the
13 model across time.
14
15 For selectivity for the fleets, the commercial selectivity used
16 a simple logistic flat-topped with estimated retention and a
17 discard mortality rate of 10 percent. Headboat used a double-
18 normal, which is a dome-shaped selectivity curve, with estimated
19 retention that was flat-topped and a discard mortality rate of
20 10 percent, and the same thing with MRIP. A double-normal dome-
21 shaped selectivity curve was used with estimated retention and a
22 discard mortality rate of 10 percent.
23
24 For the indices, the commercial CPUE index selectivity was
25 linked to the commercial fleet, and so that simple logistic
26 flat-top, and a catchability time block was included with this
27 from 2009 to 2017, and this was following -- It was to capture
28 the power chumming technique that has become standard within the
29 commercial fishery.
30
31 For the RVC adult index, a double-normal selectivity was chosen
32 for that, with constant catchability, and a double-normal for
33 the RVC juvenile index, with constant catchability, and the MRIP
34 CPUE was mirrored to the MRIP fleet, with constant catchability.
35
36 For recruitment dynamics, the Beverton-Hold stock-recruit
37 relationship was used to estimate recruitment, with parameters
38 of virgin recruitment in log space and then sigma R, which is
39 the standard deviation of log recruitment, and steepness, and
40 they were all estimated within the model. We used the simple
41 recruitment deviations options, and so there's no sum to zero
42 constraint on recruitment.
43
44 As I said, earlier, we used the early recruitment deviations
45 from 1981 to 1990, which represents this period of lower data
46 richness, and then the main recruitment deviations began in
47 1991, which begins this period of higher data richness, where
48 all of our length compositions and our indices -- All of that

1 data comes in. We included bias adjustments within the model.
2 We're following the Methot and Taylor 2011 method.

3
4 Out of the 117 parameters that the model used, eighty-five of
5 them were estimated, and we only used symmetric betas on the
6 initial fishing mortality rates for the three fleets, and
7 everything else was estimated. For the lambdas, there was no
8 emphasis on model fit for the initial equilibrium catch for all
9 three fleets, because of the uncertainty with it, not knowing
10 what that initial equilibrium was, and so we made no emphasis on
11 it. Then, in terms of our fishing mortality rates that were
12 reported, we used age-four for that.

13
14 For model convergence criteria, we looked at the total
15 likelihood, which uses the sum of the individual data source
16 components likelihoods, and we made sure that the Hessian
17 inverted and had a maximum gradient of less than 0.0001, and,
18 for the error structure, Stock Synthesis assumes a log normal
19 error structure for all landings indices and discard data,
20 unless you specify otherwise, which we did with the commercial
21 discards. If you remember, we had CVs with those which were
22 very large, and so we used those values.

23
24 A multinomial distribution was used to fit the length
25 composition and the conditional age-at-length data, and, in
26 terms of data weighting, the length composition, and, as I said
27 earlier, the length composition and the conditional age-at-
28 length data was weighted, either by the initial sample sizes
29 that were equal to the square root of the number of trips or the
30 number of fish, and we also did an iterative reweighting,
31 following Francis 2011. Is there any questions about modeling
32 configuration? Shanae is going to pick up with the base model
33 results.

34
35 **CHAIRMAN POWERS:** Thank you, Chris. Are there any questions?
36 If not, then, Shanae, can you proceed?

37
38 **MS. ALLEN:** Thank you, and good morning, everyone. I will be
39 going through the results portion of the presentation, followed
40 by our MCMC analysis and our sensitivity runs.

41
42 Here is a comparison of expected and observed commercial
43 landings on the left and recreational landings on the right. As
44 you can see, the landings fit exactly for all years, except for
45 the year prior to the start year, which is 1991. The start year
46 is 1992.

47
48 Model estimates of commercial discards are shown in blue, and

1 the data inputs are the open circles, with associated
2 approximate confidence intervals. The next several slides will
3 follow the same format.
4
5 The fit illustrates a general agreement between the estimates
6 and observed quantities, except in the last few years. However,
7 the uncertainties surrounding these estimates, as shown by the
8 vertical bars here, is very high, off the charts, really.
9
10 The fit to MRIP discards is shown on the left, and the fit to
11 headboat discards is shown on the right. As you can see,
12 estimates for most years fall within the data confidence
13 intervals and show no discernable pattern.
14
15 The next few slides will show the fits to the indices, and the
16 commercial index year fits fairly well, as estimates fall within
17 the uncertainty intervals. However, on the right, showing the
18 standardized residuals by year, it shows that there are some
19 trends.
20
21 The fit to the MRIP index is illustrated on the left, and the
22 trends and residuals are on the right, again, and this shows
23 that the initial years are underestimated, and the following
24 years are mostly overestimated, but not to a large degree. Here
25 is the fit to the RVC adult index, and so the standardized
26 residuals mostly fall within plus or minus-two, which is a good
27 sign, but they do show some minor temporal trends, some temporal
28 trends.
29
30 Lastly for the indices, here is the fit to the RVC juvenile
31 index, and, again, the standardized residuals on the right
32 mostly fall within plus or minus-two, and they indicate some
33 minor temporal trends.
34
35 Moving on to the fits to the length comps, this slide compares
36 the fits to the length comps aggregated over all years, per
37 fleet and survey, and that is shown -- The fits are shown by the
38 green line, and the data are shown by the gray distributions.
39 This shows strong agreement between the data and model
40 estimates.
41
42 Looking at these residuals through time and by length bin, the
43 Pearson residuals here show -- They're shown for each fleet,
44 starting with the commercial discards, followed by the
45 commercial retained lengths and then headboat discards, and,
46 finally, the last plot there is the headboat retained lengths,
47 and the following slide will be MRIP. As you can see, there is
48 no discernable patterns over time, which is a good sign.

1
2 It's a similar story with MRIP discard and retained lengths, as
3 well as the lengths provided for by the surveys, and there are
4 some very large residuals for very small length bins, as shown
5 in the MRIP retained lengths and RVC juvenile, and, again, no
6 obvious patterns over time.

7
8 These two slides will show the fit to the age compositions, and,
9 on this slide, the observed mean ages are shown by the open
10 circles, accompanied by confidence intervals that are based on
11 the effective sample sizes, and the fits to the mean age by year
12 is the solid line, and so on the left is the fit to the
13 commercial ages, which shows that most years were
14 underestimated, whereas the fit to the headboat ages on the
15 right are in general agreement. Similarly, the fit to MRIP and
16 fishery-independent ages, on the left and right respectively,
17 show general agreement.

18
19 There is quite a bit going on in these plots, but I will talk
20 through it, and so here we show the estimated selectivities for
21 each fleet, and selectivity by length is shown on the left, and
22 so we'll start there, and so, going from left to right, we have
23 the RVC juvenile survey in yellow, which peaks at about fifteen
24 centimeters, followed by the RVC adult index in green, and the
25 MRIP fleet and MRIP CPUE series in orange, with the blue plus
26 signs.

27
28 The selectivity for the headboat fleet is in the light blue,
29 and, for the commercial fleet, it's in the dark blue, which
30 shows that the commercial fleet is the only one here with a
31 flat-top selectivity. On the right, the derived age-based
32 selectivity shows the same general pattern. However, most
33 fleets and surveys are estimated to have nearly flat-top age-
34 based selectivity.

35
36 Here is the estimated stock-recruitment curve, and the steepness
37 value is estimated at about 0.8, but, as shown by this plot, it
38 is not very well informed, as you see by the points there in the
39 middle.

40
41 The estimated number of recruits, in thousands per year, is
42 shown on the left, and the recruitment deviations are shown on
43 the right. The number of recruits shows a slightly increasing
44 trend, with a high period of recruitment from about 2011 to
45 2014. The recruitment deviations are mostly centered around
46 zero, but they do have a slight positive trend in the later
47 years.

48

1 The growth estimated from SS here is shown on the right, by the
2 black line and the dark-shaded area, while the growth estimated
3 from the external model is the blue line and the lightly-shaded
4 area. As you can see, the growth estimated from SS has a lower
5 L infinity compared to the external growth model, but the 95
6 percent confidence intervals overlap almost entirely.

7
8 Moving on to model-estimated quantities, fishing mortality rates
9 for age-four fish are presented on the left, showing that the
10 stock has not undergoing overfishing for most of the time
11 period, and so F current, which is the geometric mean of the
12 final three years, is the red horizontal line, and that line is
13 slightly above the F at optimum yield, and it suggests that the
14 stock, as I said, is not undergoing overfishing.

15
16 Estimates of spawning stock biomass is on the right, and it
17 shows a general increasing trend since 1996 and a leveling off
18 since about 2015. Estimates for all years are above the minimum
19 stock size threshold, or MSST, which is defined as 75 percent of
20 the spawning stock biomass at an F of 30 percent SPR.

21
22 **MR. GILL:** Mr. Chairman?

23
24 **CHAIRMAN POWERS:** Go ahead.

25
26 **MR. GILL:** Thank you, Mr. Chairman. Shanae, could you talk a
27 little bit about why the geometric mean was chosen over three
28 years, rather than perhaps a longer timeframe?

29
30 **MS. ALLEN:** If my memory serves me right, I believe that that
31 was used in the previous assessment and was defined in the terms
32 of reference, but, Chris, correct me if I'm wrong here.

33
34 **MR. SWANSON:** No, that's what I remember, too. That's how it
35 was defined.

36
37 **MR. RINDONE:** Mr. Chair, we have used the geometric mean for the
38 previous three years for most of our assessments for probably
39 the last six or eight years, and it's been a while, and we've
40 just tried to make that kind of a standard thing that we put
41 into the terms of reference, to make that particular estimate
42 homogenous across managed species.

43
44 **CHAIRMAN POWERS:** Thank you. Anything else, Bob?

45
46 **MR. GILL:** No. Thank you, Mr. Chairman.

47
48 **CHAIRMAN POWERS:** All right. Shanae.

1
2 **MS. ALLEN:** Okay. That's all I needed to say about this slide,
3 and so, if there's no more questions, we can move on to the
4 next. Here we have estimates of numbers at-age on the left,
5 which shows that the population, in numbers, is mostly made up
6 of ages-zero through four, which, on the bottom there, the key,
7 it will show it's the blue through the yellow colors. The
8 biomass at-age, which is shown on the right, is comprised mostly
9 of ages one through five, which is identified by the orange
10 through the green colors.

11
12 Management quantities and their estimated values are shown in
13 this table. As shown, the MSST is estimated to be about 1,400
14 metric tons, or about three million pounds. The spawning stock
15 biomass, SSB current, is the geometric mean of spawning stock
16 biomass for 2015 to 2017, and it's over two-times the MSST,
17 again suggesting that it's not overfished.

18
19 The maximum fishing mortality rate, or MFMT, is about 0.44, and
20 the overfishing limit is about 1,600 metric tons, or 3.5 million
21 pounds. F current is slightly higher than the fishing mortality
22 rate at the optimum yield, at about 0.3, and the optimum yield
23 is estimated to be about 1,500 metric tons, or 3.3 million
24 pounds.

25
26 We performed a MCMC analysis to generate posterior distributions
27 of model parameters and quantities, and so, to do this, we ran
28 two chains and assessed convergence using Gelman and Rubin's
29 potential reduction scale factor.

30
31 Here are the MCMC distributions of SSB current relative to MSST
32 on the left, and F current relative to MFMT in the middle, and
33 what you can see is that neither of these distributions overlap
34 with one, suggesting a very low probability of being overfished
35 or undergoing overfishing. A distribution of retained catch at
36 F of 30 percent SPR is on the right, and all of these
37 distributions show very little skew and line up well with the
38 base model estimates.

39
40 The black line and the solid-gray band represent the median and
41 95 percent credible intervals from the MCMC analysis, while the
42 dashed lines indicate the base run estimates and approximate 95
43 percent confidence intervals, and so, for both fishing mortality
44 on the left and spawning stock biomass on the right, this just
45 shows that the base model and the MCMC analysis are very closely
46 aligned. If anybody has any questions about model results, or,
47 if not, I can move on to the sensitivity runs.

48

1 **CHAIRMAN POWERS:** Let's go on with the sensitivity runs. Thank
2 you.

3
4 **MS. ALLEN:** Okay. A few sensitivity runs were explored. First,
5 we changed the start year to 1981, to see the effect of
6 including those highly-variable landings and discard data, and
7 we also compared our base model to a run without the Francis
8 weights on the composition data, and another run was requested
9 by the review panel to change the MRIP fleet selectivity to
10 flat-top, and, finally, to change the commercial and
11 recreational discard mortality rates, as per the terms of
12 reference.

13
14 Here we have a comparison of estimated spawning stock biomass on
15 the left and age-four fishing mortality on the right. The blue
16 line is the run starting in 1981, and the red line is our base
17 model, starting in 1992, and so, as you can see, all of these
18 quantities are very similar, and there is very little change in
19 the management reference points.

20
21 Changing the start year did, however, affect the stock-
22 recruitment curve, which led to a lower estimate of steepness,
23 to about 0.6 from 0.8, and that was because it filled in more of
24 the region closer to the origin.

25
26 The next sensitivity run is removing the Francis weights on the
27 composition data, and, as you can see, that increased spawning
28 stock biomass quite a bit and lowered fishing mortality rates,
29 but the trends remained the same. It also had a large effect on
30 the management reference points.

31
32 However, the base model generally fit the indices and MRIP
33 discards better, as shown by the table of log likelihood values
34 on the left, and removing the Francis weights also worsened the
35 fit to the length comps, which is shown on the right here,
36 particularly the commercial retained lengths, the MRIP discard
37 lengths, and the MRIP CPUE lengths. The fits to the age comps
38 are not shown here, and they remained about the same.

39
40 Another sensitivity run was to lower natural mortality by
41 increasing the maximum age to twenty-eight. That is the maximum
42 age that was observed in all the age data, including ages from
43 outside of Florida, and so lowering the natural mortality led to
44 slight decreases in spawning stock biomass and fishing mortality
45 rates. However, the MSST, which is the dashed line, increased
46 quite a bit, and the MFMT decreased, which will lead to a change
47 in overfishing status in many years.

48

1 Moving on to the next sensitivity run, which is changing the
2 MRIP selectivity to flat-top, this led to a much lower spawning
3 stock biomass, but only slightly higher fishing mortality rates,
4 and so, diving into this one a little deeper, the change in
5 selectivity led to poorer fits to the MRIP discards and MRIP
6 CPUE length comps. As you can see, the peak is not captured
7 very well.

8
9 The next two slides reflect changes to the discard mortality
10 rates. As shown, increasing the commercial discard mortality
11 rate to 15 percent made indiscernible changes to these outputs.
12 The same goes for increasing MRIP discard mortality rates to 20
13 and 30 percent. However, the change to a 30 percent discard
14 mortality rate did lead to a slight increase in MSST and
15 decrease in MFMT. We can move on, and Chris is going to take
16 over this part of the presentation, unless anyone has any
17 questions.

18
19 **CHAIRMAN POWERS:** If not, we can always come back later, and so
20 go ahead, Chris.

21
22 **MR. SWANSON:** Thanks, Shanae, and thank you, Mr. Chair. Yes, I
23 will be talking about the retrospective analysis and some of the
24 other analyses that were performed to gauge model fit, and then
25 Shanae will pick up with the projections at the end of the
26 presentation, and so go ahead with the next slide, please.

27
28 For the retrospective analysis, we did a seven-year peel and
29 evaluated the pattern quantitatively using Mohn's Rho and
30 following the rule of thumb that suggested in Hurtado et al.
31 2015, which said, for longer-lived species, such as our
32 yellowtail snapper, versus a shorter-lived species, like a
33 clupeid, values ranging from between negative 0.15 to 0.2 are
34 optimal, and so, up in the upper-right-hand corner, we have some
35 of those Rho values for our spawning stock biomass, our
36 recruitment, and age-four Fs, and so you can see they fall
37 within that quantitative rule of thumb, indicating that a
38 pattern would not be present.

39
40 The bottom table just shows the gradient in the number of
41 parameters near the bounds for each of the peels that was
42 performed, and so we get a little bit of an issue on the peel
43 that minuses three and four years, and we'll see that in the
44 upcoming plots.

45
46 This is for recruitment, and you can see that the pattern is --
47 There isn't a pattern, really, and they all stick pretty close
48 together, except for that run, which failed, and is represented

1 by this line through the middle here.

2
3 For spawning stock biomass, on the left-hand side, you can see
4 that, as the data was peeled back, you get a little bit of a
5 decrease, and then it goes up above the data at zero lines, but
6 they're all pretty much within the confidence intervals, the
7 shaded regions there, and then, on the right-hand side, it's
8 similar with the age-four Fs, and so things are pretty much
9 within the confidence intervals that were established.

10
11 Some of the other analyses that we have performed to assess
12 convergence and uncertainty within the model that we didn't feel
13 like we had time to go into for this presentation, but were
14 listed within the assessment report itself, we did a parametric
15 bootstrap, but we found that it was really sensitive to the
16 effective sample sizes that were used and that they must be
17 integer values, and so, because of that, most of the runs did
18 not converge, and so we got estimates and distributions that
19 were very off and quite different than what was coming from the
20 base run or the MCMC analysis.

21
22 We did profiling on these estimated stock-recruit values for R
23 zero, sigma R, and steepness, and we also did likelihood
24 profiling on those initial F values, which the results from the
25 profiling suggested that there's little model sensitivity to
26 those quantities, but, for the steepness parameter, the
27 likelihood was pretty flat above 0.65, and this was a point of
28 discussion within the review that we had, suggesting that
29 steepness isn't very well defined.

30
31 We also did a jitter analysis within Stock Synthesis, which
32 basically varies the starting points of the parameters, and we
33 did it by 20 percent, as suggested by Rick Methot, and the
34 results found that our model, the base model, converged on
35 global solutions, rather than local minima, for each of the
36 parameters.

37
38 We also performed a jack-knife analysis on the indices of
39 abundance, and the indices had a similar influence on trends in
40 the fishing mortality rates and SSB, and so everything looked
41 okay. When we removed -- We did find that, when we removed the
42 MRIP index, the model was most sensitive to that, and it lowered
43 the fishing mortality rates and increased the spawning stock
44 biomass. If there's no questions about that, Shanae will finish
45 up with the projections.

46
47 **MS. ALLEN:** I guess the last item in our presentation is to
48 present the results of several projection scenarios. We did a

1 twenty-year projection, where the selectivity for the fleet, for
2 each fleet, was taken from the terminal year of the assessment
3 model, and relative harvest rates for the directed fisheries
4 were assumed to stay in proportion to the terminal three-year
5 geometric mean from 2015 to 2017. This is about 0.3 for age-
6 four fish.

7
8 The fleet allocations are kept constant and are equal to
9 relative F values of 56 percent for the commercial and 44
10 percent for the recreational, and this is based on retained
11 biomass, and those values are very similar to the current
12 allocation values in the South Atlantic, which are 53 percent
13 for commercial and 47 percent recreational.

14
15 Stock-recruit parameters are assumed to be constant, and
16 recruitment for the first year of the projection is equal to the
17 terminal three-year average.

18
19 We compared the following projection scenarios: F current or
20 average F; F at 30 percent SPR, which is the red; 75 percent of
21 F 30 percent SPR, which is the light blue dotted line; F at 40
22 percent SPR, which is the optimum yield fishing mortality rate
23 defined for this species, and that's in the green. This last
24 scenario, FOY, that was not requested in the TORs. We also
25 added a retained landings in metric tons for each fleet in 2018
26 and 2019, and so projections really start in 2020.

27
28 This plot shows the recruitment values that were estimated by
29 the base model, which is black, and what was used in each
30 projection scenario. As you can see, the recruitment values are
31 equal to, or very close, to the 1992 to 2017 average, and they
32 decrease slightly under the highest F scenario of F at 30
33 percent SPR.

34
35 Here on the left is estimated and projected retained yield, in
36 millions of pounds, for each projection scenario. Again, the
37 projections begin in earnest in 2020, after the gap years of
38 2018 and 2019.

39
40 One thing to note here is we found that, in the version of SS
41 that we were using, there was a bug in the projection code, and
42 so we were unable to input the MRIP and headboat landings in
43 2018 and 2019 in numbers, and we could only enter them as metric
44 tons. We have recently used a different version of SS that does
45 not have this issue, and we can show some comparison plots. It
46 increased the fishing mortality rate slightly for the gap years,
47 by inputting numbers instead of metric tons.

48

1 On the left here, the red is the projected yield at F 30 percent
2 SPR, or the MFMT, and the peak occurs in 2020, followed by a
3 decline. The remaining projection scenarios are driven by lower
4 Fs, which is shown here, and so note that the current ACL is in
5 the previous MRFSS currency, and so based on the Coastal
6 Household Telephone Survey, and so these aren't directly
7 comparable to any other quantity on here. It's just for
8 reference.

9
10 **CHAIRMAN POWERS:** I have a quick question about the one on the
11 right. You mentioned the target there, and do you mean -- You
12 don't mean target, do you? Do you mean -- It's not the optimum
13 yield, is it?

14
15 **MS. ALLEN:** No, and so that should be spawning stock biomass at
16 F 30 percent SPR.

17
18 **CHAIRMAN POWERS:** This will come up again, and I think it's in
19 the executive summary, that you refer to target, and that should
20 probably be changed, but, anyway, go ahead.

21
22 **MS. ALLEN:** Okay. On the right is the spawning stock biomass
23 projected through time, and you can see that most of the
24 scenarios lead to a slight decrease in spawning stock biomass,
25 but the scenario under MFMT shows a quick decline in spawning
26 stock biomass to reach the SSB at F 30 percent SPR, which is
27 what it would be designed to do, and that's all we have, and so
28 please let us know if there are any questions.

29
30 **CHAIRMAN POWERS:** All right. This would be a convenient time to
31 take a break for let's say fifteen minutes, and then it will
32 give people some time to kind of bring their questions to the
33 fore, so that we can go on from there, and so let's take a break
34 for fifteen minutes then and come back at 10:40. Thank you.

35
36 (Whereupon, a brief recess was taken.)

37
38 **CHAIRMAN POWERS:** Let me open the floor for any questions and
39 comments and so on, and, while people get their thoughts
40 together, let me interject a couple of things, or really just
41 one thing. During the review meeting, and Chris and Shanae know
42 this, there was some discussion about basic stock ID and the
43 fact that the distribution of this species is quite wide, but,
44 for very pragmatic reasons, both in terms of the fishery itself,
45 it was focused on Florida, and, also, there was the focus on the
46 Keys of Florida, in terms of some of the sampling that's gone
47 on, and that was one of the recommendations that was made. Do
48 you care to comment on that, Shanae or Chris?

1
2 **MR. SWANSON:** Just that you said it well, and that was pretty
3 much it. The decisions that were made between the data workshop
4 and the assessment workshop was to manage -- For the management
5 of the species, which was so Florida centric, and, because of
6 some of the issues with the populations, the life history
7 characteristics of the populations, like up off of the
8 Carolinas, which weren't subject to the elevated fishing
9 pressures that exist down in the Keys and southeast Florida, the
10 decision was made, as you said, from a pragmatic standpoint,
11 that this is a Florida stock with a Florida fishery, and so,
12 because 99 percent of the data was from Florida, the decision
13 was to base all of the data, the life history data and inputs,
14 off of Florida data.

15
16 **CHAIRMAN POWERS:** Thank you. Are there any questions or
17 comments, any further questions or comments? You can't let them
18 off scot-free, you know. Bob.

19
20 **MR. GILL:** Thank you, Mr. Chairman. My question relates to the
21 previous slide, the twenty-year projection yield curves, and I
22 think it's Slide 78. I would note that that version of the
23 yield curves is different than that presented in the executive
24 summary, Figure 3, page 3, and I am presuming that the slide
25 we're looking at is in fact the current correct version, but
26 could you comment on the difference? Then I have another
27 question to follow, if I could.

28
29 **MS. ALLEN:** These are the most current projections, and the one
30 in the executive summary followed what was presented in the
31 report, but I thought that we could update that executive
32 summary prior to the next council meeting.

33
34 **CHAIRMAN POWERS:** What is the difference?

35
36 **MS. ALLEN:** This has it presented in a slightly different way,
37 and it also goes out twenty years, whereas I think what was in
38 the executive summary was five years.

39
40 **CHAIRMAN POWERS:** Okay, and so it's a different looking graph,
41 but it's not different.

42
43 **MS. ALLEN:** Right.

44
45 **MR. GILL:** Mr. Chairman, I would comment that they are
46 distinctly different. They're not even the same graphs,
47 regardless of time scale.

48

1 **CHAIRMAN POWERS:** All right. If we can look at --
2
3 **MS. ALLEN:** To be clear, we added another projection scenario,
4 which was F at 40 percent SPR, which is defined as FOY for this
5 species, and we also added gap year landings, in metric tons,
6 for 2018 and 2019, and we made the projections go out twenty
7 years.
8
9 **CHAIRMAN POWERS:** Okay, and so it seems the big difference is
10 the gap years.
11
12 **MS. ALLEN:** Yes.
13
14 **MR. SWANSON:** Right. I think, Mr. Chair, there was a -- From
15 the review, that, because the terminal year of the assessment
16 ended in 2017, but here we are in 2020, and we had available to
17 us 2018 data, and possibly 2019 data, and there was an interest
18 in having those values included into the projections, and so
19 that was what we had done with what you're seeing today.
20
21 **CHAIRMAN POWERS:** All right. Thank you. Yes, I'm beginning to
22 recall. Bob, you had another question?
23
24 **MR. GILL:** Yes, thank you, Mr. Chairman, and what I'm asking
25 here is whether there is a tabular version of Slide 78, the
26 twenty-year yield curve projections, and I didn't see one, and
27 did I miss it?
28
29 **MS. ALLEN:** You're correct that we don't have that available at
30 the moment, but we could have it after lunch or so.
31
32 **CHAIRMAN POWERS:** When we get to the point of actually deciding
33 on the annual catch limits and things like that, typically we
34 want to look at the tabular versions, to get some indication of
35 whether you want to have a constant catch over a finite time
36 period or whether we take the projections verbatim and so on,
37 and so, yes, if we could get a tabular version, it would be
38 helpful, I think.
39
40 **MS. ALLEN:** No problem, and that's only for retained yield, or
41 for spawning stock biomass as well?
42
43 **CHAIRMAN POWERS:** Both.
44
45 **MS. ALLEN:** Both. Okay. Fred.
46
47 **DR. SERCHUK:** Thank you, Chair. What was the reason for going
48 to a twenty-year projection? I don't doubt that the results

1 that you presented here are the ones that came out of the
2 projection that you used, but my experience is that, anything
3 beyond ten years we're in fantasy land, and, anything beyond
4 that, we would probably have another assessment done within that
5 time period, and so, while I don't dispute the results that you
6 have here, I am just wondering how useful a projection period
7 beyond ten years is with respect to understanding where the
8 stock would be and so on and so forth. Thank you.

9
10 **MS. ALLEN:** Right, and I agree that anything over probably five
11 years wouldn't be very useful for that purpose, but, for the
12 purposes of defining these equilibrium values, you want to run
13 it out long enough to where things stabilize and are not
14 changing, and so it's kind of arbitrary, using twenty years.
15 You know, you start with a hundred years and keep knocking it
16 back until you can see where the stabilization occurs, and so
17 this would be, after say 2030, there's very little change in
18 these values.

19
20 **DR. SERCHUK:** That answers my question, but I'm still concerned
21 that the assumptions run the model for years way out, and that's
22 the down side of it, and that's one of the reasons that we tend
23 to try to do stock assessment updates or try to look at a new
24 review of stock assessments within a ten-year period, but I
25 understand what you've said. Thank you.

26
27 **CHAIRMAN POWERS:** Thank you. Yes, I always kind of look at it
28 as basically an equilibrium sort of projection, but it does
29 bring to mind, again, about communicating this at the management
30 level in particular, and there is no real inclination that a
31 long-term projection really means all that much, and so we keep
32 that in mind. Next up is Paul Sammarco.

33
34 **DR. SAMMARCO:** Thank you very much. My question relates to the
35 earlier question by Fred. I think one of the things that might
36 show this -- I don't know whether you model will calculate it
37 for you, but we all know that, once you get to the end of your
38 real data and you start projecting beyond that, your variances
39 tend to go up. If you could graph 95 percent confidence limits
40 around these things, based on your data, it might show that. It
41 might get a little messy if you try to stack your graphs up like
42 that, but does your model allow you to do that? Thank you.

43
44 **MS. ALLEN:** Yes, we could incorporate that and update these
45 plots, and we could probably do that today as well, if needed.

46
47 **DR. SAMMARCO:** It just might help to help everyone to visualize
48 what's going on, and twenty years is a long time, but the

1 confidence limits might show that -- It might actually show
2 where your reliability lies and where it starts to expand a bit
3 much.

4
5 **CHAIRMAN POWERS:** Actually, that doesn't happen all that much,
6 because, essentially, the stock-recruitment projection is run
7 off of a sigma R of whatever it is you pick, and so you tend to
8 see the variance around the recruitment estimates kind of
9 stabilize, which kind of flies in the face of that we know
10 something about the future, when in fact we don't, which is sort
11 of making the same point that Fred Serchuk just made too, and,
12 again, that's -- I think we all sort of understand the process
13 of what goes on here, but there is -- In terms of actually
14 communicating it at the management level, we need to be a little
15 more circumspect, I think. All right. David Chagaris.

16
17 **DR. CHAGARIS:** Thank you. Shanae and Chris, great job with this
18 assessment and the presentation and everything. My question is
19 back to Slide 78, with the projections, and we see the spike
20 there in 2020 that we see often with stock assessments, and
21 usually it is pretty easily attributable to a high recruitment
22 period that's being used in the projections, but that doesn't
23 appear necessarily to be the case, if you were to look at Slide
24 77, and there's a spike in recruitment maybe seven years prior,
25 but that doesn't necessarily line up with the selectivity, and
26 so I wondered if you know where that spike is coming from, as
27 far as the stock dynamics proceeding the projection period.

28
29 **MR. SWANSON:** On the left, because F at 30 percent SPR, which is
30 that red-dashed line, because that is a higher fishing rate than
31 what has been the case and what is currently -- What is F
32 current, as by the purple line, with that jump in fishing
33 mortality, you're increasing your yield, and so you get this
34 yield spike like that, and you can see, over on the right-hand
35 side, with that red line, you're fishing the population harder,
36 and so it's trending downwards, and so you're increasing your
37 yield, increasing your Fs, decreasing your spawning stock
38 biomass.

39
40 For 2020, which is when these projected Fs all come in at the
41 same time, you're getting an elevated level, that spike, as
42 compared to what has been the case for the last several years of
43 the assessment. Then, as things project forward, you're
44 reaching that equilibrium down, and that's how I understand what
45 is going on.

46
47 **DR. CHAGARIS:** That makes sense, and so this is a case where the
48 -- If we think about previous assessments that we've seen

1 recently, this is a case where that spike is primarily driven by
2 the underfished condition in the terminal year and not so much
3 the year classes moving through, which is sometimes what we see,
4 or sometimes we'll see both of those effects, and then it's even
5 more confounding. I think that explains it, Chris, that it's
6 just the ramping up of F to get it down to that optimum yield.
7 Thank you.

8
9 **CHAIRMAN POWERS:** Thank you. Let's open it up -- If there's no
10 other comments or questions from the committees, then I would
11 open it up for questions from outside. Mike Travis from the
12 Regional Office, do you have a question or a comment?

13
14 **DR. MIKE TRAVIS:** I do, and it's sort of a two-part question for
15 the assessment folks. For this species, we have a
16 jurisdictional allocation between the two councils, as well as a
17 sector allocation on the South Atlantic side, which I think you
18 talked about early on, and so my question is, if there were to
19 be a change in either of those allocations, would that affect
20 your projection results?

21
22 **MS. ALLEN:** That's a good question, and so, because our model is
23 a single-area model, we don't have the capabilities of doing
24 these projections and keeping the apportionment between council
25 jurisdictions and fleet allocations within those, for at least
26 the South Atlantic Council, and so that does create an issue,
27 and we've talked a lot about how to bring these things together.

28
29 We think that the projections are very stable, and they
30 stabilize quickly, and the equilibrium values are equal to the
31 management reference points, and that it might be okay to simply
32 divvy up the ACL in whatever fashion you would like, but it's
33 something that is not compatible with our model, to do it
34 properly.

35
36 **CHAIRMAN POWERS:** If you change the allocations, you probably
37 change the balance of the selectivities, which would change your
38 projections somewhat, and probably not a lot in this case, but
39 it would change it somewhat, and so that's one of the issues.
40 If you do change allocations, it affects things sort of
41 indirectly. Mike, did you have any follow-up?

42
43 **DR. TRAVIS:** No, and I have the feeling -- I really didn't
44 expect there to be much of a difference, in terms of the
45 jurisdictional, but I was more concerned about -- The South
46 Atlantic Council, for a while, has been talking about potential
47 reallocation from, in this case, from the recreational sector to
48 the commercial sector, because the commercial sector has

1 exceeded its current sector ACL in, I believe, three out of the
2 last five years, and they are looking for ways to avoid that
3 down the line, and so that's why I raised the question. It may
4 be just something for the assessment folks to think about.

5
6 **MS. ALLEN:** What is possible is that we can have one sector
7 allocation, and we can specify allocations by fleet, but it
8 would apply to both areas.

9
10 **CHAIRMAN POWERS:** Thank you. Doug Gregory.

11
12 **MR. GREGORY:** Thank you, Mr. Chair. Shanae and Chris, you all
13 did a marvelous job here. I just wanted to emphasize that, for
14 the retained catch tables that we're getting, we'll get all four
15 F levels, F current as well as FOY, even though they weren't in
16 the terms of reference, because I doubt the F current -- I am
17 curious to see what the F current is like compared to our
18 current quotas, and so thank you very much for that. I
19 appreciate the extra work. That's all I have, Mr. Chair.

20
21 **CHAIRMAN POWERS:** Thank you. Are there any other questions or
22 comments? All right. We are at a sort of intermediate stage
23 here. The next agenda item is going through the executive
24 summary, but I think we don't want to get into the executive
25 summary until we're sure exactly what our recommendations are.

26
27 Conversely, we had asked for a table with the tabular version of
28 the projections that would help guide us in terms of the annual
29 catch limit kinds of recommendations, and so, at this point,
30 let's deal with some of the basic results of the assessment and
31 the recommendations to the two councils that the SSCs, plural,
32 have in terms of the basic status determination.

33
34 At this point, what I would like to do is entertain a motion to
35 make some recommendation about the status, overfished and not
36 overfished, overfishing and not overfishing, and the
37 recommendation of the review panel and the assessment was not
38 overfished and not overfishing, and I haven't heard any
39 suggestions otherwise here, but if somebody could perhaps jot
40 down a motion, and then we can see if everybody agrees with me.

41
42 Theoretically, the Chair is not supposed to make motions.
43 However, the motion should be something pretty basic. **The SSCs**
44 **determine that the yellowtail snapper stock is not overfished**
45 **and not undergoing overfishing.** Has somebody made this motion?

46
47 **DR. ANDERSON:** I will make the motion.

1 **CHAIRMAN POWERS:** Thank you. Is there a second?
2
3 **DR. NANCE:** I will second it.
4
5 **CHAIRMAN POWERS:** All right. Is there any further discussion?
6
7 **MR. GILL:** Mr. Chairman, I have a question. Would it not be
8 important for us to verify that the assessment is considered
9 BSIA, prior to this motion?
10
11 **DR. NANCE:** I would suggest that we do it together in one
12 motion.
13
14 **CHAIRMAN POWERS:** All right. Thank you, Jim.
15
16 **DR. SERCHUK:** Can I make a comment, Chair?
17
18 **CHAIRMAN POWERS:** Yes.
19
20 **DR. SERCHUK:** Just to be very explicit, the SSC determined that
21 the assessment of southeastern U.S. yellowtail snapper
22 represents the best scientific information available on the
23 stock, and, based on the assessment results, the stock is not
24 overfished nor undergoing overfishing.
25
26 **CHAIRMAN POWERS:** Thank you, Fred. Jim, you were the seconder,
27 and I assume you would go along with this?
28
29 **DR. NANCE:** That's very good. I accept that.
30
31 **DR. PATTERSON:** Joe, I would just add "the SEDAR 64 assessment",
32 which I would actually put the first time you see "assessment".
33
34 **DR. ANDERSON:** I concur with the change in the motion.
35
36 **MS. LANGE:** I concur as well.
37
38 **CHAIRMAN POWERS:** Thank you. All right. Is there any further
39 discussion? **If not, are there any objections to this motion?**
40 **If not, then the motion carries by consensus.**
41
42 Now, in terms of the -- Well, we're a little early for lunch,
43 and so let's go through the executive summary, and I'm trying to
44 delay things here, because the tabular version of the
45 projections I was told we wouldn't get until after lunch, and so
46 let's give some time for that, but let's fill the space here --
47
48 **DR. SERCHUK:** May I ask a question, Chair?

1
2 **CHAIRMAN POWERS:** Yes.

3
4 **DR. SERCHUK:** I agree with you, but one of the things that
5 occurred to me while looking at the projection results, no
6 matter which projection results you look at, and, if I'm out of
7 place, let me know, and we can come back to it, but, under any
8 of the F scenarios that were depicted in the projections, they
9 all keep spawning stock biomass above the SSB MSY level, and
10 they all keep the stock from being -- From above the overfishing
11 level, and so it seems to me that, to that extent, where the F
12 level is in the future, based on any one of those scenarios, is
13 a matter of risk, or, if we want to be more specific, I don't
14 know where the uncertainties are, but it seems that all of them
15 are above the overfishing -- They do not represent overfishing,
16 nor do they represent a threat to reducing the SSB below SSB
17 MSY, and so is this a -- Would this be a decision made by
18 managers, or where do we step in on this? Again, if I'm out of
19 place, let me know, and we can come back to it. Thank you.

20
21 **CHAIRMAN POWERS:** I don't think it's out of place. This is a
22 discussion that we have to have in relation to the definitions
23 or our recommendations, in terms of ACL and ABC and so on and so
24 forth like that, and so I would like to defer it until we
25 actually have some of the tables to help guide that discussion a
26 little bit.

27
28 **DR. SERCHUK:** Okay. Thank you, Chairman.

29
30 **STOCK ASSESSMENT EXECUTIVE SUMMARY**

31
32 **CHAIRMAN POWERS:** So, the executive summary. Is there -- Let's
33 go through it page-by-page, or screen-by-screen, I guess,
34 because you can't see the whole page. Are there any particular
35 changes or suggestions that are being made for this portion,
36 where it's talking about what the stock is and stock status? If
37 not, let's go to the next screen. Any comment?

38
39 This is where I made some comment before in Table 1, on the
40 left-hand side. It says that target SSB equals SSB SPR 30
41 percent, and you didn't mean target in terms of optimum yield.
42 You mean basically the proxy for SSB MSY, and is that correct?

43
44 **MS. ALLEN:** That's correct, yes.

45
46 **CHAIRMAN POWERS:** So you should probably refer to it as -- It
47 isn't really a target, according to our rules of the road, but
48 it's a limit, and so you might change that, or just refer to it

1 as a proxy or something like that.
2
3 **MS. ALLEN:** Okay. I noted that. Thank you.
4
5 **DR. SERCHUK:** Mr. Chairman, do we even need the words "target
6 SSB"? Can't we just refer to it as SSB SPR 30 percent?
7
8 **CHAIRMAN POWERS:** I don't have any strong feelings one way or
9 another. Is there any other comments for it?
10
11 **DR. PATTERSON:** I think this line here is indicating what the
12 threshold value is, and so I think either "threshold" or "limit"
13 are needed here, instead of the word "target". On the first
14 page, that first paragraph, I would suggest changing the word
15 "documents" to "estimates".
16
17 **CHAIRMAN POWERS:** All right. Thank you.
18
19 **DR. SERCHUK:** Can we then refer to it as the SSB MSY proxy?
20
21 **CHAIRMAN POWERS:** That would solve both problems, I think.
22
23 **DR. PATTERSON:** I agree.
24
25 **CHAIRMAN POWERS:** So, instead of saying "target SSB", you would
26 just say "SSB MSY proxy". Have you got that, Shanae?
27
28 **MS. ALLEN:** Yes, I do. Thank you.
29
30 **CHAIRMAN POWERS:** All right. Socioeconomic and ecosystem
31 considerations. Any comments? Doug, go ahead.
32
33 **MR. GREGORY:** It's not about this section, but, looking at the
34 table, I'm not asking that this be done, but, knowing how
35 thorough the St. Pete lab is, I have a question. Did you all
36 consider, Shanae and Chris, doing the assessment with the old
37 MRFSS data? My understanding is that FES and MRFSS are now
38 translatable from one side to the other, like a one-to-one
39 mapping, and did you all happen to do the assessment with the
40 old data, and did it change anything? I wouldn't think it
41 would, since the previous assessments came to the same
42 conclusion, but I'm just curious.
43
44 **CHAIRMAN POWERS:** Shanae or Chris?
45
46 **MR. SWANSON:** I was just trying to think back, because we did so
47 many different sensitivity runs, both with Stock Synthesis and
48 in the ASAP model framework, which is what was used in the

1 previous assessment, and we looked at using the MRIP catch
2 estimates for the fully-calibrated versus putting the original
3 data, the original MRIP data, or the MRFSS data, and changing up
4 between how the models -- Because there was data changes, and
5 then there was formatting changes, framework changes, between
6 how we handled the data compared to the previous assessment.

7
8 From what I remember, the biggest changes that occurred were due
9 to either -- Like they just created a scaling difference,
10 because the model was saying, well, if we've got more fish
11 available, then there's more fish in the population, and it
12 ramped it up that way, but, also, there was an issue just within
13 how ASAP Version 2 was configured that was creating some of
14 those differences. Shanae, maybe remind me. Within ASAP,
15 there's like a weighted age matrix limitation in ASAP too that
16 doesn't exist, or that gets alleviated, in Version 3, and so
17 that, in itself, because of that limitation, was causing an
18 issue.

19
20 **MS. ALLEN:** Yes, that's correct.

21
22 **CHAIRMAN POWERS:** All right. Thank you. Scrolling down, any
23 other suggestions, or any suggestions, for the socioeconomic and
24 ecosystem? If not, we'll keep scrolling. Then the projections
25 we'll have to revisit a little bit. I would suggest -- I mean,
26 I think these figures should be changed, if you're going to use
27 those gap years in the projections that we used for the ABC
28 determinations, and they should be compatible with this, in
29 terms of the gap years, and so these should be replaced. Any
30 other comments?

31
32 **MS. ALLEN:** Mr. Chair, should these run out to twenty years, or
33 just keep it as a five-year projection, and so basically just
34 use the graphs that we presented, but only use five years?

35
36 **CHAIRMAN POWERS:** Let's defer that decision until after we make
37 some determination about the tabular version and what we want to
38 make in terms of the recommendations and the time limit
39 involved.

40
41 **MR. RINDONE:** Mr. Chair, just a reminder to the SSC members and
42 the council reps that are listening in that, when we do the
43 projection periods and those recommendations are made the
44 councils by the SSCs, that the final year -- The landings
45 recommended in that final year of the projections that's passed
46 along to the councils remains in place until such a time as it's
47 changed, and so, if you use a three-year average, and a stock
48 assessment isn't done for five years, then that last year of

1 that three-year average, or, even if it's an annual estimate,
2 that last year will remain in place as the catch limit until
3 changed.

4
5 **CHAIRMAN POWERS:** Yes, and that was part of my issue, that let's
6 talk about it in the whole context, and so let's delay that.
7 That's an important aspect. Data and assessment. Any other
8 comment, or any comment? The basic biology table. Those are
9 always good to have. Then continuing on to recruitment, and I
10 believe there's a graph below this. If there are no comments,
11 continuing on. Then going on. Then discards and the associated
12 graph. Then continuing on with the tables. Are there any other
13 comments on the tables and figures, all tables and figures? If
14 not, then we don't need any particular recommendations, I don't
15 think, and it's just the suggestions that we've made to edit,
16 essentially, the executive summary.

17
18 All right. We're a little early for lunch, particularly for
19 those of you in the central time, and having lunch at 10:30 is
20 sacrilegious, I think, but, I think at this point, let's wait
21 for Shanae and Chris to put together that tabular version, and
22 then we can come back to the ABC and ACL discussions. Let's
23 break for lunch now for an hour.

24
25 **DR. SERCHUK:** Can I ask a question, Chair?

26
27 **CHAIRMAN POWERS:** Yes. Fred.

28
29 **DR. SERCHUK:** I am just wondering if we have any information
30 after 2017, in terms of indices of recruitment that would either
31 strengthen or cast doubt on what we believe recruitment will be,
32 or was, or will be in the future. I think that might have an
33 effect on how we evaluate the projections. Is there any
34 information that's ancillary, outside of what was used in the
35 stock assessment that could give some idea of trends in
36 recruitment? That would be helpful, I think, for us, Chair.

37
38 **CHAIRMAN POWERS:** Yes, and so, Shanae and Chris, think about
39 that as you don't eat your lunch, while you're doing these sorts
40 of things. Doug Gregory, you had a comment?

41
42 **MR. GREGORY:** I've got a question for Ryan. Ryan, could you
43 explain to us how the overall ABC and OFL will be determined
44 between the two councils? All these tables and graphs that
45 we've got in the report are cumulative, for both areas combined,
46 but I remember there was a formula for separating the landings,
47 or the ACL, into a South Atlantic ACL and a Gulf ACL, and could
48 you explain that to us? Thank you.

1
2 **MR. RINDONE:** Sure. In the respective councils' generic ACL and
3 accountability measures amendments, the apportionments for south
4 Florida species were discussed, and, for yellowtail snapper, the
5 apportionment is based on 50 percent of the landings from 1993
6 to 2008 and 50 percent of the landings from 2006 to 2008, and so
7 that apportionment will basically be re-run, now that we're
8 using the FES projections, and the councils will have to decide
9 whether to adopt a new FES-adjusted apportionment or retain the
10 current apportionment, which I think is 75 percent South
11 Atlantic and 25 percent Gulf, but these will all be done after
12 the fact, after we receive the projections, and that's because
13 of this version of SS and the way the model was set up.

14
15 It's designed to look at southeastern yellowtail as a single
16 stock, and it's not further stratified by council jurisdiction
17 and then stratified further by the sector allocations in the
18 South Atlantic, and so what the Gulf SSC saw for red grouper is
19 not something that we are able to do as a function of the
20 projections here. All that stuff with the apportionment will
21 happen after the fact, and then the South Atlantic will have to
22 handle its sector allocations also after.

23
24 **MR. GREGORY:** Thank you.

25
26 **CHAIRMAN POWERS:** Thank you. Before we break, also, I would
27 mention that, in the background information for this meeting,
28 there was a policy directive that has been finalized about what
29 BSIA is, and, essentially, from our standpoint, it really
30 doesn't change things, and I think there's documentation
31 requirements, but the only thing I was thinking about was, if
32 you look at that, in the last appendix, Appendix C, it suggests
33 wording for terms of reference and things like that, and we
34 might keep that in mind as we go forward. I wasn't going to go
35 through the document or anything, but I was just mentioning
36 that, because it wasn't really on the agenda, but it was in the
37 background information.

38
39 With that, I think, at this time, it would be most helpful to
40 suspend the meeting for an hour, or an hour-and-fifteen-minutes,
41 and come back at quarter to one, Eastern Time, and then we'll
42 deal with the last parts of the yellowtail snapper issue. Thank
43 you, and we shall return.

44
45 (Whereupon, the meeting recessed for lunch on July 21, 2020.)

46
47 - - -

48

1 July 21, 2020

2
3 TUESDAY AFTERNOON SESSION

4
5 - - -

6
7 The Joint Meeting of the Gulf of Mexico Fishery Management
8 Council Standing and Special Reef Fish, Mackerel, Ecosystem, and
9 Socioeconomic Scientific and Statistical Committees and the
10 South Atlantic Fishery Management Council Scientific and
11 Statistical Committee reconvened via webinar on Tuesday
12 afternoon, July 21, 2020, and was called to order by Chairman
13 Joe Powers.

14
15 **CHAIRMAN POWERS:** Let's go ahead and begin again. Shanae or
16 Chris, where do we stand in terms of those tables?

17
18 **MS. ALLEN:** Chris, you can share your screen, if that's
19 possible.

20
21 **PROJECTIONS**

22
23 **MR. SWANSON:** Good afternoon, Mr. Chair. I've got those
24 tabulated results ready to look at, and it's in an Excel
25 spreadsheet format, and so I can either -- Whatever you want to
26 do.

27
28 **CHAIRMAN POWERS:** You cut off for a second there. Can you
29 repeat yourself?

30
31 **MR. SWANSON:** The thing popped up and asked me if I wanted to
32 share my screen, which was what I was going to suggest, if
33 that's what people were interested in, and can you guys see my
34 screen, my spreadsheet?

35
36 **CHAIRMAN POWERS:** Yes, but can you make it bigger?

37
38 **MR. SWANSON:** Of course. Is that big enough?

39
40 **CHAIRMAN POWERS:** For some. Yes, that's fine.

41
42 **MR. SWANSON:** On the left-hand column, we have the retained
43 yield in metric tons, and, on the right-hand column, we have the
44 same values in millions of pounds. At the top, we have the four
45 different projection scenarios, where we have F at 30 percent
46 SPR, 75 percent of that, F current, which is the geometric mean
47 of 2015 to 2017, or F at 40 percent SPR.

1 Highlighted in yellow is just to draw attention to these are the
2 years, those gap years, where we filled in recent data that was
3 acquired, and then the green highlighted portions indicate when
4 the projections begin to take place in 2020, and this is for the
5 twenty-year projections. I have got highlighted in green just
6 the first five years of the projections, and that's all.

7
8 At the bottom of the table, I have included a terminal five-year
9 average, just to compare with. Again, when we were getting at
10 looking at what values -- What these equilibrium values come out
11 to be towards the end of the projection time series, and so I've
12 done a terminal five-year average for each of those scenarios,
13 and then, also, down at the bottom, just for reference, what the
14 current ACL is, using the old MRFSS data, based on the old MRFSS
15 data, what the OFL is, the retained yield associated with F 30
16 percent SPR, and then what the OY is, the retained yield
17 associated with F at 40 percent SPR. Any questions on this
18 table format? I will show what it is for the spawning stock
19 biomass as well.

20

21 **CHAIRMAN POWERS:** No questions.

22

23 **MR. GREGORY:** Chris, my only concern is that the projections are
24 in FES units, and, by showing the ACL in the MRFSS units, it's
25 going to be very easy for people to get confused, and a lot of
26 people won't equate it to -- We just need to be careful about
27 that, and I'm saying that to us, and staff as well, and we've
28 got to be very careful, because the current quota is in the
29 older units, but these projections and everything are in new
30 units, and I don't know how they relate to one another, but,
31 anyway, thank you for doing this. This is great.

32

33 **MR. SWANSON:** Absolutely. You're welcome. Yes, I tried to
34 tabulate out just that slide that was shown there at the end
35 that people were very interested in, and so current ACL versus
36 the optimum yield, and then we'll get into this right now.

37

38 **MR. GILL:** Chris, thank you for doing this, and could you send
39 this around to all of us? There is multiple ways of slicing
40 this pie, and, rather than flipping back and forth to work that
41 out, if you could send it to us, we could all work
42 independently, if we're so inclined. Thank you.

43

44 **MR. SWANSON:** Absolutely. Mr. Chair, how would you like me to
45 send this out?

46

47 **MR. RINDONE:** Send it to meetings@gulfcouncil.org.

48

1 **MS. MATOS:** I will email you, Chris, and you can reply to it.
2
3 **MR. SWANSON:** Okay. Great. Perfect. We'll do that.
4
5 **CHAIRMAN POWERS:** Thank you.
6
7 **MR. SWANSON:** Spawning stock biomass, the same format, with the
8 yellow and the green, with metric tons on the left and millions
9 of pounds on the right, and in tabular form, with the terminal
10 five-year average at the bottom, and then, again, for reference
11 points, the spawning stock biomass associated with F 30 percent
12 SPR, and then the MSST value, which is 75 percent of this value,
13 and so I will get this emailed as soon as I get the incoming
14 one.
15
16 **DR. BARBIERI:** Mr. Chairman, may I ask a quick question?
17
18 **CHAIRMAN POWERS:** Yes, go ahead.
19
20 **DR. BARBIERI:** Chris or Shanae, on that table there that Chris
21 just showed, the rows that were marked in yellow, are those the
22 landings for 2017 and 2018, the total landings in FES units?
23
24 **MS. ALLEN:** Those are for the retained yield in those years,
25 2018 and 2019, and those reflect the retained yield in metric
26 tons, overall fleets, and, of course, councils. Those are based
27 on the total FES weight in metric tons, and so it has to be --
28 For this version of SS that we used for the base model, it has
29 an error, where you have to input -- Any forecast catch that you
30 specify has to be in retained metric tons. Does that answer
31 your question?
32
33 **DR. BARBIERI:** Yes, and thank you so much, Shanae. That's what
34 I needed to know. Thank you.
35
36 **CHAIRMAN POWERS:** But, for better or for worse, the
37 recommendations we make for the purposes of management are in
38 pounds, in millions of pounds, and so we've used the table on
39 the right.
40
41 **MR. SWANSON:** That was why I included it in here, so we have
42 that to look at.
43
44 **CHAIRMAN POWERS:** Okay. Have we received the --
45
46 **MS. MATOS:** I'm working on sending it out right now.
47
48 **CHAIRMAN POWERS:** Okay.

1
2 **MS. MATOS:** You have a member of the public that has their hand
3 raised as well, Michael Errigo.
4
5 **MR. RINDONE:** Mike Errigo is South Atlantic Council staff.
6
7 **MS. MATOS:** Thank you.
8
9 **DR. ERRIGO:** I am basically Ryan's counterpart in the South
10 Atlantic, and I'm the SSC staff person. Thank you for
11 recognizing me. I had a question for Chris. I was just looking
12 at the retained yield, noticing the retained yield, down at the
13 bottom, where you have the current ACL, and then you have the
14 OFL, retained yield F 30 percent SPR, and is that the
15 equilibrium value?
16
17 **MR. SWANSON:** Yes, and that's coming from the table that was
18 provided in the report, and also in the presentation here.
19
20 **DR. ERRIGO:** Okay, and so that's not the yield per year, and so
21 that's the --
22
23 **MR. SWANSON:** This is associated with the base model.
24
25 **DR. ERRIGO:** I was just asking because we often set OFL, in the
26 South Atlantic, based on the current years, and so the OFL would
27 be much higher, based on the spawning stock biomass, which is
28 significantly higher than SSB MSY, because I was wondering why
29 that number was so low, but it's because it's the equilibrium
30 value. Thank you.
31
32 **CHAIRMAN POWERS:** Thank you. If we go to the top of that table,
33 essentially, this is what we're working with, and, at this
34 point, I believe we're at the point of making a recommendation
35 about what the ABC is, allowable biological catch, and you see
36 the projections. What's the wishes of the committees?
37
38 **DR. SERCHUK:** Can I make a comment, Mr. Chairman?
39
40 **CHAIRMAN POWERS:** Yes.
41
42 **DR. SERCHUK:** Can we go back to the SSB table for a second?
43 Here was my point that I raised earlier. The SSB MSY is 19.04
44 metric tons, and, if we move up to the top of the table, where
45 we just were, you can see that, under any case in the green,
46 2020 to 2024, no matter which of these fishing mortality rates
47 are applied, we're still going to be above the SSB MSY level,
48 and, under all cases, we will still be fishing at a level that

1 constitutes no overfishing, and so this was my point earlier
2 about, in relationship to the two areas that we're concerned
3 about, staying away from being overfished and staying away from
4 overfishing, any one of these projection scenarios does that.

5
6 That was the reason I asked about whether we had any information
7 on recent recruitment that suggested that some of these
8 projections might be overly optimistic or right on the spot,
9 because I don't know how, from a point of view of risk, we can
10 say that one of these scenarios is less risky than the other,
11 because they all stay away from being overfished and stay away
12 from overfishing, and they're still all above the SSB MSY. Do I
13 make myself clear? Thank you.

14
15 **CHAIRMAN POWERS:** Yes. Is there any insight about recent
16 recruitment?

17
18 **MR. SWANSON:** I can answer that, Mr. Chair. Fred, for
19 recruitment for yellowtail snapper, this is something that was
20 in the research recommendations, and there is not a whole lot of
21 sources for like surveys for recruitment for yellowtail snapper,
22 and it was a research recommendation. For the RVC survey,
23 because of the way that it was analyzed, because of the way that
24 the data was analyzed and concatenated between the two regions,
25 to create that biennial schedule, because that's when the survey
26 does its sampling, the ending point for the RVC surveys was
27 2016, and so there would be a 2018 datapoint, and the 2020 data
28 is currently being collected now.

29
30 To get that 2018 datapoint would require reanalyzing the data,
31 and that's not something that I have time to do today, and, in
32 addition, because of the methods of what we used, the staff in
33 the Keys were primarily the ones who analyzed and produced those
34 indices, and so I would also have to reach out to them for that
35 2018 datapoint, and so that's not something that I could provide
36 for this discussion, but that's, unfortunately, for yellowtail,
37 the most viable recruitment estimate that we have.

38
39 **DR. SERCHUK:** Okay. Thank you for that. My own reading of this
40 table suggests that, apart from the F 30 percent SPR, the other
41 three options are not too different from one another, and I
42 don't know whether that means anything, but the F 30 percent is
43 one that I would not recommend, because of that. The others,
44 whether you want to stay with F current or any of the other two,
45 I think we're splitting hairs, but that's my personal opinion.
46 Thank you.

47
48 **CHAIRMAN POWERS:** But the -- I mean, it's a little more

1 ambiguous in this case, but the ABC is defined in terms of FMSY,
2 which, by proxy, is defined in terms of F 30 percent SPR, and is
3 that not true? That's rhetorical for whoever wants to answer
4 that.

5
6 **DR. BARBIERI:** Mr. Chairman, I agree with you, conceptually,
7 that this is how we have handled ABC coming from our estimated
8 MSY with its proxy, through our ABC control rule, but there are
9 situations where we have departed from doing it that way, and we
10 made a recommendation outside of that, applying our ABC control
11 rule based on those criteria that you just mentioned.

12
13 **CHAIRMAN POWERS:** Thank you, Luiz. We also put this in the
14 context that it is not overfished and not undergoing
15 overfishing, and the current catches are roughly around four
16 million pounds, and so that's below the 2024 level itself, for
17 any of those options.

18
19 Now, the kinds of things that we've considered before would be
20 to take one of these scenarios verbatim and make that
21 recommendation, and another is, at times, we've smoothed it out
22 and averaged them, and we could do that for three years or for
23 five years.

24
25 Remembering what we were told earlier in the day, that whatever
26 is there at the end of the whatever projection timespan we pick,
27 whatever is there at the end will be in place until somebody
28 else changes it, and so then the question becomes how likely is
29 this to get reassessed over the next five years, three years,
30 seven years, whatever.

31
32 I mean, we can be, in terms of the ABC, be more risk-averse than
33 picking any one of these scenarios, and perhaps suggesting that
34 the catches remain about the same or increase a little bit or
35 decrease a little bit.

36
37 **MS. MATOS:** You have Ryan, Doug, and Mike Errigo with their
38 hands up.

39
40 **CHAIRMAN POWERS:** We'll begin with Ryan.

41
42 **MR. RINDONE:** I'm actually going to defer to Mike, because I
43 think he's going to say the same thing I am.

44
45 **DR. ERRIGO:** Well, I don't know what you were going to say, but
46 I was going to say that there is one other alternative to
47 setting the ABC, and that's the South Atlantic Council's method,
48 which was used the last time.

1
2 The way the South Atlantic typically would do it would be the F
3 30 percent SPR, which is basically the proxy for the MSY, FMSY,
4 would be set as the OFL, and that would be -- We typically do it
5 by year, and so it would be from 2020 to 2024, and then it would
6 remain at the 2024 level until modified, and then the ABC -- We
7 would run through the ABC control rule to get a P* value, which
8 is the probability of overfishing, and then run a projection
9 scenario at that probability of overfishing to get the ABC.

10
11 **CHAIRMAN POWERS:** But what you're talking about is actions at
12 the council level, correct?

13
14 **DR. ERRIGO:** No, and this is to get the ABC. The SSC makes that
15 determination. The council then will set the ACL based on that
16 ABC recommendation.

17
18 **MR. RINDONE:** Joe, we do the same thing, but, in the past with
19 yellowtail, we've used the South Atlantic Council's ABC control
20 rule, since the preponderance of the stock occurs in the South
21 Atlantic Council's jurisdiction, and that was what I was going
22 to get to, but, since Mike is the one that runs their ABC
23 control rule for the South Atlantic SSC, he will be the one that
24 will do that for you guys.

25
26 One thing that I would have added is just that you guys have
27 some Gulf and South Atlantic council members that are listening
28 in on this, and plenty more that will hear about it at the
29 subsequent meetings, and so, if there is a specific stock
30 assessment interval that the SSCs would collectively recommend,
31 you could certainly make a recommendation on that as well.

32
33 **CHAIRMAN POWERS:** Thank you, and my question about the council
34 action was because of the reference of setting the OY, and I
35 thought he referred to it, but, anyway, never mind. I
36 apparently misconstrued something. Doug Gregory.

37
38 **MR. GREGORY:** Thank you. The numbers in this table look
39 different than the graph, and I'm a little bit confused by that,
40 because the graph has the large peak in 2020 for the F of 30
41 percent, and it goes to 5.5 million, but, in this table, we've
42 got current landings at 6.4 million, 6.3 million, and then it
43 goes down to 5.5, and then further declining, and so I'm a
44 little confused about this table representing that graph, and
45 then, again, all of these scenarios decline from where we are
46 now, which seems a bit strange if we're not overfishing and
47 we've got F levels that are less than F of 30 percent, but,
48 anyway, I'm just confused by some of this, that's all.

1
2 **CHAIRMAN POWERS:** I mean, the decline is the transition to the
3 equilibrium, and each one of these F levels is somewhat less
4 than what the current F levels is, I believe, but, anyway,
5 that's some of the dynamics. As far as the peak for F 30
6 percent SPR, Chris, do you have a comment about that?

7
8 **MR. SWANSON:** Yes, Mr. Chair. I can answer that. What's
9 currently being displayed on the screen for everyone to see, the
10 6.4, this is the spawning stock biomass in millions of pounds,
11 and that lines up with the graph from the presentation depicting
12 spawning stock biomass being at that level and then decreasing
13 as it moves forward.

14
15 Then, on the other tab of the spreadsheet, it talks about
16 retained yield, and those numbers correspond to what would be on
17 that left-hand graph on Slide 78, where that peak would come up
18 to about 5.3 million pounds for F at 30 percent SPR and then
19 decline.

20
21 **MR. GREGORY:** Thank you. I'm glad I admitted upfront that I was
22 confused. I certainly was.

23
24 **CHAIRMAN POWERS:** All right. Let's stick to the retained yield
25 table, and if you could make it a little bit bigger, and we're
26 dealing with millions of pounds, and so let's deal with the
27 right-hand side. All right. Luiz and then Fred Serchuk.

28
29 **DR. BARBIERI:** Actually, I was going to just reference to a
30 comment that Fred made earlier about that this is a bit
31 different situation, because, the way that this fishery has been
32 operating, and the level of stock biomass that we are at, now
33 it's really a matter of how the council, or councils, decide to
34 manage the fishery, but I think, Fred, this refers to some of
35 the comments that you made earlier regarding the level of risk
36 the council wants to assume.

37
38 If we look at the stock status graphs in the summary, the
39 executive summary page, the right-hand graph shows the
40 distribution of apical fishing mortality there, the Figure 1, it
41 looks like that, since about 2000 or so, we've been fishing --
42 The fishery has been operating around the level of FOY, fishing
43 around the F at SPR 40 percent, and you can see there, on the
44 left-hand-side graph, how the stock has been responding to that,
45 and biomass seems to be progressively increasing.

46
47 This is a case that we have been fishing this stock fairly
48 lightly, and there is room to fish harder and obtain increased

1 yield, if this is the way the council decides to go, and so, if
2 we go with an ABC recommendation, and maybe that's the way we
3 want to go, but I'm just bringing it up for the group's
4 discussion, but, if we go with an ABC recommendation that is
5 based out of the proxy for MSY, we're going to really be
6 increasing, by jumping up the level of landings, or the
7 projections, by quite a bit.

8
9 Some of the decisions that involve really -- I think, Fred, this
10 is what you were talking about, in terms of how much risk the
11 council is willing to take in either continuing the status quo
12 and continue fishing this stock at the same level, and fishing
13 it relatively lightly, and continuing maintaining a stock
14 resilience there, or if there's room for increasing landings, to
15 some extent, without harming the level of stock biomass, but I
16 will stop there, and maybe the next one in line will address
17 some of these points.

18
19 **CHAIRMAN POWERS:** Thank you. Actually, that's a good point, and
20 that's one of the things we could make a comment on
21 collectively, is that, basically, the fishing mortality rates
22 are around what would be defined as the optimum yield now, and
23 that has resulted in an increase in the stock size over the last
24 decade or so, and that's an important for, I think, the councils
25 to note. Fred Serchuk.

26
27 **DR. SERCHUK:** I mean, I think Luiz got the gist of what I was
28 trying to say earlier, and I also think that the 2020 projection
29 scenario is likely to be a bit overly optimistic, simply because
30 I don't know whether the increase in retained yield compared to
31 2019, which in many cases is sizeable, in terms of increase of
32 over, in most cases, close to a million tons, in some cases, and
33 is going to be realized, because of what's happening this year.

34
35 That suggests, to me, that the stock will benefit, because I
36 don't think those yields, those projected yields, will be
37 ascertained, but I also think we're at a point now that maybe
38 the economics should drive the fishery a little bit.

39
40 If the fishery feels that it could increase their yields, as I
41 said before, I think, of the four projections, three of them are
42 virtually identical, and none of them really risk being
43 overfished or overfishing, and so I am thinking that the council
44 has to weigh-in on what they believe -- Among those scenarios,
45 what they feel is likely to happen, and there is room, I think,
46 for discretion here. Thank you.

47
48 **CHAIRMAN POWERS:** Thank you. Doug Gregory.

1
2 **MR. GREGORY:** Along the same lines, I just wanted to point out
3 that, on the commercial sector in the South Atlantic, they've
4 had closures, and I think somebody said three out of the last
5 four years, and, normally, we wouldn't consider anything like
6 that, but, given this circumstance, I think it's -- Like Fred
7 said, it's appropriate to look at the economics, or some
8 sociology, and I know we don't have any specific studies, but
9 the industry can take more yield from their sector.

10
11 However, the recreational sector has not come close to meeting
12 their ACL, and so I doubt the overall ACL is being approached,
13 but the commercial sector certainly is being hampered by the
14 current quotas on the Atlantic side, and not the Gulf side.

15
16 **CHAIRMAN POWERS:** Thank you. Dale Diaz.

17
18 **MR. DIAZ:** I agree with everything that Doug Gregory just said,
19 and I was going to make some comments similar to what Doug just
20 made, but I agree with everything that Doug just said. I did
21 want to back up for just a minute and maybe ask Ryan to weigh-in
22 on something that Dr. Powers mentioned a minute ago, and maybe
23 give some SSC members some different perspectives, but he said
24 how likely would it be that the stock would be reassessed in the
25 next three to five years, or some other number, and I do know
26 that the Science Center recently has tried to go, and I think
27 I'm using the right terminology, to some interim analyses.
28 That's what I was going to ask Ryan to weigh-in on. Ryan, is
29 this stock going to be a candidate, where we going expect to
30 receive some interim analysis in the future?

31
32 **MR. RINDONE:** I think we would have to explore that a little bit
33 and see if the fishery-independent index is viable for that sort
34 of process, and, since I don't do those specifically, I hesitate
35 to say one way or another, but it could certainly be explored.
36 As far as the interval for the next stock assessment, it's
37 really at the pleasure of the councils, and so we --

38
39 I mean, obviously, it's been a little while since we assessed
40 yellowtail again, because, the previous two times, it was
41 healthy, and this time it appears as if it is healthy again, and
42 so we don't typically chase down our healthy stocks with the
43 same amount of fervor as those that may be in rebuilding plans
44 or otherwise, but, like I had stated previously, the SSC can
45 make whatever recommendation to the council they think is
46 appropriate, as far as the interval between stock assessments
47 that may be appropriate for a species.

1 Knowing what you guys know about how biomass has been increasing
2 under current fishing mortality rates, and what the recruitment
3 for this stock has looked like, that should give you some
4 indication of, at least at the status quo, what sort of
5 condition the stock might be in five years from now, ten years
6 from now, all other things being equal.

7
8 If you increase the fishing mortality rate, you change a key
9 component of that whole equation, and so it's really you all's
10 pleasure, but I think you have a lot of information here to help
11 guide that recommendation, if you make it.

12
13 **CHAIRMAN POWERS:** Thank you. I'm looking for a motion, or a
14 recommendation, about how to proceed. How do we define ABC?
15 The issues are the time span over which to do it, starting in
16 2020, presumably, and going sometime in the future, and then
17 which one of these columns, and then, also, perhaps modification
18 of these columns, averaging whatever, but, again, I am looking
19 for something that -- Some recommendation that we can move
20 forward with, in terms of a motion.

21
22 **DR. ANDERSON:** I have a question.

23
24 **CHAIRMAN POWERS:** Go ahead, Lee.

25
26 **DR. ANDERSON:** In response to what Fred was saying about the
27 higher catch, would it be possible, without damaging the long-
28 term viability of the stock, is there any way we can give more
29 information on how much -- Well, can we do that? Is that
30 allowed, under these things? We have to choose for that, and,
31 if we can, and the South Atlantic commercial industry is pushing
32 up against their limit, I don't see any reason why we can't
33 increase it again, if we're not going to affect the stock, if
34 it's still going to be above the safe minimum.

35
36 **CHAIRMAN POWERS:** Thank you.

37
38 **DR. ANDERSON:** Nobody jumped on that.

39
40 **CHAIRMAN POWERS:** Well, Luiz is going to solve our problems.

41
42 **DR. BARBIERI:** No, but I just wanted to respond to Lee's comment
43 there. I am not necessarily jumping on that suggestion there,
44 but just putting some thoughts on the table for the committees
45 to think about.

46
47 I mean, we could, from a biological perspective, from a
48 perceived productivity of the stock, in looking at the history

1 of exploitation and the current status of stock biomass and all,
2 and so, based on those biological and fishery characteristics,
3 we could recommend an ABC that is derived by applying one of our
4 ABC control rules based on an MSY of F 30 percent SPR, since
5 that is the limit reference point that we would be thinking
6 about, right, and so an MSY limit reference point.

7
8 From there, we apply the ABC control rule, and, whatever level
9 P^* we get, there will be an ABC from that, and that's going to
10 be a fairly high jump from the level of landings that we have
11 right now, and so, potentially, recommend to the council to
12 develop an ACL from that recommended ABC that will be a little
13 more conservative and represent more of a middle ground between
14 the current level of landings, or basically F SPR 40 percent, to
15 something in between where our ABC is and where the current
16 levels of landings are, if that makes sense.

17
18 **CHAIRMAN POWERS:** Yes. One difficulty that I have with that
19 approach isn't so much the approach itself, but take for example
20 the F 30 percent SPR column in the green, and that starts out at
21 5.37 and ends up at 3.85. If you take that literally, you're
22 saying, all right, the first year, you can catch a big amount,
23 but, toward the end, you're catching roughly what you caught
24 now.

25
26 The implication of that is that we really know something about
27 what recruitment is likely to be in the next two to five years,
28 and that has always bothered me, to specify a strong trend like
29 that, knowing all the vicissitudes of the assessment and how
30 those projections are made, and perhaps we could smooth it out
31 somehow, an average or something like that, but, conceptually, I
32 don't have any problem with what Luiz has said, in terms of
33 making some strong recommendations about how the council might
34 approach an ACL sort of decision. Luiz.

35
36 **DR. BARBIERI:** Just to that point, Mr. Chairman, you're
37 absolutely right. I mean, we could recommend, and we have in
38 the past recommended, a constant catch that represents some
39 average of a number of years that we decide to be suitable that
40 would smooth that yield stream there a bit more over time.

41
42 I was just really trying to first address the issue of which one
43 of those columns we would be working off and whether we're going
44 to be thinking about applying the ABC control rule based on an
45 estimated proxy MSY, and so yield at F 30 percent SPR, or if
46 we're going to use some of the other columns there, and I think
47 application of those would be a different approach than we
48 usually apply.

1
2 **CHAIRMAN POWERS:** Thank you. Yes, there is -- I mean, just for
3 consistency's sake, there is some attractiveness to that 30
4 percent column, because one can justify it, in terms of that is
5 the FMSY proxy.

6
7 **DR. SERCHUK:** Can I make a comment, Mr. Chairman?

8
9 **CHAIRMAN POWERS:** Yes, you may.

10
11 **DR. SERCHUK:** This may sound outlandish, but I don't like the F
12 30 percent column at all, and it's because, in 2024, if you look
13 at the SSB, it -- That 2,062 tons is just about a hundred tons
14 higher than the SSB MSY proxy, and I think that's -- Given the
15 uncertainty that happens with all projections, I am not very
16 happy about being that close.

17
18 If I had to choose, and I were king, but I'm not, I would
19 average across the three other scenarios and take maybe an
20 average of all five years and use a constant catch for those
21 five years. In any case, we're going to be above the SSB MSY
22 proxy at the end, and it will also allow for increased yields
23 over that time as well, without having, in my mind, very much
24 danger to the stock of falling below the SSB MSY proxy at the
25 end of those five years. That's just a thought. Thank you.

26
27 **CHAIRMAN POWERS:** Thank you. Actually, that wouldn't be all
28 that much different from just taking the left-hand column, 2020
29 to 2024, and averaging over those years, and it would be roughly
30 about the same, to have a constant catch during that period.
31 Paul Sammarco.

32
33 **DR. SAMMARCO:** Thank you, sir. I have been listening to this
34 and watching these graphs and watching these Excel sheets and so
35 forth, and I'm thinking that we're in a position now where we
36 have the luxury of actually leaning a little lightly on this
37 species and ensuring, or helping to ensure, its longevity as a
38 fishery, and I agree with what Luiz just said, and I agree with
39 what the last speaker said, which would be to back off, and
40 we're not in a position where we have to, where we have to allow
41 it to be fished heavily, and so, rather than pushing the
42 envelope, perhaps it's better to go with something that's a
43 little lighter, and I'm looking at the F 40 percent SPR, and
44 it's actually pretty attractive, compared to some of the others,
45 but I realize that we're talking about averaging here and so
46 forth. That's just my opinion. Thank you.

47
48 **CHAIRMAN POWERS:** Thank you. Mike Errigo.

1
2 **DR. ERRIGO:** I just wanted to point out that this is a great
3 discussion, and you guys are -- If you do choose to average and
4 use something else, you are deviating from your control rule.
5 The control rule which uses the P* requires that you start from
6 a base of a 50 percent probability of overfishing, but then you
7 deduct from there, based on the ABC control rule P* analysis,
8 however much you need to.

9
10 Let's say you come up with a 40 percent P*, a 40 percent
11 probability of overfishing, and that's how you get your ABC, and
12 so that requires you to use a 50 percent probability of
13 overfishing, which is the F 30 percent SPR, or the FMSY proxy,
14 just to let you guys know.

15
16 **CHAIRMAN POWERS:** That was some of the reason that I sort of
17 focused on F 30 percent SPR, because it is sort of the standard,
18 in terms of what we call a proxy, and then, the ABC, we can
19 adjust that, by whatever means we feel is most appropriate and
20 most justifiable, and go from there. Will Patterson.

21
22 **DR. PATTERSON:** Thanks, Joe. I agree with that last statement.
23 It seemed like, in some of the earlier conversation, we were
24 confusing OFL and ABC, but it seems to me that a realistic, or a
25 reasonable, approach to set OFL as the mean of the five years,
26 2020 through 2024, which would be 4.43 million pounds, and the
27 Gulf's ABC control rule -- We don't have the flexibility to do
28 some of the things that are being discussed.

29
30 I don't understand why we wouldn't just produce a PDF and apply
31 the control rule as it's written, given that this is -- Given
32 the type of assessment that was done here, highly quantitative,
33 and uncertainty was estimated throughout, et cetera, and then
34 recommend to the council that they set their ACL accordingly,
35 given discussions about where the stock is relative to
36 thresholds versus targets, but I don't understand why we
37 wouldn't utilize the methods that we have approved for the
38 council to do this.

39
40 **CHAIRMAN POWERS:** Thank you. All right. Will, you had actually
41 implicitly made a suggestion, and you had taken those averages,
42 and I believe the implication was that, if you took the average
43 of 2020 to 2024 in the F 30 percent column, the average would be
44 4.43, I believe is what you said, and that one could interpret
45 that as being the overfishing limit, and is that correct?

46
47 **DR. PATTERSON:** That is correct, although it may not make sense
48 to take 2020, since we're past the halfway point in 2020, but

1 maybe we could take 2021 through 2024, which would be 4.20, but,
2 yes, that's what I would suggest for the overfishing limit, is
3 to take an average across those projected years, so that we
4 smooth out some of the big spike in the first year after the
5 assessment, the first projection year.

6

7 **CHAIRMAN POWERS:** Jason Adriance.

8

9 **MR. ADRIANCE:** Thank you, Mr. Chair. I'm trying to recall, but
10 didn't we have an issue when we averaged, that, if the average
11 was higher than any particular year, that was an issue?

12

13 **CHAIRMAN POWERS:** I believe what we got into was -- I mean, we
14 have to define the overfishing limit in terms of not any in one
15 individual year. Otherwise, if it went over during a subsequent
16 year, then that would imply some legal issues and reaction to
17 it, in terms of the system, and I believe that was where we were
18 going. Ryan, did you --

19

20 **MR. RINDONE:** I did not.

21

22 **CHAIRMAN POWERS:** Okay. Dale Diaz.

23

24 **MR. DIAZ:** Mr. Chair, this is a question for Ryan. Ryan, I
25 think in the past, when we've got -- I'm just asking for some
26 history here for me, but, in the past, when we've got constant
27 catches, it seems like they've mostly been on a three-year
28 basis, and is that correct, or is there a rationale for that, or
29 kind of what's the history of that, Ryan?

30

31 **MR. RINDONE:** When we are looking at projections, and I think
32 Chris or Shanae, or probably both of them, had mentioned at some
33 point that, every year that you move away from the present, like
34 every year in the future that you move, there is additional
35 uncertainty about the accuracy of those projections, because of
36 all of the things that go into creating them in the first place,
37 and all of those things can change from year-to-year.

38

39 Further, every year that you see is predicated on the year prior
40 to it having exactly that amount of harvest achieved, and so,
41 for example, in the retained yield in millions of pounds, the
42 4.254 million pounds in 2022 is predicated on exactly 4.673
43 million pounds being removed in 2021.

44

45 If less than that is removed, then what you have in 2022 is too
46 conservative. If more is removed in 2021, then 2022 is too
47 optimistic, and so to try to stay within a higher degree of
48 relative certainty, the Gulf Council anyway has looked at three-

1 year moving averages, or the Gulf Council SSC has looked at
2 three-year averages, more often than they've looked at five.

3
4 I honestly don't remember the last time the SSC recommended a
5 five-year average for OFL and ABC, but three years has been
6 pretty common, but those are the reasons why, is because the
7 landings can vary, and the information that goes into the
8 projections, things like recruitment and harvest and whatnot,
9 can vary greatly from year to year.

10

11 **MR. DIAZ:** Thank you, Ryan.

12

13 **CHAIRMAN POWERS:** Thank you. All right. What I suggest is we
14 take a ten-minute break, and, at the end of that, I will expect
15 some motions, or motion, that will resolve this, because I think
16 we've discussed it a lot, and there are several different
17 options, averaging this and averaging that, how many years and
18 so on, and so, after ten minutes, and this is a working ten
19 minutes, where I expect you to have one motion or more to
20 proceed with, and so let's break for ten minutes.

21

22 (Whereupon, a brief recess was taken.)

23

24 **CHAIRMAN POWERS:** This is where being able to caucus would have
25 been easier with an in-person meeting, but that's the life we
26 lead now. Is there somebody who wishes to be recognized? Bob.

27

28 **MR. GILL:** I have a motion that I sent to Jessica, and, Jessica,
29 it's the OFL/ABC motion, corrected, that I would proffer, and I
30 may need some help with the wordsmithing, but I would proffer it
31 to the group, and, if I get a second, I can talk a little bit
32 about the rationale.

33

34 **CHAIRMAN POWERS:** There is the motion. Is there a second?

35

36 **DR. NANCE:** I will second that.

37

38 **CHAIRMAN POWERS:** All right. Thank you. All right. Bob.

39

40 **MR. GILL:** Thank you, Mr. Chairman. Well, a couple of things.
41 Number one, I thoroughly agree with Will that including 2020
42 makes no sense. By the time this gets anywhere, we're talking
43 2021, and it also happens to get a little further off that
44 spike.

45

46 Secondly, to Fred's and Luiz's comments, the stock is in pretty
47 decent shape. As Luiz pointed out, it's been underfished a
48 little bit, and hence the choice of ABC, and I think that's all

1 I have to comment on.
2
3 **CHAIRMAN POWERS:** Thank you. I would open it up for discussion.
4
5 **DR. PATTERSON:** I think, the way this is written, you're
6 actually talking about 75 percent of the yield at F 30 percent
7 SPR. It's written that it's saying that you're taking 75
8 percent of the F and using that to project the yield.
9
10 **MR. GILL:** I agree, Will. I think you're correct, and so,
11 Jessica, you can write that by 75 percent of the yield at F SPR
12 30 and delete the "0.75".
13
14 **CHAIRMAN POWERS:** So just say 75 percent, right there where the
15 cursor is, of the yield at F SPR 30, and just take out that --
16 Okay. All right. John Mareska and then Jim Tolan afterwards.
17
18 **MR. MARESKA:** I withdraw my question.
19
20 **CHAIRMAN POWERS:** Jim Tolan.
21
22 **DR. TOLAN:** I too had sent in a motion, and it's very much in
23 line with what Bob had sent in, and I would only bring up that
24 the motion I sent in covered a couple more years, and it was a
25 five-year projection, and, again, it eliminated the 2020, simply
26 because it does eliminate that spike that Stock Synthesis always
27 seems to be able to find, and, like Ryan and Luiz had mentioned,
28 with the stock being in as good shape as it is, and it's not
29 likely to be on the board for another assessment anytime soon,
30 did we want to sort of handicap it by a three-year window or go
31 with a five-year window, and that's really the only difference
32 in the motion that I had sent in.
33
34 **CHAIRMAN POWERS:** Okay. Before we think about doctoring this
35 up, let's also hear from some other people. Fred and then
36 Shanae.
37
38 **DR. SERCHUK:** Thank you, Chair. I am still having a little bit
39 of a problem with this table, and that is, if I look at the
40 first value under retained yield in millions of pounds, the
41 first thing is, and forgive me if I'm nitpicking, but I would
42 presume that, in the projection scenario in millions of pounds,
43 there has been an error, and that, instead of the 75 percent F
44 30 SPR, it should be 3.64, and is that correct, because all the
45 values in the first line should be identical.
46
47 **MS. ALLEN:** There is a little bit of wiggle room in those first
48 two years, 2018 and 2019, and is that what you're referring to?

1
2 **DR. SERCHUK:** Yes. Why, if you started from -- I just don't
3 understand it.
4
5 **MS. ALLEN:** Those are considered the gap years, where you only
6 input retained landings in metric tons, and the model estimates
7 the number of discards associated with that, and so they don't
8 differ by very much, but each scenario, projection scenario, is
9 run independently of each other, and so you will get a little
10 bit of wiggle room in those first two years.
11
12 **DR. SERCHUK:** Okay, and I am trying to compare those values, in
13 millions of pounds, to what was on -- I know you talked about
14 we're not going to consider Figure 3 in the executive summary,
15 but those -- Because they were only run out for five years, but
16 it seems to me that these values should be close to the values
17 in Figure 3 for retained yield, or should they? Could you
18 answer that question?
19
20 **MS. ALLEN:** Since 2018 and 2019 had lower overall fishing
21 mortality rates than what would have been projected if we didn't
22 have those years, that is a major reason, especially in the F 30
23 percent SPR case, because it limits -- It would have shot up,
24 just like you saw in 2020.
25
26 If you don't have those gap years, that happens earlier, in
27 2018, again, just to be able to bring that spawning stock
28 biomass down to SSB at F 30 percent SPR, but, in the other
29 scenarios, it still differs, again, because those fishing
30 mortality rates, the realized fishing mortality rates, ended up
31 being a bit lower.
32
33 **DR. SERCHUK:** Okay, and do we know what the landings were, what
34 the retained catch was, in 2018? Here we are in 2020.
35
36 **MS. ALLEN:** They should closely equal these values here. I have
37 the exact values that I can share.
38
39 **DR. SERCHUK:** I'm sorry to be a bugbear about this, but I just
40 want to make sure that we're talking apples with apples and
41 oranges with oranges, and, typically, when we have information
42 on years after the assessment is finalized, we try to put in
43 what we think the catches might have been in those years,
44 particularly if it's two years back.
45
46 **MS. ALLEN:** I'm in metric tons here, but we can always refer to
47 the one on the left, and so, for 2018, in total retained
48 landings in metric tons, it's 1,651.

1
2 **DR. SERCHUK:** That's quite a bit different from the values that
3 we have in these tables, right?
4
5 **MS. ALLEN:** Yes, but I didn't do the conversion to pounds, and
6 so refer to the graph on the left.
7
8 **DR. SERCHUK:** So that would be a thousand metric tons, is what
9 you're talking about?
10
11 **MS. ALLEN:** 1,651 for 2018.
12
13 **DR. SERCHUK:** Just like -- On page 10 of the executive summary,
14 this landings in pounds, and it looks like there were 4.8
15 million pounds landed in 2017, and is that correct? I am just
16 trying to -- It's the last column on the right, and I'm just
17 trying to get an idea of what the variability in the fishery has
18 been prior to moving forward with the numbers in 2018, and so it
19 looks like there was a large drop in landings between 2017 and
20 2018, and is that correct?
21
22 **MS. ALLEN:** Yes, and it does show that, because 2015 and 2017
23 were included in those figures in the presentation, so you can
24 see graphically the decline in retained yield, and so there's
25 quite a steep drop from 2017 to 2018, and 2019 was even less
26 than 2018.
27
28 **DR. SERCHUK:** Right. Okay. Thank you for that explanation.
29 That helps. I'm just trying to make sure that I understand
30 what's going on. Thank you.
31
32 **MS. ALLEN:** I also need to clarify an earlier point that was
33 written in the motion. The scenario of 75 percent of F at 30
34 percent SPR, that was run exactly like that. It was not -- That
35 may have been an error on our end, because I was only driving
36 the projections with Fs, and I wasn't driving them with yield.
37
38 **CHAIRMAN POWERS:** But the motion, as it's written, it says the
39 yield at 75 percent of the yield at F 30 percent SPR is 3.79
40 million pounds, and so I believe, and I didn't do the arithmetic
41 myself, but I believe what was done there is you take 75 percent
42 of whatever that yield was in that table, and that is 3.79
43 million pounds, and is that correct?
44
45 **DR. PATTERSON:** Actually, the way that Bob had it written the
46 first time was correct, and I mistakenly corrected him, and so
47 it's actually the yield at 0.75, or 75 percent, F SPR.
48

1 **CHAIRMAN POWERS:** Okay. Sorry. So go back to the original
2 thing.

3

4 **DR. PATTERSON:** If you just take out all the text. There you
5 go.

6

7 **CHAIRMAN POWERS:** Okay. All right. What's the wishes? Jim
8 Tolan's motion, he said, was essentially the same, except for
9 another year added, I believe, or two years added. If people
10 generally go along with it, what I would like to do, and I
11 wouldn't want to get into separate sort of motions about one
12 with four years and one with five years and so on, but can we
13 agree on a time span? If we do this with 2021 and 2023,
14 remembering what Ryan had told us before, what that would mean
15 is that the 3.79 would be the marching orders subsequent to
16 2023, and, if that became an issue at that time, then,
17 obviously, one could do an assessment again.

18

19 **MR. GILL:** Mr. Chairman, my rationale for picking 2021 through
20 2023 was, in part, based on the fact that the last few years of
21 terminal data was 2017 and so, at the end of this one, they're
22 out six years. The advantage, however, of Jim's five-year
23 version is it's slightly more conservative, but, given the
24 status of the stock and where it's been fished in recent years,
25 I didn't think that was necessary, and so I settled on the
26 nearer term and not getting further out and leaving the option
27 open to the council on how to handle ACL.

28

29 **CHAIRMAN POWERS:** Thank you. There is a window there that I
30 can't read, and so how did that window get there, and what does
31 it say?

32

33 **MS. MATOS:** That's Jim's motion. I was trying to put it up
34 there without putting it in the motions, but I can't really make
35 it bigger without covering everything else up.

36

37 **CHAIRMAN POWERS:** All right. Don't worry about it. All right.
38 So we've gotten rationale, and is there any further discussion
39 on this?

40

41 **DR. TOLAN:** I will certainly yield to Bob, and the 2021 to 2023
42 is fine by me.

43

44 **CHAIRMAN POWERS:** Okay. Will Patterson.

45

46 **DR. PATTERSON:** I am just curious what the rationale is for not
47 actually utilizing the control rule and producing PDFs for the
48 projections and applying the P* approach.

1
2 **CHAIRMAN POWERS:** Doug, I'm sure you weren't going to --
3
4 **MR. GREGORY:** Thank you. My interest in this would be that
5 we've repeatedly run into trouble with trying to estimate the --
6 We've got the P* of 0.3 or whatever, but then the PDFs are
7 narrow, and that's been an ongoing problem, and one
8 recommendation from the Center has been to follow the method
9 used on the west coast.
10
11 This is similar, I think, to what we did with vermilion, and I
12 like the idea of -- I think, Will, a couple of years ago, you
13 suggested this to the council, when you were representing the
14 SSC, I think, and I may have got it wrong, but that we start
15 looking at trying to set ABC at OY and completely get away from
16 the PDF problem that we have, and so I like this motion, because
17 of that. Thank you.
18
19 **CHAIRMAN POWERS:** Is there any other discussion? All right.
20 There's a motion on the board. We do have more discussion.
21 Luiz Barbieri.
22
23 **MS. MATOS:** Luiz, you need to enter your PIN to speak.
24
25 **DR. BARBIERI:** While he's working on that, Mike Travis, you had
26 a comment?
27
28 **DR. TRAVIS:** More of a question. Given the SSC's discussion
29 about allowing the industry to increase its yield, I am a little
30 puzzled by this result, because, unless my math has gotten very
31 bad, I am currently seeing a stock ACL between the Gulf and
32 South Atlantic of approximately 3.94 million pounds -- We're
33 suggesting an ABC that is below the current stock ACL, and how
34 did we get to that?
35
36 **CHAIRMAN POWERS:** Any comments on that? Is Luiz back?
37
38 **DR. BARBIERI:** Yes, Mr. Chairman. I am back, and thank you,
39 Jessica, for reconnecting me. It's just one of those major
40 storms that just went through the area here, and I got
41 disconnected, and so, by the time that I called back and I was
42 trying to enter the new PIN number, it wouldn't go through, and
43 so I had to call again, and here I am. My question, and I don't
44 know if that addresses what Mike just brought up, but I was just
45 going to ask the question about what years had fishery closures
46 for the commercial side.
47
48 **CHAIRMAN POWERS:** What was your question?

1
2 **DR. BARBIERI:** I just want to know which years had fishery
3 closures for yellowtail snapper for the commercial side.
4
5 **MS. ALLEN:** That was the end of 2015 and 2017.
6
7 **MR. SWANSON:** For the South Atlantic.
8
9 **MS. ALLEN:** For the South Atlantic, yes. There's been no
10 closures in the Gulf.
11
12 **DR. BARBIERI:** Okay. Thank you. Yes, that's what I just was
13 trying to find out.
14
15 **MR. SWANSON:** That was Slide 16 in the presentation.
16
17 **DR. BARBIERI:** Right. Thank you.
18
19 **CHAIRMAN POWERS:** Then the other issue that Mike Travis brought
20 up is that defining ABC at 3.7 million pounds doesn't
21 necessarily provide the flexibility that we had talked about
22 before. Dale Diaz.
23
24 **MR. DIAZ:** I am trying to clear all of this up in my mind, so I
25 understand exactly where this motion is going, and I'm looking
26 at my notes from earlier in the meeting, and I had down that the
27 Gulf had 900,000 pounds for their allocation, and then the South
28 Atlantic, if I wrote it down correctly, the commercial had 1.6
29 million, and the recreational had 1.4, and that's what I am
30 trying to figure out. It's basically the same thing that Mike
31 just brought up. If that's correct, we are making a motion to
32 do a reduction with this stock assessment.
33
34 **CHAIRMAN POWERS:** All right. We'll go to Will and then Doug
35 Gregory. Then let's get Shanae in there.
36
37 **DR. PATTERSON:** You can go to Shanae first. That's fine.
38
39 **CHAIRMAN POWERS:** Shanae.
40
41 **MS. ALLEN:** Thank you, Mr. Chair. I just wanted to point out
42 just one thing, which has already been mentioned before, but the
43 current ACL is made up, of course, of the recreational landings,
44 and that's in MRFSS units, and so they're not compatible with
45 the values that are coming out of our model that are all based
46 on FES landings.
47
48 **CHAIRMAN POWERS:** Again, that's sort of interpreting these

1 numbers implies a certain allocation, which, that whole
2 allocation, the councils will have to revisit anyway. Will.

3
4 **DR. PATTERSON:** That last statement notwithstanding, the reason
5 that you're getting this -- One of the reasons that you're
6 getting this drop is because the 0.75 F SPR 30 percent is more
7 precautionous than if we applied the P* to this, and I still
8 haven't heard any rationale for why we wouldn't actually use the
9 control rule in this case, and we have a stock that the SSB
10 estimates are well above the threshold and are fairly close to
11 the target, and I don't see why we would take this much
12 precaution with this stock.

13
14 **CHAIRMAN POWERS:** Thank you. Doug Gregory and then Luiz, again.

15
16 **MR. GREGORY:** Real quick, I was going to say the same thing that
17 Shanae said, but can we translate these MRFSS ACL quotas into
18 FES numbers, so that we can assess what Mike Travis was
19 concerned about, but, yet, in MRFSS numbers, it's three-point-
20 nine-some-million pounds, but I have no idea what that is in FES
21 numbers.

22
23 **CHAIRMAN POWERS:** Well, the recommendation and the motion says
24 3.79 million pounds, and the current catches were roughly about
25 -- They were about four million pounds, three-point-nine-
26 something, and they were even a little bit higher in 2017, and
27 those are in the numbers that you should think about, and so
28 what Mike Travis has really suggested, or noted, is that 3.79
29 million pounds is less than what the current catches are, and,
30 if we're suggesting that there is more flexibility, this doesn't
31 exactly line up with that. Luiz.

32
33 **DR. BARBIERI:** Thank you, Mr. Chairman. I was going to just
34 make the same point that Will just made, and I don't see a
35 reason, looking at how this assessment is structured and all the
36 outputs, and it's a highly quantitative assessment, with a lot
37 of uncertainties well estimated, and I don't see why we would
38 have a justification here, really, to not apply our ABC control
39 rule and recommend something that is outside of that framework.

40
41 We have, in the past, departed from our ABC control rule when
42 there were indications in the assessment report that said there
43 were uncertainties that couldn't be really properly estimated,
44 and we had concerns about some of the parameters, some of the
45 outputs, and the projections were really super highly uncertain,
46 and I don't see this assessment fitting that profile at all, and
47 so, to me, it's a matter of indicating, for the OFL and the ABC,
48 due to the biological capacity of the stock, and presenting to

1 the councils some rationale to say there is room here for you to
2 manage this stock at a more precautionary approach, and the
3 approach is OY, but that is your prerogative, as you want to
4 assess the risk that you want to assume for actually managing
5 this stock, and so I am just voicing my support here for that
6 same point that Will had made.

7
8 **CHAIRMAN POWERS:** All right. Thank you. We have a number of
9 people lined up, and you see the list there, but we'll start
10 with Ryan.

11
12 **MR. RINDONE:** Thank you, sir. Just for clarity in your motion,
13 you might consider mentioning the data currency that these
14 recommended catch limits are in, since we are going from MRFSS
15 to FES, and some of the confusion might be coming from that,
16 since, like Shanae had said, our current ABC, which I think is
17 four million pounds total, is in MRFSS, and it's my
18 understanding that the numbers that are on the screen are in
19 FES, and so some of that confusion might be coming from the fact
20 that we typically expect, when we convert something to FES, that
21 there's going to be some magnitude increase in SSB and projected
22 future harvest levels from accounting for a magnitude increase
23 in effort and harvest in the past.

24
25 **CHAIRMAN POWERS:** Thank you. Genny Nesslage.

26
27 **DR. NESSLAGE:** Thank you, Mr. Chair. I just wanted to quickly
28 echo Luiz and Will's concerns, and I am still not convinced that
29 we need to be deviating from the ABC control rule, but I am new
30 to yellowtail snapper, and so, if someone would like to
31 enlighten me, I am open to alternatives, but I think the P*
32 approach would probably make the most sense in this case.
33 Thanks.

34
35 **CHAIRMAN POWERS:** Thank you. Scott Crosson.

36
37 **DR. CROSSON:** I think I'll pass. I think my point has been made
38 by others.

39
40 **CHAIRMAN POWERS:** Shanae.

41
42 **MS. ALLEN:** Without having the ability to see any of the P*
43 analysis, because that wasn't done until after the assessment
44 report and after the review panel, which is definitely a viable
45 option, and we have the code and everything ready to go, if that
46 is the chosen option.

47
48 I will just say that the issues that were brought up before,

1 about it being a very narrow -- The OFL distribution being quite
2 narrow, so that then you're -- Even a P* of 0.4 or 0.3 is going
3 to be about 98 percent of the OFL, and that's just something to
4 keep it in mind, and I just wanted to let you all know that we
5 have all of that up and running, and so it can easily be done.

6

7 **CHAIRMAN POWERS:** Thank you. Fred Serchuk.

8

9 **DR. SERCHUK:** Another source of uncertainty, which I think
10 affects the projections in an adverse way, and that is yields
11 that are too low, and that is that the projected yields for 2020
12 I think are going to be much higher than are going to be
13 realized in fact, because of the problems that we have with
14 COVID-19.

15

16 Therefore, those removals in 2020 that are estimated are not
17 going to be anywhere as high as I think they're shown in the
18 table, and, therefore, the stock size in the following years are
19 going to be much higher than shown for 2021. Therefore, that
20 has a knock-on effect, and so what I'm saying is, to look at an
21 F 30 percent retained yield in 2020 of 5.4, or 4.2, or 3.9, or
22 3.6, across the table, I don't think those values are going to
23 be realized for those Fs, and, therefore, they're going to be
24 much lower, because the actual yields, in my mind, are going to
25 be considerably lower.

26

27 The stock size would be higher, and, therefore, I think the
28 yields, the subsequent yields, that are shown here are too low.
29 I don't know how we express that, but I'm almost sure that the
30 projected catches for 2020 in the projection table are
31 significantly higher than the actual yields will be in 2020, and
32 that affects the estimates for the following years, because the
33 stock size will be much higher. Thank you.

34

35 **CHAIRMAN POWERS:** Thank you. Ryan.

36

37 **MR. RINDONE:** Thank you, Mr. Chair, and this is to Fred's
38 comments, and I don't think that's true, because the initial
39 reports that we've been hearing from FWC and from some of the
40 other states have been that there's actually been more
41 recreational effort during this time period than comparatively
42 to the same MRIP waves the year prior.

43

44 There may have been a temporary decrease in commercial fishing
45 effort, but, by and large, from what we've heard from the
46 commercial fishermen, it's that, for the most part, they're back
47 up and running again, and so, with an increase, year over year,
48 in recreational fishing effort, and a temporary decrease in

1 commercial fishing effort, especially for the South Atlantic,
2 which is, in three out of the last four years, the commercial
3 sector has met its ACL prior to the end of the fishing season.

4
5 I would have every expectation that the South Atlantic's
6 commercial sector will probably meet, or get very close to
7 meeting, its commercial yellowtail ACL this year, and maybe Mike
8 or somebody else can speak a little bit more to the pace at
9 which those landings are coming in there, but I don't think that
10 we're observing a decrease in recreational fishing effort due to
11 COVID.

12
13 **DR. SERCHUK:** Okay, and I would defer to those people that know
14 the fishery much better than I do. Thank you.

15
16 **CHAIRMAN POWERS:** Thank you. We're not getting anywhere, and,
17 for that reason, what I suggest we do is -- The one thing that
18 Will and Genny brought up is we do have this control rule, and I
19 think, at this point, we need to look at that control rule, or
20 whatever it is, and evaluate things accordingly, based on that,
21 or if we choose not to do it on that, and then have a reason for
22 not doing that. For that reason, I suggest we table this motion
23 and revisit it later in the meeting. How much later, I'm not
24 sure.

25
26 Because of the South Atlantic people were only expected to be
27 here today, we could do it -- We could table it until tomorrow
28 morning, but, if that causes problems for the South Atlantic
29 people, let me know. Also, in terms of actually formulating
30 some sort of table that will help guide us in this, what Chris
31 and Shanae can do over the next two hours, twenty-four hours, or
32 whatever, and so, if you can provide some guidance on that, and
33 we'll start with Shanae or Chris.

34
35 **MS. ALLEN:** Sorry, Mr. Chair, but can you repeat that? Is that
36 a question for Chris or I? I missed it.

37
38 **CHAIRMAN POWERS:** Yes, and what I'm suggesting is we're going to
39 have to revisit or at least look at the control rule, the PDF
40 and what the P* value is and that sort of thing, and so my
41 question is how long would it take to put together some briefing
42 materials associated with it, and it could be -- If you could do
43 it in a couple of hours, fine. If you could do it so that we
44 could do it in the morning, fine, but just give me some feedback

45
46 **MS. ALLEN:** I think we could reasonably have some briefing
47 materials ready by tomorrow morning.

1 **CHAIRMAN POWERS:** Okay, and then what about the South Atlantic
2 people? Mike Errigo, you had a comment?
3
4 **DR. ERRIGO:** I just wanted to say, in order to help Shanae and
5 Chris prepare for this, I think what we should do is run through
6 our control rule to get a P* value, so that they can run that,
7 and I think that shouldn't take very long to do, because we only
8 have four dimensions, and so four questions that need to be
9 answered, and one of them comes directly out of the MRAG PSA
10 analysis, and so that's pretty much already answered, and so we
11 just need to do that, and then we can get a P* value for them to
12 run, to see what that looks like.
13
14 **CHAIRMAN POWERS:** Yes, that's exactly what I was looking for.
15 All right. Then, the person that provided the motion, you have
16 no problems with delaying it for a while?
17
18 **MR. GILL:** That's fine by me, Mr. Chairman.
19
20 **CHAIRMAN POWERS:** All right. Thank you. We'll revisit this
21 first thing tomorrow morning. Okay. You already heard,
22 conceptually, what the answer would likely be, that the PDF is
23 fairly small, and so what I would really, really, really like
24 is, whatever option we pick, that we have some words to actually
25 work with in the morning. All right.
26
27 **DR. PATTERSON:** Before we leave this, I thought that Mike had a
28 good suggestion there, that we actually work through the table,
29 and I'm not sure -- It sounded like he was referring to the
30 South Atlantic table, and I assume that our -- I know that our
31 control rules are different, and so I don't know which one we
32 need to work through here to get the P*, but it sounded like
33 that was the suggestion, that we go ahead and do that, and is
34 that what you're thinking?
35
36 **CHAIRMAN POWERS:** Yes.
37
38 **DR. PATTERSON:** Okay. Thanks.
39
40 **CHAIRMAN POWERS:** At this point, I wouldn't want to do it at the
41 committee level, and let's kind of get that moving earlier. All
42 right. So, recognizing that we haven't really done this, we
43 have already looked at the stock assessment executive summary,
44 and we have more or less approved it, except for whatever
45 changes we might make relative to the determination of ABC and
46 OFL and so on.
47
48 Next on the agenda is Agenda Item VI, which is the SEDAR 28

1 Update.

2
3 **DR. NEER:** Mr. Chair, I think we need to decide which of the two
4 control rules the group wants to use, because there is two, the
5 South Atlantic and the Gulf, because they're not exactly the
6 same, as Will pointed out, and I thought the suggestion was that
7 we were going to go through those now, so that you had a number,
8 so that they could actually run those P* analyses overnight and
9 have the numbers available for you tomorrow.

10
11 **MR. RINDONE:** Historically, we have used the South Atlantic
12 Council's control rule for this process.

13
14 **CHAIRMAN POWERS:** That was my understanding too, and they're
15 sort of the lead council anyway. What I don't want to do is go
16 through this at the committee level, because I don't think that
17 would be very useful, and so, if there's somebody from the Gulf
18 side that wishes to characterize this and help Shanae and Chris,
19 in terms of what P* might be on the Gulf side, feel free to do
20 that, but I think, from our historical standpoint, the protocol
21 is to kind of go with the South Atlantic.

22
23 **DR. ERRIGO:** I just want to clarify, Joe. You want us to go
24 through like on email outside of this committee process and come
25 up with a P* and email that to Shanae and Chris and have them
26 run their --

27
28 **CHAIRMAN POWERS:** Yes, and then we can just -- Then, of course,
29 in the meeting, we would like some sort of at least discussion
30 of how the P* was formulated, and, in other words, the
31 application of the control rule.

32
33 **DR. ERRIGO:** Okay. That sounds good. Thank you.

34
35 **CHAIRMAN POWERS:** All right. SEDAR 28. This is Gulf group
36 cobia. There is a presentation and the stock assessment
37 documents and update. Who is giving the presentation?

38
39 **REVIEW OF SEDAR 28 UPDATE - GULF OF MEXICO MIGRATORY GROUP COBIA**
40 **STOCK ASSESSMENT**
41 **ASSESSMENT PRESENTATION AND STOCK STATUS DETERMINATION**

42
43 **DR. ADYAN RIOS:** My name is Adyan Rios, and I work at the
44 Southeast Fisheries Science Center, and we'll be talking about
45 the Gulf of Mexico cobia update assessment. This assessment
46 documents the status of cobia through the Gulf of Mexico through
47 2018 and projects quotas starting in 2021.

48

1 The Gulf cobia stock ranges from Texas around Florida to the
2 Florida/Georgia state line, and I just want to point out that we
3 have streamlined the presentation and are looking for a more
4 standard output and presentation of our assessments, and so your
5 feedback is very welcome as to the content of the documents and
6 of this presentation.

7
8 Here is the outline of today's presentation, and we'll be
9 starting with the terms of reference. There were four terms of
10 reference, and the first was to update the approved SEDAR 28
11 Gulf of Mexico cobia base model with data through 2018, and so
12 the SEDAR 28 base model -- The SEDAR 28 model was through
13 terminal year 2011, and so the update is bringing that terminal
14 year through 2018.

15
16 The second term of reference was to document changes or
17 corrections to the model and input datasets and provide updated
18 input data tables and to provide commercial and recreational
19 landings and discards in pounds and numbers, and the third term
20 of reference was to update model parameter estimates and their
21 variances, the model uncertainties, the estimates of stock
22 status and management benchmarks, and provide probability of
23 overfishing occurring at a specified future harvest and
24 exploitation levels. Lastly, the fourth term of reference was
25 to develop a stock assessment report to address these TORs and
26 to document the data and the results of the stock assessment.

27
28 First, we'll just get a big-picture overview, and that starts
29 with what was done, and so the approved SEDAR 28 Gulf of Mexico
30 cobia base model was updated with data through 2018. Where
31 practicable, the SEDAR 28 update base model used the same
32 datasets as the SEDAR 28 base model, with updated time series.

33
34 Key changes from SEDAR 28 include incorporating the Fishing
35 Effort Survey, FES, to the recreational catch and no longer
36 estimating growth or shrimp selectivity in the assessment. the
37 stock assessment update report fully documents the input data
38 and results of the SEDAR 28 update base model, and the update
39 base model found that cobia in the Gulf of Mexico is undergoing
40 overfishing, but is not overfished.

41
42 In 2018, the stock was being harvested at 144 percent of MFMT,
43 and SSB was 111 percent of MSST. This plot on the right shows
44 us the fishing mortality and SSB relative to the SPR-based
45 biological reference points, and it illustrates that, over the
46 course of the years in the assessment, 1927 to 2018, the stock
47 had experienced overfishing every year from 1975 through 2018,
48 with the exception of 1983 and 2009.

1
2 The update base model projections indicate that a reduction in
3 yield is required in the near term, to allow the stock to build
4 towards the SPR 30 percent MSY proxy. Forecasts indicate that
5 the reduction build toward the MSY proxy, and so we'll look at
6 these again at the end of the presentation, but I also wanted to
7 have this message upfront.

8
9 Next up is data, and the assessment model used SS, Stock
10 Synthesis, with the data inputs listed here. For life history,
11 the inputs were length-weight conversions, growth, reproduction,
12 natural mortality, and release mortality, discard mortality,
13 and, for fishery-dependent data, we have the recreational
14 landings and discards, commercial landings and discards, going
15 down the list.

16
17 For life history, the key difference between SEDAR 28 and the
18 SEDAR 28 update is that the growth parameters were not
19 estimated, and we'll talk about this again on the next slide,
20 and again when we talk about the model development, and so
21 you'll be seeing this plot, where we have the growth, and so we
22 have age on the X-axis and length on the Y-axis.

23
24 What we see in the black-dotted line is the SEDAR 28 data
25 workshop recommendation, and we also see the red line, which was
26 the values -- Sorry. The blue line is the values estimated in
27 the SEDAR 28, and the red line is the values that were fixed for
28 the SEDAR 28 update.

29
30 Underlined here, you will see that there are five alternately-
31 constructed datasets that were provided for the update analysis.
32 These constructed datasets incorporate best practices that have
33 been developed and approved in recent SEDAR assessments, and
34 these updated inputs that we'll look at, and I also want to
35 point out that they are documented in the stock assessment
36 update report and further detailed in their respective working
37 papers.

38
39 To summarize the data that goes into the model, we have the
40 removal data, which includes the landings and discards, and we
41 have that for a combined recreational fleet, and we have the
42 landings and removals and discards for the commercial fleet.
43 The main change, that we'll also look at when we look at the
44 more detail, is the FES update to the recreational landings.

45
46 We also have a bycatch fleet, which is for the Gulf shrimp
47 fleet, and we have fishery-dependent indices of abundance, one
48 for the recreational headboat fleet and one for the

1 charter/private fishery.
2
3 We don't have fishery-independent indices at this time, and just
4 to touch on how the recreational age compositions follow the
5 methods in SEDAR 28, where the age composition is made
6 conditional on length, and we'll touch on those again.
7
8 Going over the next slide in the data section of this
9 presentation, you will see this table that kind of documents any
10 differences, and what we see here is that all of these life
11 history attributes and components of the model were unchanged,
12 except age and growth.
13
14 In SS, a single von Bertalanffy equation was used, both in SEDAR
15 28 and in the SEDAR 28 update, to model cobia growth for both
16 sexes. In the update, the parameters L_{∞} and K were
17 fixed model inputs, based on the recommended values in the SEDAR
18 28 data workshop.
19
20 Stock Synthesis does not use T_0 as an initial parameter.
21 Rather, it uses a reference age for the size at-age, the size at
22 the minimum age, which it estimates to describe that initial
23 growth, and an important -- This will come up again later, but
24 what's important to note in the model development is, when
25 growth is estimated internally, when it deviates, that affects
26 the appropriateness of the natural mortality, which is developed
27 based on the recommended growth from the data workshop as well.
28
29 Moving on to the fishery-dependent data inputs, first here we
30 have the recreational landings on the left and the discards on
31 the right. In blue, we have the values from SEDAR 28, and, in
32 yellow, we have the values from the SEDAR 28 update. This is
33 the real change that we see across the data, and it's 1.5 to
34 three-times higher. The decision on these topics was to use
35 these new FES-adjusted values, and they are further documented
36 in Working Paper Number 2.
37
38 To stay on this topic just for a moment, just to give you a
39 sense of what -- That is a combined recreational fishing fleet,
40 in that it has headboat, Texas, and LA Creel, and so, here, we
41 can compare, for the landings on the left and the discards on
42 the right, what values were for SEDAR 28 and what they are for
43 the update, and the majority of the recreational landings all
44 come from the MRIP data, and the same is true for the discards,
45 and that increase is reflected by the FES adjustment.
46
47 Staying with recreational, we'll get a quick summary on this
48 slide of the length and age data, and so annual length

1 compositions were combined into three-centimeter bins, and, here
2 on the left, it's kind of the cumulative comparison of the
3 lengths used in the update assessment compared to SEDAR 28, and
4 so, overall, there's some subtle differences, but that's also
5 nine extra years of data.

6
7 On the right, we have the information for the paired age and
8 lengths, and, following the methods used in SEDAR 28, the age
9 compositions were made conditional on lengths. In other words,
10 a separate age composition was specified for each three-
11 centimeter length bin containing fish whose age had been
12 estimated, and so that's essentially creating an age-length key,
13 and so we're able to link the age data directly to the length
14 data, and so this shows you the distribution of the ages that
15 were used in SEDAR 28, and those went through 2010, that were
16 available at the time, and now they are through 2018, as well as
17 the distribution of the lengths associated with those ages, and
18 the annual sample sizes are in Table 9 of the stock assessment
19 report.

20
21 **MR. RINDONE:** Adyan, in the lower-right, those lengths, are
22 those in inches, or what are they in?

23
24 **DR. RIOS:** No, these are in centimeters as well, and so I can
25 add the -- Interesting. Yes.

26
27 **MR. RINDONE:** Interesting and yes and inches or centimeters?

28
29 **DR. RIOS:** I will double-check that and report back as soon as
30 we take a break, or later today, and so I'm sure it's just a --
31 It might just be a plotting mismatch in Excel, but I do want to
32 double-check that.

33
34 **MR. RINDONE:** Thank you.

35
36 **DR. RIOS:** No problem. Just to note here that, for the
37 recreational lengths, no sample size caps were used now, and,
38 previously, if more than 100 fish were measured in a given year,
39 the sample size was fixed at 100, to avoid overestimating the
40 length composition, to avoid overweighting the length
41 composition data, but, instead of capping the annual sample
42 size, the SEDAR 28 update used total sample sizes that were
43 later adjusted using the Francis reweighting method, and that
44 method reweights the samples based on variability and the
45 uncertainty in the mean length by year.

46
47 Staying with recreational, the MRIP index was constructed for
48 1981 through 2018, and it was developed using the same delta log

1 normal modeling approach that was used in SEDAR 28. The
2 Southeast Region Headboat Survey index was constructed for 1986
3 to 2018 and developed using the same delta log normal -- The
4 SRHS index was constructed, and a new method for the headboat
5 index is now available, following the Atlantic cobia stock
6 assessment.

7
8 This method incorporates core vessel identification and uses a
9 zero-inflated negative binomial to produce the index, and it's
10 documented more in Working Paper 6. The time series CVs were
11 relativized to a mean of 0.2, which is another kind of common
12 practice among stock assessments, currently, to give equal
13 weighting among the indices when there isn't more information,
14 and so they were relativized in that sense, because their
15 respective methods influenced their CVs, and so that's one thing
16 that was added there.

17
18 Next up, we have -- Moving to commercial data, we have landings
19 and discards, and the commercial landings were unchanged, and so
20 you see that here on the left. For the commercial discards,
21 there were -- There is an update, and so the commercial
22 discards, which are estimated starting in 1993, they used a
23 catch per unit effort expansion approach, using the Coastal
24 Observer Program, in conjunction with total fishing effort from
25 the commercial reef fish logbook program.

26
27 While this approach deviates from SEDAR 28, this methodology has
28 been used consistently in recent reef fish assessments, and just
29 to note too that this scale of discards is very small compared
30 to what we saw for recreational, and we'll look at those side-
31 by-side later, when we look at the results, but just to point
32 that out and to note that this method resulted in fewer discards
33 for the commercial fleet.

34
35 Moving on to commercial lengths, length compositions were
36 estimated using the same two data sources approved in SEDAR 28,
37 and the process is using recent best practices, and those are
38 documented in Working Paper 4. For example, length samples from
39 the commercial TIP, Trip Intercept Program, are now weighted by
40 the commercial landings. Even though they were weighted,
41 following this new best practice, they do show similar
42 distribution across all years for the length frequencies for the
43 years for each of the models.

44
45 We also have information from the reef fish observer program,
46 and, in the SEDAR 28 model, that included landings and discards.
47 For the SEDAR 28 update, it includes only discards. This is
48 consistent with the red grouper assessment, and, just to touch

1 on this briefly, this is the kind of key information in this
2 model that we have about discards, and so combining it would
3 kind of make it less -- Not less useful, but you wouldn't --
4 It's more appropriate to have it stand on its own and be
5 reflective of the discards and directly input to the model as
6 discards, to help us understand the retention for this fleet.

7
8 Because of low sample sizes, ranging from four to twenty-two,
9 these data were aggregated across all years, and using the super
10 period approach.

11
12 The last slide for data is that we have the shrimp bycatch, and
13 this has two components. We have the shrimp bycatch, which
14 goes into the model also using the super period approach, where
15 you provide the mean, but the model still estimates values for
16 each year, and, in order to estimate those values, we also have
17 an effort index, an index for the shrimp effort. You can see,
18 from these plots, that shrimp effort declined sharply from 2002
19 to 2008 and has remained at relatively low levels.

20
21 Just to touch a little bit more on the super year, it's that,
22 instead of fitting each observation directly, a measure of
23 central tendency for the entire time series is fit, and,
24 typically, for the shrimp bycatch, the median is used.

25
26 The model still predicts annual values, but it doesn't attempt
27 to fit to those annual observations, and it attempts to fit the
28 mean and use the other information, and so, similar to the
29 recreational indices, the CV of the effort index was also
30 relativized to 0.2, and one change documented in the working
31 paper is that the shrimp bycatch generating this time series has
32 been improved to now include bycatch reduction devices as a
33 factor in the analysis, and so to account for whether to have
34 that as a strata.

35
36 Moving on to more information about the base model, and starting
37 with the base model development, we have this table in the
38 report, and we'll build on it as we talk about it here, and so,
39 as noted, a strict continuity was not feasible, due to the FES
40 adjustments to the recreational catch, and the model -- The
41 methods used to estimate that catch were not currently
42 available, or in the timeline of this SEDAR update.

43
44 We went through multiple stages, to develop kind of first a
45 pseudo continuity model, and that included updating the
46 recreational landings data in the old model, which you see here
47 in the first line, to the new FES estimates, only through 2011,
48 to demonstrate the impact of these new recreational landings on

1 SEDAR 28 outcomes.
2
3 The first step that we see here is this is the summary line for
4 the SEDAR 28 assessment, and then we have some steps that will
5 lead us to the current SEDAR update base model, and that first
6 step was to look at the SEDAR 28 model with those updated FES
7 estimates, and something that we noticed, that stands out, is
8 the increase in the SSB, the virgin SSB, as well as the big
9 increase in recruitment, due to the increase, a fairly drastic
10 increase, in removals.
11
12 When we make just this change, we also see that there are
13 actually differences, and so the growth, estimates of growth,
14 the percent for this changed as well.
15
16 The next step was to bring all of the inputs through the
17 terminal year, and there is lots of steps in between, but this
18 table highlights those big steps and helps guide us toward the
19 ultimate model.
20
21 After we updated all of the data through 2018, the internal
22 model estimates of key growth parameters, and shrimp length-
23 based selectivity deviated from the SEDAR 28 model, and those
24 were no longer consistent with the approved SEDAR 28 model, and
25 so, to address growth, the parameters for Lmax and K were -- To
26 address growth, the parameters of the Lmax and K were fixed
27 using the L infinity and K values recommended by the SEDAR 28
28 data workshop panel, and, to address the pattern, the
29 selectivity pattern, for the fishing fleet, the selectivity
30 pattern was fixed to reflect 100 percent selection at age-zero
31 and zero percent selection at the age of one-plus.
32
33 Fixing this growth, and I guess I didn't highlight that the
34 fixed parameters are shown in bold, and so we have a fixed sigma
35 R, and we also explored the model with a fixed steepness of 0.8,
36 because that was also something that was in the model that was
37 used for management advice. It had a fixed steepness of 0.8,
38 but, again, we see that sensitivity in growth, and accurately
39 estimating growth and its associated natural mortality is
40 important, and it's something to think about, and it's worth
41 revisiting in future research recommendations as well, but, for
42 now, this was a good way to kind of move forward with the
43 update.
44
45 Here we have the next step, which was to use the model tuning,
46 and that is Step 4, and that involved the bias adjustment for
47 recreational deviations and variance adjustments, and, lastly,
48 the Francis reweighting. The model tuning reduced the estimate

1 of steepness from 0.9 to 0.78, and it increased the SSB, as
2 shown here. Finally, the model in SS Version 3.2, which was
3 used previously, was converted to 3.3, in order to benefit from
4 projections features in the latest version of SS, and so the
5 transition to 3.3 had no discernable effects on the model fit or
6 parameters, but it did allow us to use the features for
7 projections.

8
9 Now we'll look at plots showing the model fits, starting with
10 the landings, and so here we have the commercial and
11 recreational landings in metric tons for commercial and numbers
12 of fish for recreational. For comparison, we have the same
13 information that came from SEDAR 28 for this plot, and you see
14 the commercial staying fairly consistent, and the change --

15
16 The standard error for the recreational data was set at -- and
17 0.01 for commercial, and we are accounting for uncertainty and
18 allowing the model to have some flexibility in fitting those
19 recreational landings, which is what you see it a little bit
20 outside of the fit, but it's still overall staying somewhat
21 similar.

22
23 Next, we have the fits to the discards, and we have the total
24 discards for commercial and recreational, as well as the
25 estimated median for the time series super period for the shrimp
26 bycatch. We see that these are within the uncertainty bars for
27 these estimates of discards, and I will also point to the
28 difference in the axes, and so we've got this in thousands, and
29 this commercial rate is -- There is a mean of 200,000, and then,
30 over here, we see more substantial discards, primarily from the
31 recreational fishery, and we'll also compare the discards to the
32 landings. These had a standard error of 0.05, the commercial
33 and recreational discards.

34
35 Here, we have the fit to the indices, and this red line
36 indicates the terminal year for the model, and so it's just
37 seeing what years there are -- These indices went into the
38 model, with a standard error of 0.2 for each, but what you see
39 here is the errors associated with the rescaling.

40
41 -- those show the fit of the indices, and so we have two
42 recreational indices, and they both are showing -- The fit is
43 showing a decline in the most recent decade, and we'll talk
44 about that again later. The fit to the fishing effort is very
45 good, almost exact.

46
47 Next, we have the base model fit plots for the length data, and,
48 here on the left, we have the information for the commercial

1 discards, which came from the reef fish observer program, and
2 again for that super period approach, and so, while information
3 is estimated across those years, it's compared across the
4 initial year, where it's aggregated, and then we have the
5 commercial length fit for the TIP data, and the recreational
6 length information as well, and these fits are okay.

7
8 On the right, you see the cumulative fits for the length
9 frequencies for each of these components as well. Individual
10 years of information are available in the stock assessment
11 report, and here we see also the Francis reweighted sample sizes
12 as the N adjusted and the effective sample sizes as the
13 effective N.

14
15 Next, we have the age data, the fit to the conditional age data,
16 where we have length and age for the individual years. Next, we
17 have the base model results, and, here, we can see, kind of on a
18 similar scale, what the landings are between the two fleets and
19 what the discards are between the two fleets in millions of
20 pounds, and so we have commercial on the left and recreational
21 in yellow, which is -- Cobia has a drastically larger
22 recreational component compared to commercial.

23
24 This plot is actually in metric tons, but it shows all of this
25 information kind of -- Again, you see that both of the removals
26 are from -- This includes the landings and the discards for all
27 three fleets.

28
29 Moving on to more results, we have, here on the left, the annual
30 exploitation rate, and, on the right, we have fleet-specific
31 estimates of instantaneous fishing mortality, and so the highest
32 values are for the recreational fleet, and we also see that
33 there's a ramp-up in the fishing mortality, and reaching a peak
34 in the early 1980s.

35
36 Next, we have the selectivity plot for the commercial,
37 recreational, and shrimp bycatch. For the commercial and
38 recreational fisheries, they had -- The selectivity was size-
39 based and asymptotic using the two parameter logistic function.
40 The shrimp bycatch was age-based selectivity, and you see here,
41 in the age-based selectivity, where it was fixed at 100 percent
42 for age-zero and zero percent for ages-one-plus.

43
44 The selectivity patterns were assumed to be constant over time
45 for each fishery and survey, and no direct length data were used
46 for the shrimp bycatch fleet. The SEDAR 28 base model used the
47 length composition from the SEAMAP groundfish to inform the
48 selectivity, and we did explore using that, but we did see, and

1 we have seen in other recent assessments, that they don't always
2 use the same configurations between the observer data and the
3 fleet, and that can be reflected in what we see as larger
4 individuals being caught in the observer data, and so another
5 recent assessment was vermilion snapper, and that noted that the
6 groundfish data also had an overabundance of large, older fish,
7 based on trawls potentially not always using the bycatch
8 reduction or turtle excluder devices that are mandated on the
9 commercial boats.

10
11 This is base model results for retention, and so discards for
12 the two directed fleets were modeled using size-based retention
13 functions, where fish selected below the retention were
14 discarded, and the model has a discard mortality rate of 0.05,
15 to determine the level of dead discards from each fleet.

16
17 Here, you see, over time, we've got the initial year of the
18 model in this bottom-left corner, and going forward in time, and
19 so the retention changes. In this bottom plot, you see what the
20 retention is for the more recent period, for the ending year
21 selectivity and retention are captured here.

22
23 In the earlier years, the retention was knife-edge, at forty
24 centimeters, following the methods documented in the SEDAR 28
25 assessment report. In later years, the inflection was
26 estimated, and it was estimated at seventy-six centimeters for
27 commercial and eighty centimeters for recreational. Note that
28 there is a thirty-three-inch size limit, which is 88.9
29 centimeters, and so the retention was set slightly below the
30 size limit.

31
32 Retention combined with selectivity results in higher discard
33 rates modeled for the recreational fleet than the commercial
34 fleet, and so I can walk through these plots quickly. In blue,
35 we see the selectivity that we saw on the previous slide, the
36 estimated selectivity, and, in red, we see the retention, and
37 so, essentially, this is saying that the retention -- There are
38 individuals selected for the recreational fishery that are then
39 discarded, shown in gray, because they are presumably below the
40 size limit, and so we see that -- Not presumably, but because
41 they are below the size limit, and so the retention is shown
42 here in red, and the difference there is shown in that gray line
43 of the individuals that get discarded, and the natural mortality
44 is also captured in here. Sorry. The discard mortality is
45 captured.

46
47 Similar to the magnitude of discards, you see here a lot more
48 fraction of discards are showing up for recreational, and then

1 for commercial, and that's exactly what we saw in the estimated
2 discards as well.

3
4 This is more results. Here on the left, we have the estimate of
5 total biomass and the estimate of spawning stock biomass, and
6 that compares the SEDAR 28 model in blue to the SEDAR 28 update
7 in red, and just noting that the virgin estimates for total
8 biomass, as well as spawning stock biomass, are much higher, and
9 we do see that they follow similar trends, but we do see a large
10 change in the scale, related to the increased removals.

11
12 Next, we've got a slide for the spawner-recruitment
13 relationship. Here on the left, we've got a single -- The plot
14 for the Beverton-Holt stock-recruitment function, and you see
15 kind of that shotgun effect, that shows that this relationship
16 is poorly defined. Then, here in the middle, we have the age-
17 zero recruits, and, on the right, we have the recruitment
18 deviations.

19
20 We see the highest recruitment was in the first year of the
21 estimated recruitment deviations, and the lowest year was the
22 second year. The recruitment deviations are used only in those
23 years that we have enough data to inform it and use those.

24
25 Moving on to some of the other result plots, here, we see the
26 depletion over time, as well as the plot that we saw at the
27 beginning of this presentation, but now we're coming back to it,
28 and so the current base model for the SEDAR 28 update shows that
29 cobia is undergoing overfishing, but is not overfished, because
30 it's not below the MSST. The 2018 value is close though. It's
31 right here.

32
33 The terminal year depletion estimate is 21 percent, and that is
34 below the SSB at 30 percent SPR MSY proxy, and so it's below
35 that MSY proxy, but not below MSST, and this would be the MSY
36 proxy for updating the -- We can talk about that later, when we
37 talk about the executive summary.

38
39 As we noted from the plot here on the right, we see that, for
40 almost all of the years since 1975, the stock has been
41 experiencing some level of overfishing, and what we see in the
42 depletion is kind of this ramped-up decrease, with a recovery,
43 followed by a decrease in recovery, and, over the last decade, a
44 decrease.

45
46 Now we're moving on to some of the diagnostics now, with the
47 first suite of diagnostics we'll look at being the likelihood
48 profiles. Here is the likelihood profile for steepness, across

1 values from 0.4 to 0.99. We can also zoom in on this, and we
2 can see what it looks like up close, and, while there is the
3 minimum, it's not super well estimated, because of the -- There
4 are lots of other values being similar, providing similar
5 likelihoods.

6
7 Next, we have the profile for R_0 , which shows much more of a
8 defined U that you want to see when you're looking at these
9 likelihood profiles, and, lastly, for these likelihoods, we have
10 the σ_R . I will just point out that the line at the top
11 shows what value is used in the model. The only virgin
12 recruitment appeared to be well estimated, with the data
13 agreeing on a value between 7.3 and 7.8.

14
15 These plots down here, these plots show that, across the range
16 of parameter values explored in these likelihood plots, we're
17 showing the SSB over SSB virgin for the three different
18 parameters, and so, by changing those parameters, we do see some
19 similar convergence, and so, while R_0 was the parameter that
20 appeared to be most well estimated, some of these we don't need
21 to consider, because they are not values that the model would
22 converge on, but, when we look at the information that we see
23 across the values of σ_R and the values across steepness, we
24 do see a lot of convergence there across those large range of
25 values.

26
27 The fact that those models converged, rather than diverged,
28 indicates that the model is relatively robust to those stock-
29 recruitment parameter estimates and that stock size and
30 mortality -- Stock size is not strongly impacted by the --
31 parameters.

32
33 We will also look at the profile likelihood for two parameters,
34 which are σ_R and steepness, and these are often very
35 correlated, and so it's very good to look at the contour plot,
36 and the contour plot shows that steepness values above 0.6 and
37 below 0.6 for σ_R are almost equally probable, given the
38 data, and so these are -- Again, it points to the spawner-
39 recruit relationship being poorly estimated, and so that was
40 taken into account when we get to projections, and that will
41 come up again.

42
43 Here, we see the retrospectives, which show a strong level of
44 consistency within the model, and so, as we peel back individual
45 years, we don't see pathological trends or over or
46 underestimation, and, peeling back beyond three years, there is
47 a slight tendency to -- but it's very subtle, though that's
48 good, and the magnitude of difference is minimal, and so there's

1 no trend that indicates an issue.

2
3 Next, we have just a summary plot for the jitters, and the
4 jitters also indicated that the model is fairly stable, and so
5 these panels show the results of 200 model runs, where the
6 starting parameters were jittered by 20 percent, and, in 94
7 percent of those runs, the model converged to the same
8 likelihood, and no better solution was identified, and so that's
9 good. The cases where the model did not converge means that it
10 likely found like a local minima that is a non-optimal solution,
11 and so this is a good diagnostic for the model from the jitter.

12
13 Here, we have a slide showing the sensitivity runs, and so, for
14 the sensitivity runs, we have the low M, and we have the high M,
15 and we also have the high discard mortality, and so these
16 sensitivity runs were also done for SEDAR 28. The Lorenzen
17 natural mortality rate for the low run was scaled to provide the
18 same cumulative survival as the mortality used in the South
19 Atlantic cobia stock assessment, and so that's where the low M
20 comes from, and then the high M did the same thing, but with the
21 higher, at 0.5.

22
23 The higher discard mortality, the discard mortality was doubled,
24 from 0.5 to 0.1, and so, here, we see the difference between
25 spawning output and the F over F 30 percent SPR for the
26 sensitivity runs, and so the low M resulted in the largest
27 fishing mortality, and so low M results in the largest fishing
28 mortality, as compared with the base run and the other two
29 sensitivity runs. Given that lower level of natural mortality,
30 the model predicted a higher virgin spawning stock biomass and
31 lower -- These results are similar to what was observed in the
32 SEDAR 28 low M sensitivity runs.

33
34 Increasing the natural mortality rate led to a stock that was
35 experiencing less fishing, and, given this level of natural
36 mortality, the model predicted a lower virgin stock size biomass
37 and higher current stock size biomass, relative to the base
38 model, also similar to what was observed in SEDAR 28.
39 Increasing the discard mortality rate from 0.5 to 0.1 had
40 minimal impact on the stock dynamics compared to the base case.

41
42 **CHAIRMAN POWERS:** Let me interject here. This would be a good
43 time to take a break, at least for me, and I think what we ought
44 to do now though is actually stop for questions about the
45 assessment itself, before we get into the projections, but, even
46 before that, let's take a fifteen-minute break, and then we'll
47 come back and take some questions about the assessment itself
48 and then go on with the projections.

1
2 **DR. RIOS:** Sounds good.
3
4 **CHAIRMAN POWERS:** Thank you. Fifteen minutes.
5
6 (Whereupon, a brief recess was taken.)
7
8 **CHAIRMAN POWERS:** Are there questions about the presentation and
9 about the stock assessment of cobia? It seemed to me that this
10 would be a convenient place to start taking questions about the
11 assessment itself, before we get into the projections. I would
12 open the floor for comments or questions relating to the
13 assessment. Bob.
14
15 **MR. GILL:** Could you go back to Slide 15? My question is that,
16 in SEDAR 28, we had a number of discards from the observer
17 program that, on the update, all the lengths greater than
18 ninety-six centimeters disappeared, but, since we're adding
19 observations, what happened to all the observations that we used
20 in 28 above -- Well, actually, it's above about eighty
21 centimeters.
22
23 **DR. RIOS:** I am happy to answer that. What you're seeing here
24 is not apples to apples, because the reef fish observer program
25 previously included all lengths, and so retained and discarded,
26 and so that goes into the model. You put it directly in as
27 total catch, and you can use that for selectivity and for
28 retention, but, in order to really inform retention and make the
29 most out of these discard lengths, more recent assessments have
30 been using this dataset with only the discard lengths and
31 feeding it into the model specified as only discards, and so the
32 difference that you see there is related to that, and does that
33 make sense?
34
35 **MR. GILL:** Understood. Thank you very much.
36
37 **CHAIRMAN POWERS:** Thank you. Dale Diaz.
38
39 **MR. DIAZ:** Thank you, Mr. Chair. Could you go to page 20,
40 please? My question is about shrimp discards, and I think that
41 you had talked about -- That might not be the right page, but
42 you had talked about medium discards for shrimp, and then it was
43 noticeably lower after the introduction of fish excluder devices
44 and taking into account a reduction in effort in recent years,
45 and my question was do you use the long-term median in the
46 model, or do you use something that takes into account those two
47 changes?
48

1 **DR. RIOS:** Good question. I think the best slide to go to would
2 be Slide 16. This comes into play in two parts. We are using
3 that long-term median, but the model is also taking into account
4 -- It's estimating what those removals are using information and
5 also fitting the shrimp effort index, and so we can also -- That
6 is the second part that plays into it, and so we don't have two
7 different medians accounting for these two clearly different
8 periods of selectivity, but we do have the effort index that
9 allows the model to also understand and predict what the catch
10 is, based on this effort series that it's also utilizing and
11 fitting to.

12

13 **MR. DIAZ:** Thank you.

14

15 **CHAIRMAN POWERS:** Thank you. Will Patterson.

16

17 **DR. PATTERSON:** Thanks. Could you go to Slide 26, please? For
18 these selectivity fits, I think I can understand the differences
19 here between the length and the age for commercial and
20 recreational, given the growth of the fish, but I am confused
21 about the shrimp bycatch selectivity curves. If you have 100
22 percent selectivity for fish that are greater than it looks like
23 about ten centimeters, then why don't have the same for ages
24 greater than zero or one?

25

26 **DR. RIOS:** This comes into seeing the larger cobia that are
27 observed in the length data that were used to estimate the
28 previous length-based selectivity for the shrimp bycatch, and so
29 what you see here on the right is what the age-based selectivity
30 was, calculated off of the length-based selectivity, and so what
31 we saw there was that some large cobia were forever selected for
32 by this fleet, which, given the exclusion devices, that's
33 unlikely, but what we do learn from the old assessment is the
34 high selectivity on those age-zeroes, and we are able to kind of
35 force the model to also have that, and we are able to also bring
36 that down at some point, and so perhaps it could be implemented
37 slightly differently, but it captures kind of the overall
38 understanding of which cobia are likely to be caught in the
39 shrimp fleet.

40

41 **DR. PATTERSON:** I still don't understand, but I am probably just
42 being dense. I don't get how you can have the red curve on the
43 left and the red curve on the right applying to the same
44 information.

45

46 **DR. RIOS:** I think the trick there is that SS uses -- I will see
47 if we can also unmute Shannon to maybe complement my
48 description, but I think that the age selectivity trumps, kind

1 of, the length selectivity in SS, because they apply together,
2 in a way, and so, by this going to zero, it essentially means
3 that this goes to zero, despite it not being shown here, and
4 that's one understanding of mine.

5
6 **DR. SHANNON CALAY:** Adyan is basically correct. In the former
7 model, the SEDAR 28 model, we had selectivity that was a
8 function of both length and age, and now what we're using is
9 essentially a function just of the age of the fish, and so it's
10 fully selected at age-zero, and we're assuming that length --
11 We're basically setting the length at full selection across all
12 lengths, just so that we can get it, the product of that, to be
13 that the fish are fully selected at age-zero.

14
15 The reason for the change was that we doubt that these large
16 fish that were being seen in the observer program data -- It was
17 the SEAMAP groundfish trawl, correct? Anyway, we doubt that
18 there is such large selectivity on those very old fish, the much
19 larger fish.

20
21 **DR. RIOS:** So the left and the right work together to end up
22 with the selectivity.

23
24 **DR. CALAY:** Then, in SS, sometimes you do get a product that is
25 more or less than one, and SS would scale that, essentially,
26 relativize it across the relevant size or age classes, so that
27 you wouldn't get -- You wouldn't cause fish to become selected
28 that don't exist, and so we're probably look at it's just the
29 graphing here is showing you separately the length and age-based
30 selectivity, which later becomes essentially relativized.

31
32 **DR. PATTERSON:** So it's a counterintuitive way to trick SS to do
33 what you want.

34
35 **DR. CALAY:** Yes.

36
37 **DR. PATTERSON:** Okay. Thanks.

38
39 **CHAIRMAN POWERS:** Dave Chagaris.

40
41 **DR. CHAGARIS:** Shannon basically said what I was going to say,
42 as far as the forcing the selectivity on the age-zero, and it's
43 just a different type of selectivity function.

44
45 **CHAIRMAN POWERS:** All right. Jason Adriance.

46
47 **MR. ADRIANCE:** Thanks, Mr. Chair. I had two questions. The
48 first one goes back to I think it was Slide 16, the shrimp

1 discards. The graph there on the left, is that difference in
2 SEDAR 28 and the update related to now just plugging in the
3 actual discards and not all retained cobia? That's the first
4 question.

5
6 **DR. RIOS:** There is a Bayesian approach for estimating the
7 shrimp bycatch discards, and sometimes those go into the model
8 directly, but, when there is kind of uncertainty, and as that
9 was documented in SEDAR 28, that's why they ended up with kind
10 of this two-pronged approach of using the super year and using
11 the effort index, but, going back to the difference in the plot
12 on the left, what is resulting in the difference here is that
13 Bayesian methodology that uses kind of different strata to
14 assign the different groups of types of trips and things like
15 that, and now we incorporate bycatch reduction devices into that
16 analysis, and so it's a factor that says whether or not that was
17 something that needed to be incorporated when you apply what the
18 CPUEs of bycatch were for the strata, which is defined in the
19 methodology.

20
21 **MR. ADRIANCE:** Thanks, and the second one relates to the
22 commercial landings, and did you all explore how sensitive the
23 model is to the commercial landings, because I noticed, when
24 those commercial landings started dropping, I think that's about
25 the time that the snapper derby days started, and I think, from
26 what I recall, cobia kind of fell to the wayside as an
27 opportunistic catch at that point, as opposed to targeting, as
28 boats were trying to load up on red snapper and get in, in those
29 derby days, and then we went to IFQ, but that's just out of
30 curiosity.

31
32 **DR. RIOS:** I would point to Slide 24, and so, no, we did not
33 explore sensitivity to the commercial landings, because they are
34 just -- They were actually fit with a very low CV, because of
35 the source, which is the logbook program, being a really good
36 source for this information. The recreational data, being a
37 survey, has higher CVs in this model. The dynamics just seem to
38 be really driven by what's going on with the recreational
39 landings, but that's a potential sensitivity that could be
40 requested.

41
42 **MR. ADRIANCE:** Thank you.

43
44 **CHAIRMAN POWERS:** Thank you. Jason, when was that time period
45 that you were referring to?

46
47 **MR. ADRIANCE:** I thought that -- I would have to pull my memory,
48 and I don't have it in front of me, but I thought the derby days

1 kind of started in those early 2000s, prior to the IFQ, but it's
2 a little late in the day, and I can't recall.

3
4 **MR. RINDONE:** Jason, you're correct. That's about the time that
5 that started, because the council discussions had begun on it,
6 in like 2004 and 2005 especially, and the notion that landings
7 history was going to be important in determining shares was
8 pretty pervasive, and so people were rushing to try to land what
9 they could.

10
11 **DR. RIOS:** The next slide also shows the fishing mortality by
12 fleet, and so it does show that decline, or, well, the increase
13 for commercial in the late 1980s.

14
15 **CHAIRMAN POWERS:** Thank you. Any other questions or comments?
16

17 **DR. RIOS:** I can also comment on the question about the plot on
18 Slide 12. The bottom-right here, what happened is, when we put
19 these into SS, we used bin numbers, and so this actually means
20 Bin Number 10 and Bin Number 12, and so I do have a corrected
21 version that I can share later of converting this to the correct
22 length in three-centimeter bins, and so, since our first bin
23 starts at six, this is Bin 1, 2, 3, 4, 5, and so this was just
24 that was plotted straight off of the table that I used in SS,
25 instead of converting that back, but I do have this plot
26 replaced, and so it's essentially multiplying by three and
27 adding three, so that Bin 1 would become 6, and so that's how we
28 get that discrepancy in these odd units, because these are bin
29 numbers, and I will share a corrected presentation of those
30 later.

31
32 **CHAIRMAN POWERS:** Thank you. Any other comments? If not, then
33 let's go ahead with the projections.

34
35 **PROJECTIONS**
36

37 **DR. RIOS:** Okay. The first slide about the projections are
38 notes about the projection assumptions, and the projections --
39 The proxies were calculated based on a long-term thirty-year
40 projection, and so that is just to kind of ensure that we know
41 that the model has reached equilibrium, and that is where we get
42 the proxy, and we took -- The equilibrium was assumed to be over
43 those last five years of those thirty-year projections.

44
45 MSST was defined as SSB SPR 30 times one minus M, where M was
46 0.38. Recruitment was fixed as the recent mean at 2005 to 2014,
47 because the stock recruitment function parameters were not
48 reliably estimated, and, for example, the spawner-recruit data

1 and high correlation that we saw between sigma R and steepness.

2
3 We see here the average over the entire period of which
4 recruitment deviations were estimated, as well as what's
5 considered the recent average. You don't want to use recent
6 averages too close to your terminal year, because these values,
7 this information, doesn't have a full timeline of what young
8 fish are coming in or exactly what's going on, and so you can
9 stop a few years before.

10
11 A few more settings here, and so, in general, the retained yield
12 and associated depletions that were projected use the assumption
13 that recent fishery dynamics continue, and so, for example, like
14 retention and selectivity, and so we also -- In order to define
15 relative F, we have that as the average from the final three
16 years, and so the relative F that is compared to the proxies
17 later, and so that came from the last three years of the model.

18
19 For selectivity, we just have -- Selectivity actually doesn't
20 vary over time, and so the estimate of 2019, the fleet-specific
21 selectivity, and the terminal year are actually the same
22 throughout the model and continue. For recruitment, here is the
23 average from that recent time period, and that was time-
24 invariant in the projections.

25
26 The F was defined for the shrimp bycatch at 0.0684, and that was
27 the average over the last three years of the model as well, and
28 that was time-invariant going forward in the projections.
29 Landings for 2019 had to be provided, or calculated, and we were
30 able to do that using the information on the SERO website for
31 the initial ACL information and the quota monitoring, and so we
32 were able to take those 2019 preliminary values, and, for the
33 recreational data, convert those using the three-year recent
34 calibration for FES, and so to convert these into the FES for
35 the apples-to-apples projections, to have those numbers for
36 2019.

37
38 **CHAIRMAN POWERS:** Before you go on, looking at that bottom row
39 on the left, the commercial, what you're saying is that, when
40 you use a three-year average, the 2020 landings are about twice
41 the commercial landings in the year before?

42
43 **DR. RIOS:** Yes. I think that is correct, based on this table,
44 and we also have a plot that shows -- When we take a break
45 later, I can provide a table that shows what the actual
46 commercial landings are for those final years, and I do have a
47 plot that has everything together, but, when you have everything
48 together, the difference in the commercial fishery is kind of

1 washed out, based on the --
2
3 **CHAIRMAN POWERS:** That 2017 to 2019 average would include the
4 15.98, correct?
5
6 **DR. RIOS:** Yes.
7
8 **CHAIRMAN POWERS:** So you're saying that those other two years
9 were really pretty high.
10
11 **DR. RIOS:** We can take a look at the -- Let's go back to the
12 data section for commercial.
13
14 **MR. RINDONE:** Adyan, I have the SERO numbers in front of me for
15 2017, 2018, and 2019, provisionally, since you have these
16 numbers up, and what I'm about to provide is in pounds, pounds
17 whole weight, and so the provisional landings for 2019 for the
18 commercial sector for Gulf cobia is showing about 35,000 pounds.
19 2018 is about 40,000, and 2017 is just under 74,000, and so it
20 has decreased from 2017 to 2019, with 2019 being about half of
21 what 2017 was.
22
23 **CHAIRMAN POWERS:** Okay. You forget also that the magnitude here
24 isn't very large anyway. All right. Go ahead.
25
26 **DR. RIOS:** Okay. Forecasting into 2021, because 2019 is
27 complete and the 2020 fishing year is underway, some notes on
28 uncertainty. In this model, we have some fixed parameters, like
29 mortality and growth, and so the uncertainty associated with
30 that information is not carried through into the projections,
31 and, because of the low uncertainty around the forecast yield,
32 it doesn't seem to support the use of a P* approach to setting
33 ABC, but an alternate approach could be using the optimum yield
34 of 75 percent F SPR 30, and so the projections were run doing
35 both.
36
37 Here, we have a summary table of the projection results,
38 starting with F SPR 30, which is the equilibrium F that achieves
39 SPR 30 that we got from the equilibrium projection run for the
40 last five years. We have MFMT at F SPR 30, which is the same
41 thing, and it's designed to be that, and that's the proxy. Then
42 F at optimum yield is 0.75 times the directed F at the F SPR 30
43 proxy. Then we have F current, which was defined as the average
44 of the three most recent years, and then we have the comparison
45 of this F current to the MFMT, showing a value of 1.44, which is
46 larger than one, indicating overfishing.
47
48 Moving down the table, we have the SSB F SPR 30, and that is the

1 equilibrium SSB at the F SPR 30 proxy. Here is the equation
2 used for MSST for cobia, and we mentioned it earlier, and so we
3 also have the SSB at optimum yield, which is the equilibrium SSB
4 when the directed F is 0.75 times the directed F at the F SPR 30
5 proxy.

6
7 We have here the virgin SSB and the current SSB, and then we
8 have the current SSB compared to the values above, and they're
9 starting with the SSB F SPR 30, and so the MSY proxy, and that
10 is 0.69. We see the SSB current over the MSST, and that is 1.1,
11 and so not overfishing, and we also see what the depletion is,
12 which is 21 percent.

13
14 **MR. RINDONE:** Not overfished for SSB. Overfishing is the top
15 part.

16
17 **DR. RIOS:** Yes, and then here it's above one. This slide is a
18 little busy, but we have the top table for the projections at
19 the SPR proxy, and then it's just run through the ABC using the
20 P* previously used of 0.434. These plots have the purple line
21 associated with the top table and the dotted-blue line
22 associated with the bottom table, which is the projections at
23 OY.

24
25 Because the stock is below the MSY proxy -- It's not below the
26 stock size threshold, but it is below the proxy, MSY proxy, of
27 30 percent, and it does show that a reduction in retained yield
28 is necessary to recover, and then that is shown by the two
29 lines, with the caution that the projections at the SPR P*
30 approach do not have a very wide -- It's not capturing very much
31 uncertainty, because of a lot of the fixed information going
32 into the model.

33
34 We also ran the projections using the updated FES values on the
35 SEDAR 28 model, and so that's the second line in this table, and
36 so updating the SEDAR 28 base model with the FES recreational
37 landings resulted in notably increased estimates of virgin
38 spawning stock biomass, recruitment, and projected yields.

39
40 Had FES recreational landings been available during SEDAR 28,
41 the equilibrium yield would have been about 4.87 million pounds,
42 rather than the 2.66 million pounds estimated at the time, and,
43 assuming the ABC from the SEDAR 28 FES run had been about 4.5
44 million pounds, the current recommendation of around three
45 million pounds would represent a 33 percent decrease in yield,
46 rather than the large increase that it appears to be. Also,
47 this increase isn't as drastic either when you -- When the ACLs
48 are converted into the FES units.

1
2 The last slide here is a summary, kind of capturing the points
3 that we went over, and so the Gulf of Mexico cobia are in a
4 precarious state, with overfishing occurring and biomass at
5 reduced levels of 21 percent depletion.

6
7 The transition from the Coastal Household Telephone Survey to
8 the FES recreational landings estimates contributed to a
9 majority of the change in yield recommendations when compared to
10 SEDAR 28.

11
12 The current projections -- Just a note here that the current
13 projections should be updated regularly to account for changes
14 in recruitment dynamics and, to just complement the stock
15 assessment, I will note that we do also have a summary of the
16 socioeconomic and ecosystem considerations as supplementary
17 information from the council's survey, which found a negative
18 trend associated with the majority of survey respondents,
19 indicating smaller cobia, or also changes in the migration, and
20 so topics like what's going on with how to account for migration
21 or things like that are interesting topics for further research.
22 The findings from that survey also are compatible with what
23 we're seeing from the SEDAR 28 update assessment, and that is
24 the last slide, and I'm open for questions.

25
26 **CHAIRMAN POWERS:** Go back to the previous slide. Ryan, is this
27 fishery classified as approaching an overfished condition or
28 something? That is a legal definition, I believe.

29
30 **MR. RINDONE:** If the current spawning stock biomass was below
31 MSST, it would be considered overfished. Based on the data that
32 Adyan has shown, the current harvest levels, even though we're
33 seeing some decreased yields in recent years, or decreased
34 landings in recent years, the stock has seen its biomass
35 depressed over that same time period, and, since it's in an
36 overfishing condition, based on the geometric mean of the last
37 three years over MFMT, it would suggest that some manner of
38 reduction in fishing mortality will be necessary to ensure that
39 we do not continue to overfish the stock.

40
41 If we do continue to overfish the stock, then it's reasonable to
42 surmise that it could end up in an overfished condition,
43 assuming everything else remains constant, and so, as it stands,
44 if you guys accept these results as they are, the council will
45 be compelled to do something to end overfishing, but, at this
46 point, a rebuilding plan would not be called for.

47
48 **CHAIRMAN POWERS:** The reason I brought it up is I was thinking

1 that there was a classification that, if a stock was approaching
2 an overfished condition, there were certain steps that had to be
3 taken, and apparently that's an older one.

4
5 Clearly, whatever recommendations we make, they would presumably
6 address those sorts of overfishing issues, but I was thinking
7 more about the legal sorts of ramifications. All right. Are
8 there any other questions about the projections, or, before I
9 open it up, one of the recommendations there was that the P*
10 approach -- It was felt that it was not appropriate and that the
11 F 0.75 at F 30 percent SPR be used as an alternative for
12 defining ABC, and is that correct?

13
14 **DR. RIOS:** Yes, and so, just to point to what was done
15 previously, after SEDAR 28, there was an averaging approach that
16 used three different mortality levels, I believe, and so that's
17 another way to kind of get at accounting for the known
18 uncertainty associated with fixed parameters, but so is the OY
19 approach.

20
21 **CHAIRMAN POWERS:** The reason I brought it up is because we just
22 had this discussion about yellowtail, and we may or may not use
23 the P*, and I would like to have -- If we choose not to, to make
24 sure that the justifications line up with that. The first
25 comment is Dale Diaz.

26
27 **MR. DIAZ:** Thank you, Mr. Chair. I just want to compliment the
28 presenter. Page 43 was extremely helpful for me, and I like the
29 way you had that laid out. In the previous stock assessment, I
30 had a hard time really getting a grip on going back and forth
31 with the numbers, but the previous slide, right before where we
32 was at, and, anyway, that really helped me, and thank you for
33 doing that, and I would encourage you to keep that type of
34 information in future stock assessments, for folks like me that
35 don't bounce between these numbers that much. Thank you.

36
37 **DR. RIOS:** Thanks, Dale.

38
39 **CHAIRMAN POWERS:** Thank you. I believe Doug Gregory is next.

40
41 **MR. GREGORY:** Thank you, and I agree with Dale that it's nice to
42 see it in both currencies. My question, Adyan, and it's a very
43 good presentation, and thank you, but where did you get the P*
44 of 0.434 for your ABC slide, and I think it was Number 41?

45
46 **DR. RIOS:** Let me check my notes and get back to you. I believe
47 it was some sort of cobia documentation, but I can't recall
48 exactly where from.

1
2 **MR. GREGORY:** Maybe we used it in our previous assessment, but
3 we have a spreadsheet that we go through to calculate P*
4 ourselves, and, lately, we've been coming up with something
5 closer to 0.3, and I don't know how much of a difference that
6 would make in your comparison between OY and the P* approach.
7 Thank you.
8
9 **DR. CALAY:** We can easily calculate any P* that the SSC
10 specifies.
11
12 **CHAIRMAN POWERS:** All right. Thank you. If we do want to
13 specify something, we should -- Even though she says they can do
14 any one, I doubt if you can do umpty-ump, and so, if we want to
15 do that, let's think a little bit about a single estimate or a
16 suite of a few estimates. Ryan.
17
18 **MR. RINDONE:** First, to pile on with what Dale said about it
19 being a good presentation, I agree, and I specifically want to
20 point out Slide 18, Adyan, and I thought that that was
21 wonderful. That's a really great walkthrough of how you got
22 from where you started to where you ended up, and, personally, I
23 would like to see this every time, and I think this is great.
24
25 The second thing, to Doug's point, the P* of 0.434 comes from
26 the SSC's review of SEDAR 28, and we provide summaries of the
27 Gulf SSC's reviews of all stock assessments to SEDAR, and those
28 are stored on the SEDAR website, and so you guys can see those
29 there, and they're essentially just excerpts from the SSC
30 summary reports, but that's where that number came from.
31
32 **MR. GREGORY:** So I doubt it would change if we went through the
33 spreadsheet again. Okay. Thank you.
34
35 **DR. RIOS:** Thanks, Ryan.
36
37 **CHAIRMAN POWERS:** Thank you. All right. We have to go through
38 the -- Doug wants to speak again. Go ahead, Doug.
39
40 **MR. GREGORY:** Well, I just wanted to note that, for the
41 vermilion assessment, we received the same recommendation of
42 bypassing P* and just going with OY, and we did it, I think,
43 without comparing the two, and I think this kind of
44 recommendation is becoming more and more common, and that's why
45 I said what I did about yellowtail earlier. It's certainly much
46 simpler to go with our OY approach, and we end up in the same
47 ballpark, or maybe even a little more conservative, with OY.
48

1 **CHAIRMAN POWERS:** Thank you.
2
3 **MR. GREGORY:** If we ever have our workshop, we'll probably end
4 up going in a direction like that, eventually.
5
6 **CHAIRMAN POWERS:** If we ever stop having these meetings, we
7 might have it. Will.
8
9 **DR. PATTERSON:** Doug mentioned earlier the approach that I
10 advocated for, and I've done it a few times, but most recently
11 last year, about using OY as part of the control rule, but, in
12 that case, the OY was not proposed as the ABC, but as the ACT,
13 and so to work with the council to change the approach so that
14 the target in any given year would be actually the yield, the
15 estimated yield, at the FOY estimate, or proxy, and so, in this
16 case, at 75 percent F 30 percent SPR, you're basically using the
17 OY proxy, but, in this case, for ABC and not the ACT.
18
19 It's possible that they could end up being the same value,
20 because the ABC will constrain the ACL, and then, if there's not
21 significant management uncertainty, the council could set the
22 ACT exactly equal to the ACL, and so I just wanted to point that
23 out, for starters.
24
25 Secondly, I don't remember the meeting, but it was within the
26 past six months or so, and we had a presentation and some
27 information that was presented, and I think Shannon presented
28 it, but I could be wrong there, but it was basically an idea
29 that was, I think, originally floated by Clay Porch, which was
30 to come up with a simplified control rule that dealt with
31 percentages of reduction in the F from the OFL to our ABC, and
32 one of those would be to have the ABC at 75 percent, but then to
33 have --
34
35 That would be in severe cases, where there was a lot of
36 uncertainty, or the stock was in bad shape, and then we talked
37 about the potential for having a range of percentiles between
38 100 percent of the OFL and 75 percent of the OFL, and so we're
39 not married to this 75 percent FMSY. That's just what we've
40 used in a few cases in the past.
41
42 **CHAIRMAN POWERS:** Thank you. All right. We have to go through
43 the same situation for this document as we struggled with with
44 the yellowtail snapper. My suggestion is that we have a motion
45 very much like the first motion for yellowtail, about this is
46 the best available information and the status is not overfished
47 and undergoing overfishing. Let's try to get that one out of
48 the way first, and it's the SEDAR 28 update, I guess, and it's

1 Gulf migratory group or Gulf group, or I'm not sure how you --
2
3 **MR. RINDONE:** Gulf migratory group cobia.
4
5 **CHAIRMAN POWERS:** The stock is not overfished, but is undergoing
6 overfishing. Is that a motion that somebody could go along
7 with?
8
9 **DR. NANCE:** Joe, it should be "but" instead of "and".
10
11 **CHAIRMAN POWERS:** Yes, but.
12
13 **DR. NANCE:** I will make the motion.
14
15 **CHAIRMAN POWERS:** All right. Thank you. Is there a second?
16
17 **DR. BARBIERI:** Second.
18
19 **CHAIRMAN POWERS:** All right. Any more discussion on this? **If**
20 **not, is there any objection to this motion? Hearing none, then**
21 **the motion carries by consensus.**
22
23 Now I'm a little reluctant to get into an ABC and OFL discussion
24 at this late in the day, and I -- Given what we've gone through
25 with yellowtail, and the fact that we'll kind of revisit the
26 yellowtail first thing in the morning, I would suggest that we
27 might adjourn here, with the idea, again, of coming back to the
28 OFL and ABC sorts of discussions second on the agenda tomorrow
29 morning, after the yellowtail. Is there anybody that doesn't
30 wish to do that?
31
32 **MR. RINDONE:** Mr. Chair, we have the Science Center folks
33 tomorrow until about lunchtime.
34
35 **CHAIRMAN POWERS:** Okay, and so we have to get it resolved.
36 Will.
37
38 **DR. PATTERSON:** I was just going to say that we should just go
39 ahead and pull the Band-Aid off right now, if only to work our
40 way through the table, and, if folks are too spent from a day of
41 webinar, then I think at least it would be good if they pulled
42 up the control rule table themselves and tried to work through
43 it, so at least we can hit the ground running in the morning and
44 everybody has had a chance to kind of think about it some.
45
46 **CHAIRMAN POWERS:** All right, and the suggestion from Will is
47 that we -- What was your wording? Luiz.
48

1 **DR. BARBIERI:** I just want to make sure that I understand what
2 you're saying, Will. Are you suggesting that we actually go
3 ahead and use our control rule, ABC control rule, table?
4

5 **DR. PATTERSON:** I am saying that we should, as an option, if
6 that's going to be one of the options to pick from, that we
7 should just go ahead and work through the table to produce the
8 P*, and so Adyan has given us the ABC based on the P* of 0.434,
9 and why not just go ahead and work through the table and give
10 her the P* that we select, based on the table, and then we can
11 discuss the merits of using that approach after the fact, but at
12 least have the P* produced.
13

14 **CHAIRMAN POWERS:** Now I understand.
15

16 **MR. GREGORY:** I have a request for Ryan. Ryan, if you could
17 send us the table we used last time, for comparison, if not just
18 to use it as a base to modify, if things have changed, and that
19 will speed things along.
20

21 **MR. RINDONE:** Please hold for station identification.
22

23 **CHAIRMAN POWERS:** Thank you. I will just wait for Ryan, or, if
24 anybody else has something to say, feel free.
25

26 **MR. RINDONE:** I am sending you the Gulf SSC review, because I
27 don't actually have that table, and for me to dive into Steven's
28 archives will not be a fast endeavor.
29

30 **MR. GREGORY:** I didn't expect it right away.
31

32 **MR. RINDONE:** Well, it's on the way. Again, this is the summary
33 from SEDAR 28, and a screenshot of the table is in there, so you
34 guys can see how you had it parameterized, and you might need to
35 blow it up, for those with waning vision.
36

37 **CHAIRMAN POWERS:** Shannon, do you get tired of this? This
38 spreadsheet has a history.
39

40 **DR. CALAY:** I do regret -- Every time that we open it again, I
41 regret my life sometimes. We had high hopes, Joe. It was well
42 intended.
43

44 **CHAIRMAN POWERS:** All right. Will, are you familiar enough with
45 this to kind of walk through it? I have a hard time seeing the
46 lines there, and so I can't read it.
47

48 **MR. RINDONE:** Mr. Chair, I have the Excel version of it, and I

1 forget which species this was used for, but I can easily change
2 the inputs, based on what you guys select, and I can do that as
3 you talk, if you like.

4
5 **CHAIRMAN POWERS:** My difficulty is that the printing is too
6 small for me to read, and so I can't really lead the discussion.

7
8 **DR. PATTERSON:** I am happy to read through it, Joe, if you want
9 me to.

10
11 **CHAIRMAN POWERS:** Go ahead, Will.

12
13 **DR. PATTERSON:** In the first dimension here about assessment
14 information, last time, it was scored as quantitative, age-
15 structured assessment provides estimates of either exploitation
16 or biomass, but requires proxy reference points. It seems to me
17 that we're probably in the same spot here. The one above it
18 includes MSY-derived benchmarks, which we don't have, and the
19 one below it is quantitative non-age-structured assessment and
20 reference points may be based on proxies. Does anybody disagree
21 that we should score this dimension the same as last time?
22 Hearing no disagreements, let's scroll down. Now we have the
23 dimension of characterization of uncertainty, and I'm not sure
24 how we got a 999 on that, but --

25
26 **MR. RINDONE:** I just deleted the old reading on it, and so, from
27 the last time, you guys had selected the second-from-the-bottom,
28 and let me go back to the Excel. That states that the OFL PDF
29 provided by the assessment includes an incomplete approximation
30 of observation and process error and uncertainty in important
31 inputs, such as natural mortality, discard rates, discard
32 mortality, age and growth, landings before consistent reporting.
33 Has been described with sensitivity runs, but full uncertainty
34 has not been carried forward.

35
36 **DR. PATTERSON:** The one below that then says the OFL provided by
37 the assessment does not include uncertainty in important inputs
38 and parameters, and the one above it is the OFL PDF provided by
39 the assessment model includes an approximation of observation
40 and process error. The uncertainty in important inputs, such as
41 natural mortality, discard rates, discard mortality, age and
42 growth parameters, landings before consistent reporting. Has
43 been described with sensitivity runs, and the full uncertainty
44 has been carried forward into the projections.

45
46 Again, it seems to me that the scoring here should be the same
47 as last time. The OFL PDF provided by the assessment model
48 includes an incomplete approximation of observation and process

1 error. Does anybody feel differently about this one? I am not
2 hearing any objections.
3
4 Now we have some questions about retrospective patterns.
5 Retrospective patterns have been described and are not
6 significant, retrospective patterns have been described and are
7 moderately significant, or retrospective patterns have not been
8 described or are large. What is the sentiment here?
9
10 **CHAIRMAN POWERS:** Patterns have been looked at, and they didn't
11 appear to be significant.
12
13 **DR. PATTERSON:** Yes, I agree, Joe. I think this one moves up
14 one notch, or maybe to the top.
15
16 **CHAIRMAN POWERS:** We could do that, too.
17
18 **DR. PATTERSON:** To the top or to the middle?
19
20 **MR. RINDONE:** Last time, the same result was garnered that the
21 retrospective patterns were described and were not determined to
22 be significant, and so, again, the screenshot you see right here
23 is from the review of SEDAR 28 from 2013.
24
25 **DR. PATTERSON:** Okay. I thought it was the bottom one, and so
26 we're in the same boat. Does everybody agree with that? All
27 right. Lastly, known environmental covariates are accounted for
28 in the assessment, known environmental covariates are partially
29 accounted for in the assessment, or known environmental
30 covariates are not accounted for in this assessment.
31
32 **MR. RINDONE:** Last time, you guys selected that known
33 environmental covariates are accounted for in the assessment,
34 and so, last time, the top one was selected.
35
36 **DR. PATTERSON:** I think the idea here is there were no unknown
37 environmental covariates and not that there were known
38 covariates and they were explicitly accounted for.
39
40 **DR. BARBIERI:** I think you're right, Will. That's my
41 recollection as well. We went around and around and around
42 about whether there were known and not accounted for or unknown
43 and accounted for.
44
45 **DR. PATTERSON:** Yes, the Rumsfeld argument.
46
47 **MR. RINDONE:** So, in seeing no changes, that does get you guys
48 back to the P* value garnered from the original review of SEDAR

1 28 of 0.434.

2
3 **DR. PATTERSON:** I don't think we've finished up that last one.

4
5 **MR. RINDONE:** Okay. Let me get back.

6
7 **DR. PATTERSON:** We've had a substantial oil spill, and we've had
8 red tide events, invasive lionfish, which may or may not have
9 any impact on cobia, and they are some environmental covariates
10 that folks may think they aren't worthy of consideration or are
11 necessary to consider with cobia, but I think we probably should
12 discuss this one a little bit. Thoughts?

13
14 **DR. BARBIERI:** I don't know, Will. I mean, this is one of those
15 tiers or dimensions of this table that we've always had problems
16 with, but I don't know how to score this one.

17
18 **DR. PATTERSON:** Well, it's definitely not in the middle, from my
19 perspective, because nothing is accounted for, and so it
20 couldn't be partially accounted for, and so we're either in
21 there are known environmental covariates which are accounted for
22 in the assessment or there are known environmental covariates
23 which are not accounted for. My sense is that we're in that
24 last category, but that's only one opinion.

25
26 **MR. MARESKA:** I tend to agree with you. There are a lot of
27 things that have happened in the past ten years that are
28 definitely not accounted for.

29
30 **MR. ADRIANCE:** I would agree with that as well.

31
32 **DR. PATTERSON:** Okay, and so we have a few voices there. Does
33 anybody disagree with that assessment?

34
35 **MR. GILL:** I don't, but why would this tier not be better
36 represented by deleting the word "known"? Even in that context,
37 it would seem to me to be the bottom, but why would that not be
38 a better way to express where we are in the assessments?

39
40 **DR. PATTERSON:** Bob, that may be a perfect point to make in
41 Joe's committee.

42
43 **MR. RINDONE:** Mr. Gill, in the past, as it relates to this part
44 of the uncertainty dimension, you guys have expressed a desire
45 to use the word "known" because it's difficult to try to
46 quantify what you don't know that you don't know, and so, if you
47 know that there is something that could have had an effect,
48 either based on commensurate species or common sense or whatever

1 it is that you might leverage in that particular case, you at
2 least know that a particular covariate could have reasonably had
3 some sort of effect, and, whether it was able to be estimable or
4 not, you're still aware that some effect probably existed,
5 whereas, if you had no idea that it could have happened, then
6 there's no way to quantify that.

7
8 **CHAIRMAN POWERS:** I do take Will's and Bob's suggestion that
9 this needs to be looked at when we go through revising the
10 control rule, which is a committee that I have yet to start, a
11 sub-committee. Okay, Will.

12
13 **DR. PATTERSON:** Okay, and so, back to the scoring, it sounds
14 like we've completed this, and does anybody disagree?

15
16 **MR. GREGORY:** I just want to point something out. According to
17 the assessment, this stock has been overfished since the 1980s.
18 What environmental covariates would have influenced either since
19 the 1980s or, more recently, that might affect the stock?

20
21 **CHAIRMAN POWERS:** It's overfishing since the 1980s.

22
23 **MR. GREGORY:** Right, and that's what we're accounting for
24 already, and that's not an environmental covariate, and so,
25 unless there was some data that we could use, or something new
26 is available that could go back at least to the 1980s that we
27 could associated, then I am back to the original zero, because
28 we're just guessing.

29
30 **DR. PATTERSON:** Well, Doug, it doesn't say that there has to be
31 a clear mechanism to incorporate that into the assessment. It
32 just says whether there are known environmental covariates which
33 were or were not accounted for, and it seems to me that --

34
35 **MR. GREGORY:** Which means that we would choose the 2.0 for every
36 assessment we do, and we haven't been doing that. I don't know
37 what we've been doing from assessment to assessment, if we've
38 always chosen the zero, and now we're going to flip it and
39 always choose two, and that would be problematic, but I don't --
40 I was hoping, when we came up with this in the beginning, that
41 this would be used to start looking at environmental covariates
42 in our assessments, because -- Much like we did with red
43 grouper.

44
45 I thought that was the beginning, but it's not happening.
46 Ecosystem ideas are going off in a different direction, but
47 they're not coming together, and so that's my concern, just a
48 lack of consistency.

1
2 **DR. PATTERSON:** Thanks, Doug.
3
4 **DR. NANCE:** I think what the intent here was like red tide and
5 things like that, and I'm leaving towards leaving it like it
6 was, just because there are many, many things out there that we
7 don't know, and I can't think of the ones that we haven't
8 accounted for.
9
10 **DR. PATTERSON:** The intent of this, remember, is to discount OFL
11 to ABC, based upon scientific uncertainty, and it's not saying
12 that you have to clearly be able to incorporate any of these
13 parameters, given the state of knowledge and modeling skill, et
14 cetera, that exists in the modeling platforms being used. This
15 is a means by which to discount OFL to ABC based on uncertainty.
16
17 **DR. NANCE:** The intent is just to give us a bigger buffer,
18 right?
19
20 **DR. PATTERSON:** The result would be a bigger buffer. The intent
21 is to score it relative to the rule.
22
23 **DR. NANCE:** Yes, and I said it wrong. Because we don't know all
24 the things, the environmental covariates, that we haven't
25 accounted for, it gives us a larger buffer to be able to fall
26 back on.
27
28 **DR. PATTERSON:** Yes, and, to Doug's point earlier about what the
29 trends have been since the 1980s, what we're saying here is that
30 we don't have the ability to account for this amount of process
31 error in the assessment, and so the productivity estimates, the
32 amount due to some of these environmental covariates, has not
33 been even attempted to be accounted for, and we can't say
34 whether they had an effect or not, just because the trend is
35 going up or down, but we're saying that we haven't attempted to
36 account for them.
37
38 **DR. NANCE:** I agree with you.
39
40 **DR. PATTERSON:** That was a pretty good discussion. Does anybody
41 else feel similarly to Doug about changing back to the original
42 designation, or do we have more or less a consensus? I turn it
43 back to you, Mr. Chairman.
44
45 **CHAIRMAN POWERS:** Okay. What's the number? I can't read that.
46
47 **MR. RINDONE:** 0.398.
48

1 **CHAIRMAN POWERS:** Okay. So 40 percent instead of 43 percent.
2 All right. Then, Shannon, that can be implemented in, and we
3 might deal with that tomorrow?
4

5 **DR. CALAY:** I will let Adyan speak for herself.
6

7 **DR. RIOS:** I think so. Just not first thing in the morning.
8

9 **CHAIRMAN POWERS:** No. All right. Thank you, Will, for
10 reminding me of this spreadsheet. One of the difficulties in
11 this is the scoring, obviously, can be weighted out any way you
12 want to look at it, and the way it was done originally, the way
13 I did it originally, it does sort of compact the outcomes into
14 something closer to 50 percent than general perception would do,
15 and so I think that's the difficulty that we're having and the
16 reason for wanting to revisit all of this. All right.
17

18 With that, if there's no other comments, then I would like to
19 adjourn for the evening and come back with the yellowtail
20 snapper at 9:00 Eastern tomorrow morning. Is there any
21 objection to that? If none, then tomorrow morning. Thank you.
22

23 (Whereupon, the meeting recessed on July 21, 2020.)
24

25 - - -

26
27 July 22, 2020
28

29 WEDNESDAY MORNING SESSION
30

31 - - -
32

33 The Joint Meeting of the Gulf of Mexico Fishery Management
34 Council Standing and Special Reef Fish, Mackerel, Ecosystem, and
35 Socioeconomic Scientific and Statistical Committees and the
36 South Atlantic Fishery Management Council Scientific and
37 Statistical Committee reconvened via webinar on Wednesday
38 morning, July 22, 2020, and was called to order by Chairman Joe
39 Powers.
40

41 **CONTINUED DISCUSSION OF SEDAR 64**
42

43 **CHAIRMAN POWERS:** Good morning, everyone. I hope you had a
44 pleasant evening. The way we left the agenda yesterday, we were
45 going to deal with yellowtail snapper first thing in the
46 morning, and where we left it was there was a motion on the
47 floor, which we had tabled, but, before we get to that motion,
48 the reason we tabled it was to explore particularly the South

1 Atlantic's control rule process, in terms of developing P*.

2
3 I think, at this point, I would like to know what results do we
4 have relative to that, and perhaps because Mike Errigo had
5 originally suggested that he would be able to help in that
6 process, maybe he could talk a little bit about what is the
7 South Atlantic control rule and then also the results, if that's
8 possible.

9
10 **DR. ERRIGO:** Yes, I can, and that would be fine. If you would
11 like, I could take control of the screen and show you the
12 control rule that we used and then the results of that control
13 rule.

14
15 **CHAIRMAN POWERS:** Yes, that would be helpful.

16
17 **DR. ERRIGO:** Our control rule has a lot of different tiers,
18 depending on the type of assessment that was performed, and so
19 this was a quantitative assessment, and so we'll go down to that
20 section of the control rule, which is here. There are four
21 dimensions to determining the P* for a quantitative assessment.

22
23 The first is the assessment information, and so we just go
24 through and we show does it have estimates of exploitation of
25 biomass, includes MSY-derived benchmarks, and Number 2 is
26 reliable measures of exploitation or biomass, but there are no
27 MSY benchmarks, and we use proxies instead.

28
29 That is the dimension that we used for -- That's the tier that
30 we used for this one, is Tier 2, and so each one of these
31 percentages is how much you would deduct from a 50 percent
32 probability of overfishing, and so, for this one, we deducted a
33 2.5 percent probability of overfishing from the 50 percent, and
34 so I will go through all the scoring later, but assessment
35 information is basically how much information did the assessment
36 give us reliably.

37
38 The second dimension is the uncertainty characterization, and
39 there are very few assessments that fall under a complete
40 uncertainty in both assessment inputs and environmental
41 conditions, and we haven't run into anything like that yet.

42
43 For this assessment, we chose the medium, that uncertainties are
44 addressed by a statistical technique and sensitivities, but full
45 uncertainty is not carried forward in projections, and that's
46 because the SS 3 doesn't have a full MCMC -- Correct me if I'm
47 wrong in the newest version, but, as far as I understand SS 3,
48 it doesn't have a full MCMC resampling in the forward

1 projections, and it does in the model runs, but not in the
2 forward projections, which the Beaufort Lab does, and so the
3 assessments that do have that get a high Tier 2, but this one we
4 chose medium, Tier 3, and so that's 5 percent, right here.

5
6 Just so you guys know, this is our current control rule, and we
7 are revamping our control rule to change some of these things,
8 and third is stock status. For this one, yellowtail snapper was
9 neither overfished nor overfishing, and the stock biomass -- It
10 had a high stock biomass and low exploitation relative to the
11 benchmarks, and so it was zero percent. Tier 1 is a zero
12 percent deduction.

13
14 The last dimension is the productivity and susceptibility
15 analysis that was done by MRAG, and so, depending on what
16 category it fell into, that determines how much is deducted from
17 the 50 percent probability, and so yellowtail snapper is a
18 medium risk, and that was a 5 percent, and so here's the full --
19 Here is Dimension 1, and it was 2.5, and Dimension 2 was 5
20 percent, Dimension 3 was zero percent, and Dimension 4 was 5
21 percent, and so that's an adjustment of 12.5 percent, and the P*
22 value was 37.5 percent. That's our P* value that we came up
23 with, using our control rule.

24
25 **CHAIRMAN POWERS:** Thank you. Then, Chris and Shanae, that was
26 folded into another column in that table, or is that we can just
27 apply it ourselves?

28
29 **MS. ALLEN:** Did the document come through? I just sent it not
30 too long ago, and I summarized the new P* scenario projection in
31 a Word document.

32
33 **MS. MATOS:** Yes, it did. Sorry, but I did not see it. Do you
34 want me to pull that one up?

35
36 **MS. ALLEN:** Yes. That would be great. Thank you. The tables
37 are included in the later pages, and the same tabulated version
38 that we had before, but let me preface first by saying that
39 there are some additional changes, and I apologize for these
40 changes that have been -- Each time we present projections,
41 we're kind of presenting something a little bit different, but
42 we are improving them as we go, and this is a learning process
43 for me, of course, and so next time I will know.

44
45 I am unsure of how to do the P* scenario using the default SS
46 projections, which is what we have previously presented
47 yesterday, and also what is written up in the executive summary,
48 and so I was working with the Southeast Fisheries Science

1 Center, Nathan Vaughan in particular, who does their
2 projections, and he supplied us with R code to do the P*
3 projections.

4
5 It's a little bit different than what we did before, because it
6 specifies an annual -- Well, it specifies fleet-specific Fs for
7 every single year, so that you match your landings. Whatever
8 that target is, you match that target exactly every year, and,
9 again, this is a learning process for me, and so I'm still
10 figuring it out, all the details and how it differs with the
11 default method in SS, but these plots will look slightly
12 different, and I included F at 30 percent SPR, which would be
13 our OFL, and the P* scenario, and so, in the second paragraph,
14 which is right above the figures, you can see that explaining
15 how we get to the ABC, which is defined as the 37.5 quantile of
16 the equilibrium OFL distribution, and so that distribution is
17 assumed to be normal.

18
19 It comes out of the default projections in SS when you run them
20 out to a very -- Out a hundred years, and you see where things
21 stabilize and aren't changing at all, and so, that last year,
22 the OFL is based on the mean and the standard error that comes
23 out of the model, and so that mean is very close to what we
24 presented yesterday, about 1,600 metric tons, or 3.5 million
25 pounds, and a standard deviation of 142 metric tons, or 0.32
26 million pounds.

27
28 Again, if you want to go down to the bottom, actually the very
29 last figure, which is after the tables on the last page, this
30 one just shows how close the ABC is to the OFL, and, again,
31 because of the issues that we talked about before, those
32 standard errors and that distribution being quite narrow. Then
33 you can go back up to the top again, and sorry that we're
34 bouncing all over the place here.

35
36 Those figures on the left is the retained yield, and what you
37 will see in the gap years, which is 2018 and 2019, and I know
38 they're quite small, but those years are slightly different than
39 what we presented yesterday, because this method allows you to
40 fit those given landings exactly, and it will let you fit them
41 in biomass or numbers, whereas, our method that we were using
42 before, everything had to be in biomass, and so the MRIP --

43
44 It estimates a higher F in 2018 than what it did when retained
45 landings for MRIP were input as biomass instead of numbers, and
46 so things are slightly different using this method, because it
47 has more capabilities, or more flexibility, I should say, but I
48 am still trying to understand why -- The ABC comes out to be

1 about 97.2 percent of the OFL, but, as you can see in these
2 figures, the green dotted line is the ABC, and the red is the
3 OFL, or F at 30 percent SPR, and they are pretty much all
4 overlapping.

5
6 I did expect to see more of a difference there, and I've been
7 poring over everything, over and over again, trying to figure it
8 out, why it doesn't come out to be a little more different than
9 that, but I'm not sure. On the right then is spawning stock
10 biomass, and, again, they are pretty much overlaid, giving the
11 same result.

12
13 **CHAIRMAN POWERS:** All right. Thank you. I think you had some
14 tables down below, which I think we should look at.

15
16 **MS. ALLEN:** Yes.

17
18 **CHAIRMAN POWERS:** All right, and so this is what the projections
19 would be under these circumstances. Shanae, you referred to the
20 ABC and a reduction from the equilibrium yield, and I think it
21 really is more -- You can think of it in terms of the annual
22 projections, basically these numbers, and I think that's
23 something that we should focus on. What was the next table? Is
24 that spawning stock biomass?

25
26 **MS. ALLEN:** Yes.

27
28 **CHAIRMAN POWERS:** I just wanted to know if I was missing
29 something. All right. Thank you. In essence, this is the
30 projections with the P*, the South Atlantic's control rule,
31 which we have suggested that the South Atlantic kind of take
32 preference over this, in terms of these sorts of decisions, and
33 we can compare that to the tables that we had yesterday, and
34 then also compare it to the original motion that we have, but,
35 first up, I think Ryan has his hand up.

36
37 **MR. RINDONE:** Thank you, Mr. Chair. Shanae, can you scroll down
38 a little bit? Okay, and so it gets close there towards the end.
39 I just had a couple of people ask if the ABC is exceeding the
40 OFL in the out years, and it looks like it doesn't, but it gets
41 awfully close, probably closer than we're going to be able to
42 discern from a quota monitoring standpoint.

43
44 The other thing was is it possible for you to send the
45 projections file to Meetings, to be distributed to the SSC, so
46 that they can poke around at that?

47
48 **MS. ALLEN:** Yes, absolutely. I can send that to that same

1 meetings@gulfcouncil.org?

2
3 **MR. RINDONE:** Yes, and then the last thing was -- I am thinking
4 about the current quota that we have in MRFSS, and I'm looking
5 at -- If you scroll back up, I'm looking at what we could
6 presume from a three or a five-year average from the boxes in
7 green there, and I am trying to reconcile in my head how the
8 stock, presumably being as healthy as it is, could be resulting
9 in -- When you consider FES, it's basically going to be a
10 reduction in landings, and I know we haven't really just laid
11 that out there on the table, but, thinking about this on the
12 backend, and how we're going to have to try to describe this and
13 reconcile this, I certainly would like to hear from you guys and
14 some guidance on that, so that we know what to tell the council
15 when we have to present this information to them.

16
17 **CHAIRMAN POWERS:** Thank you. That sort of brings up the point
18 that 2020 is just about over, and, well, not exactly, but a good
19 proportion of 2020 has already gone on, and these projections
20 basically say that the catches in this example will be five
21 million pounds, or 4.9 million pounds.

22
23 If they are lower than that, then those projections for 2021,
24 2022, 2023, and 2024 would be higher, and so my question is, is
25 there any information about what's gone on this year thus far
26 for yellowtail snapper?

27
28 **MR. RINDONE:** I will bring up what I brought up yesterday
29 following Dr. Serchuk's comment about effort, and the State of
30 Florida anyway, which is probably the only relevant one in this
31 case, has reported quite a bit of recreational angler activity
32 during the COVID months, with people being at home and otherwise
33 not working and having time to be able to hit the boat ramps.

34
35 I know I saw -- This is obviously anecdotal, and take it for
36 what you will, but plenty of social media posts about lines at
37 boat ramps that were hours and hours long for people trying to
38 be able to get out on the water, and so I don't presume that
39 there would have been a shortage of fishing effort.

40
41 How that translates directly to yellowtail snapper, we'll need
42 the data to be able to tell us, and so that's not to say that we
43 couldn't hit that projected 5.007 million pounds, but I
44 certainly don't think that we should expect that we're going to
45 miss it by some considerable margin either.

46
47 **CHAIRMAN POWERS:** Thanks. Doug Gregory.

48

1 **MR. GREGORY:** Thank you. Good morning. A couple of things. I
2 believe the fishing season for yellowtail is from August to
3 July, and so the current fishing season is almost over, and I
4 presume these numbers are calendar year numbers, and so the
5 other thing that -- I don't know what the percentage is, but my
6 understanding is that the ABCs have not even come close to being
7 caught in previous years, and so I don't know how that factors
8 into this, but that's my understanding.

9
10 I'm sure that Mike or somebody has those numbers that can give
11 us some insight, but I think what Ryan brought up originally
12 about these estimates, no matter which way we go, seem to be a
13 reduction in current ABC recommendations, and maybe we need to
14 verify that, because I am confused about that part of it. Thank
15 you.

16
17 **CHAIRMAN POWERS:** Bob.

18
19 **MR. GILL:** Thank you, Mr. Chairman. Shanae, could you scroll
20 back to the retained yield curve? When you compare what I call
21 the OFL line, the F 30 percent SPR line yield curve, on the
22 screen now, and you compare that to the one yesterday, they're
23 different, and you were playing with P* affecting ABC, but why
24 is there a difference in the OFL line?

25
26 **MS. ALLEN:** The reason, like what I previously stated about --
27 For this analysis, we are using code provided by the Southeast
28 Fisheries Science Center and developed by Nathan Vaughan, for a
29 couple of reasons. First is that I am not sure how to -- I am
30 not sure how to do the P* scenario using SS default forecasting,
31 like what we were using before, and I'm new to this, and so, if
32 anybody can chime in and let me know, that would be great,
33 because then we would be more apples to apples, and so that's
34 one reason.

35
36 Another reason is because the code is an improvement, and it
37 allows for the gap years to be fit exactly, and it allows the
38 values, retained landing values, to be fit in both biomass and
39 numbers, which, of course, for MRIP makes a difference. As you
40 can see, in 2018, it's quite a bit higher than what it was when
41 you input just the retained biomass in metric tons. That's
42 another reason.

43
44 The third reason is it allows for fleet allocations to be
45 specified and kept constant each year in the projection. As I
46 understand it, SS, the default method, what I'll just call the
47 default method, what we have been using, it doesn't guarantee
48 that those allocations are going to be met each year, that are

1 going to be kept constant each year, and, if we're headed in
2 that direction, if there's going to be some sort of fleet
3 allocation that needs to be applied, then we would probably want
4 to stick with this method. It's more robust in that way. Does
5 that answer your question? Again, I apologize for the changes,
6 and I am just learning through all of this, and so --

7
8 **MR. GILL:** Thank you, Shanae. I apologize, because I wasn't
9 picking up that that was going to change the old OFL curve, and
10 so thank you.

11
12 **CHAIRMAN POWERS:** Thank you. What about the issue that Doug
13 brought up? Apparently I missed that, that the fishing year is
14 different from the calendar year, and so the quota monitoring is
15 done August through July?

16
17 **MS. ALLEN:** As I understand it, that's correct.

18
19 **CHAIRMAN POWERS:** Ryan.

20
21 **MR. RINDONE:** I'm sorry, but we were pow-wowwing. Can you
22 repeat the question?

23
24 **CHAIRMAN POWERS:** The question that Doug brought up about the
25 fishing year, I wasn't totally aware of that, but so the quota
26 monitoring is done on an August to July basis?

27
28 **MR. RINDONE:** Yes, and that has to do with a seasonal change
29 that was done to try to make sure that any closure of the
30 commercial sector for the South Atlantic occurred during the
31 summer months and corresponded with the peak of yellowtail
32 spawning season. Yellowtail spawn year-round, but the most
33 activity is during those summer months, and so, if there was
34 going to be another closure, it would coincide during that time
35 period.

36
37 **CHAIRMAN POWERS:** But the assessment is done on a calendar year
38 basis, correct?

39
40 **MR. RINDONE:** I believe so.

41
42 **MS. ALLEN:** Yes.

43
44 **MR. SWANSON:** That's correct.

45
46 **MR. RINDONE:** So there may be -- Well, there is, I guess for
47 last year, and I didn't recall specifically when that seasonal
48 change went into effect, and it was either effective for last

1 year or the year before, but it's pretty recent, but there would
2 have been closures for the commercial sector for the South
3 Atlantic for last year.

4
5 The Gulf has not closed, ever, but the South Atlantic has seen
6 some commercial closures, and I don't think they've seen a
7 recreational closure in a decade, and it's been a while since
8 I've looked at those data specifically, but Mike might be able
9 to speak to closure history for the South Atlantic better than I
10 can.

11
12 **CHAIRMAN POWERS:** Thank you for pointing that out. David
13 Chagaris, did you have a thought?

14
15 **DR. CHAGARIS:** Yes, and thank you. If you could scroll down to
16 the retained yield table, or, Shanae, maybe you just know it,
17 but does it reach equilibrium at the same point in the 30
18 percent SPR? What's the last number in that row?

19
20 **MS. ALLEN:** Well, I actually ran this out a hundred years, but I
21 just cut it off in twenty years, to match what we were looking
22 at before, but all are run out to a hundred years, and there is
23 very minor -- There are some --

24
25 **DR. CHAGARIS:** It's in the hundreds of decimal --

26
27 **MS. ALLEN:** Yes, and it doesn't even out until like 2057, and so
28 like another twenty years, and then it's the same for fifty
29 years after that or so.

30
31 **DR. CHAGARIS:** So the difference then is in the trajectory in
32 the first few years, getting to that point, which I don't know
33 how the P* projections are working, but it sounds like, if
34 they're able to fix F and do the allocation thing, then it could
35 be affecting selectivity in one of the fleets, and so maybe it's
36 more of the yield is going to a fleet with the selectivity
37 that's removing the older fish, and I'm just speculating on some
38 potential causes for that, but I don't have any idea why there's
39 such little separation between the P* and the 30 percent
40 projection. I would expect there to be a little bit more
41 difference.

42
43 **MS. ALLEN:** I agree, Dave, and I'm really trying to figure it
44 out.

45
46 **DR. CHAGARIS:** I'm trying to figure it out, too.

47
48 **CHAIRMAN POWERS:** Mike Travis.

1
2 **DR. TRAVIS:** I have a little bit of information to contribute to
3 this discussion, but not as much as we might hope. I was
4 looking at the ACL monitoring data, and, for the South Atlantic
5 commercial, and this is germane to the whole fishing year issue,
6 because the fishing year is getting ready to end in nine days,
7 and so, as of July 20, the South Atlantic commercial ACL has
8 harvested about 87 percent. For the South Atlantic recreational
9 ACL, they have only harvested 15 percent, but be careful,
10 because we only have data for Wave 1 of Calendar Year 2020, and
11 so, what has happened since then, we don't know yet, and it's
12 obviously affected by COVID-19 and the effects on MRIP.

13
14 Then, in the Gulf, the combined ACL, they have only harvested
15 about 32 percent of that, as of July 20, and so, as of right
16 now, only about 48 percent of the stock ACL has been harvested,
17 and, again, that's not complete data on the recreational side in
18 either the Gulf or the South Atlantic.

19
20 **CHAIRMAN POWERS:** Thank you. Ryan.

21
22 **MR. RINDONE:** Thank you, sir. It looks like Regulatory
23 Amendment 25 is what implemented the seasonal change for
24 yellowtail snapper, and that took effect on August 12, 2016, and
25 so it would have resulted in a closure in 2017, 2018, and 2019,
26 if the ACL had been met, which I think it did in two out of
27 those three years, and maybe it was 2017 that was the year that
28 didn't have the closure, but I think 2018 and 2019 did.

29
30 **CHAIRMAN POWERS:** Thank you. Could you go back up to the green
31 part of this table? This is the projection scenario that we
32 have, and we also have the projection scenarios that we looked
33 at yesterday, which are close to these. We also -- I mean,
34 there's a discussion about what happened in the 2020 year, or is
35 happening in the 2020 year, and let me paraphrase what I've just
36 heard, and correct me if I'm wrong.

37
38 The catches are not expected to -- Well, there's no indication
39 that the catches are especially high or especially low. I mean,
40 there's nothing that really indicates that, and what Ryan just
41 said is that, in terms of the commercial sector, the previous
42 three years, they have run up to the limit anyway. That implies
43 to me that there's really no expectation that 2020 is remarkably
44 different than what the previous catches are.

45
46 Where are then? We do have a motion on the floor, which we have
47 tabled. We do have these other projections, and we have the
48 projections that we just looked at, plus the ones from

1 yesterday. Luiz.

2
3 **DR. BARBIERI:** Thank you, Mr. Chairman. I just wanted to add
4 something here, in terms of the motion that is on the floor
5 right now, that perhaps we want to update the figures that Bob
6 recommended there for OFL and ABC, because, if we update the OFL
7 and the ABC yield streams from the new -- Using the new
8 projections that Shanae just provided, we end up with some
9 different figures there for OFL and ABC, as the average of those
10 three years for the period 2021 to 2023, and those figures would
11 be 4.169 for the OFL and 4.127 for the ABC.

12
13 **CHAIRMAN POWERS:** Thank you. I mean, we could do this by
14 doctoring this motion or just having a substitute motion.
15 Because this has some life to it, why don't we just say, Luiz,
16 that you have just made a substitute motion, in which case those
17 numbers are what you just indicated, and so, this way, we would
18 know kind of what the history is of what we're dealing with
19 here.

20
21 **MR. GILL:** Mr. Chairman, I agree with Luiz's basis of updating
22 the numbers in the motion to the new projections, but my sense,
23 from the numbers that Luiz quoted, is he used the P* number, and
24 that's not the same as the motion for ABC.

25
26 **DR. BARBIERI:** I'm sorry, Bob. You're correct, yes.

27
28 **CHAIRMAN POWERS:** All right. Luiz, then say what this motion
29 is, and that was one of the reasons that I wanted to keep it
30 separate. You're saying basically that the OFL is defined as
31 the yield at F 30 percent, and it's 4.169, and then, that second
32 sentence, how would you word it?

33
34 **DR. BARBIERI:** Well, I'm still trying to get my bearings here,
35 because the projections -- I understand that Shanae explained
36 that there's different methods, depending on what they use in
37 the projection methodologies that there are in SS, or you use
38 the code that Nathan provided, but I was just trying to generate
39 -- To go back to the motion that Bob made yesterday that was not
40 based on the P*, and so, if there was no modification to the
41 yield streams, if we go back to using the yield streams for OFL
42 and ABC that we had yesterday, the table that Chris Swanson sent
43 us, then I guess we would go back to the values that were in
44 Bob's original motion.

45
46 **CHAIRMAN POWERS:** You are confusing me, Luiz. Are you making a
47 motion?

48

1 **DR. BARBIERI:** I am not, Mr. Chairman. I am sorry. I am
2 confused with the different yield streams, and so let me try and
3 get my head back together here. Sorry. I withdraw my comments.
4

5 **CHAIRMAN POWERS:** Okay. Then there is no substitute motion.
6

7 **MR. GILL:** Mr. Chairman, one of the questions that Luiz is
8 really raising is are we accepting the new projections, or are
9 we sticking with the projections that we were utilizing
10 yesterday, and where I thought Luiz was going was accepting the
11 new projections, and therefore revising the motion, I guess
12 which is currently untabled, but updating the numbers to the new
13 projections, and, as far as I know, we don't have the 75 percent
14 of the 30 percent curve, and I agree with that concept if we're
15 accepting the new projections, and I don't know if we are or we
16 aren't, but I think that's a topic we need to settle on.
17

18 **CHAIRMAN POWERS:** All right. Thank you. We have several
19 people, and let me deal with Will Patterson, and then Jim Tolan,
20 and then we'll go to Shanae. Will.
21

22 **DR. PATTERSON:** I propose that we do accept the new projections,
23 and I have sent a substitute motion to meetings@gulfcouncil.org.
24

25 **CHAIRMAN POWERS:** Okay. Thank you. Jim, do you want to enter
26 in now?
27

28 **DR. TOLAN:** Thank you, Mr. Chairman. I will withdraw, and I
29 will put my hand down, and I would like to see the substitute
30 motion that Will has offered up before I say anything else.
31 Thanks.
32

33 **CHAIRMAN POWERS:** While we're looking at that, Shanae.
34

35 **MS. ALLEN:** Thank you, Mr. Chairman. I was just saying that we
36 could have, potentially, another scenario prepared very shortly
37 about -- If there was interest in having the 75 percent at F of
38 SPR scenario in this new method, and we could have that
39 available, and it's more of what Will said yesterday, where it's
40 actually 75 percent of the OFL, and so there's a slight little
41 difference in the definition there.
42

43 **CHAIRMAN POWERS:** Thank you. There is a substitute motion on
44 the floor from Will Patterson, and is there a second?
45

46 **DR. NANCE:** I will second it, Joe.
47

48 **CHAIRMAN POWERS:** There is a second. All right. You can read

1 it. Is there more discussion about this? Do people understand
2 what we have here? Will, do you want to say anything further
3 about it?

4
5 **DR. PATTERSON:** No, and I think it's pretty self-explanatory. I
6 mean, this is the traditional approach that we used for years,
7 and we've been utilizing the mean over that time period when we
8 get a spike in projections, like we see here, and so this is
9 pretty much standard operating procedure in recent years from
10 us.

11
12 **CHAIRMAN POWERS:** All right. Genny.

13
14 **DR. NESSLAGE:** Thank you, Mr. Chair. I appreciate both SSCs
15 entertaining our ABC control rule, and this motion, if I'm
16 understanding, looks good to me. I guess the one thing that I
17 would just want to say is that, because the -- I think Shanae
18 was trying to say this yesterday, but, because the uncertainty
19 around the OFL is so tight, and so the distribution is so
20 narrow, as you can see, our P* of 37.5 percent is actually very
21 close the OFL, and, hence, the projections overlap, but that
22 also implies that we're probably not capturing all the
23 uncertainty in the OFL, which means that P* of 37.5 percent is
24 probably not being achieved, and we're probably underestimating
25 our probability of overfishing.

26
27 We wouldn't be going over 50 percent, and so we're still within
28 our bounds, but I just wanted to bring that up, because I think,
29 at least in the South Atlantic, when we're tasked with reviewing
30 an assessment and setting ABCs, we're typically asked to also
31 characterize the uncertainty, not just in the assessment, but in
32 the ABCs and the overfishing/overfished status estimates, and so
33 I guess the council is always looking for some information about
34 how uncertain these projections and the ABCs are.

35
36 I'm fine with this motion, but I just would suggest that Joe and
37 I, when we characterize this, or describe and explain this, to
38 our respective councils, that we also let them know that this
39 probability of overfishing is probably underestimated, just so
40 that they have that information in their back pocket and they
41 understand what they're doing when they're setting their ACLs,
42 and so thank you.

43
44 **CHAIRMAN POWERS:** Yes, and I think that's an important point. I
45 mean, this has always been an issue with these P*s, is how well
46 they really characterize the uncertainty, but I think there are
47 a number of people, and Jim Nance had his hand up first, and
48 then Jim Tolan, but we'll start with Jim Nance.

1
2 **DR. NANCE:** Joe, thanks. I like this one, only because of the
3 fact that, instead of just arbitrarily choosing 0.75, you're
4 using a P* value, and you know how it's been calculated, and so
5 that's why I like the substitute motion, is we know where these
6 numbers are coming from. Thank you.

7
8 **CHAIRMAN POWERS:** Thank you. Jim Tolan, did you have something
9 further to say?

10
11 **DR. TOLAN:** Yes, and thank you, Mr. Chairman. I think the
12 substitute motion that Will has put together really captures it
13 well, and I will only bring up one other point, and I brought
14 this up yesterday, to Bob's original motion. Given the
15 discussion we've had about this species, do we still want to
16 operate on a three-year window, or should we stretch it out to a
17 five-year horizon for these projections? Thank you.

18
19 **CHAIRMAN POWERS:** Thank you. Will and then Paul Sammarco.

20
21 **DR. PATTERSON:** I think the points that Genny made are
22 important, and, in the language here, in the report, we
23 certainly should stress that it's unlikely that the PDF, given
24 how pointed it is, is unlikely to fully capture all the
25 uncertainty in the assessment.

26
27 A couple of things on the other side of that, as far as how
28 conservative or precautionary the 4.12-million-pound ABC would
29 be, it's that the landings for this stock have been around four
30 million pounds, plus or minus a bit, for quite some time, and
31 the stock isn't showing signs of being overfished or
32 overfishing, and it's estimated to be well above, in fact, its
33 threshold value for SSB, and, also, we didn't use the 2020 year
34 in the projections, from the projections, to estimate this.

35
36 Based on the rationale that was discussed yesterday, I stuck
37 with that. However, the projected OFL for 2020 was around five
38 million pounds, and so some of that is going to be left on the
39 table as well, and so that kind of balances out this issue, I
40 think, of how much precaution is actually in that 4.12-million-
41 pound ABC.

42
43 **CHAIRMAN POWERS:** Thank you. Paul Sammarco and then Chris
44 Swanson.

45
46 **DR. SAMMARCO:** Thank you, Mr. Chairman. Just a couple of small
47 points. The first thing is I think that really both of these
48 motions are pretty good, and I just lean probably towards the

1 second one, but I think a lot of thought has gone into them, and
2 they hold up pretty well.

3
4 The second thing is just a quick point. I also think it's good
5 that the projections sort of are curtailed at 2037, I think it
6 was, and the reason for this is because it's really hard to
7 predict beyond this, because of environmental conditions, which
8 may change over the next fifty years or a hundred years or
9 whatever, and seawater warming, which is not the least, and I
10 think, by 2040, seawater temperature is predicted to go up by
11 about a half a degree Fahrenheit.

12
13 Of course, it will go up more after that, and so you just never
14 know what these outlying factors, or environmental factors, are
15 that may affect these populations. Probably small bites into
16 the future is best, because they're the most reliable, and
17 that's just the point that I wanted to make, and thank you very
18 much.

19
20 **CHAIRMAN POWERS:** Thank you. Chris Swanson.

21
22 **MR. SWANSON:** Thank you, Mr. Chair. This is just a question,
23 more of a number check, for the substitute motion. For the OFL
24 that is presented on the page here, at 4.27 million pounds for
25 those year periods, I get that value for the average years for
26 2020 to 2024, and so the five-year average. The three-year
27 average for 2021 to 2023 would be 4.17.

28
29 **CHAIRMAN POWERS:** Will, do you want to comment on that?

30
31 **DR. PATTERSON:** I am just checking my math.

32
33 **CHAIRMAN POWERS:** Okay. Let's go ahead then with Luiz. You
34 were next up, before we change anything.

35
36 **DR. BARBIERI:** I was trying to also find down here what the size
37 of the buffer is, in percentage, and, now that Chris made that
38 correction there, I am unsure of what the actual OFL and the ABC
39 values would be for this motion, but the values that we had
40 before, 4.27 and the 4.12, were giving us a buffer of about 3.5
41 percent, which I think is well below the buffers that we usually
42 have when applying our ABC control rule and the P* methodology
43 to come up with our ABC recommendations.

44
45 I think it is important for us, before jumping into proposing
46 the use of some alternative method that departs from our ABC
47 control rule, for us to see what values we get from the P*, from
48 applying the P*, first, because that will give us a more

1 objective way to evaluate what the actual magnitude of the
2 buffer is and then evaluate whether we are being able to capture
3 the uncertainty.

4
5 I think that's the point that Genny, and I agree with her, but
6 that Genny was trying to make, that we need to -- If we were to
7 approve and pass this motion, it would be good to give the
8 council a better idea that most likely this buffer is so small
9 that we are not properly capturing the uncertainty, and so I am
10 not in support of this motion, and I feel that the previous one
11 that Bob originally presented would provide a more reasonable
12 buffer, and that was 12 percent, which is about the size buffers
13 that historically, when we use the application of the ABC
14 control rule, when the P* methods are applied, within the range
15 of buffers that we want to accept between the ABC and the OFL.

16
17 **CHAIRMAN POWERS:** Thank you. Ryan.

18
19 **MR. RINDONE:** Thank you, Mr. Chair. Chris and Shanae, I was
20 looking at the presentation that you guys gave yesterday,
21 specifically the last two slides, Slides 97 and 98, where you
22 compared the non-calibrated and calibrated recreational landings
23 for the Gulf, including the Keys, and then the Atlantic separate
24 from the Keys.

25
26 I am looking at these differences between the base ACAL and FCAL
27 numbers, which the SSC got to learn a little bit more, or the
28 Gulf SSC got to learn a little bit more about a couple of weeks
29 ago, and the South Atlantic SSC learned more about how this is
30 done last August, and, again, just going back to that question
31 that I posed before about trying to reconcile what we're looking
32 at here, a 4.27 -- Well, a four-point-anything-million-pound
33 catch limit in FES is going to be -- It's going to be equivalent
34 to a decrease in catch compared to the current MRFSS catch limit
35 of -- It's about four million pounds combined for the Gulf and
36 the Atlantic.

37
38 We're going to have to be able to explain this, about why we're
39 seeing a reduction in the catch limit for a stock that's, if I
40 recall, is at about twice what it needs to be, and I forget
41 exactly what the ratio of SSB to SSB MSY was, but the stock is
42 quite healthy, and we're looking at what will, in effect, be a
43 reduction in catch, and both Mike and I are going to need to be
44 able to describe why that is when our councils ask, and Genny
45 and Joe probably as well, and so they're going to want to know,
46 and so any light you can shed on why that is is going to be
47 critical for us.

1 **CHAIRMAN POWERS:** Thank you. Jason.
2
3 **MR. ADRIANCE:** I think Ryan answered my question in his comment,
4 and I had confused myself, and maybe I haven't had enough
5 coffee, but I was curious about the units we were in for the
6 motion, but I think I have figured it out.
7
8 The other thing that I wanted to mention is I think Jim makes a
9 good point about potentially looking at five years, for those
10 reasons that he mentioned. Thank you.
11
12 **CHAIRMAN POWERS:** Thank you. Points of clarification then.
13 Will, did you want to -- You said you wanted to check the
14 arithmetic.
15
16 **DR. PATTERSON:** Yes, and I don't actually have the table. I
17 couldn't open the file that was sent, and so I don't have the
18 numbers in front of me.
19
20 **CHAIRMAN POWERS:** Okay. What we're looking for there is average
21 of what?
22
23 **DR. NANCE:** 2021, 2022, and 2023.
24
25 **CHAIRMAN POWERS:** So 4.399, 4.086, and 3.897.
26
27 **DR. PATTERSON:** So Chris is right. It's 4.17.
28
29 **CHAIRMAN POWERS:** Okay. Then what about the 4.12?
30
31 **MR. SWANSON:** The 4.12 was correct in the bottom portion of it,
32 but it was just the 4.27 that I saw was based off of 2020 to
33 2024, instead of 2021 to 2023.
34
35 **CHAIRMAN POWERS:** Okay. Thank you. All right. Shanae, go
36 ahead.
37
38 **MS. ALLEN:** Thank you, Mr. Chair. Just two little pieces of
39 clarification to some questions that got brought up. To Luiz's
40 point, a P* value of 0.75 would equate to 97.2 percent of the
41 OFL, meaning that there would be a buffer of 0.028, or about 3
42 percent, and so I think he said that.
43
44 Also, to the other point about why the current ACL is so high
45 compared to our results, the previous assessment was orders of
46 magnitude larger than what -- Well, perhaps not that much.
47 Chris, if you can chime in and remember what the average SSB was
48 from that, the previous model, compared to what we have, and I

1 forget how many times higher it was, but it was quite a bit, and
2 so keep in mind that that was what was informing the current ACL
3 that we have now, and also to keep in mind too that I don't
4 think that a lot of the fleets have met the ACL in the Gulf, and
5 the recreational in the South Atlantic.

6

7 **CHAIRMAN POWERS:** Thank you. Luiz.

8

9 **DR. BARBIERI:** Thank you, Mr. Chairman. Shanae, thank you for
10 that clarification, because I was going to raise this question.
11 I am still confused about what the landings have been in the
12 years prior to the assessment and then how they compare with the
13 projected values there that we have the yield streams for, the
14 OFL and the ABC and the different scenarios there.

15

16 I think your statement there, Shanae, clarified to me that this
17 assessment actually updates estimates of stock productivity and
18 standing biomass, the SSB, in a way that perhaps adjusts that
19 what has been estimated before to something that is perhaps more
20 realistic, and so that would explain why the values are not
21 continually increasing here.

22

23 Then I wanted to make another point. The 4.17 and the 4.12
24 there, we have a buffer of about 1 percent between ABC and OFL,
25 just to reinforce my previous point that I think that Bob's
26 motion, that way, gives us a better buffer between ABC and OFL,
27 more realistic, and kind of allows us to acknowledge that, for
28 one reason or another, the P* approach applied to yellowtail
29 snapper in this assessment is not properly capturing the
30 uncertainty that should be there. Thank you.

31

32 **CHAIRMAN POWERS:** A clarification only, Shanae or Chris Swanson.

33

34 **MS. ALLEN:** Go ahead, Chris.

35

36 **MR. SWANSON:** This was just a clarification to talking about the
37 previous assessment, if you could share my screen. This was
38 part of the presentation that we gave to the review workshop
39 that was discussing some of the model-bridging exercises that we
40 did to try to figure out how the results between the ASAP
41 Version 2 and the data change with MRIP was affecting model
42 results and the conclusions that we have reached.

43

44 What I will show is, here in this graph, the gray line here is
45 the spawning stock biomass estimated by the SEDAR 27 age-based
46 model, and this is in metric tons, and so we're between 6,000
47 and 10,000 metric tons, versus, if you took that same data
48 stream that was in there and configured it in the way that we

1 had it for SEDAR 64, it brings it down much lower, to what we're
2 actually seeing now, and these numbers were really inflated.

3
4 What we discovered that had to do with was the configuration of
5 ASAP Version 2 only let you have like one weighted-age matrix
6 that encompasses all of the fleets, whereas, if you updated it
7 to Version 3, and you got to create a weighted-age matrix for
8 each fleet, and that's the same idea that we can do with SS,
9 that type of flexibility, and so what we saw is that, on the
10 left-hand plot here, if you took that data here in the gray, and
11 this is spawning stock biomass, and, if you took that data, and
12 then you allowed it to have separate weighted-age matrices for
13 each fleet, that same data produced these results, which is more
14 in line with the results from the previous SEDAR, SEDAR 3, done
15 in 2003 using the ICA model, and our results that we presented
16 in SEDAR 64.

17
18 Because of the version difference and limitation with ASAP
19 Version 2, it kind of created this situation where it inflated
20 the stock size estimates as to what was available, and, thus,
21 what the ABC was set at, and so, in that scenario from the
22 previous SEDAR, it predicted much higher biomass and much lower
23 Fs than what either of the SEDAR 3 ICA model or ours are, and
24 so, just with updating that weighted-age matrix capability, that
25 same data will bring it down to what is more in agreement with
26 what we're seeing, both in the past and now, and it brings those
27 F values up to what we are seeing in SEDAR 3 and now, and so I
28 hope this provides some clarity into some of the issues being
29 discussed regarding the numbers for the last SEDAR.

30
31 **CHAIRMAN POWERS:** Thank you. We have already decided that this
32 represents the best scientific information available and there
33 is no overfishing and no overfished. We're getting to the point
34 that we need to move ahead here, and so I will continue
35 discussion for a little bit more, but we need to move ahead.
36 Scott Crosson.

37
38 **DR. CROSSON:** Mr. Chair, I'm not a stock assessment scientist,
39 and I'm an economist, but I can see some of the discomfort about
40 the numbers we're battling around and what the management impact
41 is going to be for the councils, and so I'm wondering whether it
42 might be appropriate for this joint meeting to table this
43 measure, this ABC setting entirely, right now and just send it
44 to the South Atlantic SSC or to a joint sub-committee, because
45 I'm not sure that the outcome of this is going to properly
46 reflect our SSC's input.

47
48 We lost a couple of stock assessment people today that are not

1 here for the meeting, and I'm not sure that this is going in a
2 constructive direction, and I might be wrong, and, again, I'm
3 not a stock assessment scientist by background, but that's just
4 something that I was thinking about.

5
6 **CHAIRMAN POWERS:** Thank you. Perhaps Genny can help us here.

7
8 **DR. NESSLAGE:** I think I was going to say something similar, and
9 Scott said it well, and I'm becoming less comfortable with my
10 understanding of the assessment that I thought I had yesterday,
11 and we did lose two of our stock assessment folks from the South
12 Atlantic, and, given your process and your structure with
13 voting, I'm a bit concerned that there's underrepresentation of
14 the South Atlantic at this meeting right now, and I personally
15 would like a chance to look more closely at the change in the
16 magnitude and what's causing that.

17
18 I guess I have questions about ten weighted-age matrices being
19 used and whatnot, and I can hear that you're -- It sounds like
20 you have other things on your agenda that you're worried about
21 covering as well, and so I don't know, procedurally, if staff
22 could speak to how we could move forward with this in a more
23 productive fashion and make sure that there is adequate review
24 by both SSCs.

25
26 I just worry that, if we continue and we make a decision here,
27 that the council is going to bounce it right back at us, and
28 then so maybe we could put a little bit more work into this
29 before we make a final decision, and that's just my
30 recommendation and my question to staff, if possible.

31
32 **CHAIRMAN POWERS:** Thank you. I tend to agree with you. Then it
33 becomes a question of timing and things like that, and is there
34 a scheduled SSC meeting for the South Atlantic sometime soon?

35
36 **DR. ERRIGO:** We do have a scheduled webinar coming up. This
37 wasn't noticed on it, but I can see if I can get that changed,
38 to put this on there, on the agenda.

39
40 **MR. RINDONE:** You guys should really try the SSC meeting every
41 week approach. It's fantastic.

42
43 **CHAIRMAN POWERS:** You may think so.

44
45 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Chairman, we talked about this
46 for a long time, I think, with Mr. Carmichael, and I believe
47 Chip, in various emails, and, I mean, the folks that are
48 representing the South Atlantic SSC, and I think, Luiz, you're

1 also on both SSCs, correct, Dr. Barbieri, and that you were
2 going to represent and take this information back to your
3 standing SSC at the South Atlantic, and so I don't think that
4 should be a reason that you don't vote and take action on this
5 today, but, if there are other deeper reasons and concerns about
6 the assessment, that's different.

7
8 **CHAIRMAN POWERS:** Thank you. I understand what you're saying
9 about representation and things like that, but concerns about
10 the assessment -- I think there are obviously concerns with not
11 so much the assessment, and let's get the wording right, but
12 it's really about the interpretation of the projections and
13 things like that, and that is, as you say, another issue.
14 Genny.

15
16 **DR. NESSLAGE:** I just wanted to follow up on Carrie's comments,
17 and so is the idea then that whatever motion is made here that
18 we would bring that back to our SSC for final approval, and so
19 we would have a chance to adjust it, or this is the final -- I
20 am confused on the process, and is this the final decision then
21 that would be binding, essentially, for both SSCs, and then it
22 would go forward to the council, or would the South Atlantic SSC
23 have an opportunity to review and possibly change this
24 recommendation?

25
26 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Chairman, my understanding is
27 that you are representing the South Atlantic SSC, and this is
28 the motion that is final, and you are deciding on yellowtail
29 snapper, and you can take this information back to the council
30 as it stands, and that's my understanding of your process, but
31 maybe Mike or Chip should jump in.

32
33 **DR. ERRIGO:** It was my understanding that this was the final
34 decision to be made. It could be reviewed again at the South
35 Atlantic SSC, if the -- Which would happen after the council
36 meeting, if the council wants that to happen, but it was my
37 understanding that this was the final decision.

38
39 **CHAIRMAN POWERS:** All right. Anne Lange.

40
41 **MS. LANGE:** I think that this should be held off until we have
42 more time, as Genny suggested in her previous comment, to
43 review. The assessment is fine, but the question, to me, is
44 what we're looking at for OFL and ABC.

45
46 These two motions that are standing here are significantly
47 different, and we have a P* from an ABC control rule that we
48 use, and it has come up with the second results, the results of

1 the second motion, and I think it is worth further discussion
2 within both, or among both, SSCs on what the final motion should
3 be, and I think that discussion is warranted, and that's not to
4 necessarily go against what Carrie was saying, but we haven't
5 necessarily come to a conclusion as a group here today.

6
7 **CHAIRMAN POWERS:** Clearly. We need -- The suggestion that I
8 have heard here is, one, that there is confusion, unclarity,
9 about how one approaches the OFL and ABC process, as indicated
10 by these two motions, and some of the differences in it, and
11 some of the questions about that. There has been a suggestion
12 that we table this, or to essentially punt it to the South
13 Atlantic SSC, and those are kind of the options. Will
14 Patterson.

15
16 **DR. PATTERSON:** From the discussion, it seems to me that the
17 different sources of consternation, or anxiety, about actually
18 voting on this, there are really three. One is different
19 processes are used in the Gulf SSC for the South Atlantic, and,
20 when we've met before, this issue of developing consensus versus
21 voting on motions, and there's that sort of conflict that
22 exists, and so I understand that, and I don't want to force
23 anybody from the South Atlantic SSC to vote on something they
24 are not ready to.

25
26 Also, there's this issue of whether you have a sufficient
27 representation here at this meeting, and the second issue is
28 really about methods for the projections, and I think Shanae did
29 a good job of saying where she was uncertain, but then also
30 filling in details of why the differences between the original
31 projection with the default tool in SS versus the code that she
32 got from Vaughan from the Southeast Fisheries Science Center and
33 why there was a little bit of a divergence there, which made
34 sense to me.

35
36 The third thing seems to be the one that people are most worried
37 about here, or concerned about, is this idea of there being an
38 insufficient buffer between OFL and ABC, and, while the P*-
39 computed ABC here really isn't a true target, in the sense of
40 what Caddy talked about and others, of thresholds and targets
41 and actually trying to achieve your target and avoiding the
42 threshold, we can kind of think of it as such here, at least on
43 an annualized basis.

44
45 As stocks approach their target SSB, which would be 40 percent
46 SPR in this case, the difference between the threshold value for
47 the overfishing limit in a given year and the target value is
48 going to shrink, and so we have a stock here that's estimated to

1 be well above its spawning stock biomass threshold. Therefore,
2 the small target here is not as concerning to me as it would be
3 for a stock that had a much lower relative to its threshold SSB
4 estimate.

5
6 I understand the consternation about this limited buffer, and we
7 seem to always deal with this, because the PDFs tend to be not
8 very broad in the assessments that we do in the region, but, in
9 this case, I am less uncomfortable with it, because of that
10 issue of where the stock biomass is estimated to be.

11
12 **CHAIRMAN POWERS:** Thank you. Doug Gregory.

13
14 **MR. GREGORY:** Thank you, sir. I am willing to punt this over to
15 the South Atlantic Council SSC. This was scheduled for
16 yesterday, and it's gone to a second day, and we've lost some
17 people, and we have relied on them to, I guess, take the first
18 cut at in the past, is my interpretation of what Ryan said
19 yesterday, and why we're using their control rule, and so I'm
20 comfortable with them reviewing it at their meeting and making a
21 decision for all of us.

22
23 **MR. RINDONE:** Mr. Chair, just to provide more clarification for
24 what Doug said, the last time, when we did SEDAR 27A, and it was
25 reviewed in 2011, and it was a joint meeting then as well
26 between the Gulf and South Atlantic SSCs, which each voted
27 separately on the motions for OFL and ABC for the results from
28 that assessment, and so it was done jointly then.

29
30 If you guys send this to the South Atlantic SSC to consider, it
31 will still have to come back to the Gulf, and you guys will have
32 to make a formal recommendation, either in concurrence or not,
33 whatever the circumstance might be, to the Gulf Council, but, if
34 the recommendations between the SSCs don't line up, because we
35 do share this stock and we manage it by apportionment, we will
36 have to come to a mutual agreement, in some fashion or another,
37 at some point, which is why we met jointly last time and why
38 we're meeting jointly this time.

39
40 **CHAIRMAN POWERS:** Carrie, to that point?

41
42 **EXECUTIVE DIRECTOR SIMMONS:** Thank you. I think Ryan covered
43 it.

44
45 **CHAIRMAN POWERS:** Well, Julie.

46
47 **DR. NEER:** I think I'm good. Ryan and the others have basically
48 said that, yes, this is a joint stock, and we need to come to

1 some resolution. I think one of the concerns is that this was
2 scheduled for yesterday and that the South Atlantic has lost
3 some of their representation today, since this ran over, and I
4 understand that concern, but, yes, it is joint, and so we need
5 some combo deal from you guys at some point, and how we make
6 that happen is, I guess, up to you guys.

7

8 **CHAIRMAN POWERS:** Scott Crosson.

9

10 **DR. CROSSON:** To that point, I guess, we have dealt with other
11 issues with the Mid-Atlantic SSC on our side of Florida for
12 blue-line tilefish and coming up with a joint ABC, and, in that
13 point, we did it sequentially, where one SSC came up with a
14 number and then the other SSC agreed with it, and so that is
15 possible.

16

17 **CHAIRMAN POWERS:** All right. I want to shut this off. The
18 sense that I'm getting is that, basically, let's punt this to
19 the South Atlantic SSC, and that it will have to come back to
20 us, and hopefully their arguments will be so convincing that we
21 will accept that by consensus. Is there any objection to
22 recommending that this be addressed by the SSC of the South
23 Atlantic Council? Carrie, did you want to speak?

24

25 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Chairman, I would just suggest
26 that we handle this together, and I will get with John
27 Carmichael and his staff, and we'll try to figure out when we
28 can get an SSC meeting together. In the virtual world we live
29 in, hopefully we can get a meeting together and take care of
30 this.

31

32 **CHAIRMAN POWERS:** A joint meeting?

33

34 **EXECUTIVE DIRECTOR SIMMONS:** Yes, and that would be ideal at
35 this point.

36

37 **CHAIRMAN POWERS:** I would -- Okay. All right. Fine. Is there
38 any objection to that protocol, and, essentially, both the
39 substitute motion and the motion would be tabled until such
40 time. **Is there any objection to that? No objection.**

41

42 All right. Let's take a ten-minute break, and then we have to
43 come back to the cobia, and hopefully we can move much more
44 quickly, because we have to finish before noon Eastern time, and
45 so let's take a ten-minute break.

46

47 (Whereupon, a brief recess was taken.)

48

1 **CONTINUED DISCUSSION OF SEDAR 28 UPDATE**

2
3 **CHAIRMAN POWERS:** We left this with a similar sort of situation,
4 that we wanted to look at the P* sort of approach to the cobia,
5 and do we have anything to look at there?
6

7 **DR. RIOS:** I believe this is the Version 2, and so the slide
8 that has the projections table near the end has the updated
9 values. The far-right column here has been updated to have the
10 P* of 0.398, and so that's the ABC series there.
11

12 **CHAIRMAN POWERS:** Thank you. All right. Let's take a moment to
13 kind of peruse this, because this is the first I've seen it.
14 Remind me again, real quickly, what, more or less, the current
15 yields have been?
16

17 **MR. RINDONE:** One second. In 2020, and this is only through a
18 couple of days ago, and it probably only includes MRIP Wave 1,
19 there have been 550 pounds reported landed for Wave 1. For last
20 year, for 2019, the recreational landings were just under
21 600,000 pounds, and commercial landings were about 35,000
22 pounds, and so a total of about 630,000 pounds, and then 2018 --
23 Let me get to the historical. In 2018, it was a total of about
24 537,000 pounds, and 2017 was about 716,000, and 2016 was 964,000
25 pounds. This is all from the SERO data.
26

27 We do have -- In the Gulf, another thing, just to remember, is
28 that a portion of the Gulf migratory group of cobia occurs off
29 the east coast of Florida, and, because this was an update
30 assessment, there wasn't an additional stock ID effort or
31 anything like that that was coupled with this that would have
32 looked at modifying that, and so the current jurisdictional
33 boundary -- Well, the current apportionment boundary between the
34 Gulf and Atlantic migratory groups is at the Florida/Georgia
35 state line.
36

37 The stock ID workshop for SEDAR 58 had looked at where the
38 mixing zones occur, around St. Augustine, and north of Cape
39 Canaveral is where a lot of mixing is thought to occur, and so,
40 for the ease of enforcement and for fishermen and management,
41 the boundary was set at the state line.
42

43 What that means though is that some portion of the cobia stock,
44 of the Gulf cobia stock, is apportioned to the South Atlantic
45 Council to manage on the east coast of Florida and in the Keys,
46 and I just got an email saying that the landings that I gave you
47 for cobia are in APAIS.
48

1 **DR. RIOS:** Right, and I was going to suggest Slide 44. It
2 doesn't break it down by -- It does show some of the more recent
3 years, and then the values for 2019 and 2020, some of them.
4
5 **CHAIRMAN POWERS:** What are we supposed to be looking at in this
6 graph?
7
8 **DR. RIOS:** In the bottom-right, this should be the OFL and the
9 OY yields. The projections are the ones starting in 2021, and
10 those values -- The OFL is -- The ABC is calculated off of the
11 OFL, and it's currently quite similar, and so, if we were to go
12 back to the other table, I believe it just levels off slightly
13 below the red line, but, on the left side of this plot, in the
14 lower right, you see what the recent years have been.
15
16 **CHAIRMAN POWERS:** Okay. Thank you. All right. Basically, in
17 terms of the P*, we're operating off of the right two columns in
18 the upper graph. How do you wish to proceed? Do we have a
19 motion associated with this?
20
21 **DR. PATTERSON:** I just sent a motion, Joe.
22
23 **CHAIRMAN POWERS:** Okay. Thank you. This is a motion by Will
24 Patterson, and is there a second?
25
26 **MR. MARESKA:** Second.
27
28 **CHAIRMAN POWERS:** Okay. Second by John Mareska. Will, do you
29 want to say anything more about it? It's pretty
30 straightforward.
31
32 **DR. PATTERSON:** Yes, I think it's pretty straightforward,
33 although I want to make sure that I have that P* value correct.
34 Adyan, can you confirm that, the 39.8 percent?
35
36 **DR. RIOS:** Yes. We have, in the spreadsheet, 0.398. That was
37 used to generate those values.
38
39 **CHAIRMAN POWERS:** All right. Thank you. Luiz Barbieri.
40
41 **DR. BARBIERI:** Thank you, Mr. Chairman. Will, I appreciate you
42 putting this motion forward, and it's consistent with the
43 previous motion that you made for yellowtail snapper, but I
44 think we are facing the same situation here, in terms of what
45 seems to be very small buffers, and I know that the P* method is
46 what is explicit in our ABC control rule, but we are in the
47 process of trying to revise that, for this very reason, because
48 we are not happy with how this approach is actually

1 materializing, in terms of results, and it's kind of difficult
2 to explain, I think, to the council and to stakeholders, how
3 this is really capturing the uncertainty in creating buffers
4 that are scaled to uncertainties in the assessments.

5
6 In this case here, the buffer percentage, while it varies
7 between about 3 to 7 percent, which I think is small, we heard
8 from Adyan yesterday that the stock is not overfished, but it's
9 just slightly above MSST, in terms of depletion from virgin
10 biomass, or unfished biomass, and it's at about 21 percent.

11
12 It has been undergoing a long-term pattern of overfishing, for
13 decades, and it's still undergoing overfishing, and so I am not
14 supportive of this motion, and I just want to suggest, Will,
15 that perhaps we go with an ABC that's based on OY, which would
16 give us buffers between about 14 and 23 percent, an average of
17 17 percent of a buffer between OFL and ABC.

18
19 Just to clarify, to repeat, and so just substitute the ABC yield
20 stream with the values that Adyan had provided for OY, if the
21 committee -- If you accept, Will and the committee, to go with
22 that. Thank you, Mr. Chairman.

23
24 **CHAIRMAN POWERS:** Just for clarification, when you say you're
25 basing it on OY, no, you're not. You're basing it on 0.75 30
26 percent SPR. Don't use the word "OY" in there, or "optimum
27 yield", because that implies that we're messing around with
28 something that's in the council's purview. There is a
29 counterexample that the ABC should have a buffer based on 75
30 percent of F 30 percent SPR. Is there any other suggestions?
31 Let's not change this right now. Let's hear some comment first.
32 Will.

33
34 **DR. PATTERSON:** If the comment from Luiz is would I consider
35 editing this to effect the change he just mentioned, then, no, I
36 would like the motion to stand. I don't really fully understand
37 Roberts Rules and the whole idea of substitute motions, but, if
38 there was going to be a change here, I think it would have to be
39 offered as a substitute motion.

40
41 **CHAIRMAN POWERS:** All right. At this point, let's hear some
42 other comments, before we go that route. Dave Chagaris.

43
44 **DR. CHAGARIS:** This discussion that's playing out now, I guess
45 I'm a little bit confused. I mean, I feel like there's some
46 process in place here that we should be following, but yet we're
47 sort of deviating from it, based off of our feelings and
48 intuition about the level of uncertainty, and, I mean, is it

1 possible to stick with the process, the P* process, as it's
2 done, and then we capture that uncertainty in the narrative, but
3 then the managers can take it into consideration?
4

5 **CHAIRMAN POWERS:** Yes, and it's my understanding that basically
6 the process, as defined by the control rule, is what is being --
7 Is what is in Will's motion. Is that correct, Will?
8

9 **DR. PATTERSON:** That was the attempt.

10
11 **CHAIRMAN POWERS:** Okay. Thank you. Doug Gregory.
12

13 **MR. GREGORY:** Thank you. In the last two years, we used the P*
14 process for red grouper, but, for vermilion snapper, earlier
15 this year, we did not. We went with the OY, which was defined
16 at 75 percent of F of FMSY.
17

18 In the past, I don't know how often we have deviated from the
19 control rule, but I do recall a conversation of the SSC at some
20 point about how often we did deviate from the control rule, and
21 the control rule is not effective. It's not working, and we've
22 been wanting to have a workshop to address this.
23

24 One, there is no way these models will ever capture any
25 semblance of real uncertainty, and so we have this problem with
26 -- You know, we tried in the beginning of taking, I guess, the
27 variance about all the sensitivities and combining them into one
28 large envelope of uncertainty, and that turned out to be
29 problematic, and so, the quicker we can drop this spreadsheet
30 that Joe loves so much, the better off we'll be, and I'm leaning
31 -- The other things that bothers me about what we're doing is,
32 with these projections, and with recruitment, and then always
33 having this peak in the first year, because of lower landings
34 earlier on, or estimated lower landings in the gap years, we
35 seem to be chasing our tails.
36

37 I'm leaning toward, and this is not a motion, but, in general,
38 whenever we get to that workshop, I am leaning toward just
39 picking out equilibrium values and running with it. We're like
40 chasing something, and it never made sense for landings to be
41 high and then gradually go down, but the explanation is that
42 we're fishing down to F of MSY, and so that's when we went to
43 averaging years.
44

45 I think we've got a situation that's fragile, and we need to fix
46 it, and so, in essence, agree with what Luiz said as a
47 substitute motion, and the P* method just is not effective, and
48 we've been criticized from the beginning by certain managers

1 about not having a sufficient buffer, and our buffers started
2 out at 10 percent, and they're getting smaller and smaller.
3 Thank you.
4
5 **CHAIRMAN POWERS:** If I heard you correctly, Doug, you made that
6 in terms of a motion, a substitute motion.
7
8 **MR. GREGORY:** I would support that as a substitute motion.
9
10 **CHAIRMAN POWERS:** All right. You didn't make it as a motion.
11 Luiz.
12
13 **DR. BARBIERI:** Then I will go ahead, Mr. Chairman, and make that
14 substitute motion. Just copy what is there, but substitute the
15 ABC values for the values that I will be providing you, and
16 those will be 2.34, 2.60. 2.76. The annual ABC values are
17 provided by yield at 75 percent or whatever the definition of --
18 I'm sorry, Mr. Chairman, but I think, in the terms of reference
19 for this assessment, that was defined as OY, and I don't
20 remember exactly.
21
22 **CHAIRMAN POWERS:** What my comment was is that OY and F 75
23 percent 30 percent SPR can be the same, but, for us, it's not
24 OY. For us, it's ABC. You also want to change the last
25 sentence, when it says annual ABC values computed with and then
26 the 0.75 30 percent SPR.
27
28 **DR. BARBIERI:** Right.
29
30 **MS. MATOS:** So no P*?
31
32 **DR. BARBIERI:** No P*.
33
34 **MR. GREGORY:** I will second the motion and provide support that
35 we're deviating from the control rule procedure because of the
36 inadequacy of the PDFs to capture real uncertainty.
37
38 **DR. BARBIERI:** Just to add to that, Mr. Chairman --
39
40 **CHAIRMAN POWERS:** Wait a minute. Let's get the actual wording
41 there, to get it so we know what we're looking at, because it
42 isn't actually applied to PDF.
43
44 **DR. PATTERSON:** I would just say here "with ABC being the yield
45 at 0.75 F 30 percent SPR.
46
47 **DR. BARBIERI:** That sounds good, Will. Thanks.
48

1 DR. PATTERSON: Perhaps you want to put "the projected yield".
2
3 MR. RINDONE: Mr. Chairman, just a point of clarification.
4
5 DR. PATTERSON: Then delete everything after the "30".
6
7 CHAIRMAN POWERS: All right. Ryan, clarification?
8
9 MR. RINDONE: Just, since we are changing currencies in which
10 the quota will be monitored, maybe you guys might consider
11 noting that somewhere in the motion. This would be in millions
12 of pounds whole weight.
13
14 CHAIRMAN POWERS: Okay. That's fine. All right.
15
16 DR. BARBIERI: Mr. Chairman, I think that Doug Gregory seconded
17 it.
18
19 MR. GREGORY: Yes, I seconded it.
20
21 CHAIRMAN POWERS: All right. Luiz, go ahead.
22
23 DR. BARBIERI: I just wanted to say that, in terms of the
24 process, yes, there is a process in place, which is called the
25 ABC control rule, and, in our ABC control rule, I don't
26 remember, and we would have to check, what language is actually
27 there in the actual rule, but it does give us the opportunity to
28 depart from applying the ABC control rule when we feel that that
29 is not appropriate for setting ABC, and I would say, over the
30 last ten years, we have done that multiple times.
31
32 Also, to clarify, National Standard Guideline 1, which sets this
33 process for ABC determination by the SSCs, also provides
34 language there that the SSCs are allowed to depart from their
35 codified language for application of the ABC control rule when
36 the SSC can provide a justification, and, as Doug pointed out,
37 we did just that when we set ABC for red snapper, because, just
38 like Adyan told us yesterday, the Science Center analytical
39 staff felt that the assessment had not been able to properly
40 capture uncertainty, and, thus, the PDF would be too narrow.
41
42 CHAIRMAN POWERS: Thank you. Was there a second for this? I
43 don't recall.
44
45 MR. GREGORY: Yes. I seconded.
46
47 CHAIRMAN POWERS: Okay. Thanks. I would also note, just to
48 remind people, the assessment team themselves, in the review

1 process, recommended that the PDFs not be used, because they
2 essentially were making the same argument that Luiz made, and
3 Doug. All right. Is there any other comments? Dave Chagaris.

4
5 **DR. CHAGARIS:** I will let the motion go, and then I will comment
6 later on the process.

7
8 **CHAIRMAN POWERS:** Ken Roberts.

9
10 **DR. ROBERTS:** Thanks, Mr. Chairman. The question I've got is
11 the buffer is extremely large in the last two years under this
12 motion, and is that where -- Luiz, do we really want to have
13 that big of a buffer?

14
15 **CHAIRMAN POWERS:** Go ahead, Luiz, if you want to answer that,
16 and then I'll go to Will Patterson.

17
18 **DR. BARBIERI:** Well, in this case, looking at the numbers that I
19 have here, Ken, in front of me, there would be, in order, for
20 the last couple of years there, it would be in the order of 17
21 to 20 percent buffer.

22
23 Now, keep in mind that this assessment -- Cobia has no fishery-
24 independent index of abundance informing the assessment, and the
25 assessment is based solely on fishery-dependent indices, and so
26 it's really -- To me, there are a number of data deficiencies
27 there that, considering the status of the stock -- Somebody here
28 sent me a text to say that only about 40 percent of the ACL are
29 being landed at this point, and that might be because the stock
30 is at low abundance and that finding fish hasn't been that easy,
31 and so I am not unhappy with that, Ken, that buffer, considering
32 all the factors that I just discussed.

33
34 **CHAIRMAN POWERS:** Thank you. Will Patterson.

35
36 **DR. PATTERSON:** I will pass.

37
38 **CHAIRMAN POWERS:** John Mareska.

39
40 **MR. MARESKA:** Ryan had brought up earlier the SEDAR 58 stock ID,
41 and so this is kind of outside the assessment, but it definitely
42 deals with uncertainty. It's a known unknown, and so the
43 Atlantic stock is not an Atlantic stock, and there is actually
44 five sub-groups of cobia within that stock, and so what we know
45 that we don't know is, in the Gulf, we don't have enough genetic
46 samples to determine if we have sub-groups within the Gulf of
47 Mexico, which may very well be the case, and so the council also
48 needs to consider that, when they're thinking about setting

1 limits, because their stocks may be regional, and the fishing
2 effort is not going to be the same across the Gulf.

3
4 **CHAIRMAN POWERS:** Thank you. Paul Sammarco.

5
6 **DR. SAMMARCO:** Thank you, Mr. Chairman. I just wanted to
7 comment on something which Doug Gregory said, and I support his
8 views, particularly concerning buffers. It's important to keep
9 buffers strong and intact, and that will ensure the
10 sustainability of the population in the future. If those keep
11 getting pushed down, and get pushed down below levels which are
12 acceptable and which are not viable for the population, I mean,
13 as you all know, you can push a species to where not only are
14 they not commercially viable, but they have adapted to low
15 densities, and they won't bounce back.

16
17 They might be there, but they won't bounce back in high numbers,
18 and I think they're facing this with the diadema populations,
19 which crashed in the tropical western Atlantic in the 1980s, and
20 they really haven't come back yet, but they used to be in very,
21 very high numbers, and so it's an important consideration, and
22 it's better to err on the conservative side. Thank you very
23 much.

24
25 **CHAIRMAN POWERS:** Ryan Rindone.

26
27 **MR. RINDONE:** Thank you, Mr. Chair. I was just going to mention
28 something about the control rule. There's a note at the bottom
29 of our one-pager that details the different tiers for the Gulf's
30 control rule that says there may be situations in which reliable
31 landings estimates do not exist for a given stock, and, also,
32 the approach or methodology for setting OFL and ABC will be
33 determined on a case-by-case basis, based on expert opinion and
34 the best scientific information available, and you guys can
35 decide the latitude given to you by that note.

36
37 **CHAIRMAN POWERS:** All right. Thank you. Is there any other
38 discussion? Jason.

39
40 **MR. ADRIANCE:** Thank you, Mr. Chair. To John's point about the
41 genetics and the regional stocks, and then that ties into what
42 was mentioned regarding this being so heavily fisheries
43 dependent on the indices, and I think this assessment picks up a
44 lot of potentially regional trends in fishing that have altered,
45 for one reason or another, and, to me, this buffer in this
46 motion seems a bit extreme, in that sense, and I don't think I
47 will support it.

1 **CHAIRMAN POWERS:** All right. Thank you. All right. Given the
2 comments, there would not be some sort of consensus here, and so
3 I guess we should go ahead and vote. Let's do a regular vote
4 then for the substitute motion, as you see there. We'll go
5 through the list, please.
6
7 **MS. MATOS:** Luiz Barbieri.
8
9 **DR. BARBIERI:** Yes.
10
11 **MS. MATOS:** David Chagaris.
12
13 **DR. CHAGARIS:** Yes.
14
15 **MS. MATOS:** Bob Gill.
16
17 **MR. GILL:** Yes.
18
19 **MS. MATOS:** Doug Gregory.
20
21 **MR. GREGORY:** Yes.
22
23 **MS. MATOS:** Walter Keithly.
24
25 **MR. KEITHLY:** Yes.
26
27 **MS. MATOS:** Robert Leaf.
28
29 **DR. LEAF:** Yes.
30
31 **MS. MATOS:** Kai Lorenzen.
32
33 **DR. LORENZEN:** Yes.
34
35 **MS. MATOS:** Camp Matens.
36
37 **MR. MATENS:** Yes.
38
39 **MS. MATOS:** Jim Nance.
40
41 **DR. NANCE:** Yes.
42
43 **MS. MATOS:** Will Patterson.
44
45 **DR. PATTERSON:** Yes.
46
47 **MS. MATOS:** Joe Powers.
48

1 **CHAIRMAN POWERS:** Yes.
2
3 **MS. MATOS:** Sean Powers.
4
5 **DR. POWERS:** No.
6
7 **MS. MATOS:** Ken Roberts.
8
9 **DR. ROBERTS:** No.
10
11 **MS. MATOS:** Steven Scyphers.
12
13 **DR. SCYPHERS:** Yes.
14
15 **MS. MATOS:** Jim Tolan.
16
17 **DR. TOLAN:** Yes.
18
19 **MS. MATOS:** Jason Adriance.
20
21 **MR. ADRIANCE:** No.
22
23 **MS. MATOS:** Judd Curtis.
24
25 **DR. CURTIS:** Yes.
26
27 **MS. MATOS:** John Mareska.
28
29 **MR. MARESKA:** Yes.
30
31 **MS. MATOS:** Jack Isaacs.
32
33 **DR. ISAACS:** Yes.
34
35 **MS. MATOS:** Andrew Ropicki.
36
37 **DR. ROPICKI:** Yes.
38
39 **MS. MATOS:** Paul Sammarco.
40
41 **DR. SAMMARCO:** Yes.
42
43 **MS. MATOS:** Okay. That's everyone.
44
45 **CHAIRMAN POWERS:** **The motion carries.** All right. Moving along,
46 do we have to take a look at the executive summary for the --
47
48 **MR. RINDONE:** Please.

1
2 **STOCK ASSESSMENT EXECUTIVE SUMMARY**
3

4 **CHAIRMAN POWERS:** For cobia, let's take a look at the executive
5 summary and see if we have any comments or suggestions or
6 recommendations. Like we did before, let's go through it
7 screen-by-screen, beginning with the first screen, and I will
8 make my comment that I always make about this isn't really the
9 management target, and it's the limit, and you should make that
10 distinction. Dale Diaz.

11
12 **MR. DIAZ:** Thank you, Mr. Chair. I guess this question is for
13 Ryan. I haven't pulled up the scope of work, and I might have
14 the scope of work confused between yellowtail, but is a constant
15 catch something that you were looking for on this species? I
16 know we get it a lot of times when we get some recommendations,
17 and I was just wondering if that was something you had in the
18 scope of work.

19
20 **MR. RINDONE:** Mr. Diaz, we asked that the SSC consider it, but,
21 if it's under their judgement that annual yields are more
22 appropriate, then it's certainly within their prerogative to
23 recommend that to the council instead of a constant catch, and
24 they can provide justification for doing so, for the council to
25 better understand that recommendation.

26
27 **CHAIRMAN POWERS:** Thank you, and, in fact, in this case, those -
28 - The annual deviations aren't that much, and so it wouldn't
29 surprise me that, when you get to the actual annual catch
30 limits, that one might choose something constant over the years.
31 Thank you. Then I mentioned that the vertical line on the right
32 and the horizontal line on the left should be references of
33 target, and are there any other comments through Figure 1?
34 Luiz.

35
36 **DR. BARBIERI:** Just the same point and if Shannon and Katie and
37 John Walter and other folks from the Science Center can clarify
38 this for me, or for us, or perhaps Adyan is here on the line,
39 too. If this is language that comes out of the projection
40 software, where they enter something there that says, you know,
41 that's the target they are reaching towards with your
42 projection, when the figures actually print, they -- We have
43 made this point several times in the last perhaps couple or
44 three assessments, and I think that this keeps showing up in the
45 assessment presentations and the executive summaries, basically
46 because it's something that is already hardwired in the code for
47 how those figures are labeled. Can somebody clarify if that's
48 the case?

1
2 **CHAIRMAN POWERS:** Well, the issue is fix it, however it needs to
3 get fixed.
4
5 **DR. BARBIERI:** Correct.
6
7 **CHAIRMAN POWERS:** Will.
8
9 **DR. PATTERSON:** I think it's in that first sentence, where the
10 report is documenting the assessment or estimating the status.
11
12 **CHAIRMAN POWERS:** Okay. Doug.
13
14 **MR. GREGORY:** On the left-hand graph, that's referring to F of
15 MSY, and so that is a limit, but, when you talk about spawning
16 stock biomass, it's more dubious, because we have MSST, which is
17 clearly a limit, which leads one to think about BMSY as a
18 target, rather than BOY, and so I think that's part of the point
19 of confusion.
20
21 **CHAIRMAN POWERS:** Adyan.
22
23 **DR. RIOS:** I believe, yesterday, there was a recommendation to
24 change the word "target" here to just "MSY proxy", and these
25 figures, just to clarify, these can be changed, and so we
26 absolutely can change this terminology, but I just wanted to see
27 the MSY proxy as something that would follow the comment brought
28 up yesterday.
29
30 **CHAIRMAN POWERS:** All right. Thank you. Let's go to the next
31 screen and then going down to the table. All right. If there
32 are no comments, going down to the socioeconomic and the
33 ecosystem considerations. No comments? Directions? Then,
34 again, the same issue about management target. Adyan.
35
36 **DR. RIOS:** Thank you. I just wanted to kind of clarify. The
37 management target here, would we want that changed to SSB MSY
38 proxy, or we want to be more descriptive?
39
40 **CHAIRMAN POWERS:** I don't have a strong feeling, and MSY proxy I
41 think is fine.
42
43 **DR. RIOS:** Okay.
44
45 **MR. RINDONE:** Mr. Chair, I think, in this case, since there is a
46 defined proxy, we should probably just go ahead and list what
47 that proxy is, and so SSB at 30 percent SPR.
48

1 **DR. RIOS:** Okay.
2
3 **CHAIRMAN POWERS:** That brings up another point. On the right-
4 hand graph, the horizontal line, the one is labeled "management
5 target" right now, has a 30 percent. The depletion, SSB over
6 SSB zero, is also 30 percent. Do the two coincide in that? One
7 is an SPR and one is an SSB, I guess is what I'm saying.
8 Anyway, the management target should be listed, as Ryan
9 suggested.
10
11 **DR. RIOS:** Thank you.
12
13 **CHAIRMAN POWERS:** Okay. Skipping on down and continuing on.
14 This is all pretty straightforward. Then landings. Then
15 continuing on. Then discards. Then the next screen.
16
17 **MS. MATOS:** That's the end.
18
19 **CHAIRMAN POWERS:** Okay. Any other recommendations or comments
20 about the executive summary? Katie Siegfried.
21
22 **DR. KATIE SIEGFRIED:** Thank you, Mr. Chair. I am hoping to get
23 more comments from the SSC about the content and the length, in
24 particular. We're hoping for this to be a quick overview, and
25 it's already getting to the six-page point, and I don't want
26 people to stop reading, and are there any things that can be
27 cut? Is there any constructive criticism for us?
28
29 **CHAIRMAN POWERS:** I think it's reaching the limit, and I've gone
30 through this in other forums too, where you develop an executive
31 summary, and there's a tendency, over the years, to get longer
32 and longer and longer, but there is benefit in having
33 consistency, so that people know where to look immediately, if
34 they're used to looking at these things, and particularly at the
35 management level, and so consistency, I think, is a big deal.
36 It's important, and, because the issues are kind of separated,
37 it's easy to skip things if one is not interested. Jim Nance.
38
39 **DR. NANCE:** I was going to say the same thing. I mean, I like
40 the way these are presented. It gives a nice overview of what's
41 in the assessment, and I think the length is appropriate, and so
42 I don't see anything that needs to be changed.
43
44 **CHAIRMAN POWERS:** Ryan.
45
46 **MR. RINDONE:** Thank you, Mr. Chair. Just to remind everyone
47 about the intended user groups for this particular document,
48 you're looking at council members, council staff, SERO staff,

1 folks from academia, et cetera. It's a wide group of people,
2 and, to Jim's comments, we've gone through a few iterations of
3 this now, and I find the length to be -- As one of the users, I
4 find the length to be appropriate, and the content therein is
5 definitely helpful for things like the amendment development
6 process and being able to show landings trends and things like
7 that, and I think it's hitting on all the things that we were
8 hoping that it would.

9

10 **CHAIRMAN POWERS:** Paul Sammarco.

11

12 **DR. SAMMARCO:** Thank you, Mr. Chairman. Just a real quick
13 question for the author of the report on Figure 4, and that is
14 there is some interesting data that runs from say 1980 probably
15 2018 or 2019, and I was just curious as to where the data --
16 What's represented by the data from about 1925 to 1980, which
17 shows a very different -- Is it an estimate, or is that just the
18 way the data were on the books? I was just curious, because,
19 obviously, they are two very different forms. Thank you.

20

21 **CHAIRMAN POWERS:** Thank you. Adyan. It's a burn-in period,
22 basically, but, Adyan.

23

24 **DR. RIOS:** Figure 4 is the question, and so the difference
25 between -- It's the period over time in which the estimate
26 recruitment deviations, and, in the other part, it uses just
27 kind of the spawner-recruit relationship, which takes into
28 account the parameters estimated in the model for that
29 relationship, which think about, again, during this later
30 period, we have the length information and the length-age
31 information. By having those on an annual basis, you have
32 enough data to estimate these individual year differences.
33 Earlier, it is just assuming the average from the spawner-
34 recruit relationship.

35

36 **DR. SAMMARCO:** So, in a way, it's hindcasting on the basis of
37 current information which you have in hand, and is that right?

38

39 **DR. RIOS:** Yes, and you would only want to estimate annual
40 deviations, like we do on the right side, when you have that
41 year-specific information that tells you about the lengths and
42 ages, or lengths or ages, that can inform what's happening to
43 those cohorts over time, and so we really don't have that detail
44 of information going back in time, and so it just uses the
45 average.

46

47 **DR. SAMMARCO:** Okay. Great. Thank you very much. I appreciate
48 it.

1
2 **CHAIRMAN POWERS:** That suggests that, particularly for this kind
3 of graph, that, obviously, your eye is immediately brought to
4 that long period of smoothness, and maybe there is some better
5 way to project this, so that, psychologically, you're focused
6 more on the right-hand side, but I will leave that up to you.
7 Jim Tolan.

8
9 **DR. TOLAN:** Thank you, Mr. Chairman. I think six pages is,
10 again, sort of pushing the limit, and, if I recall yesterday, I
11 think the yellowtail went on for ten-plus pages, and so I think
12 this is sort of getting at the limit of an executive summary.

13
14 The one place that I would say could be shortened has to do with
15 the socioeconomic section, and I would say it's a part of it,
16 but it almost always starts off with "While no socioeconomic
17 data was used in the assessment", and there's this long
18 explanation of the Something's Fishy anecdotal information, and,
19 while that's important, it's really not very much, in terms of
20 quantitative, as it goes to the assessment, and so that's the
21 only place that I could say that you could probably cut down
22 some. Thank you.

23
24 **CHAIRMAN POWERS:** Dave Chagaris.

25
26 **DR. CHAGARIS:** I was just going to say that I think that the
27 length of these executive summaries are appropriate with the
28 text and the figures, and one suggestion would be to maybe
29 include more hyperlinks in the document, if folks wanted to get
30 at the actual assessment itself quicker, and maybe move that
31 socioeconomic and ecosystems considerations down a bit, towards
32 the end, but that's all.

33
34 **CHAIRMAN POWERS:** Ryan had mentioned before that there is
35 multiple audiences here, and, I mean, generally, if you're
36 writing an executive summary for a decision-making body, like a
37 council or a commission or whatever, you try to not use jargon
38 and that sort of thing, but, in this case, you're also --
39 They're things that council staff and others in NMFS need to
40 have quickly at-hand, and so, for example, the table of the
41 weight-length conversions and things like that, I mean, you have
42 to use jargon there, and so I think the balance is, as you've
43 done, with having defined sections, so that certain sections
44 will probably be more read by a commissioner or a council member
45 or whatever, but, again, like I said, there's the tendency, over
46 time, for these things to get longer and longer, because people
47 feel like they have to explain a bit more and bit more, and so
48 guard against that, I guess. Ryan.

1
2 **MR. RINDONE:** If my hand was still up, it wasn't on purpose.
3
4 **CHAIRMAN POWERS:** Okay. Thank you. Dale.
5
6 **MR. DIAZ:** Thank you, Mr. Chair. I just wanted to comment, and
7 I think the summary is very good, and there are council members
8 -- I am the representative from the Gulf Council, and council
9 members do have a lot of information to go through in a short
10 amount of time, but these are well put together.
11
12 As a new council member, the hardest thing I had to deal with
13 was getting used to dealing with acronyms all the time, and
14 these things typically have a lot of acronyms, and I'm pretty
15 much used to it now, but there's a learning curve, for folks
16 that come to the council that don't operate in the world that
17 uses a lot of acronyms, but, all in all, they are well put
18 together, and I do appreciate these summaries, and they are very
19 helpful to me, and the length is appropriate. It's not
20 problematic for me. Thank you.
21
22 **CHAIRMAN POWERS:** That's a good suggestion about acronyms, and
23 Will suggestion of perhaps getting links, and maybe you could
24 have a link to an acronym glossary or something like that. All
25 right. Are there any other suggestions or comments or
26 recommendations? Katie.
27
28 **DR. SIEGFRIED:** Thank you, Mr. Chairman. I appreciate all of
29 the feedback, and hyperlinks is a great idea, and we can
30 probably get a lot more information in a small package with
31 that. If I may also request feedback on the presentation
32 length, and we were specifically asked to make it shorter, after
33 the vermilion assessment presentation, and we did. It seemed
34 like it went over okay, but can you all let us know about the
35 length of the presentation as well, because we're trying to
36 standardize all of these things for you.
37
38 **CHAIRMAN POWERS:** I think it's hard to pre-specify what the
39 length should be, and it really depends on the issues at-hand.
40 Luiz.
41
42 **DR. BARBIERI:** Joe, I agree with that. Katie, it will depend on
43 the assessment and how involved it is and how much information
44 you need to put in there because it's more complicated and there
45 are more situations there that the SSC would need to consider,
46 but, having said that, I have to say that I really enjoyed
47 Adyan's presentation, and I thought that the length was very
48 appropriate.

1
2 As other people pointed out yesterday, I think it was great, and
3 some of the types of information, some of the tables, some of
4 summaries of the information that she put there, I thought were
5 very, very helpful for us to understand the issues that she
6 wanted to bring up and then, in comparison, in terms of how to
7 propose catch levels or yield streams coming out for OFL and ABC
8 would compare with what would have been, had the previous
9 assessment used the FES-calibrated data, that was extremely
10 helpful, and so, yes, it was a very good presentation, and I
11 think it was spot-on.

12
13 **CHAIRMAN POWERS:** Thank you. Also, the length and detail of a
14 presentation, to some extent, is going to be negotiated when the
15 agenda is being developed between the council staff and, in this
16 case, the Center, and so keep that in mind. Will.

17
18 **DR. PATTERSON:** I really liked Adyan's presentation, the length
19 of it, and the amount of detail, but not getting into the fine
20 details and the weeds of the presentation, and I think
21 sometimes, when there are potential issues or things that are
22 driving changes, perhaps, in productivity estimates, or maybe
23 you see spikes in recruitment, and sometimes, when the analysts
24 are presenting those types of assessments, where there's some
25 kind of change or there's a potential sensitivity, they sort of
26 try to head that off by discussing it as they go, but, instead,
27 I think, if you have a streamlined format like this, and they
28 just anticipate what are going to be the follow-up questions,
29 they can have extra slides at the end, to go into those details,
30 but keep it streamlined on the frontend and just sort of
31 anticipate that as follow-up, but not necessarily in the main
32 presentation, and I think that would be a good approach.

33
34 **CHAIRMAN POWERS:** Good point. All right. I hope that's been
35 helpful then, and I believe we're finished with this agenda
36 item. The next agenda item is something that we have to deal
37 with after lunch, the IFQ capacity presentation with Juan Agar
38 and Dr. Parmeter.

39
40 **MR. RINDONE:** Dr. Powers, I reached out to Julie Neer, and she's
41 ready to proceed with the agenda item following that, if you
42 would like to take that up now, which is the update on the
43 operational assessment process.

44
45 **CHAIRMAN POWERS:** That's what I would like to do before lunch.
46 Agenda Item X will be Julie Neer's update on the operational
47 assessment process.

48

1 **UPDATE ON OPERATIONAL ASSESSMENT PROCESS**

2
3 **DR. NEER:** Thank you, all. I thought we were going to go to
4 lunch, and so I apologize if my dogs bark, and I will take a
5 break if I need to. So, anyway, the point of this presentation
6 is that, at the May SEDAR Steering Committee, Clay Porch came to
7 us with some clarifications that he wanted to make regarding how
8 the operational assessment process has been running the last few
9 years that we've been implementing it and trying to provide some
10 clarifications as to how the intent was initially designed by
11 the Science Center and how we might have to tweak the process a
12 bit to make that happen.

13
14 This first slide is just a real brief summary of the things that
15 SEDAR overall is always trying to do, and you guys have seen
16 this before, but the big thing is robust and transparent
17 assessments, stakeholder involvement, scientifically rigorous,
18 independent peer review, at least for the big, the full-blown,
19 research track assessments. Then trying to make them as timely
20 as possible and still have thorough documentation for you guys
21 to have available for your review, as well as for the next time
22 around, so that we know what was done last time, when we re-do
23 an assessment, and provide sort of a consistency in how all the
24 approaches work.

25
26 The challenge continues to be that you always have limited
27 resources and limited time for everybody, and we strive to be
28 transparent and thorough and timely, but you can't really be all
29 three of those in any given assessment, unfortunately.

30
31 The research tracks that we're using now are very transparent
32 and quite thorough, and we believe that's a great way to move
33 forward when you're initially developing stuff. The operational
34 assessments were somewhat thorough and timely, and the goal is
35 to try and make them, with this new change process
36 modifications, to make them even more timely, so that we can
37 provide more information to the councils, scientific advice to
38 the councils, on a more regular and frequent basis for making
39 management decisions.

40
41 As I said, the research track is pretty thorough and pretty
42 transparent, and you guys are fairly familiar with that, and it
43 was similar to the benchmarks that we did in the past, but now
44 they're even more thorough, with regard to the fact that we have
45 built in time to explore additional components and not rely on
46 the most recent data to do the analysis and the prepping, but
47 it's essentially developing that tool.

1 The way we're going to move forward after this research track is
2 we take the time that is needed to produce really well-
3 documented, well-researched tool to be used moving forward, and
4 then we will update that tool as we move forward. The big thing
5 about the research track is, as you guys sort of already know,
6 they don't give status or fishing level recommendations, and,
7 hence, the lack of need for that most current data year, and it
8 gives us a little flexibility, and it allows them to develop a
9 schedule and a thorough process.

10
11 After the research track, the next step is the operational
12 assessments, and these are -- They used to be the standards and
13 the updates, and they got merged into this one category of
14 operational, and the goal of the operational assessments is to
15 update the accepted research track, or benchmark, assessment
16 with the latest data. That's the function.

17
18 It's at this stage that we provide the management information,
19 and it comes to you for review, for the status and fishing level
20 recommendations, such as you've been doing today for cobia, and
21 it is the default approach for a sort of follow-up assessment.
22 Those are those two assessment types, in a nutshell.

23
24 The Science Center wanted to make sure that everyone was on the
25 same page with regard to what their intent was when we switched
26 from the update and standard processes to this one category of
27 operational assessments, and it's important to remember that
28 operational assessments are based on a previous benchmark or
29 research track assessment that has already undergone peer
30 review, and so it's the development of that tool, as I
31 mentioned, and that's what we use.

32
33 If it's already undergone peer review, an independent peer
34 review, and there was that extensive development process, the
35 thought is that, therefore, unless there is a justified reason
36 for making changes to the model or the data, operational
37 assessments should normally be limited to updating the existing
38 assessment framework with the most recent data and only minor
39 modifications to the framework and supporting information.

40
41 Basically, the Science Center's intent is to have things more
42 towards the update end of the scale than the standard end of the
43 scale within this range.

44
45 The reason the Center thought that we needed some clarification
46 on what their intent was is because the Center did not
47 anticipate having assessment panels for every operational
48 assessment, but that's increasingly -- That's what has been

1 happening, and, therefore, increasingly, the panels and the in-
2 person meetings are requested, and they have been incorporated
3 over the last couple of years in these operational assessments.
4

5 The Center noted that the panels and the workshops result in the
6 operational assessments taking much more time than originally
7 anticipated. What that translates into is that we're not
8 getting the increased throughput that the Center had hoped to
9 achieve by coming up with this new category of this combined
10 operational assessment grouping.
11

12 As a way forward, what the Center recommended is eliminating the
13 assessment panels for all future operational assessments, and
14 so, instead of having the assessment panels as we normally
15 understand them and have been using them, they recommended
16 having topical working groups, which are working groups
17 assembled to discuss specific topics that are identified in the
18 statement of work.
19

20 Basically, instead of having the assessment panel put together
21 of twelve individuals who review the entire assessment, the
22 approach would be to have specific panels put together to
23 address specific topics, such as selectivity or discard
24 mortality, and those groups are targeted on those topics
25 specifically, and, therefore, do not review the entire
26 assessment as a whole.
27

28 We're still fleshing out some of these details. This, as I
29 said, was proposed at the -- This approach, of course, was
30 discussed at the May 2020 Steering Committee meeting for SEDAR,
31 and so it's a new topic, and we're still working out some of the
32 details, but this is sort of where we're at now, and the topical
33 working groups will be tasked to review and make recommendations
34 on specific topics identified in the statements of work, and
35 they will be comprised of members of the SSC, stakeholders, and
36 other technical experts, as needed, and so, depending on the
37 topic, the composition of that group might vary.
38

39 They may meet via webinar or in person, depending on the topic
40 as well, and whether you think you need an in-person workshop,
41 versus a series of webinars, should be included in the statement
42 of work, and so, basically, you guys think through how you think
43 that process should work when you're identifying the topical
44 working group in the first place.
45

46 The topical working groups may utilize a planning-team-style
47 approach to facilitate some of their discussions, and so we'll
48 still have publicly-noticed webinars, where people can weigh-in

1 and share their views, but it's also possible for the groups to
2 work via email or conference call to facilitate their
3 discussions and to review interim data products and that sort of
4 thing, and so it's similar to the approach that we ended up
5 using for scamp, when we had to move from an in-person data
6 workshop to an online webinar-based data workshop, where the
7 working groups worked offline, sort of independently amongst the
8 groups, and then came to the publicly-noticed webinar, plenary
9 webinar, to share their work products and get final
10 recommendations and approval.

11
12 The topical working groups will need to produce a SEDAR working
13 document, a SEDAR working paper, to document their discussions
14 and recommendations. As always, SEDAR is all about the
15 documentation, and so we want to make sure that something is
16 written. How involved that working paper will need to be will
17 certainly depend on how involved the topic is, and it might
18 simply be -- It might be a five-page document that someone
19 writes up, with a bunch of tables and figures, or it might be a
20 one-pager with we approve this index and here it is, and so that
21 will, obviously, depend on the topic at-hand, but we need that
22 documentation, again, so we have it for a future of what was
23 discussed and what was decided and why.

24
25 The timing of the topical working groups will need to be set so
26 that report documenting the discussions and the recommendations
27 that are coming out of that topical working group are available
28 in time for the analytical teams to incorporate that information
29 in the assessment, and so when topical working groups will meet
30 within the general process will depend on the topic.

31
32 If it's a data issue, clearly it needs to meet earlier in the
33 process, so that, if they are making recommendations to changing
34 how the landings are calculated, then that has to be done in
35 time for the data providers to actually incorporate that stage
36 and get the data to the analysts. If it's a question that is
37 more modeling-based, then clearly that group would have to meet
38 later in the process, after data compilation and some model work
39 needs to be done before they can do their task.

40
41 Finally, basically, the last point I'm going to make is that the
42 topical working groups should be organized through the SEDAR
43 process, probably built in within an individual assessment,
44 since SEDAR is already set up to deal with appointments and
45 noticing webinars and that sort of thing, and so management of
46 those groups will be similar to how we managed the assessment
47 panels, with SEDAR sort of taking the lead.

48

1 There may be occasions when things are done externally to SEDAR,
2 like if there is a topic that is covering multiple species, and
3 then perhaps the council might run that and provide that
4 information to the SEDAR process, but, for the most part, we
5 think they're going to be housed within the SEDAR process.

6
7 That's sort of the background and the most up-to-date hot-off-
8 the-press where we're at with the groupings, and I want to touch
9 base, just quickly, with regard to how the SSC roles will be in
10 this updated process.

11
12 You have three main components, and the first one is to provide
13 guidance on the issues for consideration in the statements of
14 work. That happens early in the process, and that's something
15 you're already doing, but you're going to even have -- As an
16 SSC, you're going to have an even, hopefully, greater role in
17 defining what those topics will be, and I will go into that a
18 little bit more in the next slide.

19
20 You guys, right now, already weigh-in on the statements of work,
21 but that role is going to be kind of increasingly important for
22 you to give it consideration as we move forward with this new
23 process, and so detailed statements of work are required for
24 every operational assessment, because they define the scope of
25 the assessment, clarify the expectations across-the-board, and
26 it helps with scheduling. Like I said, depending on the topic,
27 these groups might need to be organized with different time
28 steps within the process.

29
30 You guys are definitely going to be needed, and your input from
31 the SSC is going to be incredibly important when we're trying to
32 identify what possible issues may even need a topical working
33 group, and so not everything that you might be interested in
34 seeing done in an operational assessment needs a topical working
35 group. Like some of the key things that the SSC will be asked
36 to weigh-in on, regarding if something needs a topical working
37 group, might be is there new information available for us to
38 consider?

39
40 An example would be is there new life history information that's
41 new, or is there a new reproductive study that someone is
42 working on that's going to, perhaps, change the way we model
43 reproduction in the assessment? That would be the kind of thing
44 that I would think that we would think that, yes, we need a
45 group together to look at the new method, versus the old method,
46 and come up with a recommendation. That would be a good use of
47 a topical working group.

48

1 We're also going to ask the SSC to provide suggestions on who
2 might be needed to participate in a topical working group, and
3 it's the same sort of scenario. If you know that so-and-so has
4 a grad student who is working on reproduction of greater
5 amberjack, then it would probably be important to either get
6 that professor or his student on that topical working group.
7 Ultimately, it is still the councils that make the appointments,
8 but the SSC really often has the pulse on what sort of new
9 research is out there, and council staff and SEDAR staff often
10 rely on you guys to know that information and share it with us,
11 so we can try and get the people we need on these panels.

12
13 That's one of your big roles that's going to be coming up, is
14 trying to figure out which things need topical working groups,
15 but you're also going to try and give some feedback with regard
16 to the statements of work regarding topics that the SSC thinks
17 would be useful to potentially have examined in the operational
18 assessment, but doesn't necessarily require a topical working
19 group.

20
21 Let's say something along the lines of this species hasn't been
22 assessed for ten years, and you might like to see an updated
23 growth curve, but you don't necessarily need to have a group put
24 together to review that updated growth curve, and so it's going
25 to take a little bit of work, between us, the Science Center,
26 and council staff, to figure this stuff out as we start
27 implementing these topical working groups, but I think the SSC's
28 role is going to continue to be important in figuring out the
29 type of data that should be included and what needs workgroups
30 and what doesn't as we move forward, and so we're going to
31 continue to rely on the SSC's feedback at that early stage of
32 the process.

33
34 Again, this is things that you might consider that might need
35 topical working groups or examination. If you're aware of a new
36 dataset, perhaps that should be included. If you're aware of a
37 new modeling technique, specifically one that may have been used
38 in another assessment that you think might be relevant to be
39 incorporated in this one, that's the kind of thing you might
40 recommend, or, if you want to request additional work on the
41 stuff that came out of the previous assessment, either the
42 review by the SSC or the CIE, and the data may have found that,
43 you know, we really wish that you had looked at this, and maybe
44 you can look at it next time. Those are the kind of things that
45 should be considered in your initial -- In the SSC's
46 recommendations for what should be included in the statements of
47 work.

48

1 Granted, the statements of work are prepared, and council staff
2 works with them, and the Science Center works with them, and
3 they're submitted -- The council reviews them, and they're
4 submitted to the Science Center for review, and then there's
5 negotiations back and forth between the Science Center and the
6 councils, regarding what they can actually accomplish in a
7 timely fashion and whether there is new information and that
8 sort of thing, before they are ultimately approved, but, at the
9 very first stages, you guys are going to be critical in trying
10 to develop those to begin with.

11
12 You provide guidance on the issues that may be considered, and
13 that's going to be a really critical role for you guys, and
14 then, of course, you're also going to be participating in the
15 topical working groups, to some degree, and any particular
16 assessment might have one or two different topical working
17 groups.

18
19 The nice thing about the topical working groups is we're hoping
20 that it will allow some more people to become involved, because,
21 often, people will say, well, I'm not really an assessment
22 person, and so I don't feel that I can contribute, and so they
23 don't volunteer to participate at all.

24
25 Now, if you're sort of a data person, but you don't feel you can
26 contribute to the assessment, you might volunteer to participate
27 in a data topical working group, and others might choose to
28 participate in more of an assessment modeling topical working
29 group, and so we're hoping that we can actually spread out some
30 of the involvement of the SSC members who have perhaps been
31 hesitant to join initially, because they always felt they maybe
32 couldn't contribute to the modeling component. Well, there will
33 be data components too now, and so hopefully that will allow
34 more people to get involved in the process.

35
36 Then, ultimately, the SSC is still the review body for
37 operational assessments, and so the assessments will come to
38 you, and we'll have a report, and you will receive a
39 presentation, and you will ultimately make your review, such as
40 you did today for cobia, all the way through to the management
41 advice components that you recommend to the council.

42
43 Where we are sort of in the process is we're having discussions
44 with you, and I'm going to give a similar presentation like this
45 to the South Atlantic SSC in August, to see if they have any
46 recommendations or concerns or issues, and try and continue to
47 have these conversations with the cooperators as we're
48 developing the process, and we're also in discussions with the

1 Science Center staff to work out the logistics of how this is
2 all going to work, in terms of scheduling the webinars, building
3 in the data review components, all of that stuff that happens
4 sort of on the backside, to make sure that the topical working
5 groups, when they meet, have the information they have for their
6 review.

7
8 We started that process last week, with the discussion with some
9 of the Science Center folks, and those discussions are ongoing.
10 As always, you say this is what we're going to do, and that
11 sounds awesome, and then you try and implement it and a lot of
12 questions arise that we need to figure out, and that's what
13 we're working on now.

14
15 One thing I should have pointed out is that full implementation
16 of these topical working groups will be starting with the 2022
17 assessments. Any of the assessments that were already sort of
18 approved and moved forward, those are going to go forward with
19 the panels, because they were recommended initially having
20 panels, and we've all had that conversation about switching
21 currency midstream is difficult to deal with, and so the new
22 assessments going forward for 2022 are going to be developed
23 around this approach.

24
25 The ones that are underway and starting in 2021, we may try and
26 implement components of this, but, if it was approved with a
27 panel, it's probably still going to have a panel going forward
28 at this point.

29
30 That's it, in a nutshell. As I said, this is a new process, and
31 it was just discussed for the first time at the Steering
32 Committee in May, and we still have lots of the details to work
33 out, but that's the general approach, and I'm happy to try and
34 answer any of your questions, if I know the answers yet.
35 Thanks.

36
37 **CHAIRMAN POWERS:** Thank you, Julie. Are there any questions?
38 First off, before I go to John Mareska, let me ask a pretty
39 basic question. Are there any budgetary implications of this
40 for the council and the council staff?

41
42 **DR. NEER:** I would think that the budget implications will be
43 somewhat similar. If there is an in-person meeting, SEDAR will
44 continue to cover the costs for in-person meetings, and so it's
45 participant travel and that part.

46
47 I guess the potential budget implication for any individual
48 cooperator could be if we have webinar meetings and they

1 suddenly send nine SSC members, instead of three, and they have
2 to now pay for nine instead of three, and I guess that's up to
3 that individual council to determine that, with regard to SSC
4 stipends for those SSC members who get them, and SEDAR does not
5 cover SEDAR stipends, but, with regard to meetings, physical
6 meetings, SEDAR would still be covering the cost of those, and I
7 don't know if Ryan wants to chime in.

8
9 **CHAIRMAN POWERS:** John Mareska.

10
11 **MR. MARESKA:** Thank you. Mine is kind of a general question,
12 too. In the presentation, as well as in the briefing document,
13 there is this term "cooperators", and I'm just trying to figure
14 out exactly who the cooperators are, because, in the bullets, it
15 indicates that the topical working groups are going to be
16 appointed by the cooperators, and it says SEDAR will serve as a
17 liaison between the cooperators and the lead assessment agency,
18 and so, just generally, who are the cooperators?

19
20 **DR. NEER:** I'm sorry. I should have identified that. A lot of
21 this text came straight out of the SEDAR Steering Committee
22 meeting report, and the cooperators are the -- Within SEDAR, we
23 have the cooperators are the councils, the commissions, HMS,
24 SERO, and NMFS.

25
26 Those are our cooperators, and so, essentially, it's the
27 council, but, because they're not all councils, and there is
28 also commissions involved and HMS involved, we use the term
29 "cooperators", to basically identify the lead group, and so we
30 have NMFS, which is both the Science Center and SERO
31 cooperators, the three councils of Gulf, Caribbean, and South
32 Atlantic are cooperators, HMS, and the two commissions, and then
33 the State of Florida is a cooperator-like group, because they do
34 lead assessments, and they are on the Steering Committee as
35 well, but they're not -- They're on the Steering Committee as
36 well, and so those are what I meant by cooperators, and I'm
37 sorry. I should have explained what that meant, and so, when
38 you see "cooperator", you can think council.

39
40 **CHAIRMAN POWERS:** Dave Chagaris.

41
42 **DR. CHAGARIS:** Thank you. Julie, how many active technical
43 workgroups do you -- How many do you anticipate being active at
44 any given time?

45
46 **DR. NEER:** Well, that depends on the assessment, the number of
47 assessments going on, and we really envision that, for any given
48 operational assessment, there will probably be maybe one to two

1 at a time, and we wouldn't think that there would be more. I
2 did have a conversation earlier this week, on Monday, with Clay,
3 and we're sort of the opinion that, if the SSC puts forward
4 seven things that they need topical working groups, and the
5 Center agrees that these are seven topics that probably need to
6 be delved into, then it's probably not an assessment that should
7 be going under the operational track anyway.

8
9 We're envisioning one to two, probably, for most operational
10 assessments, or perhaps three, for any given one. If there are,
11 say, two operational assessments running at the same time for
12 the Gulf, there might be four, but the other thing to think
13 about is some of them are going to be staggered as well, we
14 believe, and so there might be four total for those two
15 operational assessments, but there might be two data ones and
16 then two assessment ones, and they might be offset, depending on
17 the project schedules.

18
19 We do try and offset the project schedules a bit, when we build
20 them in the overall planning call, and so I would hope that,
21 even if there were multiple assessments going on, and each had a
22 topical working group, that hopefully there's no more than two
23 or three at any given time overall that might be occurring, so
24 that people would have time.

25
26 We are cognizant of not overloading people, and it's the same
27 issue with the Science Center staff as well. We can't really
28 have nine topical working groups going on at the same time and
29 expect all the data needs and the assessment people to be
30 available as well, and so I'm hoping it won't be that many
31 actually overlapping. That's a good point though. Thanks.

32
33 **DR. CHAGARIS:** One of the concerns I have is say you have an
34 assessment that has two working groups, and then, if they needed
35 to meet, if there's overlap between those working groups, then
36 you basically have one working group that's in two topics, which
37 then kind of sounds more like the ASMFC model, where they have
38 species technical committees, and that is a group of state and
39 federal, and sometimes academic, scientists that often serve on
40 that committee through several rounds of assessments, and so
41 they maintain the history, whereas, here, I am concerned that
42 there could be a lot of people dropping on and off these
43 workgroups, and so you have to start kind of hashing through
44 some of the same decisions over and over again after five or ten
45 years, and you don't maintain that history. I am wondering if
46 you all considered like a species technical committee approach,
47 to help basically do these operational assessments within
48 committee?

1
2 **DR. NEER:** We didn't specifically consider that. I do see your
3 point, and I agree, and I should have made clear that it's
4 possible that one topical working group could address more than
5 one topic, and they don't have to always be separate topical
6 working groups for each topic.

7
8 I would think that, since the council are the people that make
9 that recommendation, the council might wish to -- The SSC might
10 wish to make those recommendations when we select the
11 participants, and maybe it would be wise for the council to
12 develop either a species-specific group of people that always
13 show up whenever that assessment comes up, provided they're
14 still on the council and the SSC and stuff, or, conversely, the
15 councils could consider putting together a topical working
16 group, sort of like a standing group of people that they pull
17 from, for topical topic-specific things.

18
19 Like maybe they have a core group of people that, if it's a life
20 history question, those folks are always involved in that life
21 history thing, and I think that's actually something to consider
22 and perhaps make those recommendations to the councils,
23 regarding, when they are selecting people to serve on these
24 topical working groups, to consider that consistency and that
25 institutional memory and overflow among those groups, and that
26 would be actually a really good idea for something for them to
27 consider when they are making those appointments. Thanks, Dave.

28
29 **CHAIRMAN POWERS:** Thank you. Carrie.

30
31 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chairman. Thank
32 you, Julie, for putting this presentation together, and I have
33 kind of two questions, and along the same lines I think with
34 what Dave was asking about earlier, and the assessment panel
35 approach, where we have I guess a group of people that's
36 involved through the whole process, I guess, in my mind, that
37 seemed to work pretty well.

38
39 There was continuity, like we talked about, and not everybody
40 was probably available for every single webinar meeting or
41 whatever it may be, but it seems like that process worked fairly
42 well, and, although it might have slowed things down a little
43 bit during that process, it seemed -- If you read, like for
44 instance the vermilion snapper assessment, the most recent one,
45 in my mind, it said the assessment panel asked for this or this
46 to be explored, and that might have taken some more time, but
47 then this decision was made, due to X, Y, or Z.

48

1 I understand that's being captured in the report, but the
2 analysts are now being left to make this decision on their own,
3 and is there any concern about, once that gets to the SSC, if
4 you don't have a topical working group involved, that it has to
5 go back or be redone or reconsidered, which could in fact slow
6 down the process? Have you all talked about that at all, or
7 talked about that with your analysts at all?

8
9 **DR. NEER:** That particular issue, we haven't really gotten that
10 far with regard to that. I guess we're still figuring out the
11 process of how these are going to function, but one of the
12 components that we did discuss, and I believe it's viewed
13 favorably so far, is that, if a topical working group makes a
14 recommendation, say do dome-shaped selectivity, and they write-
15 up their paper, and they provide that working paper to the
16 analytic team, and they go and try and implement that
17 recommendation, the thought would be that there would be sort of
18 a follow-up webinar, where the analytic team, after they have
19 tried to implement the recommendation from the topical working
20 group and analyzed the results, will hold a webinar for the
21 analytic team, and, most likely, they will be on the topical
22 working group as well, but the analytical team and the topical
23 working group, in which case the analysts will sort of report
24 back.

25
26 They will say you guys recommended this, and it worked amazing,
27 and awesome, and here's the results, or you guys implemented
28 this, and we tried it, and it blew up the entire model, and
29 here's our suggestions of how to fix it, and this is the
30 approach we're going to try, and so we're hoping to have that
31 feedback loop in the process, so that that doesn't happen.

32
33 What we're hoping -- I think everyone is in agreement that we
34 don't wish to have a recommendation coming out of a topical
35 working group and then they go try it and it doesn't work and
36 they don't report back.

37
38 How the mechanism of that feedback loop and the timing is all
39 going to happen, we're still -- We don't know yet, but I think,
40 in general, everyone is in agreement that that feedback loop is
41 necessary to make sure that we don't have that issue. What we
42 don't want is topical working group recommends this, and the
43 analysts don't do it, for whatever reason, most likely because
44 they can't, but we don't find out about it until the report
45 comes back to the SSC at the end. That could, I agree, cause an
46 issue of having things be sent back or assessments be rejected.

47
48 The goal is not -- The goal is still to have a bit of

1 communication, have some communication back and forth between
2 the topical working groups and the full analytic team, but we're
3 only going to be focusing those webinars on the topics, the
4 specific topics, that are identified, as opposed to looking at
5 all the data and all the runs of everything in the assessment.

6

7 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Chairman, a follow-up?

8

9 **CHAIRMAN POWERS:** Go ahead, Carrie.

10

11 **EXECUTIVE DIRECTOR SIMMONS:** I guess what I was asking, Julie,
12 is what happens if the analysts make a decision, and there is no
13 topical working group, and then it gets to the SSC and you have
14 to go back? That was what I was asking.

15

16 I guess, along the same lines, when you develop the statements
17 of work, I believe it's roughly two years out, and so, at that
18 time, we're being asked to identify the need for a topical
19 working group at that time, the way I'm understanding it, and so
20 what happens if we get into the assessment and we don't know,
21 until we're in there, that we need a topical working group for a
22 specific issue?

23

24 How is that going to be communicated to the cooperators and the
25 council and to us, and who would be responsible for getting this
26 group together and organizing it, as soon as possible, to try to
27 address that issue?

28

29 **DR. NEER:** I think, in response to your question of what happens
30 if the analysts make a decision and the SSC disagrees,
31 essentially, in the review and asks for more things, I don't
32 know. I don't know what happens, and I guess we would have to
33 see if that happens and deal with it at that time, and so that's
34 all I can say about that one.

35

36 With regard to the timing, I agree that we do these topical --
37 We're sort of finalizing statements of work and working on these
38 things twelve to eighteen months in advance, and how do we
39 possibly know that there might be a new study that we don't know
40 about, because, when we're finalizing the statement of work, the
41 grad student who is going to do that work isn't even in the
42 program yet, and that is on the list of questions that have been
43 provided, that we're working with the Science Center folks, with
44 regard to how do you deal with new information that comes up, a
45 new study that becomes available between when the statement of
46 work is finalized and when the assessment begins.

47

48 I guess we don't know that's going to be incorporated at this

1 time, and we don't know if it would be that, okay, we're now
2 aware of this study within the council and then we would write a
3 memo to the Science Center, saying we're now aware of this
4 information and we would like it to be included and develop a
5 topical working group.

6
7 I would assume that would be the process, though we haven't --
8 We don't have those details yet, and those, again, are some of
9 the things that we need to work out. My suggestion would be,
10 for example, if there's new information, then find out there's a
11 new study, and the council writes a letter to the Science
12 Center, saying this is the new information, and we think this
13 should be considered, and we would like to set up a topical
14 working group, and, if the Center agrees, then I guess I get
15 that memo and SEDAR starts working with the councils to put
16 together a topical working group.

17
18 That would be my -- Again, this is me thinking off the top of my
19 head, but that would be my suggestion of how it would go,
20 procedurally, and I think part of it would also be based on
21 timing, whether we might make a request, and the Science Center
22 says, yes, let's try and get that going, or you might make a
23 request and the Science Center says, I'm sorry, but we're too
24 far into the assessment at this point to add new information.

25
26 Again, that will be up to the main analytic team, and the
27 Science Center is responsible for producing the assessments, and
28 so decisions on those sort of scales I think would come to them,
29 and, depending on the answers, SEDAR would implement it as they
30 can and make it happen, if it's approved. Sorry that I don't
31 have a better answer yet.

32
33 **CHAIRMAN POWERS:** Thank you. Will Patterson and then Shannon.

34
35 **DR. PATTERSON:** SEDAR has been the peer review process in our
36 region for nearly twenty years, to try to ensure the best
37 scientific information available is used for assessments and to
38 make management decisions, but, almost from the start, there's
39 been this challenge or these tradeoffs between transparency and
40 participation versus throughput and production, the timing of
41 production, to speed it up.

42
43 It seems to me like, every three to five years, we have these
44 types of discussions about how to modify the SEDAR process, but
45 these modifications tend to be actually pretty incremental and
46 minor, and, many of the times, it just feels like we're renaming
47 things that already existed in a fashion that wasn't as
48 efficient as we wanted it to be.

1
2 In this case, just the comments from Carrie a moment ago
3 highlight this issue of where do you actually first perceive
4 this issue that you perhaps need to have one of these technical
5 working groups, and it may not happen until you're in the
6 process of reviewing an assessment, and so then what do you do?

7
8 It seems to me that we always face that, like trying to do too
9 much, and that slows the process, but the information is there,
10 and let's incorporate it, and how do we do it, are we allowed to
11 do it, and those questions seem to come up repeatedly.

12
13 Twenty years ago, the model that Dave mentioned for Atlantic
14 States was how it was done in the Gulf and the South Atlantic,
15 where there were actually -- There was a Mackerel Stock
16 Assessment Panel, which was the coastal pelagics of cobia,
17 Spanish mackerel, king mackerel, amberjack, and there was a Reef
18 Fish Panel.

19
20 Oftentimes, the Reef Fish Panel dealt with red snapper and then
21 something else, but those panels, while they didn't encourage as
22 much transparency as the SEDAR process, they were efficient, and
23 you had a lot of institutional knowledge, and it seemed to me,
24 if you merged that process with whether you called it a
25 benchmark or a research track, and the name doesn't matter, but,
26 every five years, especially for marquee species, you had this
27 large-scale, very transparent process, where you invited
28 expertise from a wide variety of people, and you had user groups
29 at the table, et cetera, and you incorporated that into the
30 assessment process, but then, in the intervening years, instead
31 of looking at CPUE or some other interim analysis, you actually
32 did operational assessments, where the assessment was done based
33 on the methodology that had been created, and then, at the stock
34 assessment panel, you could then get into details of things that
35 needed to be adjusted.

36
37 Again, it wouldn't be quite as transparent as the process of
38 SEDAR, any of the types of SEDAR assessments that have occurred,
39 but it would be transparent, and people could attend, and it
40 would be documented, and so it would still be a peer-reviewed
41 process.

42
43 Anyway, this is kind of a long-winded statement, but it seems to
44 me like, unless you make a radical change, like a pretty drastic
45 change, in what SEDAR is and how it's done, you're not really
46 going to get the desired effect.

47
48 **DR. NEER:** Thanks, Will. I mean, I agree with a lot of your

1 statement there, and I do agree that we seem to be chipping away
2 around the edges of some of this stuff, and, again, back to
3 having a sort of standing panel, it's something that the
4 cooperators, when they make their appointments, could always try
5 to strive to appoint the same people for the same species, or
6 the same group of species.

7
8 For a while, SEDAR was trying to hold assessments for more than
9 one species at a time, and the benchmark and research, like more
10 than one species at a time that had similar life histories and
11 within the same management and that sort of thing, and that has
12 fallen by the wayside.

13
14 You're right, and I do agree that SEDAR is an ever-evolving
15 process, and perhaps a consideration of a widespread change is
16 something, maybe, that is something that the groups could
17 consider moving forward.

18
19 Up until now, our biggest issue, with regard to increasing
20 throughput, has been a big -- There is a block that is the data
21 stage, of trying to get more done, and so I know Clay has
22 invested a lot of time and money in trying to get that improved,
23 with new staff and new programs, and so we're hoping that, with
24 the improvement of the data stage, as well as perhaps this
25 approach, we'll get more done, but your points are well taken.

26
27 **CHAIRMAN POWERS:** Thank you. I was actually around and
28 transferring from the mackerel stock assessment panel sort of
29 approach to SEDAR, and, being at the Center at the time, it was
30 clear to me that the tradeoff being made was that, with SEDAR,
31 it's that you're increasing transparency, but you're slowing the
32 throughput, and that's inevitably going to happen. One of
33 Julie's first slides is you pick two out of the three, or two
34 out of the four, or whatever it was, and go with that. All
35 right. Shannon.

36
37 **DR. CALAY:** Thank you, Chair. I think that Julie's presentation
38 was quite good and consistent with what the Science Center has
39 been working on. I wanted to respond a little bit to Carrie.
40 The process isn't really going to differ that much, and we are
41 sacrificing an element of transparency to achieve more
42 throughput of stock assessment, and that's the goal.

43
44 We do intend to essentially use standard accepted practices, and
45 so, when there is a change to an accepted practice, that would
46 be something that would be brought up in one of the plenary
47 sessions, which I assume would be publicly noticed, and my
48 vision at least, and I think Julie expressed the same, is that

1 the technical working groups would make recommendations, and
2 they would have the discussions that are needed to justify those
3 recommendations, but they would also come in front of a plenary
4 session for the decision-making process, and so that will remain
5 transparent.

6
7 Another question that Carrie had was what happens if something
8 is essentially missed and it's brought to the SSC and the SSC
9 disagrees with the treatment. Well, that's the same process
10 that has always happened. I mean, that can happen now, and,
11 when that has happened, the SSC can either send us back for
12 additional work, or they can reject the assessment and send the
13 process back for further consideration.

14
15 I mean, it isn't different than what is happening now, and so, I
16 mean, I think that we're striving to increase the assessment
17 throughput, and we do need to create some efficiencies, and
18 you're seeing some of it. You've seen some automated
19 documentation, and we're trying to automate presentations, so
20 that that's more streamlined.

21
22 We're trying to refine efficiencies of calendars, but I did want
23 to emphasize that one thing that's going to continue to be very
24 important is that we are very careful to review the statements
25 of work that go into these assessments and that we identify
26 those topics that are going to require a topical working group,
27 because it will still be quite difficult to include brand-new
28 ideas or new information during the process, and I agree, and I
29 think Julie proposed that a council could write a letter to
30 Clay, and that can certainly be done, asking us to examine
31 something, and we can do it, if we have time, or we can say that
32 simply isn't possible at this time.

33
34 I see this as a process that will use the transparency somewhat,
35 but it really is necessary to try to achieve the increased
36 throughput that all of the councils have requested. Julie, if I
37 said anything that contradicted you, please feel free to speak
38 up, because that was not my intention.

39
40 **DR. NEER:** No. I pretty much agree with what you're saying.

41
42 **CHAIRMAN POWERS:** Thank you. I think this has been very useful.
43 One other thing I would mention, and as SSC member, is it's
44 unclear to me how this is going to affect the amount of
45 participation by SSC people. Basically, how much time would be
46 involved?

47
48 There is different classes of SSC people, in terms of whether

1 you work for a state agency or a federal agency or a university
2 or otherwise, and how you approach these things will be
3 different, depending on how much time is involved, and I don't
4 think that anybody can answer that right now, but it's something
5 to think about. Carrie.

6
7 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair. I know
8 you're trying to wrap this up, and that is a very good point,
9 because we do try to budget for those things, and so I guess we
10 will be using the scopes of work and trying to get a handle on
11 the topical working groups as they come up, our statements of
12 work I guess I should say, with that.

13
14 I guess I would just urge Julie and the Science Center staff to
15 take a look at some of the other operational assessments and
16 when the stock assessment panel has made recommendations for
17 other operational assessments, and, just doing a quick read, it
18 seems to me it's not when new information is available, but it's
19 maybe changes in recruitment and such, and the analysts are
20 falling on those assessment panels to explore those things and
21 to make recommendations and then move forward with the
22 assessment.

23
24 I don't think we want to be convening a topical working group
25 every single time. We're looking at things that are already in
26 the assessment that may need to be tweaked, and I think the same
27 thing could be said for discard mortality, et cetera, and so I
28 think us trying to come up, two years out, with how many topical
29 working groups we need to address those things that far out may
30 be difficult, and so I think we should take a close look at that
31 when we start this new process. Thank you.

32
33 **CHAIRMAN POWERS:** Thank you. I think that discussion has been
34 useful. This would be a good time, or not only a good time, but
35 this is the time to break for lunch, and let's break for an
36 hour, and then we're going to come back with Agenda Item IX,
37 which is the presentation about capacity, and so, at 1:20
38 Eastern, we'll come back. Thank you.

39
40 (Whereupon, the meeting recessed for lunch on July 22, 2020.)

41
42 - - -

43
44 July 22, 2020

45
46 WEDNESDAY AFTERNOON SESSION

47
48 - - -

1
2 The Joint Meeting of the Gulf of Mexico Fishery Management
3 Council Standing and Special Reef Fish, Mackerel, Ecosystem, and
4 Socioeconomic Scientific and Statistical Committees and the
5 South Atlantic Fishery Management Council Scientific and
6 Statistical Committee reconvened via webinar on Wednesday
7 afternoon, July 22, 2020, and was called to order by Chairman
8 Joe Powers.

9
10 **CHAIRMAN POWERS:** We're at Agenda Item Number IX, which is the
11 presentation about the fleet capacity and technical efficiency,
12 and this is part of a review, periodic review, of the ITQ
13 systems for red snapper and grouper-tilefish, and so we'll go
14 ahead with the presentation then.

15
16 **IFQ CAPACITY AND TECHNICAL EFFICIENCY STUDY**

17
18 **DR. CHRIS PARMETER:** If anyone has any questions or comments
19 during the talk, please feel free to ask, so I can address them
20 in real time, or you can wait and do it at the end, either way.
21 I was told that I had about twenty minutes or so for Juan and I
22 to present these results, and so I'll do my best to stay on
23 time, because I know you guys are excited to think about other
24 things fish related than this stuff.

25
26 Just as a background, and this is just more for myself, being
27 the statistician working with Juan, but, essentially, all we're
28 doing here is just assessing the catch shares under the MSA, and
29 we're going to do this for the two big -- At least, to my
30 understanding, the two big catch share programs, the 2007 for
31 the red snapper and the 2010 for the grouper-tilefish.

32
33 There was a previous assessment that was done five years out for
34 both of these, and they found that both of these catch share
35 programs were effective at getting ready of derby fishing, but
36 there was still substantial overcapacity, and some of the
37 earlier work that Juan had done from the earlier five-year
38 assessment for the red snapper fleet found that about 20 percent
39 of the fleet could harvest the full quota.

40
41 What we're doing to do in this brief talk here today is talk
42 about two assessments, and one is going to be a direct
43 assessment of the red snapper IFQ, and we're going to be looking
44 at essentially five years prior to the IFQ being implemented,
45 and so going all the way back to 2002, up until 2018, which is
46 the last year that we have a full dataset, at least when we had
47 originally started this.

48

1 Then what we're also going to look at is a combined Gulf reef
2 fish fishery analysis, which is essentially going to look at the
3 red snapper and the grouper-tilefish as sort of one species of
4 fish and look at how overcapacity looks in that regard, and,
5 beyond that, we're also going to look at technical efficiency
6 and various measures of capacity in these two catch share
7 programs.

8
9 What we're going to be using here to assess technical efficiency
10 and overcapacity is some new econometric methods that have been
11 developed in the last five or six years, and they certainly
12 wouldn't have been around the last time that the capacity was
13 assessed for either of these fisheries, and so that brings a
14 little bit new to the table methodologically.

15
16 The big thing to keep in mind with this is that, when we assess
17 technical efficiency, as I like to sort of put it, when you tell
18 somebody that they're inefficient, it's usually not a nice thing
19 to say to somebody, and so you need to have some sort of
20 quantification of that, and so what these methods that we're
21 going to be using are going to do is they're going to try to
22 separate out what might best be characterized as just pure
23 heterogeneity and what could also be classified as inefficiency,
24 and, in the past, some studies that have looked at this and have
25 access to data, they don't adequately do a good job of that, and
26 so this is one of the things that we're going to try to do.

27
28 Especially when you have persistent inefficiency in various
29 settings where there is a regulatory body, what can happen is
30 that well-intended policies can have very unintended
31 consequences if you're not adequately accounting for persistent
32 inefficiency, and this was shown in a recent paper by Kumbhakar
33 and Lien in an electricity context.

34
35 How are we going to do all of this analysis? Well, we're going
36 to use what's called a stochastic output distance frontier, and
37 the reason that we need to use this output distance frontier is
38 the fact that we're going to be treating output, in this case,
39 as not one gigantic catchall, but we're going to be treating it
40 as separate types of output broken down by various fish, and so,
41 in that regard, a standard production function wouldn't
42 necessarily work, because, there, we have a singular output,
43 which could be total tons of fish, but that doesn't necessarily
44 help us to understand what's going on in let's say the fishery
45 for red snapper or for grouper-tilefish or for let's say them
46 all combined.

47
48 Now, the way that this stochastic output distance frontier works

1 is it's essentially looking at a maximum amount of an output
2 vector that can be proportionally expanded, where we hold input
3 vectors fixed, and so, in this case, it would be how much more
4 of each type of fish could I catch by keeping the length of my
5 ship fixed, the number of days at-sea fixed, the number of crew
6 fixed, and so on and so forth.

7
8 The key with an output distance frontier is that outputs are
9 either expanded or contracted radially, and so, in this case
10 here, all outputs would go up by the exact same proportion, and
11 so let's say a 5 percent increase, and it would not be only a 5
12 percent increase in let's say red snapper, but it would also be
13 a 5 percent increase in any other type of fish that I was
14 interested in looking at.

15
16 In the empirical literature that looks at stochastic output
17 distance functions, we have to specify this, and the most common
18 is the translog functional form, and a translog functional form,
19 in its most basic essence, is just a quadratic function in logs,
20 and so, if you're thinking of a standard quadratic function,
21 it's the same thing, except we have logs everywhere, and I have
22 written it here in a very generic style for you, so you can see
23 the Ys here would represent our outputs, and the Xs would
24 represent our inputs, and so, because it's quadratic, we have
25 each Y appearing by itself, and we have each input appearing by
26 itself, and then we have all the cross products.

27
28 This, by itself, is not quite usable, because distance functions
29 have to satisfy various axioms of producer theory, and so
30 there's a little bit of handwaving and algebra and whatnot that
31 goes on, and so we're going to do that, and then we end up with
32 what Juan and I are actually estimating, which is our final form
33 of our output distance function.

34
35 The main thing you'll see here are these Ys now have tildes, and
36 that is because what we do is we put them in ratio form with
37 respect to one particular output. Now, you don't have to worry.
38 The way that the output distance function works is it's
39 invariant to which output we pick to normalize by, and so
40 anything that Juan and I discuss today would be exactly the same
41 if we were to use a different normalization, and so this is
42 normalization invariant, which is pretty good.

43
44 Then, at the bottom, we have a few extra things that have been
45 added, and this Z vector here is just a bunch of other things
46 that we would be including in our analysis that we might think
47 would factor in to how good or bad these fishermen are, and
48 these would be things like the estimated stock of the fishery,

1 as well as things like which particular area of the Gulf they're
2 fishing in, what time of year they're fishing in, and so on and
3 so forth.

4
5 Then we have our stochastic terms, and so these are the things
6 that we're going to be a little bit interested in for
7 calculating overcapacity, and so V_{IT} it your standard sort of
8 shock, and it's things that we're not really capable of modeling
9 that go in here. U_{IT} is what we could call time-varying
10 inefficiency, and this is basically that I should be able to
11 catch more, but I can't, and it's going to vary by vessel, which
12 is our I index, and it's going to vary by time, and then we have
13 the alpha-I, and the alpha-I is what really is going to
14 distinguish this model from some of the earlier work that's been
15 done on these fisheries in the Gulf of Mexico.

16
17 Here is kind of basically what I just said, but we're going to
18 include some IFQ dummies as well inside of that Z variable,
19 either for red snapper or for grouper-tilefish.

20
21 What I will do now is just sort of hack up the rest of the talk,
22 and the set of results that I'm going to show you will focus
23 first on the red snapper, and then we'll move on to the combined
24 analysis.

25
26 For this setting, for the red snapper, we're going to have four
27 species groupings, and so the main species we're interested in
28 is going to be red snapper, and then we're going to have three
29 additional catchall output groups, and one will be other
30 snappers, and the second will be grouper-tilefish as its own
31 separate output, and the fourth will be all other species that
32 are caught and landed at the docks. When we switch to the model
33 that looks at red snapper and grouper-tilefish together, we'll
34 have three groups, mainly because we're combining the red
35 snapper and the grouper-tilefish together.

36
37 Before we move on, I want to come back and talk about this
38 alpha-I here at the very bottom, this last term in this
39 analysis. This last term, we're going to further sub-divide it
40 into two pieces, and so the first thing you might notice is
41 there no time component on this, and so this alpha-I is going to
42 be fixed over time. Not only is it fixed over time, but we can
43 decompose it into two separate pieces, and so we're going to
44 have our C_I , and C_I is going to capture vessel-specific
45 heterogeneity.

46
47 Our T_I is going to capture time-invariant inefficiency, and the
48 ability to break this up into two pieces is pretty good,

1 because, for one, if we ignore alpha-I completely, part of
2 alpha-I will go into the error term in the model, and part of
3 alpha-I will go into the generic time-varying inefficiency term,
4 and part of it will be poor estimation of all of those
5 coefficients of the output distance frontier, which you're going
6 to need to be able to calculate things like technical efficiency
7 and overcapacity and quota utilization and so on and so forth.

8
9 Just the ability to include alpha-I is nice, but then, to
10 decompose it, we can take it and sort of say, okay, part of this
11 alpha-I is going to be differences across the ships that has
12 nothing to do with how good or bad you are at fishing, but it's
13 just sort of quiriness as it pertains to the vessels, and it
14 won't change over time, and then another part of it will be sort
15 of the fact that you might imagine that some of these vessels,
16 these ship captains, are just better at catching fish than other
17 ship captains are, and this is why we sort of call it as
18 persistent, because it remains year over year, period over
19 period, and it doesn't go away.

20
21 Now, one of the basic things we're going to assume though is
22 that -- We have these two different types of inefficiency, and
23 you might say to yourself, well, we're looking from 2002 until
24 2018, and it's likely that, over those seventeen years, we would
25 not necessarily anticipate that somebody could be persistently
26 inefficient for that entire range of time. Well, again, we're
27 not assuming that completely, because we have this U_{IT} term, and
28 this U_{IT} term can exhibit all different types of behavior over
29 time.

30
31 It could be completely random, or it could be growing, or it
32 could be shrinking, and we're going to allow for these various
33 types of behaviors in our statistical analysis, and so there's
34 going to always be these sort of two components that are
35 competing with each other that capture inefficiency in the
36 fishery that we're looking at.

37
38 There are many ways to estimate this model. If we were not
39 interested in inefficiency in any way, the simplest thing to do
40 is just ordinary least squares, and so we could get rid of the
41 U_{IT} , and we could get rid of the T_I , and we could estimate this
42 using just very simple regression techniques. However, if we
43 really want to recover technical efficiency, and we want to
44 decompose it, this U_{IT} term and this T_I term, then we're going to
45 need a little bit more structure on the model, and we're going
46 to need a different estimation methodology.

47
48 What Juan and I are doing here is we're following the approach

1 of the *Journal of Productivity Analysis* paper that was published
2 in 2014 by Kumbhakar, Lien, and Hardaker, and what this
3 essentially does is it just breaks down the estimation of this
4 model into three separate steps.

5
6 In the first step, we estimate the output distance frontier,
7 remaining ignorant as to what U_{IT} and T_I are, and then, in the
8 next two steps, we recover U_{IT} and T_I , through a series of
9 distributional assumptions. For our purposes, we're going to
10 assume that V_{IT} and C_I are distributed normal, and we're going to
11 assume that U_{IT} and T_I are distributed as half normal, and those
12 assumptions are enough to provide identification of all of these
13 terms that we care about, and we have a lot of -- I mean, I can
14 go into this in more detail, but, otherwise, I will just skip
15 over it at the moment and let you ask questions later.

16
17 In terms of capacity, there is a lot of literature that is
18 focused on capacity, and, unfortunately, one of the problems
19 with capacity is there is many different definitions, but what
20 we're going to do here is just follow sort of a standard
21 definition from Terry 2008. Basically, it's the maximum amount
22 of fish that the fishing fleets are reasonably expected to
23 catch, if they're operating at normal, fully utilizing all of
24 their inputs.

25
26 In this case, that's going to be our measure of capacity, how
27 much can you catch, and then, beyond that, we have a measure of
28 what's called excess capacity, and that's simply the difference
29 between your harvesting capacity and your estimated catch, and
30 we're going to have overcapacity, which is going to be the
31 difference between your harvesting capacity and some short-term
32 target catch level.

33
34 Now, in our case here, what we're thinking about doing -- The
35 issue is I'm going to observe fishermen catching a certain
36 amount of red snapper and other types of fish, and then what I
37 want to know is how much more could you catch, and so there are
38 lots of different ways of doing this, and so, for instance, in a
39 paper in the *Journal of Productivity Analysis* by Felthoven et
40 al, what they did is they said suppose I fish for one more day,
41 and how much could I catch extra, and then they used that as
42 their measure of capacity, which is fine, but the issue there is
43 you are sort of forcing the fishermen to fish for another day,
44 when they don't necessarily want to fish for another day, and so
45 there's sort of a behavioral quirk that's going on.

46
47 Another way to think about this is that, when I talk about
48 capacity, I can look at this from the standpoint of I can give

1 you more output, by letting you use your inputs more, or I could
2 hold your inputs fixed and you can figure out where your
3 absolute maximum is, and this is sort of the notion of a
4 frontier and going back to it, and so this is -- In some sense,
5 there's an output-oriented movement towards producing more, and
6 there's an input-oriented movement towards producing more.

7
8 For instance, the Felthoven paper and some other papers, they
9 measure capacity by looking at input movements. What we're
10 going to do in this paper is look at output movements, and so,
11 in this case here, we're going to essentially ask ourselves if
12 suppose we eliminate technical inefficiency in the model, how
13 much more would be able to fish, in terms of catching the fish
14 and bringing it in.

15
16 That's going to be what drives us, in terms of our measures of
17 capacity, and so we're going to hold all inputs fixed, and we're
18 not going to change any of those, and then we're going to ask
19 ourselves to eliminate inefficiency, and then how much more
20 would we actually observe these fishermen catching if we did
21 that.

22
23 What we're going to be doing here is using the PIMS database,
24 and this has -- I'm sure most of you know it has how much
25 fishing effort is done, in terms of the various landings of all
26 the characteristics, measures of revenue for each species that
27 is landed, a bunch of vessel characteristics, where they fish
28 and so on and so forth, where the boats are registered.

29
30 For the red snapper fishery analysis, we're only going to use
31 vertical line vessels, and, when we switch over to the combined
32 fishery, which has red snapper and grouper-tilefish, we're going
33 to include both vertical line and longline vessels, and, for the
34 vertical line, what we're going to -- Juan and I have done a
35 bunch of stuff, and so feel free to ask questions about why we
36 made the decisions we did, but, in the estimates that I'm going
37 to present to you, what we're going to assume, and we've tested
38 this and looked at various measures, is we're going to assume
39 that, after the IFQ went into place in 2007, that there was a
40 different technological frontier for the fishing.

41
42 What this basically means is that I'm estimating separate output
43 distance frontiers before and after the IFQ was implemented, and
44 we're going to do the exact same thing, and we have statistical
45 evidence for this, in the combined fishery case, except, there,
46 we're going to have four different technologies, and I'll
47 explain that when we get to it in a minute, but, here, what
48 you're going to see is just the basic raw statistics.

1
2 We have our four inputs of red snapper, other red snapper,
3 grouper-tilefish, and all other species. We then have three
4 inputs of what I would consider to be a fixed input, which is
5 vessel length, and then two variable inputs, which would be days
6 away and the crew size, and then we have some measures of the
7 health of the fishery, through various measures of the biomass
8 that are also included.

9
10 What's not shown in this table are other things like the region,
11 the location of the ships, where they depart from, the time of
12 year in which they're fishing, the various IFQ dummies that
13 we're using, and so on and so forth.

14
15 The first thing that we're going to look at, and this just kind
16 of gives us a sense of if we're done a fairly good job of
17 capturing technology, and we're going to look at the input and
18 output elasticities and returns to scale, and so what I've done
19 here for you in these slides is I say, well, let's look at
20 output elasticities for all the years across all the ships, and
21 remember this is for the red snapper vertical line only.

22
23 What we see is the two biggest species, in terms of
24 responsiveness as an output elasticity are red snapper and
25 grouper-tilefish, and, to help you maybe interpret this, just
26 ignore the minus signs. The minus signs theoretically are
27 correct, but, if you're thinking of the magnitude, this is sort
28 of a response in one species relative to another, and these are
29 calculated as the average across all of the ships, which there
30 is well over 90,000 observations in this database, and so I'm
31 trying to distill this down to a single number for you.

32
33 In terms of the input elasticities, we basically see a one-to-
34 one correspondence with the vessel length, but, again, keep in
35 mind this is fixed, and so it's going to be hard for the ship
36 captains to really change anything about their ship manifest
37 before they go out, but there is also almost a one-to-one return
38 in days away for the whole sample, and much less so for the
39 crew, and, for returns to scale, we see that these ships could
40 probably be doing a bit more, in terms of their inputs in terms
41 of catching, and so there's an increasing returns to scale.

42
43 Then, if you look sort of pre-IFQ and post-IFQ, you will notice
44 various changes arising, in terms of how these fishermen are
45 behaving, and so you will notice that, originally, pre-IFQ,
46 there was less returns to scale. Post-IFQ, there is greater
47 returns to scale.

48

1 One natural implication of this is just that, pre-IFQ, you could
2 go out whenever you wanted, and so you might have had a tendency
3 to stay out a bit longer and do more fishing, and that's going
4 to lower your returns to scale, and you see a big difference in
5 terms of the input elasticities for the length of the boat and
6 the number of days away pre and post-IFQ, and so, clearly, the
7 implementation of this was having some behavioral implications
8 for the ship captains.

9
10 Now, if we switch over and we look at technical efficiency, what
11 we have is, here, this is the plot of the time-varying technical
12 efficiency, and you're going to see a rightward shift from pre-
13 IFQ to post-IFQ, and this is just telling us that the fleet is
14 becoming more technically efficient as the IFQ was implemented,
15 and so this IFQ is sort of leading, in some sense, to fishermen,
16 because they have a more limited catch share, having to do a
17 little bit better with the limited resources that they have,
18 whereas, prior to that, they couldn't.

19
20 What you can't tell from this graph, but the average of this is
21 about a five to six percentage point increase in technical
22 efficiency over time between the time the IFQ went in to today,
23 or to the end of 2018, I should say.

24
25 These are just sort of our raw measures of what's going on, in
26 terms of capacity now, and so let me explain this table for you.
27 In the left column that says, "actual catch", this is what we
28 observe in the data as an average, and so this would be sort of
29 an average over the whole fleet for the entire period of time,
30 and it would be let's say 4,251 pounds of red snapper.

31
32 Then the column that is labeled " C^{OTE} ", this is the capacity.
33 This is how much they could catch if they were fully efficient,
34 and fully efficient here means that I assume that you have no
35 persistent inefficiency, and you have no time-varying
36 inefficiency, and so it's almost double the actual catch, and
37 then, just as a reference, I also have this column here that is
38 C^{TVE} , and what this does is this says, well, persistent
39 inefficiency may be a much harder concept to eliminate, but
40 suppose we could at least get rid of time-varying inefficiency,
41 and we're still going to see that it's above the actual catch,
42 but it's below this C^{OTE} , and so this middle column here should
43 be the biggest, and the last column, C^{TVE} , should be in the
44 middle, and then we have our actual catch.

45
46 Then what I've done is I've just broken it down for you, and so
47 we look at actual catch pre-IFQ, we look at actual catch post-
48 IFQ, and then, within this post-IFQ, I have broken it down into

1 two specific time periods, and so 2007 to 2011, which would be
2 the five years right after it went into place, and then the next
3 five years after, or six years after, it's been in place.

4
5 What you will notice is a big increase in actual catch, but also
6 a big increase in terms of the overall capacity of these ships,
7 and so it seems there is some learning that's been going on from
8 when the IFQ was first implemented until behavior of let's say
9 now, and, of course, this 2011/2012 split is arbitrary. Our
10 rationale for doing this is just that 2011 corresponded with
11 Juan's earlier study, and so this gives us a nice basis of
12 comparison with the earlier published work that Juan did.

13
14 Now, beyond this raw measure of capacity, the next thing we can
15 look at is getting how big the fleet is relative to how big it
16 would need to be to actually catch the amount of fish that NOAA
17 wants to be caught, in this case the quota, and so what we've
18 done here is, over the years, what I have listed for you is the
19 quota that's in place, and then I have this column here that
20 says "total vessels", and this is the total number of longliners
21 that are going out, and the column that says "efficient vessels"
22 is -- This is the number of vessels, if they were fully
23 efficient, that would be needed to catch this specific quota
24 here.

25
26 Then we have -- This here is a raw measure of the percentage of
27 the vessels, and this is the quota utilization that is the
28 actual catch relative to the quota, and so what you see here,
29 basically, and this is very consistent with the work that Juan
30 did earlier, is that the fleet is much too large relative to
31 catching this quota, if the vessels were to be fully efficient,
32 and this trend continues from the time of Juan's initial study
33 until up to 2018. Even with the quota increasing, we still see
34 that there is only about 20 percent of the fleet that is
35 actually necessary, if the goal were just to catch this specific
36 level of the quota.

37
38 Now, let's move into the combined, and so, again, this is all
39 going to be sort of the same types of analysis, and it's just
40 that what we're doing here is we're combining red snapper with
41 grouper and tilefish, and so we're just going to drop one of our
42 inputs, and we're also going to include longlines, and so what
43 this is going to do is add about 50,000 observations to the
44 dataset, and so, before, we were using on the order of 90,000
45 observations, and now we have about 140,000 observations, and
46 you will notice that the fishermen are catching more of the
47 prime species here, because we're combining it, and so that
48 makes sense.

1
2 If we look at our elasticities, what we'll notice now is that
3 this combined elasticity for red snapper and grouper-tilefish is
4 much more responsive, as it should be, because we're not making
5 a distinction between catching red snapper versus catching
6 grouper-tilefish.

7
8 We see sort of similar patterns. The returns to scale for the
9 whole sample are above one, and so this is sort of suggesting
10 that these fishermen could more than proportionally increase
11 their input by using a little bit more of their inputs, and, if
12 we break it down between pre-IFQ and post-IFQ, we sort of see
13 similar types of patterns.

14
15 One thing that I will mention here that's important to keep in
16 mind is this is for longline and for vertical line, and what
17 Juan and I are assuming here is that longline has its own
18 separate technology and vertical line has its own separate
19 technology, and so I'm not assuming that the vertical line and
20 the longline are in any way the same. They are allowed to be
21 completely different, and we're allowing them to be different
22 pre and post-IFQ. Here, my split for pre and post-IFQ is the
23 year 2010. For the red snapper only, we were looking at 2007,
24 and so, here, we're going to look at 2010.

25
26 Again, instead of just looking at pre and post-IFQ, what I can
27 also do is take that post-IFQ and split it up into just a couple
28 of arbitrary, let's say four or five-year, increments for you,
29 and you sort of see that, after the IFQ went into place, versus
30 a few years past that, things are pretty much -- There is some
31 minor differences, but they don't change too, too much at this
32 post-IFQ, and so you'll notice very little difference in output
33 elasticities. You're talking about a three percentage point
34 change for the prime category, and you're talking about a three
35 percentage point change for the other snapper category.

36
37 The only real big difference is there is a somewhat substantial
38 drop in days away, and so it becomes sort of less responsive in
39 the later periods, versus the earlier periods post-IFQ, and
40 there's a much bigger response post-IFQ in the later periods for
41 the length of the vessel.

42
43 In terms of crew size, there is almost no difference, which you
44 would perceptively think makes sense, because the number of
45 people on the ship is not really being directly impacted by the
46 IFQ.

47
48 If we look at what's going on in terms of technical efficiency

1 in the fishery, what I have plotted here for you are the
2 densities of the time-varying inefficiency, but persistent
3 inefficiency, and then the overall, which is nothing more than
4 the multiplication of these two, and so it's natural that this
5 overall is going to be a little bit shifted to the left.

6
7 Our measure of persistent inefficiency, on average, is quite
8 high. There are many boats that are determined to be fully
9 efficient in the time constant domain, and so some people might
10 be happy about that, and that's pretty good.

11
12 Then we can further break this down by pre and post-IFQ and by
13 vertical line and longline, and so what you'll see here is, if
14 we focus on the vertical line, they are very similar to the
15 results that we had, although there's a slightly larger increase
16 in efficiency, going from the pre IFQ to the post-IFQ, and, for
17 the longline, there's an even bigger jump, and, primarily, this
18 bigger jump is due to the fact that there's a lot of ones that
19 we have in here, and that's why you see this sort of spiking at
20 the end. We have a lot of vessels that are determined to be
21 very high levels of time-varying efficiency in our analysis.

22
23 Now, if we look at capacity for this, again, this is the same
24 setup as before, and the actual catches are going to be higher,
25 because we're combining red snapper with grouper-tilefish, and
26 we also see much larger capacity, as expected, because their
27 efficiency is being measured relative to a larger catchall, and,
28 again, we have the overall, which combines time-varying
29 technical efficiency and persistent inefficiency, versus just
30 time-varying efficiency, and we do this for all years.

31
32 There's not too much that I would say is surprising from these
33 tables, at least in my opinion, but you might want to pepper me
34 with questions on that later.

35
36 Then, if we just break this down, and, instead of year by year,
37 if we do it by sort of the pre-IFQ and the post-IFQ and then we
38 break it down, we sort of see similar -- We see, over the entire
39 period, about 10,000 tons per vessel per trip, and pre-IFQ is
40 10,900, and post-IFQ is 10,500, and it was slightly smaller than
41 that when the IFQ was implemented, and it grew marginally.
42 Capacity seems to be much higher post-IFQ than pre-IFQ, and it
43 seems that the increase in that is that capacity initially
44 dropped after the IFQ went into place and then it increased.
45 This is true whether you do overall technical efficiency or if
46 you do time-varying technical efficiency.

47
48 Then, lastly, we do the same concept with our fleet size here,

1 and so we have our quota, and then we have the number of
2 efficient vessels that we would have, and we have the total
3 number of vessels, and then we have the percentage of vessels,
4 and we have a much different story here than we have with the
5 red snapper, and so, in the red snapper, you remember that the
6 size of the fleet only needed to be about one-fifth the size of
7 the actual fleet.

8
9 Here, we don't really observe that, and the primary reason we
10 don't observe that, and we have these hundreds here, or these
11 very large numbers, is that the quota is so high that, even if
12 Juan and I were able to eliminate all technical efficiency in
13 the fleet, they still couldn't catch the quota, and that's why
14 you see the number of efficient vessels is equal to the total
15 number of vessels, and so, even if we eliminate time-varying
16 inefficiency, and we eliminate persistent inefficiency, those
17 gains in producing more catch would not meet the quota.

18
19 They would still be under the quota, and so, in that sense,
20 there is -- Our way of quantifying how many additional boats, or
21 how many fewer boats, there would need to be doesn't change, and
22 that's why these numbers are essentially the same, and so this
23 growth in the quota over the last four years sort of makes it
24 seem as though there is more than enough -- There is actually
25 not enough ships in the fleet, according to this metric, and you
26 can see this too by the quota utilization.

27
28 In let's say 2018, only about 60 percent of the quota was
29 actually caught, and so there's that whole sort of excess
30 capacity there that could be caught by these fishermen, and
31 they're just not able to catch it, and that sort of concludes my
32 talk, and hopefully I stayed on time, and I think I went over a
33 few minutes, but I'm happy to take any questions that you might
34 have, and I should say too that anything in here that you really
35 like, that was all Juan, and anything that you dislike was all
36 Mike Travis, and that's the end of it.

37
38 **CHAIRMAN POWERS:** Thank you. Just so I can get some technical
39 understanding, you made some reference about if the probability
40 distribution is normal or half normal, and could you kind of
41 explain that again? Particularly, I was wondering if it
42 requires that these distributions be normal or half normal, or
43 was it just that they're symmetric or half symmetric?

44
45 **DR. PARMETER:** That's a good point, and so there's many
46 different ways to answer this question, and there's many
47 different things that we could try to kind of allay any concerns
48 that you might have. The biggest thing that we need is we need

1 there to be some type of asymmetry between what we're calling
2 heterogeneity or noise and what we're calling inefficiency.

3
4 The reason for that is inefficiency, in our concept, works in
5 one direction, and so, if you're inefficient, it's always
6 pulling you in the wrong way in which you want to go, and so you
7 want to produce -- More inefficiency is pulling you down from
8 producing more, and so, if noise is symmetric, it can pull you
9 up or pull you down, and we can identify these types of
10 inefficiencies just by using this very simple notion of a
11 symmetric and an asymmetric.

12
13 Now, there are many, many, many distributions that are
14 asymmetric that can produce these types of things, and so this
15 is where you kind of get into some issues as to do I need half
16 normal, or could I do exponential, or various types of other
17 statistical distributions, and so what I would answer to that,
18 or maybe to caveat it, is to say that one sort of weak rationale
19 for using let's say half normal is that the vast majority of
20 everything that's done in terms of the calculations has a simple
21 closed form solution. This makes, computationally, things very
22 nice. Models go pretty easily, and we don't have to spend a lot
23 of time doing sort of non-linear optimization and things of this
24 nature.

25
26 If we get into more complicated distributions, we can have sort
27 of more complicated shapes and things of this nature that might
28 mimic reality, but what we lose is, essentially, the more
29 complicated your distribution that you pick for inefficiency,
30 the much harder it becomes to unravel all of these pieces
31 together.

32
33 From a very technical standpoint, I have a lot of research that
34 I've done that basically says the following, and it says that,
35 as long as the V is symmetric, the distribution of V is not that
36 important, and so all of the concern would be on the U . If we
37 can agree on the symmetry of the V and the CI , then we can have
38 a more clear discussion of the importance of distributional
39 assumptions for the U_{IT} and for the T_I .

40
41 I would say another argument that some people use for the half
42 normal is the half normal has a mode at zero, and so the
43 implication for that would be that, if we're looking at the
44 probability of being inefficient, it's much more likely to be
45 less inefficient, i.e., more efficient, than to be heavily
46 inefficient, right, and so that's one of the intuitive uses of
47 let's say a half normal, is we're starting off a priori allowing
48 the vessels to be believed to be less likely to be grossly

1 inefficient than we otherwise would be if we picked a different
2 distribution.

3
4 **CHAIRMAN POWERS:** Thank you. That was interesting. Andrew
5 Ropicki.

6
7 **DR. ROPICKI:** Thanks. That was a very good presentation, and I
8 missed some at the beginning, and I was having some technical
9 difficulties, but what was the requirement for a trip to be
10 included in the dataset for say the red snapper model?

11
12 **DR. PARMETER:** Good question. What happened is, when I got this
13 data, and I was working on it with Juan, we had sort of this
14 conundrum, which was I might observe -- Let's say you're a fish
15 captain, and I might observe you taking two trips in the year,
16 and, in one trip, you catch red snapper, and, in another trip,
17 you didn't catch red snapper, and so there's a question of do I
18 include both of those trips or not.

19
20 I ran through various scenarios and tested them out, and the
21 results that I presented to you today make the following
22 assumption, and the following assumption is, if you made at
23 least one trip in the year where you landed at least one pound
24 of red snapper, then I include all of your other trips. If you
25 made thirty trips, and in fifteen of them, you catch red snapper
26 and in fifteen of them you don't, I still include you. You only
27 need to have one trip in the year where you land red snapper,
28 and the same is true when we do the combined model, and so you
29 have to have one trip where you landed at least one pound of red
30 snapper, grouper, or tilefish.

31
32 **DR. ROPICKI:** So there's no annual minimum on how much red
33 snapper you had to --

34
35 **DR. PARMETER:** We don't do a minimum. I have another analysis
36 where I only used the trips where you actually land that
37 particular fish, and so I have a smaller -- It's probably like a
38 third of the size, where you only are catching the red snapper,
39 and so, if you don't catch red snapper on a trip, then I don't
40 count that as part of the analysis, but I view that as more of a
41 robustness check, for the simple fact that what we have here
42 going on is sort of an identification problem, which is, if I
43 observe you going out to fish, and you don't catch red snapper,
44 there is sort of two states of the world that you -- I mean,
45 there's probably many more, but I try to keep it very
46 dichotomous.

47
48 There are two states of the world, and State of the World 1 is

1 you went out and you intended to catch red snapper, and you just
2 didn't catch any, because they weren't where you thought they
3 were going to be when you went out to go fishing.

4
5 State of the World 2 is you had no intention of catching red
6 snapper when you went out, and, as the economist here looking at
7 the data, unless I go and talk to all of these fishermen, I
8 don't know which one of those two is actually going on.

9
10 **DR. ROPICKI:** No, you're definitely right on that point. What I
11 was trying to get to more so is it's kind of an odd fishery. I
12 am curious as to how many of the vessels -- When you talk about
13 the overcapacity and too many boats still out there in the red
14 snapper fishery, I am curious how many of them are catching less
15 than a hundred pounds a year, 500 pounds a year, and, as someone
16 who has looked at this data before, there's some oddball
17 outliers in it.

18
19 There are people who have basically -- Currently, they are
20 basically charter fishermen who still have a reef fish permit,
21 from the days when they commercially fished, and they have
22 eighty pounds of red snapper quota, and I don't know what they
23 do. Maybe they go out with their friends on one Saturday and
24 catch their quota.

25
26 **DR. PARMETER:** That's a good question, Andrew, and so we did a
27 couple of things to try to guard against this, and I don't know
28 if all of this would sort of address your question fully, but,
29 for instance, if anybody went out for like one day, just one
30 day, and they have like a very odd crew size or something like
31 this, we cut them out, or like anyone who goes out for like two
32 weeks, and they get cut out.

33
34 We tried to really trim up the data, to get rid of those types
35 of trips, but I don't know that that would completely rectify
36 your issue. What I will say is that it's easy enough, if the
37 council is interested, to go back and change the minimum, and
38 so, for me, the minimum is one pound, and that's nothing more
39 than like push a button in my -- I realize I'm making more work
40 for myself and Juan, but Juan likes to work, and so it's okay.
41 He told me that.

42
43 I could easily change the minimum to 500 pounds for the year, or
44 500 pounds for a trip, and redo it that way, and that would
45 probably cut out maybe 6 to 7 percent of the observations.

46
47 **DR. ROPICKI:** I would really be curious to see what it does, in
48 terms of the technical efficiency.

1
2 **DR. PARMETER:** Sure, and the other thing I will say is, if you
3 go to that slide that has the table with the technically-
4 efficient vessels, and I believe it's like Slide 32 or something
5 like this, and I forget the number now, but, if you go there,
6 and so the way in which that table is calculated -- It's past
7 32, and it's 37, maybe.

8
9 What happens is, here, in order to calculate the number of
10 efficient vessels, there's a few assumptions that are going on
11 behind the scenes that I have to make, in terms of how I want to
12 rank-order the boats.

13
14 For instance, I could say let's rank-order the boats based on
15 how much they catch, starting with the biggest catch down to the
16 littlest catch, and another way to do it is, and this is how
17 it's presented here in the tables for you is, is I say let's
18 start with the fishermen who is the most efficient and make them
19 fully efficient.

20
21 If you happen to be the most efficient, and you're only catching
22 twenty pounds, and, by making you more efficient, you catch
23 twenty-one pounds, you're not really having a big change on this
24 table, right, and so, in this case, I don't think it will change
25 the percentage of vessels too much, because, if I take your
26 scenario, where somebody is only catching let's say fifty to
27 seventy pounds, and I make them fully efficient, and so now
28 they're catching a hundred pounds, they're not really eating
29 into the quota in a way that's going to dramatically affect the
30 percentage of vessels, because my goal is to say how many
31 vessels do I have to have to eat up this quota.

32
33 These little guys that are out there, whether they are fully
34 efficient or not, they just catch so little that, even if I make
35 them better, they still are not catching a lot, and so the vast
36 majority of this quota is being eaten up by these vessels that
37 have to go out and catch a good chunk of the fish, if that makes
38 sense.

39
40 **DR. ROPICKI:** No, that was good, and I don't want to hold up too
41 much longer, because I see that lots of people have their hands
42 up, but I did have one other thing. You talked about the
43 intent, and not knowing if they were actively targeting red
44 snapper on a trip, and all you can observe is whether they
45 caught it, and I'm wondering if there's some way to look at
46 trips from a trip level catch portfolio and if you can find
47 different types of trips based off of those -- Maybe make some
48 assumption about what they were targeting based off a group of

1 things that they caught. Like, if there are certain species
2 that they go after, and those trips never have a red snapper
3 catch associated with them, or it's very small, maybe those
4 aren't red snapper trips.

5
6 **DR. PARMETER:** I could do that. I mean, the other thing I will
7 say is that there are many trips in the data where they are
8 catching some red snapper and almost no grouper-tilefish, or
9 vice versa, and that's quite correlated with vertical line
10 versus longline.

11
12 What we could do, to address your question, is sort of put in
13 some kind of like a percent of their total catch, and so I
14 observe the total amount of fish landed, regardless of species,
15 and that's in the data. It's like I caught 4,000 pounds of
16 fish, and so then I could take that, and I could say how much
17 red snapper did you catch, and I could convert it into a
18 percentage and only consider those trips which the percentage of
19 red snapper was above some threshold, whatever that number might
20 be that seems reasonable, and we could easily do it that way.

21
22 **DR. ROPICKI:** That could be interesting to see, actually.

23
24 **DR. PARMETER:** I can do it that way, because I have access to
25 the total amount of fish that's landed per trip, and so that's a
26 way of getting at somewhat of the intent, right, that you're
27 referring to. The issue there would just be where's my cutoff?
28 Is it 5 percent, or is it 20 percent, or is it 50 percent, but,
29 again, that's just a number to be addressed, but it can easily
30 be done.

31
32 **CHAIRMAN POWERS:** Thank you. Next is Walter Keithly and then
33 Ken Roberts.

34
35 **DR. KEITHLY:** Thank you, Mr. Chairman, and thank you, Dr. Agar
36 and Dr. Parmeter, for a very interesting presentation. I have a
37 number of questions, and I'm going to try to limit myself, but I
38 want to start with a larger aspect, and Juan and I have
39 discussed issues with capacity many times, and he knows that I
40 have some concerns regarding measuring capacity in fisheries.

41
42 Let me first get your thoughts, and I have my own thoughts,
43 about what causes, in your opinion -- What factors lead to
44 vessels being consistently off the production frontier? Do you
45 have any thoughts on that?

46
47 **DR. PARMETER:** I guess, if I was to re-interpret your question a
48 bit more broadly, it would just be why are people inefficient?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29
30
31
32
33
34
35
36
37
38
39
40
41
42
43
44
45
46
47
48

DR. KEITHLY: Yes.

DR. PARMETER: It doesn't really have to be even confined to the fishery, but it's just why, in general, are people inefficient, and that's a great question. I mean, the researchers who work in this area more broadly always sort of bump up against this question, is why do we believe it, and so one reason I would argue that it can exist is that, if there's not a market mechanism in place to penalize you for being inefficient, it's more likely that it will happen.

It's like if you're a grunt in bootcamp, and you're very lazy and can't keep up, the boot instructor just keeps harassing you until, eventually, you either get on the frontier or you quit bootcamp, and so there's like a mechanism in place to weed out the really bad performers.

I don't know enough of the behind-the-scenes stuff with fishing in the Gulf, and I don't really know much about fishing at all, but I don't know enough about that to argue if there was some kind of a mechanism in place where somebody who is just really bad at fishing can hang around the fishery, year over year over year over year over year, but, if there isn't a mechanism like that in place, it's certainly conceivable that you will observe fishermen who just aren't as good as some of their peers, holding everything else fixed, in terms of the size of their ship and the number of days that they fish and the crew and all these other things.

If there is not a mechanism in place, it's for sure that you can be inefficient, because you don't have a penalty, and so some economists like to call this the quiet life hypothesis, which is, if no one is going to make me work hard, I have no incentive to work hard, and so I'm always going to appear to be inefficient, because there's nothing that is driving me to be better, so to speak.

DR. KEITHLY: Okay, and so, basically, I think we're talking about the skill of the captain, to some extent at least.

DR. PARMETER: The skill here would be wrapped up not necessarily in the time-varying component, although, I mean, it could be. It could be like let's say a skill to reading the weather, and that could be a time-varying component, depending on which time of the year you're going out in the Gulf to fish, but I look at the skill more as like with farmers and knowing how to like plant seeds in a particular way and how to like

1 rotate their crops and things of this nature.
2
3 I would imagine that, as with any industry, there is some
4 inherent skill to be good in that industry that some people just
5 have and some people don't have, per se, and so --
6
7 **DR. KEITHLY:** Now, with respect to skill, in the captain or
8 crew, and I don't think it's measured, and, in fact, in one of
9 your slides, I think you said that the innate skill of the
10 captain, or the skipper maybe, you considered fixed.
11
12 **DR. PARMETER:** Yes, that's right. We're assuming that is fixed,
13 yes.
14
15 **DR. KEITHLY:** It may be more of the crew, and there's no way to
16 test it, I don't think, but I suspect that, with the IFQ, crews
17 become more constant, as vessels make, or the owner of the
18 vessel, which comes into the whole issue of fleets versus owner-
19 operators, but as -- We'll assume they're all owner-operators.
20
21 As profits are enhanced to the owner-operator with an IFQ, then
22 some of that would be passed down to the crew, I would think, at
23 which point I would expect, and, again, I may be wrong, that the
24 crew itself would become more efficient from learning. Is that
25 the captured in the model?
26
27 **DR. PARMETER:** Well, the unit of observation here, the I, is the
28 ship, and so, if the ship and the captain are sort of wedded
29 together, then you could argue that the unit of observation is
30 the captain, and so I guess that's something that I wouldn't
31 know, per se, is that, every time I observe the vessel, is it
32 the same captain, and I don't know that I ever looked at that in
33 the data, if there was a column that has like the captain's name
34 in it, and I don't believe so.
35
36 **DR. KEITHLY:** I don't think so, which is one of the problems
37 that I have with feeling, and I'm not sure exactly -- I have
38 used the data, but I can't remember myself now whether share or
39 quota can be moved from one vessel to another on a fleet. I
40 don't want to take up all the time, and there's a number of
41 people to ask questions, but let me just ask who -- I can't
42 remember one of them that I had, but let me just go with one
43 simple question while I try to think of the other one. I assume
44 that this model imposed a number of restrictions in it.
45
46 **DR. PARMETER:** Yes.
47
48 **DR. KEITHLY:** What restrictions did you use, just the normal

1 ones, in terms of symmetry and all?

2
3 **DR. PARMETER:** Yes, and so the output distance function has sort
4 of a set of axioms that it must satisfy, namely that the output
5 distance function is monotonic in outputs, and number two is
6 that the output distance function is homogeneous of degree one
7 in outputs, and that was that slide -- I had the magic guy
8 waving his hands, and then you saw the Ys appear with the
9 tildes. That was sort of rewriting it in a way that was
10 consistent with imposing homogeneity of degree one.

11
12 I mean, we could have a nice debate as to whether or not that's
13 a restriction. I mean, in the production literature, we call it
14 an axiom, and so that's like more from the theory of production,
15 and so it's thought of less as a restriction and more as like
16 something that must be true, kind of like transitivity for
17 utility functions, but do utility functions have to be
18 transitive? Not necessarily, but that's an axiom of utility
19 theory, so that, if you didn't have transitivity, we would be
20 more skeptical, and so the homogeneity of degree one is more
21 thought of as an axiom than a restriction.

22
23 The actual restrictions that we have going on are -- What I
24 would say to the council are the places where there is certainly
25 room for scrutiny of what I've done would be assuming, over the
26 course of seventeen years, that there is this strong level of
27 persistent inefficiency that exists, and that's sort of a
28 reasonable place to sort of push back on and say that you mean
29 to tell me, starting in 2002 and up to 2018, that there's this
30 sort of innate thing where people just are not very good at
31 fishing, and they never get better at that. That's an
32 assumption that we've built in here that can certainly be
33 scrutinized.

34
35 Then there's the distributional assumptions that are equally
36 sort of -- They deserve scrutiny, and they can be assessed, and
37 then there's the use of the fact that -- I didn't have time to
38 talk about it, but it's in there, and it's that we're using an
39 output distance function, except the problem is that we have
40 lots of zeroes in the data, and you can't take logs of zero, and
41 so we have to somehow deal with this issue, and the standard way
42 in the literature -- It's not one that I am really a fan of, but
43 it's done here, and that's just to add a small number to the
44 zero, such that, when you take the log of it, it's no longer
45 undefined.

46
47 **DR. KEITHLY:** I have done that many times myself, and I guess my
48 question was, on the restrictions, were they valid restrictions?

1 Did you test them?

2
3 **DR. PARMETER:** Well, there is different ways to test them.
4 Testing homogeneity of degree one is extremely difficult,
5 because it's an axiom, and so, if I were to estimate a model
6 without HOD1, the elasticities become much more thorny to
7 interpret, and then to test that, and so that's a hard
8 restriction to test. It can be done, but that one is difficult.

9
10 Let's say the normal and half normal, that can be tested, and we
11 can test that in a variety of ways, and I did not test it, only
12 because my implicit working assumption here was that, if were to
13 switch to a different distributional assumption, most likely the
14 results would be somewhat robust to that, and so I wouldn't
15 really be able to discriminate between the two models, meaning
16 exponential and half normal. They tend to always look the same
17 in practice, and so favoring one over the other is not that
18 insightful, and it's more of a statistical mechanism, but I
19 could go back and do it.

20
21 The biggest assumption that I did implement, that I did test,
22 that we have lots of evidence for, is this difference in the
23 technology pre and post-IFQ, and so, originally, when I was
24 working on this, I was running all kinds of various things
25 related to the IFQ, and then I made the simple assumption that
26 the actual mechanism of fishing that's inherent in this data
27 changed from the time before the IFQ was instituted to after,
28 and there is very strong evidence in the data that there is some
29 change in technology after the IFQ was implemented, and this is
30 true in the red snapper analysis that I showed you, and this is
31 also true in the combined reef fish analysis that I showed you,
32 and those are tested. Those are tested, and they are very
33 strongly suggestive of there being these differential
34 technologies going on.

35
36 I will say this too, that those are tested without having to
37 rely on any distributional assumptions whatsoever, and so those
38 tests actually are independent of any assumptions that I make on
39 the -- I am not even worried that, if I erroneously assume let's
40 say half normal versus exponential, that that would in some
41 sense invalidate these differences in technology.

42
43 **DR. KEITHLY:** I think you're correct with half normal. It's
44 been a while since I've looked at the literature, but I have
45 just one more question, again going back to general, and then I
46 would let everyone else ask their questions, and I may come back
47 at the end. How does the concept of labor-leisure tradeoff fit
48 into determining the efficient number of vessels?

1
2 **DR. PARMETER:** That's a good question, and so I've had a lot of
3 discussion with Juan about this. When I talk here about the
4 number of efficient vessels, what's missing, or maybe not
5 missing, and "missing" is a subjective term, but what is not in
6 these tables is anything related to behavior.
7
8 **DR. KEITHLY:** Right.
9
10 **DR. PARMETER:** What I mean by that is, if I were to -- If a
11 fisherman was deciding to spend one more day at-sea, there is
12 probably all kinds of ideas running through their head as why
13 they may want to send one more day at-sea. It could be maybe
14 they didn't catch as much as they had anticipated when they left
15 port, or it could be that maybe they heard on the radio that
16 there was a spike in price or something, and they want to get
17 back and offload their fish.
18
19 There could be many reasons for that, but, here, we're not
20 making any behavioral assumptions as to why the fishermen are
21 doing what they're doing, and this is a pure output distance
22 function, and so, from our sense, the fishermen are robots, and
23 we're trying to get them to just produce as much as possible,
24 regardless of what the mechanisms are for producing a certain
25 amount.
26
27 If we were to take in prices, then we could get at something
28 like that. If we were to sort of look at the price of grouper
29 and the price of tilefish and the price of red snapper and so on
30 and so forth, we could potentially unravel why fishermen are
31 spending more or less days out there and do that. We could do
32 that, but that's not done here, and so we're not making any
33 behavioral assumptions.
34
35 **DR. KEITHLY:** Thank you. That kind of answered my question
36 then, and you said it very well, that they're treated as robots.
37
38 **DR. PARMETER:** I don't know if robots would appreciate being
39 compared to fishermen, and I'm not sure, but I'm sure that
40 someone will be upset at being called a robot or a fisherman.
41
42 **DR. KEITHLY:** The fixed number of vessels is also problematic.
43 Thank you.
44
45 **CHAIRMAN POWERS:** Let's move on then. Ken Roberts, and then
46 Paul Sammarco after him.
47
48 **DR. ROBERTS:** My question relates to the matter that the

1 vertical -- Let's just stick with the vertical red snapper, but
2 there are exchanges that allow people to short-term rent or
3 lease quota, and that obviously -- You were just talking with
4 Walter about behavior, and I don't think this is a behavior.

5
6 I think, for a captain to use that to his advantage is a
7 technical efficiency matter, and I'm wondering if, at any point,
8 you were able to incorporate information as to the amount of
9 fish that is traded on the exchanges and link that to vessels
10 and see if that's telling you anything about the efficiency of
11 any of the vessels. Have you been able to do that?

12
13 **DR. PARMETER:** That's a good -- The short answer is no, and we
14 are -- Juan and I are not presently looking at anything related
15 to who is catching what as it pertains to the IFQ, or at least
16 not to my knowledge, and so it would be hard to address that
17 right now directly, since I haven't looked at it, but it's a
18 very interesting question, because, if it happened to be in the
19 data that I could figure this out, then it could be linked to
20 inefficiency, for sure, and that's definitely a connection that
21 can be made, and it's just a question of what would that look
22 like in the data, and I don't know if Juan has any thoughts on
23 that, but I am not familiar with a variable that's inside the
24 dataset, the PIMS dataset that we have, that tells me that this
25 was leased out to somebody else. Like I don't know who the IFQ
26 is connected to, but this could be my ignorance of the data.

27
28 **DR. JUAN AGAR:** The Regional Office has that data, but I don't
29 believe we have it at the trip level, necessarily, but I agree
30 with you that maybe, later on, we could do some sort of
31 clustering, like Andrew suggested earlier, looking at whether
32 people who are leasers tended to be more technically efficient
33 than people who weren't, for example, people who were
34 grandfathered in.

35
36 **DR. ROBERTS:** Well, the reason I bring that up is, in catch
37 share programs, there's always a debate about whether to make
38 things transferable or not on a long-term or a short-term basis,
39 and I think, when it's in a system, and it's allowed on a short-
40 term basis, or within a year basis, it's something more than
41 behavior. It's a very deliberate business decision as to how
42 long you stay out and when you come in and what input costs you
43 are able to economize on if you had additional shares or can
44 sell some of your share in the short term. Anyway, that's one
45 thing.

46
47 I just think it's an intriguing thing when we have an exchange,
48 that we don't know much about for people who are using it or how

1 it overall affects efficiency.
2
3 The other question I've got is is it correct that, if excess
4 capacity, as I read your report, is really a short, year-to-
5 year, type of measurement?
6
7 **DR. PARMETER:** That is how we're calculating it. We're
8 calculating it as a year-to-year measurement, yes.
9
10 **DR. ROBERTS:** Okay, and longer-term overcapacity is really part
11 of your analysis, correct?
12
13 **DR. PARMETER:** It's long term in the sense that there is this
14 persistent inefficiency term in there, and so, as much as that
15 lingers across time, yes, that sort of adds to that, yes.
16
17 **DR. ROBERTS:** Okay. In your analysis, answering the -- You had,
18 I think on the first slide or the second slide, and I'm not
19 where I can see the slides right now anyway, and so don't put it
20 up, but one of the things that Congress, I guess, wants the
21 catch share analyses periodically to look at is -- Is it more a
22 focus of technical efficiency or capacity, and that is of issue
23 here.
24
25 **DR. PARMETER:** This is exactly sort of the issue that I was
26 talking about, and there's not like one uniform definition of
27 capacity, and so, for instance, in other papers that have
28 existed, what happens is that you can think of fishermen as
29 moving in various -- Moving not in the ocean, but you can think
30 of them as moving in input-output space.
31
32 The question is, okay, let's suppose that I give you more inputs
33 to use, and how much more could you produce, and so let's give
34 you a longer boat, and let's give you more crew, and let's give
35 you more days at-sea.
36
37 Naturally, you're going to produce more, and there's a question
38 of, okay, that's one way to measure capacity, but the argument
39 that I would put forth in that regard is that, by implicitly
40 assuming that the fisherman goes out for one more day, there is
41 a question there of like, well, they already could have done
42 that when they went out fishing in the first place, and yet they
43 didn't, and so the question is why, and so I'm basically saying
44 that, of course, you could fish more, but you chose not to do
45 it, but now I'm going to make you do it anyway, whereas the
46 technical efficiency argument is, well, you went out and you
47 caught this much, and had you just been better at your job, you
48 would have caught even more.

1
2 In that case, I am keeping your boat the same, and I'm keeping
3 your days at-sea the same, and everything I'm keeping the same,
4 and it's just that you're just implicitly doing better at your
5 job when you catch more, and so, in this case, in the pure
6 output-oriented case, technical efficiency and capacity are
7 basically one and the same thing, because, to get capacity, I
8 need to get rid of technical inefficiency, and so, once I have,
9 I implicitly get the other one, whereas, in the input direction,
10 even if I'm inefficient, I give you another day to fish, and
11 you're going to catch more, regardless of whether you are
12 technically efficient or not.

13
14 There, I am implicitly assuming something different about your
15 behavior than what I observed in the data, and so that's sort of
16 the distinction between these different notions of capacity.

17
18 **DR. ROBERTS:** Well, the reason that I bring up the
19 capacity/efficiency issue is, one, that you can always think of
20 capacity as coming from fixed-asset packages that they've got to
21 deal with, and it's very likely the size of the boat, the net,
22 the credit line, whatever it's got, and it's more of a fixed
23 thing.

24
25 With efficiency, there are a lot more variable costs and
26 variable decisions that can be made, and I think that there's
27 just a bit of a difference, and I would disagree that they
28 evolve into the same thing in the long run, but that's my view.
29 I think capacity is more of a fixed-asset, inflexible asset,
30 thing, and I think efficiency is -- A lot more decisions about
31 efficiencies are made on variable costs and short-term
32 decisions. Thank you for your comments, and I enjoyed it. I
33 appreciate it. Thank you. Thank you, Mr. Chairman.

34
35 **CHAIRMAN POWERS:** Thank you. Paul Sammarco.

36
37 **DR. SAMMARCO:** Thank you, Mr. Chairman. Just a couple of
38 questions that I wanted to get clear, if you will excuse me, and
39 can you go back to your table on red snapper, please? There's
40 one where you have a long list there. Your quota here is going
41 up, and did you have another listing of landings or catch
42 through time?

43
44 **DR. PARMETER:** In what sense?

45
46 **DR. SAMMARCO:** In other words, how much was being caught per
47 year.

48

1 **DR. PARMETER:** By being caught per year, do you mean by vessel
2 or by the whole fleet?

3

4 **DR. SAMMARCO:** By the whole fleet and not by vessel.

5

6 **DR. PARMETER:** That would be another table up. That is the
7 average catch per year per vessel.

8

9 **DR. SAMMARCO:** Yes, and I remember that you had summarized the
10 years there, and I guess my question is -- I got the feeling
11 from several of the tables, and that's why I'm trying to find
12 the numbers, that the catch was actually decreasing, but the
13 quota was going up, and is that right? That's what I am trying
14 to clarify.

15

16 **DR. AGAR:** Just look at the quota, and you are dividing landings
17 over the quota, and so that's why it's below one for the red
18 snapper, or actually for both, for the combo fleet and for the
19 red snapper, on the following table.

20

21 You see pre-IFQ, 2006, you had basically we went over the quota,
22 except in 2004 and 2005, but, after the IFQ, we never had any
23 more quota overages, and so that's why it's below one on the
24 last column. Does that answer your question?

25

26 **DR. SAMMARCO:** All right. Thank you very much. I was a bit
27 confused on that, because it was counterintuitive, and that's
28 all. Thank you very much.

29

30 **CHAIRMAN POWERS:** Thank you. Mike Travis, who apparently gets
31 blamed for things.

32

33 **DR. TRAVIS:** Apparently without me being told that I was being
34 blamed for things, but, since I am being blamed, now I get to
35 throw some questions back. Can you go to Slide 40, please? I
36 wanted to point out a couple of things here.

37

38 You will notice that the quota utilization rate between 2010 and
39 2018 is essentially the same, and, yes, 2010 is the first year
40 of the grouper-tilefish IFQ, but, as I think most people on this
41 call also remember, that is the year of the BP oil spill, and I
42 guarantee you that the BP oil spill has a lot to do with what
43 was happening in 2010.

44

45 Now can you go back to Slide 38? One of the things that you
46 will notice here is this ramping-up of the annual catch from
47 2010 through 2015/2016, and then we have this noticeable drop-
48 off in the catch level in 2017 and 2018, and so now can you go

1 back to Slide 40 again?
2

3 These results on Slide 40 say that, as of a handful of years
4 ago, we only needed about half of the boats to catch the entire
5 quota, and now, granted, the quota has gone up, quotas actually
6 have gone up, a little bit, but now, all of a sudden, we need
7 every boat in this fishery to catch these quotas, and, actually,
8 based on the results, probably more than the current number of
9 boats in the fishery. What are we saying here, that, all of a
10 sudden, these boats became incredibly less efficient, all of a
11 sudden, in the last few years? Is that what that says?
12

13 **DR. PARMETER:** No, not at all. The reason why the numbers look
14 so weird in 2017 and 2018 is that -- The quota utilization here
15 is basically saying that, all told, we're catching about --
16 Let's take 2018, and let's say we have seventeen million as the
17 quota, and the quota utilization is 60 percent, just to keep it
18 as a round number.
19

20 What this is saying is that, in 2018, the amount of fish,
21 grouper-tilefish and red snapper, that was caught is about ten
22 million pounds out of the seventeen million pounds, and what
23 this is saying, in terms of the percentage of vessels, is just
24 saying that, even if all the vessels were fully efficient, they
25 are not going to catch all seventeen million pounds.
26

27 **DR. TRAVIS:** The question is why?
28

29 **DR. PARMETER:** Well, partly the reason is they're not that
30 inefficient by 2018, and so, by making them marginally more
31 efficient, they are still not catching enough to make up that
32 gap from the ten million that they're catching to the seventeen
33 million that they're allowed to catch.
34

35 **DR. TRAVIS:** Why?
36

37 **DR. PARMETER:** I mean, there is not really a behavioral
38 component to this analysis here to help you, and like there's no
39 prices here, and there's none of that.
40

41 **DR. TRAVIS:** I don't think this has anything to do with
42 behavior.
43

44 **DR. PARMETER:** It might not, but I would be cautious of like,
45 for me personally, to try to sort of spin any kind of
46 interpretation on like a one-year or a two-year of like why
47 something is happening so far out from when the IFQ was
48 implemented, and, I mean, it's certainly not -- I think what's

1 going on in 2018 is not necessarily what's going on in 2010.
2
3 **DR. TRAVIS:** So then let me bring up a related point. Can you
4 go back to Slide 32? In the model setup, and correct me if I'm
5 wrong, you use a single biomass estimate for these four primary
6 species. Is that correct?
7
8 **DR. PARMETER:** No. I used two. There is a red snapper biomass,
9 and then the other three, the gag, the red grouper, and the
10 yellowedge grouper, are combined into a secondary biomass.
11
12 **DR. TRAVIS:** Right, but it's a single point in time estimate of
13 biomass, correct?
14
15 **DR. PARMETER:** For each year, yes. That's correct.
16
17 **DR. TRAVIS:** For each year?
18
19 **DR. PARMETER:** Yes, I have biomass by year for the whole Gulf
20 for each one of the four groups of fish.
21
22 **DR. TRAVIS:** So these are mean estimates over the entire period
23 of time considered in the analysis?
24
25 **DR. PARMETER:** Yes, and so the Z1 through Z4 are not really the
26 most representative way to present average biomass, because it's
27 from 2002 up to 2018. It does vary by year.
28
29 **DR. TRAVIS:** Okay, and so then my question to you is does the
30 model control for changes in known biomass over time?
31
32 **DR. PARMETER:** Yes.
33
34 **DR. TRAVIS:** Well then, if that's the case, then I can't explain
35 those results on Slide 40 either, because I would have expected
36 that that was somewhat related to the recent decreases in the
37 red grouper stock and the fact that there is simply not --
38 According to the assessment, there is simply not as many fish
39 out there to catch, and that has hampered the ability of these
40 vessels to catch that species, and I thought, potentially, there
41 might be something going on with other species as well, but, if
42 your model takes into account the changes in biomass over time,
43 based on recent assessments, then that's not a good hypothesis
44 either, and so it sounds to me like we don't have an answer.
45
46 **DR. PARMETER:** It's a good point. The only thing that I could
47 probably do to maybe address your point would be some type of an
48 interaction between the biomass and some of the inputs or the

1 outputs, although that would be kind of a wonky sort of a setup.

2
3 I mean, we could even have technical efficiency sort of being
4 dependent on the biomass, and you could make the argument, Mike,
5 that, if there was just fish everywhere in the ocean, and no
6 gaps in fish, and I drop a line in, I am more likely to catch
7 fish than if there's like particular places where the fish are
8 at particular points in time, right, and so I could look
9 efficient simply by the fact that there's a larger biomass than
10 if there's a smaller biomass, so to speak.

11
12 **DR. TRAVIS:** I get that, and that sounds interesting, and what
13 if the relative biomass --

14
15 **DR. PARMETER:** Sorry to cut you off, but that would have to be
16 linked to the persistent, because the biomass does not change in
17 the year. Like it changes over time, but it doesn't change
18 within the year, and so, even at the trip level, the biomass is
19 always the same within a year, and so it would be more apt to
20 link biomass with let's say persistent inefficiency, knowing
21 where to fish at a particular time of the year, than it would be
22 this trip-by-trip-by-trip technical efficiency.

23
24 **DR. TRAVIS:** Right, and so I'm going to ask a follow-up
25 question, and then I'm done. Does it matter if there were
26 changes in the relative biomass between these species,
27 particularly between red snapper and everything else?

28
29 **DR. PARMETER:** That's a good question, but I'm not doing that,
30 and I have no ability to speculate on that, because I don't even
31 know the numbers, because I only include red snapper biomass as
32 its own variable, and I only include the grouper/gag biomass as
33 its own variable, and so there's not a relative notion between
34 these that I would even know the changes year over year, but I
35 could easily plot that.

36
37 What I could do is I could say, okay, let's look at the stock of
38 gag and grouper as a biomass relative to the stock of red
39 snapper over time, and then I could look at capacity over time,
40 and we could see if there's a big change in that, relative,
41 because, if you look at the red snapper fishery only, we see
42 that those numbers are basically much more consistent over time,
43 in terms of how they behave.

44
45 **DR. TRAVIS:** Right.

46
47 **DR. PARMETER:** When it gets wonky is when we bring in the
48 longliners and we tack on the grouper-tilefish with the red

1 snapper, and so you could be right. It could be a relative
2 assessment of the stocks, but I don't know the answer to that
3 off the top of my head, because I have never looked at the ratio
4 of those, to see if that is constant over time, going up, going
5 down, fluctuating. I don't know.

6

7 **DR. TRAVIS:** Okay. Thanks.

8

9 **DR. PARMETER:** But that could be addressed, for sure.

10

11 **CHAIRMAN POWERS:** Next up is Dale Diaz and then Andrew Ropicki
12 again.

13

14 **MR. DIAZ:** Thank you, Mr. Chair. Dr. Roberts addressed the
15 point that I was going to make. Thank you.

16

17 **CHAIRMAN POWERS:** Okay. Andrew.

18

19 **DR. ROPICKI:** Just a couple of quick things. What Mike was
20 saying, the 2016 to 2018 thing, I mean, it's got to be red
21 grouper related. I mean, it has to be. We saw the allocation
22 price drop to nothing, because, even though the dockside price
23 was still high, you couldn't catch it if you wanted to, and so I
24 think that's what is going on in those later years, and, I mean,
25 I don't know how to account for it, but that's definitely what
26 it's got to be.

27

28 The other thing that I wanted to ask, and maybe this is for both
29 Chris and Juan, is what would it look like if we wanted to do a
30 cost or profit, and how many observations would we lose in the
31 dataset, because we do have some of that data, right? I mean,
32 we could look at it.

33

34 **DR. PARMETER:** I don't know about the cost. We have revenue,
35 and you could estimate a revenue frontier. The basic idea would
36 be that we would hold inputs, and we would have inputs fixed,
37 and then the goal is to maximize revenue, however they choose to
38 do that, and so, in this case, you could put in more categories
39 of fish if you wanted to, and we have data, and there is revenue
40 by fish broken down.

41

42 The issue there is I'm not aware, at the moment, and I'm sure it
43 exists, but I'm just not aware, at the moment, of a paper that
44 has looked at capacity through revenue, and so I would have to
45 go back and sort of derive how to measure capacity from a model
46 where the focus is on revenue. Like what does capacity look
47 like the in the context of a bunch of revenue maximizers?

48

1 **DR. ROPICKI:** Okay. There is a subset of the data, and maybe
2 I'm wrong, but I think there is a much smaller subset of the
3 data that has cost in it.

4

5 **DR. AGAR:** 20 percent.

6

7 **DR. PARMETER:** Yes, and we have that too, but I know, from the
8 PIMS data, that pretty much all the observations have attached
9 with it revenue, and so that wouldn't really entail much of a
10 drop in observations, unless they're not reporting it. That
11 would be something that's like beyond my -- That would be like a
12 question I would ask the council, before doing any stat work for
13 you, is are the fishermen revenue maximizers? Is that the
14 behavioral objective of the fishermen?

15

16 **DR. ROPICKI:** I would guess profit maximizers, but --

17

18 **DR. PARMETER:** For profit, we would have to have costs as well
19 as revenue to do that, but the profit would be easier, because,
20 in the profit, you have the outputs that are directly in there,
21 and so it would be much easier to scale out for capacity, I
22 believe.

23

24 **DR. ROPICKI:** Thank you so much. That was good stuff. I
25 appreciate it.

26

27 **DR. PARMETER:** I would just say that, if we had a behavioral
28 model tacked on top of this, there's probably a lot of various
29 ways in which we could address capacity that would be different
30 than the way we're doing it here, where we're not imposing any
31 type of behavior on the fishermen.

32

33 **CHAIRMAN POWERS:** All right. Thank you. One thing that strikes
34 me is, in some ways, the analytical model is very similar to the
35 catch per unit effort standardization that is done in order to
36 get indices of abundance, and the difference is all these things
37 that you're looking at as a signal of efficiency and so on is
38 considered noise, and you try to eliminate those and standardize
39 them out, but it kind of suggests to me that those that do the
40 standardization for CPUE for indices of abundance might look at
41 this in terms of what kinds of variables might contribute more
42 greatly to that standardization process. The final little
43 question I have is, just procedurally, there is a report for
44 this, and is that going to the council, or to whom?

45

46 **DR. PARMETER:** I think that's Juan's question.

47

48 **DR. AGAR:** We are happy to make it available to the council.

1 Chris is helping us here to inform the council, and so, yes,
2 we'll make it available once it's ready.

3
4 **CHAIRMAN POWERS:** Okay. Thank you. All right. That was
5 interesting, and I appreciate it. All right. The next agenda
6 item is -- Let's take a short break, because my goal is to
7 finish this afternoon, and I don't want to take this over into
8 the morning, and the next agenda item is Item XI about timelines
9 and stuff like that, but let's take a quick seven-and-a-half-
10 minute break and then come back for Item XI.

11
12 (Whereupon, a brief recess was taken.)
13

14 **CHAIRMAN POWERS:** This is Item XI about the proposed timeline
15 for the SEDAR 74 stock ID. Ryan.
16

17 **REVIEW OF PROPOSED TIMELINES AND STOCK IDENTIFICATION PROCESS**
18 **FOR SEDAR 74: GULF OF MEXICO RED SNAPPER**
19 **SEDAR 74 STOCK ID PROCESS TERMS OF REFERENCE**
20

21 **MR. RINDONE:** SEDAR 74 is going to be a research track
22 assessment for Gulf red snapper, and, just to recap, the
23 research track is designed to be a deep investigation into
24 whatever is identified as being critical for either determining
25 or revisting for the species, and we've had several assessments,
26 obviously, for red snapper, and, along the way, we've built
27 quite a few research recommendations, but what we're looking at
28 right now are the stock ID terms of reference, and these have
29 been developed by the SEDAR 74 planning team, which is a few
30 folks, and it's me, Julie Neer, Judd Curtis, Latrice Denson, and
31 Matt Smith, and we have put these together for you guys to
32 consider for the stock ID process.

33
34 You can see these terms of reference here, and, again, the
35 purpose is to review the stock structure of Gulf red snapper and
36 the unit stock definition and try to determine whether changes
37 are necessary, and, for those that aren't aware right now, the
38 way that red snapper is assessed in the Gulf is as an eastern
39 and a western stock assessment, and then they're merged, at the
40 end, into a Gulf-wide holistic view of what's going on with the
41 species. In lieu of reading all of these out, I would ask if
42 there are any questions. If there are no questions, are there
43 any edits or recommendations?
44

45 **CHAIRMAN POWERS:** Hearing none.
46

47 **MR. RINDONE:** Then perhaps a motion saying these are just the
48 most outstanding stock ID terms of reference that you've ever

1 seen.

2

3 **CHAIRMAN POWERS:** Okay. You want a motion?

4

5 **MR. RINDONE:** I would, please.

6

7 **CHAIRMAN POWERS:** Doug Gregory.

8

9 **MR. GREGORY:** Thank you. Is it possible that this -- It looks
10 like, to me, this could end up recommending that we have two
11 stock assessments for red snapper in the Gulf, and I know it's
12 treated in SEDAR as two assessments, but then they're combined,
13 due to some recruitment estimations, and is it possible that,
14 out of this, could come a recommendation that there's two stocks
15 in the Gulf and they should be managed as two?

16

17 **CHAIRMAN POWERS:** It's possible, presumably, and I think
18 anything is possible. It's where the information leads you. I
19 mean, but, also, management has the flexibility that they can
20 manage it -- They could manage it separately now, if they chose
21 to, based on the single stock, a Gulf-wide stock assessment, or
22 a Gulf-wide management recommendation, and so the answer, short
23 answer, is, yes, it could happen. No follow-up, Doug?

24

25 **MR. GREGORY:** Thank you. I remember the first stock assessment
26 did treat the Gulf as two different stocks, and then subsequent
27 stock assessments combined it as one, because of, among other
28 things, a lack of differences in growth rates, but then -- I
29 don't know, but about ten years ago or so, NMFS started
30 analyzing them separately, but then combining them at the end
31 and making single-stock recommendations, and we've looked at how
32 the western Gulf is behaving differently than the eastern Gulf,
33 and I think it has significant ramifications that at some point
34 should be addressed.

35

36 **CHAIRMAN POWERS:** That's probably the reason you see these terms
37 of reference here, I guess. Will.

38

39 **DR. PATTERSON:** After the first red snapper benchmark
40 assessment, and I think it was in 2005, the SSC recommended that
41 not only should the eastern and western Gulf be assessed as
42 separate stocks, and, currently, I think they're called sub-
43 units, and not only should they be assessed as separate stocks,
44 but they should be managed separately as well.

45

46 Then, in that update assessment in 2009, we also made that
47 recommendation to the council, and so, while there is this issue
48 of a lack of recruitment data for the east, and most of the

1 recruitment data comes from the west, and the kind of workaround
2 to that, and sharing a stock-recruitment relationship, but
3 treating the deviations separately between the east and the west
4 -- Despite that, the recommendation, from the science
5 perspective, has always been that they should be assessed and
6 also managed as separate stocks, and the SSC has made that
7 recommendation to the council in the past.

8
9 I think one thing that may be looked at here is actually whether
10 there are different populations in the east. There is some
11 information from the West Florida Shelf that the population
12 there has some different dynamics than perhaps the north-central
13 Gulf, and so I think that can be fully explored in this stock ID
14 workshop.

15
16 **CHAIRMAN POWERS:** Thank you. Luiz.

17
18 **DR. BARBIERI:** Thank you, Mr. Chairman. I just want to ask Ryan
19 about the assessment panel for the SEDAR panels for this, and I
20 guess I'm a little unfamiliar with these new developments in the
21 SEDAR process. Do we still have a panel, a data panel and an
22 assessment panel, for these benchmark assessments? If so, have
23 we put one together for this assessment?

24
25 **MR. RINDONE:** We will, yes, but we just haven't had those
26 populated yet. We're not -- We are going to review the
27 milestone schedule next, and we're starting off with these terms
28 of reference, and then I was going to ask for some bright-eyed
29 and bushy-tailed volunteers to participate in the stock ID
30 portion, and then we were going to review the milestone
31 schedule, and we would look to you guys for volunteering for the
32 data and assessment portions later on.

33
34 **CHAIRMAN POWERS:** What I am looking for now is Ryan needs a
35 motion basically recommending that these terms of reference be
36 put forward, or, if not, then suggest something different, and
37 so can I see a motion adopting these terms of reference?

38
39 **DR. PATTERSON:** Joe, this is Will. I just have a quick comment
40 about some of this. In these goals here, you refer to stock
41 structure, right, and I think probably you want to distinguish
42 population structure from stock structure, and so the stock is
43 just a portion of a population that is recruited to the fishery,
44 but, here, what you're really talking about is what's the
45 population structure, perhaps the meta population structure, for
46 red snapper, and then what are the implications of that for
47 assessment and management? Some may see that as a subtle
48 difference, or splitting hairs, but I think it's an important

1 distinction that we should make.

2
3 **CHAIRMAN POWERS:** Thank you. I think the language has sort of
4 evolved over the last couple of decades, because people started
5 talking about meta populations and things like that, and so you
6 might keep that in mind. Julie.

7
8 **DR. NEER:** Just to address Will's question, I think that's
9 addressed in Term of Reference 3, where we're looking at
10 differences, if there are any, between the biological stock, the
11 assessment unit stock, and the management boundaries, and so
12 those can be different. We can have a biological stock as well
13 as saying which may be Gulf-wide, and then assessment stock
14 units, and those definitions may not be the same.

15
16 I think I agree that Will was maybe suggesting that, under the
17 process goal, that very first statement, maybe we need to be
18 biological to that very first process goal, and I think that
19 would address Will's concern, because we have unit stock
20 definitions under that first process goal statement. I think
21 it's taken care of in the actual terms of reference, but, in the
22 process goal at the top, it's a little unclear.

23
24 **DR. PATTERSON:** What I would suggest then, for Number 3, is
25 actually to say, if they result in a mismatch between population
26 structure, assessment, and then, in parentheses, unit stock, and
27 existing management boundaries, and, I mean, that's the way I
28 would phrase it. I think population is what you mean by
29 biological stock.

30
31 **DR. NEER:** Yes, that's what we were referring to.

32
33 **CHAIRMAN POWERS:** Okay. Any other suggested changes?

34
35 **MR. GREGORY:** The thing that strikes me is this is very broad.
36 In Number 1, I would like to suggest, in the second sentence,
37 that it read "potential sources, including" then all that, and
38 then, right after "CPUE", insert "be considered".

39
40 The way it reads now, this report could come out and say we
41 looked at growth patterns, and they fulfilled the terms of
42 reference, but I would like to have them look at everything
43 that's available, and, very easily, they can say there was no
44 otolith chemistry data available to look at, and so it's not a
45 potential source, and so I would like to change the word
46 "include" to "including", and, at the end of the sentence, say
47 "be considered or evaluated", if there's no objection.

48

1 **CHAIRMAN POWERS:** Thank you.
2
3 **MR. RINDONE:** Perhaps "should be considered", just thinking
4 about how the sentence reads.
5
6 **MR. GREGORY:** Fine.
7
8 **CHAIRMAN POWERS:** Thank you.
9
10 **MR. GREGORY:** Thank you.
11
12 **CHAIRMAN POWERS:** All right. Again, we're looking for a motion,
13 or something to that effect, saying these are the terms of
14 reference that we recommend. Can you put up the motion page for
15 me?
16
17 The motion is that the SSC recommends that the terms of
18 reference for -- You are going to have to fill in the details
19 here, but the SEDAR 74 stock ID, be as in document XXX, as
20 amended.
21
22 **MR. RINDONE:** How about the SSC recommends that the TORs for the
23 SEDAR 74 stock ID process be accepted, as amended?
24
25 **CHAIRMAN POWERS:** Okay.
26
27 **MR. GREGORY:** I will make that motion for you.
28
29 **CHAIRMAN POWERS:** All right. Thank you. Do we have a second?
30
31 **MR. GILL:** Second.
32
33 **CHAIRMAN POWERS:** Thank you. Is there any objection to this
34 motion? Okay. Then the milestones.
35
36 **SEDAR 74 MILESTONE SCHEDULE APPROVAL**
37
38 **MR. RINDONE:** Yes, sir. We will pull that up next.
39 Understanding that some of these milestones are set far in the
40 future, this is our -- This represents our best intentions, and
41 so the stock ID process would begin with scoping in November,
42 with data scoping in November, followed by a data deadline in
43 March of 2021, and then webinars in May and June, to try to
44 resolve the issue of stock ID, and these would be plenary-style
45 webinars.
46
47 I am just kind of hitting the highlights here, and so, in the
48 late summer or early fall of 2021, we would look to have a data

1 scoping call and webinar as a precursor to the actual data
2 workshop, along with a discard mortality webinar prior to the
3 data workshop, which is scheduled for the middle of November of
4 2021, and you guys are largely familiar with what goes on at the
5 data workshop.

6
7 In the interest of not seeing Matt Smith's famous graveyard of
8 past deadlines, we'll need to make sure that we keep a good eye
9 on when all those data products are due.

10
11 Moving on, we'll have a post-data workshop discard mortality
12 webinar, if necessary, and a further distillation of anything
13 that's remaining from the data workshop process prior to model
14 development really kicking off in early 2022.

15
16 Final analytical products will be due that March, along with
17 continued model development, which will continue through the
18 spring and into the summer of 2022, with a couple of assessment
19 webinars to review modeling progress.

20
21 The assessment report will hopefully be delivered to SEDAR for
22 the review workshop after finalization by the assessment
23 development team, which some of you are on, in late 2022, and
24 then, in January of 2023, we'll review the assessment report and
25 any changes that are necessary, following the review workshop,
26 will take place in the spring of 2023. Then the SSC will
27 receive the -- They will have a chance to review everything
28 that's gone on in late spring of 2023.

29
30 Following that, the operational assessment for red snapper would
31 begin, and that's what will yield actual management advice, but
32 that operational assessment is not listed here yet. Are there
33 any questions about the schedule? I know it's kind of drawn out
34 over an extended period of time, and, again, this is our best
35 intentions, and so some of this may progress more quickly and
36 may not require quite as much time as is presently prescribed.

37
38 **CHAIRMAN POWERS:** Or vice versa.

39
40 **MR. RINDONE:** Optimism, Joe. Come on.

41
42 **CHAIRMAN POWERS:** All right. Are there any comments or
43 questions? If not, it looks good to me. You didn't need a
44 motion or anything for this, did you?

45
46 **MR. RINDONE:** It makes it cleaner.

47
48 **CHAIRMAN POWERS:** All right. Can you go back to the previous

1 motion?

2
3 **MR. RINDONE:** You might just say something to the effect of as
4 presented, understanding that the schedule may be amended in the
5 future, depending on the progress of the assessment, or
6 something to that effect.

7
8 **CHAIRMAN POWERS:** Okay. Just start off with the SSC recommends
9 that the schedule, as presented, and we're going to have to fill
10 in about what schedule I'm talking about, but as presented be
11 enacted, or I don't know, something like that.

12
13 **MR. RINDONE:** If I can help.

14
15 **CHAIRMAN POWERS:** Yes.

16
17 **MR. RINDONE:** The SSC recommends that the milestone schedule for
18 SEDAR 74 --

19
20 **DR. PATTERSON:** Why don't we just say that endorse the milestone
21 schedule as presented to us?

22
23 **MR. RINDONE:** Yes. That will do too.

24
25 **CHAIRMAN POWERS:** Okay.

26
27 **MR. RINDONE:** The SSC endorses the milestone schedule for SEDAR
28 74, as presented.

29
30 **CHAIRMAN POWERS:** Okay. Is there a second?

31
32 **DR. NANCE:** I will second it.

33
34 **CHAIRMAN POWERS:** All right. Any objection to this motion?
35 Seeing none, the motion carries.

36
37 **SEDAR 74 STOCK ID PROCESS VOLUNTEERS**

38
39 **MR. RINDONE:** The last thing, Mr. Chair, is volunteers for the
40 stock ID process. We have a list of academic and state and
41 federal reps that we have already identified for the council to
42 consider for appointment, but we would certainly welcome
43 participation from the SSC, and so, if anyone is interested in
44 leveraging their expertise to this effort, it would be most
45 appreciated.

46
47 **DR. PATTERSON:** I am interested.

48

1 **CHAIRMAN POWERS:** Thank you. Anybody else? Benny Gallaway, are
2 you volunteering?

3
4 **DR. GALLAWAY:** Yes.

5
6 **CHAIRMAN POWERS:** Thank you.

7
8 **DR. TOLAN:** I will go ahead and throw my hat in the ring.

9
10 **CHAIRMAN POWERS:** Okay. Anybody else?

11
12 **MR. RINDONE:** Jason Adriance had sent me his name as well.

13
14 **CHAIRMAN POWERS:** Okay. Great.

15
16 **DR. BARBIERI:** Mr. Chairman, is this for the SEDAR 74 stock ID
17 process?

18
19 **MR. RINDONE:** Yes.

20
21 **DR. BARBIERI:** I would like to volunteer as well.

22
23 **CHAIRMAN POWERS:** Okay. Then we will move on then. I don't
24 think there is anything else for this item. The terms of
25 reference, et cetera, for shrimp, Item XII.

26
27 **REVIEW OF SHRIMP STOCK ASSESSMENT TERMS OF REFERENCE**
28 **FLOW CHART**
29 **DRAFT STATEMENT OF WORK - SEAMAP TRAWL**

30
31 **MR. RINDONE:** Up in front of you now, you guys should see the
32 shrimp research and assessment plan and a projected timeline for
33 how the Center is proposing to move through this process.
34 Special working groups will be convened by the Southeast
35 Fisheries Science Center to look at SEAMAP trawl surveys, catch
36 and effort, observer coverage on the shrimp vessels, and life
37 history and environmental covariates.

38
39 We will hold an assessment workshop to review all of the items
40 that the special working groups have covered in 2020 and refine
41 the existing models and recommend future work, and then, in 2022
42 and 2023, a research track for penaeid shrimp will take place,
43 with an assessment workshop and a review workshop to develop the
44 next generation stock assessment model for penaeid shrimp.

45
46 Then there are some scopes of work for specific working groups
47 that are mentioned for 2020. The first statement of work is for
48 the SEAMAP trawl survey, and so you guys can see that here, and

1 so what we're looking for is approval of these draft statements
2 of work, and you guys can think of these as the guiding
3 principles for each of these five topical working groups. I am
4 just looking for some input on these, if you guys have any
5 edits.

6
7 **CHAIRMAN POWERS:** Carrie.

8
9 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair. We first
10 started talking about this, I guess, in May, during the Steering
11 Committee meeting, and at the council meeting in June, and so
12 maybe Ryan or Shannon or Julie could remind me, for the first
13 year, the -- NOAA is going to do these meetings, and can we
14 appoint -- Are we asking for SSC volunteers, after we get
15 through the statements of work, to participate in these
16 meetings? Can you remind me again of what the process is going
17 to be?

18
19 **MR. RINDONE:** I am going to defer to Julie.

20
21 **DR. NEER:** My understanding is the Science Center is convening
22 these groups already, and some of them have started their work,
23 or at least the preliminary stages of it, and so these will be
24 managed by the Science Center, and they did indicate that they
25 would be seeking outside input for a few of these working
26 groups, but not all of them, and I do not recall which ones
27 specifically they are doing, but I believe the process would be,
28 if the Science Center is interested in having someone outside
29 the agency participate, then they're going to reach out to those
30 folks and request that they participate, and maybe they reach
31 out to the folks directly, or maybe they reach out to the
32 council, but this is a Science-Center-run effort, this first
33 stage, and so it is not -- It doesn't necessarily have to follow
34 the SEDAR rules of appointment process, and Shannon can correct
35 me if there is other comments, but that's my understanding.

36
37 **CHAIRMAN POWERS:** Thank you. Then that means these draft
38 statements of work are the Center's draft statements of work?

39
40 **DR. NEER:** Yes.

41
42 **CHAIRMAN POWERS:** Shannon.

43
44 **DR. CALAY:** Julie is quite correct, and so these are the
45 Center's draft statements of work, and the process that Julie
46 described is correct.

47
48 **CHAIRMAN POWERS:** All right, and so, in this case then, to speed

1 things along, I don't think we need motions or anything for
2 somebody else's responsibility. What I would like is, if you
3 have some recommendations to things that you would like to be
4 considered, then bring them up, and then they can be conveyed to
5 the Center. Let's start with the first statement of work about
6 the groundfish trawl indices. Are there any sorts of
7 recommendations or comments? No? Then going on to the next
8 one. Leann.

9
10 **MS. LEANN BOSARGE:** I just had a question, since Shannon is on
11 the line. Number 2 on the SEAMAP trawl statement of work, I
12 noticed, in that one, it just says to justify indices are
13 representative of the fishery, and is that shrimp abundance
14 indices, as it states in all the other bullet points there?

15
16 **DR. CALAY:** That is my understanding, Leann.

17
18 **MS. BOSARGE:** All right. As long as that's your understanding,
19 I think that's good, and so that will work. Thank you. While I
20 have the floor, I know we have this new procedure that we're
21 using, and I'm excited about it, as far as how our process will
22 work through SEDAR, but I just wanted to throw out there and
23 highlight the fact that we do have a couple of members on our
24 SSC that have a lot of background in this area, and I don't mind
25 naming names, but Dr. Nance and Dr. Gallaway, and Mr. Gregory as
26 well, and, believe it or not, that's his family background, and
27 his father was a commercial shrimper.

28
29 I think it's important to have not only that scientific
30 perspective, but also that working water perspective, and I
31 think you can garner some of that from your SSC members, and I
32 know that Dr. Nance and Mr. Gregory and Dr. Gallaway have all
33 been on a shrimp boat before, and I think that actually, in this
34 particular setting, is really important.

35
36 You don't want those two things to be too disjointed, and so I
37 hope that we will have some people that maybe voice some
38 interest in participating in all of these five working groups,
39 because how they're utilized in the stock assessment does kind
40 of overlap a lot, and so I think it would be an excellent idea
41 to have some continuity there, and I hope some people will step
42 up to the plate and let Shannon and any other Science Center
43 reps on the call know that they're interested. Thank you.

44
45 **CHAIRMAN POWERS:** Thank you. Benny, I think you've just been
46 volunteered. Go ahead, Benny.

47
48 **DR. GALLAWAY:** I concur with what Leann said, and I would

1 particularly appreciate the opportunity to work with Jim and
2 Doug on each of these groups, because I think it's critical
3 that, whatever the recommendation comes up, is that we work
4 closely with the industry to ensure that it's understood and
5 adopted as best available science or not, and so I would like to
6 participate in each of those groups, if possible. It may not be
7 possible.

8

9 **CHAIRMAN POWERS:** Well, we'll see. Jim Nance.

10

11 **DR. NANCE:** I like what Benny said, and I would be happy to
12 participate any way I can, and so, Shannon, you're welcome to
13 call on me, and I would participate in any way you would like me
14 to.

15

16 **CHAIRMAN POWERS:** Thank you.

17

18 **DR. CALAY:** Thank you very much.

19

20 **DRAFT STATEMENT OF WORK - EFFORT ESTIMATION**

21

22 **CHAIRMAN POWERS:** All right. Can we go to the next draft
23 statement of work? This was the effort working group,
24 basically. Any comments about this draft statement of work?

25

26 **MS. BOSARGE:** Mr. Chairman, I had my hand up again. Would it be
27 okay if I speak?

28

29 **CHAIRMAN POWERS:** Surely. Yes.

30

31 **MS. BOSARGE:** Thank you. This is, I guess, for Shannon, since
32 these are your statements of work. For this effort estimation,
33 the bullets that you have here, will they also allow you to
34 consider an independent estimation of effort, via a very robust
35 random sample of electronic logbooks, since we are about to
36 shift over to a new type of electronic logbook platform of some
37 sort, because our 3G is phasing out.

38

39 Will this statement of work be broad enough to let you discuss
40 not only that independent estimation of effort, but also the
41 stratification of that random sample, and really get into some
42 of the nuts and bolts of that, because I think that's going to
43 be important, and it will need important input from people like
44 Dr. Nance, that really understands the demographic of the
45 fishery, the types of vessels, where they operate, the ports
46 that are more offshore ports, versus nearshore ports, all sorts
47 of different things, and so will you be able to do that with
48 this scope of work?

1
2 **CHAIRMAN POWERS:** Shannon.

3
4 **DR. CALAY:** I see that Michelle Masi is on the call, and I think
5 that she organized these statements of work out of our Galveston
6 Laboratory, and I could defer to her. I would also like to say,
7 before I do defer to her, that I think the SSC is welcome to
8 draft an additional bullet point for the statement of work.
9 These come back to the Science Center for our consideration, and
10 so, if it was not possible, we would be able to let you know at
11 that time, but Michelle Masi I think is on this phone call, and
12 perhaps she would like to weigh-in.

13
14 **CHAIRMAN POWERS:** Michelle.

15
16 **DR. MICHELLE MASI:** A couple of things. Back to the SEAMAP
17 statement of work, I just wanted to mention that, on Point 2
18 that Leann brought up, that, actually, I wrote that Number 2,
19 and that was in reference to a suggestion made by Rick Methot
20 and whether or not we could successfully use the SEAMAP
21 groundfish trawl as an alternative to incorporating the fishery
22 CPUE in these models, and he suggested this was the first step
23 in understanding whether we would be able to do that. It would
24 really be just to look at the SEAMAP index itself and not
25 necessarily state indices at this time.

26
27 Then, as far as the comments about having members of the SSC,
28 including folks like Benny and Jim and Doug, I am definitely
29 supportive of that, and it was my understanding that these
30 working groups were being developed and not being developed in
31 an internal capacity, but as a working group that would be open
32 to the public, because I feel like it's important to have
33 support, and also representation from people that probably have
34 a better understanding about this data than myself, and I
35 certainly don't want to be the only one doing all the work.

36
37 Then, for the third comment from Leann about whether or not this
38 particular one that we're looking at now is going to be robust
39 to account for potentially a new method of acquiring our effort
40 data from the shrimp fishery, this statement of work was
41 actually put together based on a review of the methodology that
42 is used -- That is looking at the ELB effort data, and so the
43 intention is that, whatever the data stream is, whatever the
44 source of that data is, that this model would be robust enough
45 to work for either data source, and so, essentially, we could
46 apply this method to the ELB data or we could apply it to
47 whatever input data that we have.

1 **CHAIRMAN POWERS:** Thank you. I think the overall recommendation
2 is to make sure that that ELB data is looked at in the context
3 of being able to integrate it into the effort estimations or
4 indices, either one.

5
6 **DR. MASI:** Yes, and so I guess what you're suggesting is that we
7 compare whatever -- Well, for starters, we don't have a new data
8 source, but what we could do, assuming this working group
9 started this year, would be to use this with the ELB data, and
10 so, essentially, this method would be used, assuming that --
11 Even though it's not, but that ELB data would be continuous in
12 the future, and then, whatever data source that we switch to,
13 whatever that method is, we would have to then re-run the same
14 method and show, I guess, a trend that the two effort
15 methodologies for each data source are showing the same results.

16
17 I guess, right now, this draft statement of work is specifically
18 going to have to be looking at ELB data, because we have no
19 other data inputs to go off of at this time.

20
21 **CHAIRMAN POWERS:** Okay. Thank you. I think that Leann
22 Bosarge's comments will be conveyed to that point. Anything
23 else on the effort? Then going on to the next one. Benny, did
24 you want to continue on on effort?

25
26 **DR. GALLAWAY:** Yes, I did. I wanted to speak to the point of
27 matching landings with the effort, and it seems to me there is -
28 - A big part of the problem is getting the landings data. The
29 quality and timing of reporting varies tremendously, and can
30 anything be done to streamline that process, or make it more
31 formal, or make it required, or is it going to always be just
32 what you get is what you get?

33
34 **CHAIRMAN POWERS:** I am not sure who that is being directed to.

35
36 **DR. GALLAWAY:** I guess I don't know either, and maybe that's the
37 problem, is that we don't know who to approach to require those
38 data, and so I would speak to the members of the council maybe
39 first.

40
41 **MS. BOSARGE:** Dr. Gallaway, I think, when we get to that next
42 statement of work, where we go into shrimp catch estimation, I
43 think it's going to speak to some of those exact questions that
44 you're bringing up.

45
46 **CHAIRMAN POWERS:** All right.

47
48 **DR. MASI:** That's correct.

1
2 **CHAIRMAN POWERS:** Okay. Then let's move on to that one then.
3 Jim Nance.
4
5 **DR. NANCE:** Thank you, Mr. Chair. This one is not involved with
6 the shrimp assessment at all, but it does involve the shrimp
7 stocks, and I mean the catching of them, and so is that how this
8 one is being looked at, is that it's part of the shrimp fishery,
9 the bycatch, but it really isn't part of the stock assessments?
10
11 **CHAIRMAN POWERS:** Say what's on your mind. I'm not sure what
12 you're getting at.
13
14 **DR. NANCE:** I'm just saying this one seems a little out of sync,
15 and it's being put here as a research for the assessments, but
16 it really is not part of the assessments, and it's part of the
17 shrimp catch, I guess.
18
19 **CHAIRMAN POWERS:** I see what you're saying. All right.
20 Michelle, do you want to address that?
21
22 **DR. MASI:** Yes, and thank you, Mr. Chairman. I think the
23 wording on the agenda today for just a little bit misleading,
24 and so some of these working groups are actually, as Dr. Nance
25 mentioned, are actually addressing shrimp data in general, and
26 so, for example, even the effort working group is addressing
27 just the overall shrimp effort estimation, which is used in
28 other assessments in the Gulf of Mexico and not for the shrimp
29 effort going into the assessment models.
30
31 **DR. NANCE:** Thank you.
32
33 **CHAIRMAN POWERS:** Shannon, did you have anything further?
34
35 **DR. CALAY:** No. That's exactly correct.
36
37 **CHAIRMAN POWERS:** Okay. Thank you. All right. We've taken a
38 look at the --
39
40 **MS. BOSARGE:** Mr. Chairman, I had my hand up again, but it won't
41 show up on your screen, and I'm so sorry.
42
43 **CHAIRMAN POWERS:** I can't see that anyone, but go ahead, Leann.
44
45 **MS. BOSARGE:** I just wanted to ask Shannon and Michelle -- I was
46 looking at some of the people that are on this initial working
47 group, and I wondered, and I see where there might be some
48 participation at the Gulf States Commission meeting, and I

1 wondered if you would consider adding someone to the working
2 group, when it's appropriate, maybe even from ACCSP, since we
3 are starting to move towards ACCSP for some of our other
4 landings information, with these electronic logbook programs
5 that are going to go in. If there's some overlap there, it
6 maybe could be useful for the Gulf, for the shrimp fleet. Thank
7 you.

8
9 **DR. CALAY:** As Michelle said earlier, we are very open to adding
10 additional recommended members, and so, if there are others with
11 expertise that would be useful to these working groups, we would
12 be very happy to reach out to them.

13
14 **CHAIRMAN POWERS:** Thank you. Dale.

15
16 **MR. DIAZ:** Thank you, Mr. Chair. I guess my question would be
17 for Dr. Gallaway. I have not been made aware of problems with
18 getting the shrimp effort information, and so is it that -- I
19 mean, it should be coming in through trip ticket systems, which
20 are throughout the Gulf, and so, I mean, what exactly is the
21 problem, or maybe you want to get with me offline, and I would
22 like to understand it better.

23
24 **DR. GALLAWAY:** It's been my observation that the quality and
25 timeliness of receiving the trip ticket data varies considerably
26 among the states, and it makes it very difficult to make the
27 matches that should be easily done, and I think you saw the
28 numbers, where there is less than 50 percent of the matches
29 being available, or being enabled, nowadays, and I think most of
30 that has to do with the trip ticket data, or the provision of
31 those tickets, and so that's what I was referring to, and I may
32 be wrong, but that's been my experience.

33
34 **MR. DIAZ:** Thank you.

35
36 **CHAIRMAN POWERS:** Okay. Yuying.

37
38 **DR. YUYING ZHANG:** I just wanted to say that I had a project
39 about the red snapper, and I recently was interested in the
40 estimated bycatch, and I contacted some of the initial working
41 group members about the data, and my point now is I don't want
42 to make any commitment before I get some interesting preliminary
43 results, and I don't know whether I can be counted as an expert,
44 but I don't want to be excluded from this.

45
46 **CHAIRMAN POWERS:** All right. Shannon, keep that in mind. Okay.
47 Ryan, where do we stand?

48

1 **MR. RINDONE:** I think the observer data is the one that's next.

2

3 **CHAIRMAN POWERS:** Okay.

4

5 **MR. RINDONE:** We're just going through these one at a time and
6 seeing if anyone has any proposed modifications or additions, et
7 cetera.

8

9

DRAFT STATEMENT OF WORK - OBSERVER DATA

10

11 **CHAIRMAN POWERS:** Are there any comments? If not, then the next
12 one. Would that be environmental? No, this is the catch
13 estimation.

14

15 **MR. RINDONE:** Yes, it should be catch estimation.

16

17

DRAFT STATEMENT OF WORK - SHRIMP CATCH ESTIMATION

18

19 **CHAIRMAN POWERS:** If we could go down to the objectives, and,
20 Benny, is there something here you want to add?

21

22 **DR. GALLAWAY:** No, but just to emphasize the importance of the
23 bullet that says that the landings be reported earlier in the
24 calendar year for the prior year, as well as produce monthly
25 landing estimates in a more timely fashion. That's critical,
26 and it's not being uniformly done, or it wasn't when I was
27 working directly with the data, and I believe it's gotten even
28 worse, perhaps, from what I hear.

29

30 **CHAIRMAN POWERS:** Which bullet was that?

31

32 **DR. GALLAWAY:** The one that talks about the timeliness of the
33 data, and it moved, and I don't see it now, and let me find it
34 again. It's talking about --

35

36 **MR. GREGORY:** It's in the first paragraph.

37

38 **DR. GALLAWAY:** The first paragraph, yes. I'm looking at my
39 cellphone, and, as you all know, I'm late to the meeting because
40 my computer is unavailable, and so I'm having to do it on my
41 cellphone, and so the objectives is what I want to emphasize,
42 and I believe this objective is critical and that it be
43 thoroughly explored and improved.

44

45

SHRIMP LIFE HISTORY/ENVIRONMENTAL DATA

46

47 **CHAIRMAN POWERS:** All right. Thank you. I think the last one
48 was the environmental module.

1
2 **MR. RINDONE:** Life history and environmental data, yes.
3
4 **CHAIRMAN POWERS:** Okay. Any comments or expansions or
5 deletions, et cetera? All right. Michelle.
6
7 **DR. MASI:** Thank you, Mr. Chair. My only comment is that, if
8 there's any volunteers or recommendations for folks who are
9 interested in participating in these working groups, if perhaps
10 maybe you could just email them to me, and it's
11 michelle.masi@noaa.gov, but, that way, we can just easily keep
12 track of who is interested, and I know there's been some
13 recommendations discussed, but I didn't have anything ready to
14 write those down, and so, if you could please just email me or
15 Shannon, that would be great. Thank you.
16
17 **CHAIRMAN POWERS:** All right. Thank you. Okay. Unless somebody
18 wants to volunteer now, I think we have dealt with these things.
19 Ryan.
20
21 **MR. RINDONE:** I think we're there.
22
23 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Chairman, just one final
24 question. Michelle, did you say that the working group efforts
25 would be open to the public, and, if so, could you just share
26 that information with us, so we can put something on our
27 website? Thank you.
28
29 **DR. MASI:** Carrie, I can't confirm or deny, but I would suggest
30 that you confirm that with either Shannon or Clay.
31
32 **CHAIRMAN POWERS:** I don't think you mean participation, and I
33 think you mean it might be open for the public to attend, but
34 not necessarily participation, and that's -- You've got to limit
35 it a little bit.
36
37 **EXECUTIVE DIRECTOR SIMMONS:** Correct.
38
39 **CHAIRMAN POWERS:** All right. I believe we have finished with
40 this agenda item, and then the next one was the volunteer for
41 technical chair of the SEDAR 68 joint Gulf and South Atlantic
42 scamp. Ryan, can you sort of -- Was this one of the research
43 tracks?
44
45 **REQUEST FOR A VOLUNTEER: TECHNICAL CHAIR FOR SEDAR 68: GULF AND**
46 **SOUTH ATLANTIC SCAMP ASSESSMENT WORKSHOP**
47
48 **MR. RINDONE:** It is our first research track.

1
2 **CHAIRMAN POWERS:** So it's a rather -- The chair for this would
3 be a rather extended commitment, correct?
4

5 **MR. RINDONE:** That is correct. We're looking for somebody that
6 is committed to the long haul, and so, essentially, what we're
7 talking about here is the SEDAR 68 assessment for scamp is a
8 joint assessment between the Gulf and the South Atlantic, which
9 is defined as there is to be a Gulf stock and an Atlantic stock
10 for scamp, and, absent any other information, it's being
11 delineated at the council jurisdictional boundary. That's what
12 was determined through the stock ID process.
13

14 The technical chair for the assessment would be expected to
15 participate in all webinars and calls, to help complete the body
16 of work for creating the base models for the assessment and
17 leading discussions of panel members and other efforts, as
18 necessary, during the assessment process.
19

20 We have had -- It's been a little difficult, at times, to have
21 someone consistently who can serve as the technical chair. As
22 you guys are aware, it's quite a body of work to do these
23 assessments in the first place, and so the Science Center
24 certainly would appreciate the help of someone with some
25 assessment experience to be able to help lead this process.
26

27 Scamp has been delayed in its progression until August, due to
28 COVID, but, at that point, we plan to get it back up off the
29 ground, and Julie can speak a little bit more as to what the
30 schedule might look like going into the fall, but we would be
31 honored and appreciative to have someone volunteer to be the
32 technical chair, and so you might want Julie to weigh-in on what
33 the projected schedule would look like in the fall.
34

35 **CHAIRMAN POWERS:** Julie.
36

37 **DR. NEER:** It's looking like we are going to reconvene the data
38 portion of this process at the last two weeks of September, is
39 kind of where we're shooting for now, and we're hoping to get a
40 doodle poll out in the next week or so, and I'm just waiting to
41 get a few more details from the Science Center to do that.
42

43 We're hoping to only have one more data plenary webinar to wrap
44 this section of the workshop process up, the assessment process
45 up, and then we'll begin the assessment stage, and we thought we
46 were going to begin the assessment stage in July, and clearly
47 that's not going to happen, but we were hoping to begin the
48 assessment stage in say November or December.

1
2 Initially, we thought we would have a review workshop in March,
3 and that's probably more going to be like June, and so
4 essentially sliding everything three months back, and so the
5 chair would be involved, as Ryan said, in running the actual
6 assessment webinars, and they are webinars. There is no in-
7 person workshop, and there was never an in-person workshop, and
8 there certainly isn't one now.

9
10 We're also looking for someone who is the chair who is not on
11 the assessment development team already and someone who does not
12 wish to participate as a reviewer. If you're hoping to get
13 appointed as a reviewer down the line, don't volunteer for this,
14 and, if you're already an ADT member, you're already on the
15 panel, and so don't volunteer for this, and so we're looking for
16 someone who is not already embedded in scamp or wishes to be
17 embedded at the end, just to be clear. Thank you.

18
19 **CHAIRMAN POWERS:** All right. Thank you. Jim Tolan, are you
20 volunteering?
21

22 **DR. TOLAN:** No. Having been part of the original scamp SEDAR
23 68, I was just curious if we -- I know COVID is sort of the
24 reason it got pinned down, and the brakes got put on it, but I
25 was just curious if there was any other clarification as to why
26 it just got tossed to the side, if it was our first full new
27 method assessment, and it was fairly unsatisfying on my end,
28 from that.

29
30 **CHAIRMAN POWERS:** Shannon.
31

32 **DR. CALAY:** Thank you. Essentially, we had an in-person
33 workshop scheduled, and that got cancelled, due to COVID, and
34 then we did attempt to have those workshops meet electronically,
35 virtually, but it did come to a point where the demand for the
36 webinars actually exceeded the capacity of our data providers
37 and stock assessment leads to meet other project deadlines, and
38 so, in order to have king mackerel in the South Atlantic and
39 Gulf and cobia and vermilion snapper turned in on time, we asked
40 for a delay.

41
42 **DR. TOLAN:** Thank you for that, because I know, on my calendar,
43 there was a whole bunch of SEDAR 68 webinars penciled in, and so
44 thank you for that clarification.
45

46 **DR. CALAY:** It got a little bit away from us, and so, as we
47 reconvene, we'll have to think about how to make the process a
48 little bit more efficient.

1
2 **CHAIRMAN POWERS:** Thank you. I am not hearing people jumping up
3 and down to volunteer. Part of it, I think, is the idea of what
4 sort of commitment that is for somebody and how that relates to
5 their other obligations. It would be nice to have sort of a
6 very rough estimate of how many days over the next year you
7 would expect this to be, and not just in webinar meetings, but
8 also other days.

9
10 **DR. NEER:** Mr. Chairman, the chair is mainly going to be working
11 and focusing on running the meetings, running the webinars, when
12 they are actually happening, so that the analytic team and the
13 ADTs can focus on the discussions and not worrying about whose
14 hand is raised.

15
16 There shouldn't be a great deal of time outside of it. The bulk
17 of the report will probably still be reading by the analytic
18 team, as has always been the case, with the help of the ADT, and
19 it's not over the next year. It's probably, I would say, over
20 the next six months, or maybe seven months, once we wrap up --
21 It won't start until we wrap up the -- It's about a six-month
22 time window, and it won't start until we wrap up the data
23 portion, which I anticipate being done hopefully by October, and
24 so we're talking about a six-month time window, with maybe four
25 -- We initially had three or four webinars on there, and so it
26 shouldn't be a great deal of time outside of the webinars,
27 unless they're interested and wish to read all the working
28 papers that may be available, in which case they certainly can,
29 but I don't feel it's a requirement. I hope that helps a
30 little.

31
32 **OTHER BUSINESS**

33
34 **CHAIRMAN POWERS:** Judging from my experience chairing meetings,
35 I think you're underestimating the amount of time it takes to
36 prepare for these sorts of meetings and chair them, but, be that
37 as it may, I am just grousing a little bit. Are there any
38 volunteers?

39
40 If somebody wishes to pursue this, then I would suggest that
41 they talk to either Julie or Ryan or Shannon, to kind of see
42 what's going on, and pursue it after that, if that's okay. All
43 right.

44
45 Then we have Other Business. Under that, we give the
46 opportunity for public comment. Let me open this up to public
47 comment, and the process, I guess, would be to click the little
48 raise-hand button, and the people at the council will inform me

1 who has raised their hand.

2
3 There is none, and we've got through this, and it's been an
4 interesting meeting. Thank you all for participating. The Gulf
5 SSC will have another rendition of this in three or four weeks,
6 when we go over the MRIP calibration sort of process, and I
7 think it's August 13, and we also have the MRIP calibration
8 workshop that's being run by, I believe, the Gulf States Marine
9 Fisheries Commission, and I think that's August 5, which is not
10 a bonified SSC meeting, but there are several representatives
11 that we will have there. Jim Nance, did you have a comment?

12
13 **DR. NANCE:** I just have a question. Has the webinar for the
14 August 5 meeting, the registration for that, has that been sent
15 out yet?

16
17 **CHAIRMAN POWERS:** I'm not sure. Carrie.

18
19 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chairman. No, it
20 has not been sent out yet. We are going to have the materials
21 posted, and we're hosting it on our website. If you go to
22 Meetings, and then go down, it's the bottom one, the MRIP
23 state/federal calibration workshop, and it's actually being
24 hosted by NOAA Science & Technology.

25
26 **CHAIRMAN POWERS:** Excuse me. Okay. You have thirty seconds for
27 any last comments. If not, then --

28
29 **MR. DIAZ:** Dr. Powers, I just wanted to thank the group for
30 their participation and all the work that you all are doing to
31 help further the fisheries of the Gulf of Mexico. I appreciate
32 you all putting up with me for the last couple of days. I
33 always learn a tremendous amount by participating in these
34 meetings, and this one especially, and so thanks for you all's
35 hard work, and it is appreciated by the council members. Thank
36 you, Dr. Powers, and you run a good meeting, Dr. Powers.

37
38 **CHAIRMAN POWERS:** Thank you very much. All right. I am not
39 asking for a motion, and I am declaring that the meeting is now
40 adjourned, and thank you very much.

41
42 (Whereupon, the meeting adjourned on July 22, 2020.)

43
44 - - -

45