

1 GULF OF MEXICO FISHERY MANAGEMENT COUNCIL
2

3 MEETING OF THE STANDING & SPECIAL REEF FISH, MACKEREL,
4 SOCIOECONOMIC, & ECOSYSTEM SCIENTIFIC AND STATISTICAL COMMITTEES
5

6 WEBINAR
7

8 SEPTEMBER 14, 2020
9

10 **STANDING SSC VOTING MEMBERS**

11 Joseph Powers.....
12 Lee Anderson.....
13 Luiz Barbieri.....
14 Harry Blanchet.....
15 David Chagaris.....
16 Benny Gallaway.....
17 Bob Gill.....
18 Douglas Gregory.....
19 Walter Keithly.....
20 Robert Leaf.....
21 Kai Lorenzen.....
22 James Nance.....
23 Will Patterson.....
24 Sean Powers.....
25 Ken Roberts.....
26 Steven Scyphers.....
27 Jim Tolan.....
28

29 **SPECIAL REEF FISH SSC VOTING MEMBERS**

30 Jason Adriance.....
31 Judson Curtis.....
32 John Mareska.....
33

34 **SPECIAL MACKEREL SSC VOTING MEMBERS**

35 Jason Adriance.....
36 Kari MacLaunchlin-Buck.....
37 John Mareska.....
38

39 **SPECIAL SOCIOECONOMIC SSC VOTING MEMBERS**

40 Kari MacLaunchlin-Buck.....
41 Jack Isaacs.....
42 Andrew Ropicki.....
43

44 **SPECIAL ECOSYSTEM SSC VOTING MEMBERS**

45 Cameron Ainsworth.....
46 Mandy Karnauskas.....
47 Paul Sammarco.....
48

1 **STAFF**
2 Assane Diagne.....Economist
3 John Froeschke.....Deputy Director
4 Jessica Matos.....Document Editor & Administrative Assistant
5 Ryan Rindone.....Lead Fishery Biologist/SEDAR Liaison
6 Carrie Simmons.....Executive Director
7

8 **OTHER PARTICIPANTS**
9 Leann Bosarge.....GMFMC
10 Shannon Calay.....SEFSC
11 Julie Neer.....SEDAR
12 Michael Schirripa.....SEFSC
13 Greg Stunz.....GMFMC
14 Mike Travis.....NMFS
15
16 - - -
17

TABLE OF CONTENTS

3	Table of Contents.....	3
4		
5	<u>Table of Motions.....</u>	4
6		
7	<u>Introductions/Adoption of Agenda/Approval of Minutes: August 11-</u>	
8	<u>12, 2020 Webinar Meeting/Scope of Work.....</u>	5
9		
10	<u>Selection of SSC Representative for the October 26-29, 2020 Gulf</u>	
11	<u>Council Virtual Meeting.....</u>	8
12		
13	<u>Review of SEDAR 38 Update - Gulf of Mexico Migratory Group King</u>	
14	<u>Mackerel.....</u>	9
15	<u>Assessment Presentation and Stock Status Determination.....</u>	9
16	<u>Something's Fishy.....</u>	39
17	<u>SSC Recommendations.....</u>	44
18	<u>Stock Assessment Executive Summary.....</u>	73
19		
20	<u>Review of Gulf Gray Triggerfish Interim Analysis.....</u>	79
21		
22	<u>Review of SEDAR 75: Gulf of Mexico Gray Snapper Terms of</u>	
23	<u>Reference, Schedule, and Participant Solicitation.....</u>	105
24		
25	<u>Discussion of Carryover in the Red Snapper Individual Fishing</u>	
26	<u>Quota Program.....</u>	113
27		
28	<u>Review of SEDAR 74: Red Snapper Research Track.....</u>	124
29		
30	<u>Allocation Review Procedures.....</u>	129
31		
32	<u>Adjournment.....</u>	146
33		
34		

1

TABLE OF MOTIONS

2

3 PAGE 45: Motion that the SSC determined that the SEDAR 38
4 Update assessment of Gulf of Mexico king mackerel represents the
5 best scientific information available and based on assessment
6 results the stock status is estimated to be not overfished and
7 not undergoing overfishing. [The motion carried on page 51.](#)

8

9 PAGE 60: Motion that the SSC estimates OFL to be 10.89, 11.05,
10 and 11.18 million pounds whole weight for the Gulf king mackerel
11 stock during fishing years 2021 through 2023, respectively,
12 based on results of the SEDAR 38 update assessment and
13 assessment projections. The SSC sets ABC for the same years to
14 be 9.37, 9.72, and 9.99 million pounds whole weight,
15 respectively, with annual ABC being the projected yield at FOY
16 (0.85 F SPR 30 percent). The motion carried on page 72.

17

18 PAGE 97: Motion that the SSC finds the gray triggerfish interim
19 analysis is suitable for management, and recommends an ABC of
20 456,900 pounds whole weight (MRIP-CHTS) for 2021 through 2023
21 and an interim analysis for 2024 forward be conducted at that
22 time. [The motion carried on page 104.](#)

23

24 PAGE 105: Motion that the SSC recommends including in the SEDAR
25 75 gray snapper assessment terms of reference the following
26 item, as submitted by the Gulf Council in their letter to the
27 SEFSC on September 30, 2019: "Consider SEDAR 51 recommendations,
28 and any new information, for reproduction." [The motion carried](#)
29 [on page 108.](#)

30

31 PAGE 109: Motion to "Incorporate social and economic
32 information into the stock assessment considerations as
33 practicable." [The motion carried on page 109.](#)

34

35 PAGE 109: Motion to approve the terms of reference for SEDAR 75
36 Gulf of Mexico gray snapper as amended. [The motion carried on](#)
37 [page 110.](#)

38

39 PAGE 112: Motion to approve the project schedule for SEDAR 75
40 Gulf of Mexico gray snapper. [The motion carried on page 112.](#)

41

42 PAGE 128: Motion to approve the terms of reference for SEDAR 74
43 red snapper research track as amended. [The motion carried on](#)
44 [page 128.](#)

45

46

47

- - -

1 The Meeting of the Gulf of Mexico Fishery Management Council
2 Standing and Special Reef Fish, Ecosystem, and Socioeconomic
3 Scientific and Statistical Committees convened via webinar on
4 Monday morning, September 14, 2020, and was called to order by
5 Chairman Joe Powers.

6

7 **INTRODUCTIONS/ADOPTION OF AGENDA/APPROVAL OF VERBATIM MINUTES**
8 **AND MEETING SUMMARY: AUGUST 11-12, 2020 WEBINAR/SCOPE OF WORK**

9

10 **CHAIRMAN JOE POWERS:** Good morning, my name is Joe Powers and I
11 welcome all of you as the Chair of the Scientific and
12 Statistical Committee of the Gulf of Mexico Fishery Management
13 Council. We appreciate your attendance on this webinar and
14 input into this meeting. Representing the Council is Greg
15 Stunz. Council Staff in attendance are Ryan Rindone and Jessica
16 Matos.

17

18 Notice of this meeting was provided to the Federal Register,
19 sent via email to subscribers of the council's press release
20 email list, and was posted on the council's website.

21

22 Today's meeting will include the following topics: Adoption of
23 Agenda; Approval of Minutes; Scope of Work; Selection of SSC
24 Representative; and then the substantive things are the SEDAR 38
25 update for king mackerel; Gulf gray triggerfish; review of red
26 snapper research track; the review of Gulf of Mexico gray
27 snapper; discussion of carryovers in the IFQ program; allocation
28 review procedures; looking at spatial management of gag grouper;
29 habitat research; red snapper supply chains; any other business;
30 and public comment.

31

32 This webinar is open to the public and is being streamed live
33 and recorded. A summary of the meeting and verbatim minutes
34 will be produced and made available to the public via the
35 council's website.

36

37 For the purpose of voice identification and to ensure you are
38 able to mute and unmute your line, please identify yourself by
39 stating your full name when your name is called for attendance.
40 Once you have identified yourself, please re-mute your line. To
41 signal you wish to speak during the meeting, please use the
42 raise-your-hand function, and staff will display your name.
43 Please remember to identify yourself before speaking and to also
44 re-mute your line each time you finish. Thank you.

45

46 **MS. JESSICA MATOS:** Lee Anderson.

47

48 **DR. LEE ANDERSON:** Lee Anderson.

1
2 **MS . MATOS:** Luiz Barbieri.
3
4 **DR . LUIZ BARBIERI:** Luiz Barbieri.
5
6 **MS . MATOS:** Harry Blanchet.
7
8 **MR . HARRY BLANCHET:** Harry Blanchet.
9
10 **MS . MATOS:** Dave Chagaris.
11
12 **DR . DAVID CHAGARIS:** David Chagaris.
13
14 **MS . MATOS:** Benny Gallaway.
15
16 **DR . BENNY GALLAWAY:** Benny Gallaway.
17
18 **MS . MATOS:** Bob Gill.
19
20 **MR BOB GILL:** Bob Gill.
21
22 **MS . MATOS:** Doug Gregory.
23
24 **MR . DOUGLAS GREGORY:** Douglas Gregory.
25
26 **MS . MATOS:** Walter Keithly. I know you're on there, but have
27 been having some sound issues. Walter is present. Robert Leaf.
28
29 **DR . ROBERT LEAF:** Robert Leaf.
30
31 **MS . MATOS:** Kai Lorenzen.
32
33 **DR . KAI LORENZEN:** Kai Lorenzen.
34
35 **MS . MATOS:** Camp Matens. Jim Nance.
36
37 **DR . JIM NANCE:** Jim Nance.
38
39 **MS . MATOS:** Will Patterson.
40
41 **DR . WILL PATTERSON:** Will Patterson.
42
43 **MS . MATOS:** Joe Powers.
44
45 **CHAIRMAN POWERS:** Joe Powers.
46
47 **MS . MATOS:** Sean Powers. Ken Roberts. Steven Scyphers.
48

1 **DR. STEVEN SCYPHERS:** Steven Scyphers.
2
3 **MS. MATOS:** Jim Tolan.
4
5 **DR. JIM TOLAN:** Jim Tolan.
6
7 **MS. MATOS:** Jason Adriance.
8
9 **MR. JASON ADRIANCE:** Jason Adriance.
10
11 **MS. MATOS:** Jud Curtis.
12
13 **DR. JUDSON CURTIS:** Jud Curtis.
14
15 **MS. MATOS:** John Mareska.
16
17 **MR. JOHN MARESKA:** John Mareska.
18
19 **MS. MATOS:** Kari Buck.
20
21 **DR. KARI MACLAUCHLIN-BUCK:** Kari Buck.
22
23 **MS. MATOS:** Jack Isaacs.
24
25 **DR. JACK ISAACS:** Jack Isaacs.
26
27 **MS. MATOS:** Andrew Ropicki.
28
29 **DR. ANDREW ROPICKI:** Andrew Ropicki.
30
31 **MS. MATOS:** Cam Ainsworth.
32
33 **DR. CAM AINSWORTH:** Cam Ainsworth.
34
35 **MS. MATOS:** Mandy Karnauskas. Paul Sammarco.
36
37 **DR. PAUL SAMMARCO:** Paul Sammarco, here.
38
39 **MS. MATOS:** Thank you. Greg Stunz.
40
41 **DR. GREG STUNZ:** Greg Stunz.
42
43 **MS. MATOS:** Thank you. That's it.
44
45 **CHAIRMAN POWERS:** All right. Thank you. Then we begin with the
46 agenda. We've had our introductions, and now the Adoption of
47 the Agenda. You will note that, in order to accommodate some of
48 the environmental pressures being put on the Gulf of Mexico,

1 that the order has been changed a little bit, and, also, the
2 implication is we're going to try to spend more time today, and
3 I will be monitoring the time closely, but, with those changes,
4 and the agenda as sent out yesterday by Ryan, are there any
5 objections to adopting this agenda? If not, the agenda is
6 adopted.

7
8 The minutes, Approval of Minutes, the meeting summary for the
9 August 11 and 12 webinar, any objection to the approval of the
10 minutes? If not, then the minutes are approved.

11
12 Scope of Work, this was the document kind of outlining what we
13 have to do and some of the details of what is required of us.
14 Unless Ryan wants to mention something in particular, this
15 should be used during the meeting to kind of remind ourselves of
16 what we're getting at as we're going through these individual
17 discussions. Ryan, do you have anything further to add to that?
18

19 **MR. RYAN RINDONE:** I do not.
20

21 **SELECTION OF SSC REPRESENTATIVE FOR THE OCTOBER 26-29, 2020 GULF**
22 **COUNCIL VIRTUAL MEETING**
23

24 **CHAIRMAN POWERS:** Okay. Thank you. Agenda Item IV is the
25 Representative for the late October Gulf Council Meeting. Do we
26 have any volunteers?
27

28 **MR. RINDONE:** Just a reminder that this meeting will also be
29 held via webinar.
30

31 **CHAIRMAN POWERS:** Yes. I think we're resigned to that for a
32 while. Any volunteers? I guess, at this point then, you can
33 put me down for this. I will probably re-ask for volunteers
34 during this meeting, because I would really appreciate if other
35 people were involved, but, anyway, for the time being anyway,
36 put me down as that.
37

38 **DR. BARBIERI:** Mr. Chairman, I can help you, and perhaps we can
39 do the divide-and-conquer and break up pieces. This is going to
40 have the equivalent of two full, or maybe or three or four, SSC
41 meetings to present.
42

43 **CHAIRMAN POWERS:** Yes, and that's part of the reason, and so
44 thank you, Luiz, and I will surely hit upon you for this. Thank
45 you.
46

47 **DR. LORENZEN:** I just raised my hand, and I would also volunteer
48 to do a bit. I can't do the whole thing, but --

1
2 **CHAIRMAN POWERS:** Okay. Thank you. All right. Moving on to
3 Agenda Item V, the Gulf king mackerel, and this is a fair amount
4 of time allotted for this, and so we'll begin, I believe, by the
5 presentations. Let me turn it over to whomever is doing the
6 presentation.

7

8 **REVIEW OF SEDAR 38 UPDATE - GULF OF MEXICO MIGRATORY GROUP KING**
9 **MACKEREL**

10 **ASSESSMENT PRESENTATION AND STOCK STATUS DETERMINATION**

11

12 **DR. MICHAEL SCHIRRIPA:** Good morning, everyone. I send concerns
13 out to you guys that are in the face of Hurricane Sally now. We
14 had our share yesterday, as it blew by.

15

16 What I am going to present to you today is the SEDAR 38 update.
17 As you recall, in SEDAR 38, we did both the Gulf of Mexico stock
18 as well as the South Atlantic stock together, and we tried to
19 make those models as similar as possible, that is the
20 configurations, and the unofficial goal that we were after here
21 was we tried to keep the models, the configuration of the
22 assessment model, as similar as possible and replacing only the
23 data that went into the models.

24

25 You will see, in the presentation, that, although we tried to
26 keep the model configuration as close as possible, and repeat
27 the same assumptions and so on, we were not able to replace the
28 data, update the data, exactly as we had last time, and that's
29 due to some issues that you're all too familiar with, the
30 migration to the FES data being one of the major changes that
31 had to be implemented, but we'll still be able to see some
32 comparison between the two assessments and why we are where
33 we're at today.

34

35 The outline for today's talk, we'll talk some terminology, to
36 make sure we're all on the same page there, and I have to admit
37 that I learned a few definitions myself this time. After that,
38 we'll talk about the terms of reference that we needed to
39 satisfy for this effort. The overview, the data that we used,
40 the base model development, and then we'll slide into
41 projections and then a summary, as well as some research
42 recommendations.

43

44 Let's first then go to the terminology, and this is where I had
45 to learn a few definitions. Catch will be considered all fish
46 caught, and that is the fish that are retained, discarded dead,
47 and released alive. Landings are only those fish that are
48 retained, and removals are retained catch and dead discards, and

1 the term "discards" refers to all discarded fish, whether they
2 were dead or released alive, and then, finally, we have dead
3 discards, which are discarded fish that are assumed to be dead.

4
5 Also important, that we had to discuss a little bit, was the
6 status determination criteria, and one of the issues, or one of
7 the challenges here, was that the status determination criteria
8 may have been different than the one that is used today, and so
9 we had to think about whether or not we were going to use the
10 old terms or the new ones, and I think, as luck would have it,
11 they are the same as last time, although there was some
12 discussion on that.

13
14 Overfished is being defined as when the spawning stock biomass
15 current is less than MSST, where SSB current is the SSB in the
16 terminal year of the data, of the model, in this case 2017, and
17 MSST is defined by one minus natural mortality times SSB at MSY,
18 or its proxy. In this case, as in the last case, M was equal to
19 0.174, and the proxy used for SSB MSY was SSB at SPR 30.

20
21 For overfishing, F current -- When F current is above MFMT, the
22 stock is considered overfished, where F current is the geometric
23 mean of the most recent three years of fishing mortality, and
24 MFMT is equal to FMSY, or its proxy, and, in this case, the FMSY
25 proxy is F at SPR 30.

26
27 Let's go briefly over the terms of reference and what was
28 expected for this effort. I'm sure you've all read this before,
29 and there's a lot to read here, and so the high points are
30 basically that we update the model through the 2017-2018 fishing
31 year, and we were to document any changes or corrections made to
32 the model and dataset inputs, provide tables of such, update the
33 model parameter estimates and their variances, their model
34 uncertainties, and estimate stock status.

35
36 To the extent practicable, provide recommendations of future
37 research to be conducted on the Gulf migratory group, and then,
38 finally, develop a stock assessment update report to address
39 these terms of reference, and I'm sure that you all have access
40 to that now.

41
42 Let's go to the overview then, and the overview is good news.
43 The approved SEDAR 38 Gulf of Mexico king mackerel base model
44 was updated through 2012, and I emphasize the word "approved"
45 here. Some of you may recall that, in 2017, we had an
46 independent review of the model configuration, and it did pass
47 the approval process through the independent review, and so we
48 stuck with that, as close as possible. The base model was used

1 with the same datasets as SEDAR 38, with the updated time
2 series, with the exceptions that I have mentioned.

3
4 These key changes that we really had almost no choice in making
5 were to incorporate the new FES data adjustments to the
6 recreational catch and our method of estimating shrimp fishery
7 bycatch of king mackerel. Again, those almost could not be
8 considered choices, and they were almost must-dos, especially
9 the FES data.

10
11 The stock assessment update fully documents the input data and
12 the SEDAR 38 update base model, and the good news is that the
13 updated base model found that the king mackerel in the Gulf of
14 Mexico is not overfished and not undergoing overfishing. In
15 fact, in 2017, the stock was being harvested at 84 percent of
16 MFMT, and the SSB was 112 percent of MSST.

17
18 The upper-right-hand plot shows you where we want to be, in the
19 green zone, and you will see, if you look close, that the 2017
20 point lies right in that buffer zone between SPR 30 and the
21 MSST. The updated base model projections indicate that landings
22 can remain at their current values with a very low probability
23 of future overfishing or becoming overfished.

24
25 Let's take a look then at the data that was used in the model,
26 and hopefully, at this point, most of us, or most of you, are
27 familiar with the data that goes into SEDAR assessments, and I'm
28 sure many of you are familiar with the stock boundary map
29 between the Gulf of Mexico and Atlantic and the mixing zone.
30 The important note here is that the mixing zone is -- Generally,
31 the landings from the mixing zone are spread out 50/50 between
32 the Gulf of Mexico and the Atlantic. Other than that, nothing
33 has changed from the last assessment.

34
35 Then the collection of data that we had to work with. The
36 upper-right-hand plot shows you each dataset and the time series
37 associated with it, and this is actually considered a data-rich
38 assessment, in terms of SEDAR. We have indices of abundance,
39 and we have lots of length compositions, and we have lots of
40 age-at-length information, and we have some discard information.

41
42 Our fishing year for the Gulf is July 30 through June 30, and we
43 used a gender-specific growth, a von Bertalanffy growth
44 function, with males being different than females. We used a
45 fixed natural mortality, as you can see on the bottom-right-hand
46 panel, which was a length-based Lorenzen function.

47
48 A Beverton-Holt recruitment relationship was used. However, the

1 steepness was fixed at 0.99, and, essentially, what this tells
2 us is that recruitment is not related to spawning stock biomass,
3 in this case. The start year of the model, or when we
4 considered the stock to be in its unfished state, was 1929, and
5 the end year of the model was 2017.

6
7 The fleets that we used were the commercial handline, the
8 commercial gillnet, the shrimp bycatch, the recreational
9 headboat, and the recreational charter/private. All
10 selectivities for all fleets were allowed to be dome shaped,
11 except for the commercial handline, which was fixed to be
12 asymptotic.

13
14 The indices of relative abundance that we had to work with were
15 the commercial hook-and-line and trolling logbooks, the
16 recreational headboat survey, the SEAMAP trawl juvenile survey,
17 and it's not shown here, but we also had the SEAMAP
18 phytoplankton survey to work with. Now, we did have a charter
19 boat survey as well, but that was deemed unreliable in SEDAR 38,
20 and so we again skipped over using that index this time as well.

21
22 I have a feeling that many of you are familiar with the manner
23 in which we model the shrimp bycatch, and it's effort driven,
24 and that is the more effort -- We can measure effort better than
25 we can the shrimp bycatch, and so we use that to drive the
26 bycatch estimates, the effort, and many of us cannot wait until
27 we can migrate this model to SS 3.30 that has the ability to
28 explicitly model a bycatch-only fishery and that ability to SS
29 3.3 was more or less designed with SEDAR in mind.

30
31 We handled regulations, that is size limits, through time-
32 blocking the retention at-length, and MSST, as we said, was
33 tabled to one minus M, as last time, and -- I'm sorry. One
34 minus M times SSB at SPR 30, and MFMT at SPR 30. We did use
35 3.24 in this assessment, and that is exactly the same model that
36 we used last time, and so any differences are not due to the
37 version of SS that we used.

38
39 Commercial landings and discards, the overall commercial
40 landings have shown a steady increase since 1990, and we would
41 like to think that this is due to good management of the stock.
42 Regulations went into place when the stock was first deemed
43 overfished, and we have seen an increase in the stock size. The
44 commercial landings are made up mostly of handlines, with a
45 little bit of commercial gillnet in there as well. The hook-
46 and-line discards have shown an initial decreasing trend from
47 1998 to 2010 and then a slight increase, or leveling off, of the
48 discards since 2011.

1
2 Let's look at the data update of landings, and we're going to go
3 into an analysis of this a little bit later, but this is just
4 going to show what we worked with before and what we worked with
5 this time.
6

7 The upper-left panel is commercial handline, and, as one might
8 expect, no changes were made in that, and so we had good
9 agreement on what we used last time, which is the red line, and
10 the one we are using now, which is the black line, and,
11 obviously, they are laying on top of one another, and so you
12 cannot see the red line.
13

14 The same was true for gillnet, the two lines laying on top of
15 one another, because there was no change in data or methodology
16 in the upper-right, but it is headboat and charter/private where
17 we see the difference with the migration to the FES data. The
18 headboat landings, the black line, the FES data, shows that we
19 now, with the FES landings, have a slight decrease in the
20 headboat landings, the black compared to the red line. In the
21 bottom-right, there is more of a difference in the
22 charter/private, keeping in mind that the charter/private makes
23 up the majority of the king mackerel landings in the Gulf of
24 Mexico.
25

26 The FES look at the data, the analysis, decreased the headboat
27 landings a little bit and increased the charter/private landings
28 a bit. We will see soon, in the presentation, the ramifications
29 of those two changes.
30

31 We also got, from the FES, an update of discards, and the upper-
32 left is the commercial handline, and, much like the landings, we
33 saw no changes in discards, just an addition of data. In the
34 upper-right is the discards of the charter/private, and we saw
35 more discards from the charter/private, obviously from the
36 increased catch estimates that we saw from the FES data.
37

38 The other point that we'll talk a lot about is the shrimp trawl
39 bycatch estimates, the red line again being SEDAR 38, and, this
40 time, the estimates of shrimp bycatch, as you can see, were
41 higher than the ones that were arrived at in SEDAR 38.
42

43 The headboat discards went down slightly from last time, but
44 remember that the headboat catch makes up a very, very small
45 portion of the overall catch of king mackerel. Most of the
46 investigation you will see will be focused on the
47 charter/private and the shrimp trawl bycatch.
48

1 Let's look at the data that we actually used, the FES
2 recreational catch and discards for the update. Again, the
3 overall recreational landings have been seen steady since 1990,
4 when regulations first went into place, and the discards, of
5 course, are mostly from charter/private, and they have been
6 somewhat stable, with some fluctuations around a mean since
7 after 1984. Again, you can see, in the upper-right panel, that
8 the sliver, the yellow sliver at the bottom, is the headboat
9 landings, making up a very small portion of the overall
10 landings.

11

12 As we've been discussing, total Gulf of Mexico king mackerel
13 landings are dominated by the red, the charter/private, and then
14 second would be the commercial handline, a little bit of
15 commercial gillnet, and the rest being the headboat fishery.

16

17 Discards in metric tons, the total discards starting where the
18 regulations, the minimum size, I believe, came into place are
19 showing a decrease over time, and we're not certain if that
20 could be a decrease in recruitment or just fish growing less
21 discards, because fish are growing more into the legal size, or,
22 perhaps, fishermen are actually moving off the small fish, and I
23 will throw in right now that -- I will sneak-peek into the
24 recommendations, but what we really need to have to discern some
25 of these options, or these alternative views, is we need more
26 lengths of released fish. We don't get a sampling of those, for
27 obvious reasons, but having more of those would be a great asset
28 to the assessment.

29

30 Let's go ahead and explain how the shrimp fishery bycatch was
31 arrived at this time around. We went ahead, this time, and used
32 the Zhnag and Isely 2019 bycatch estimates. Now, keep in mind
33 that we actually did have these estimates for the SEDAR 38. We
34 did have the option of using them, and so, in this case, we
35 didn't really, per se, use different data, but we chose a
36 different method. We had both methods to choose from last time,
37 but we chose to use what we thought was a better method.

38

39 Now, if you look at the stock assessment report from SEDAR 38
40 and follow it through, you will see that this estimation process
41 went through several iterations, and it was presented at the
42 data workshop, and some modifications were suggested, and it was
43 presented again at the stock assessment workshop, where it was
44 suggested that some more modifications were done, and then,
45 after several rounds of modification, we ended up using what we
46 felt was the best scientific information at the time.

47

48 This year, this time, we took a second look and decided that the

1 best available information would be to take it directly from the
2 Zhnag and Isely 2019 report. The blue portion of the plot that
3 you see, the figure, is the SEDAR 38 estimate and its median,
4 the blue line, and the red line is the new estimate with the
5 median.

6
7 We could not repeat the SEDAR 38 method to our satisfaction, and
8 so we decided that we would stick with the published method that
9 was used from Isely and Zhnag, and I think you have access to
10 that paper, and so we went from a SEDAR 38 median of 708,000
11 fish to a value of 1,998,000 fish for this update. Again, you
12 can see where we got that estimate of 1,998,000 from that paper.
13

14 Now, you will see some slides where I hope I'm going to show
15 clearly what the effect of this change has had, and we also had
16 fishery length composition, of course. For king mackerel, we
17 have thousands of fish measured annually. In fact, so many that
18 you should have to then adjust the effective sample size, and we
19 capped that at a hundred. If you don't cap that at some size,
20 you end up with the model fitting only the lengths and no other
21 source of observational data, but just for the sheer sample
22 size.
23

24 At the time, the effective sample size being capped at 100 was
25 the standard being used throughout many assessments, but I will
26 note that, since then, a lot of research has been done, a lot of
27 trials have been done, and even a seminar, a workshop, was
28 devoted only to the effective sample size on lengths. There is
29 no hard science on where to cap the size-at-length is, but, this
30 time, we stuck with the 100 sample size, so that that would not
31 be one more change that was added to the assessment, and 100 is
32 not an unacceptable value at all.
33

34 Again, what we need to really fill out this length comp are the
35 discarded fish, and this was -- We can use those discarded fish
36 as a good indicator of recruitment, as well as helping us
37 discern the amount of discards, and so, if we were to do this
38 assessment all over again, we would probably -- One of the
39 things we would reevaluate is seeking a balance between the
40 variances from the major data sources.
41

42 Now, while we're on this note, I will say, and you won't see it,
43 but I did do a complete variance reweighting of the model for
44 CPUEs, length comps, and ages, and I will tell you though that
45 the answer changed very, very little. The status of the stock
46 changed very little, as well as the fits. However, I think that
47 the next assessment that we do here should take advantage of all
48 the work that has been done since.

1
2 We used conditional age-at-length, the same as we did in the
3 previous assessment, remembering that, because these are
4 conditional age-at-length, they are not assumed to be a random
5 sample of the catch. Due to the sheer number of samples, ages
6 made up of the majority of the log likelihood, and, again,
7 variance reweighting is an approach here to make sure that we
8 don't swamp out the fits to all other observational data, and,
9 like the lengths, next time this assessment is done,
10 reevaluation of the balance between the data sources, to make
11 sure we're not overemphasizing any one particular data source.
12

13 Let's look at the indices of abundance that we had available to
14 us. The commercial hook-and-line, the blue line, indicates the
15 updated data, and the orange line are the data used in SEDAR 38,
16 and the commercial hook-and-line CPUE agreed very strongly with
17 the previous CPUE effort, and that is the upper-left-hand panel,
18 and the middle left-hand panel is the headboat indices, and what
19 I want is you to look at these last years of the update here,
20 and I want you to kind of put a pin in that drop that we saw in
21 the headboat that will be part of a discussion that we'll have
22 here a few slides into this.
23

24 It agreed up to the updated year, where we saw let's say a
25 significant drop and then an increase after that, and we'll see
26 the effect of that in a little bit.
27

28 The SEAMAP trawl data agreed very well with the last assessment,
29 the bottom-left-hand panel, and the shrimp effort was in very
30 good agreement with the previous assessment. That last year I
31 don't believe was used in the shrimp effort, and it was probably
32 a preliminary estimate, the orange dot, the outlier there at the
33 bottom.
34

35 The charter/private CPUE was done. However, remember that that
36 was not used in this assessment, as it was not used in the SEDAR
37 38 assessment either, and then, finally, we have the SEAMAP
38 plankton survey on the bottom-right. There is very strong
39 agreement there, without too much change in the updated data.
40

41 We'll talk now about the base model development and the
42 development of that and the fit to the indices and results and
43 diagnostics. The first thing we want to do is to look into the
44 effect of the updated observational data, and how we did this
45 was in two parts. We swapped out the data sources individually
46 first, and that is only one data source at a time, to try to
47 ascertain how exactly each of the data sources compared -- How
48 the model fit individually to the new data sources compared to

1 the SEDAR 38.

2
3 Now, in all of these plots that you will see, the heavy black
4 line is the trend in SSB from SEDAR 38. All other lines that
5 are colored are going to be a comparison to that, and so
6 swapping these data sources out individually, and, to make the
7 comparisons more comparable, we fit only up to 2012, just for
8 the comparisons now, and so we'll start with the upper-left-hand
9 panel.

10
11 What we did here was replace only the MRFSS data with the FES
12 data, and what we see makes sense. Remember that we had an
13 increase in landings from the FES data, and so, of course, we
14 got an increase in population size. In order to have more
15 landings with the same F, you need more fish out there, and so
16 note that the beginning, the R-zero, increased, and you see in
17 1930, but, after around 1990, we see that the trends were pretty
18 similar.

19
20 Using the same recreational data, the MRFSS that was used, but
21 swapping out the headboat data in the upper-right panel, that
22 led to a decrease in the stock size, because there were fewer
23 landings from the headboat, and that makes good sense too, and
24 so, really, it's just a scalar from the headboat, swapping out
25 the headboat, and we changed the absolute population size, and
26 that decreased a little bit.

27
28 Then, finally, when we simply replace the shrimp bycatch data,
29 keeping all other data constant, what we ended up with was an
30 increase in R-zero at the beginning of the time series and then
31 a decrease in the current SSB, and, again, this is pretty
32 intuitive, because you're killing more younger fish, and so it
33 took a larger population size in the beginning. Because of the
34 long trend in killing more fish, you end up with less spawning
35 stock biomass. For the most part, except for the bottom-right,
36 the trends are very similar, but the overall, the absolute,
37 numbers are a bit different.

38
39 This is replacing the data sources individually. Now that we
40 have an idea of what's going on with those, let's look at a
41 cumulative approach, using the exact same method, only building
42 one data source at a time. The upper-left-hand plot is the same
43 as you saw in the last slide, and that is let's just replace the
44 recreational landings with FES landings. Of course, that's
45 going to look exactly like the other one.

46
47 Now let's add to that, in the upper-right-hand panel, and let's
48 add the change in headboat landings, and, as you might expect,

1 we don't see too much change, because the headboat makes up a
2 very small portion of the landings, and so it's going to look
3 very similar.

4
5 However, when we then put on top of these changes the new shrimp
6 fishery bycatch estimates, you see our R-zero goes up
7 considerably, and this is because it's a combination of the FES
8 raising the R-zero and the shrimp bycatch raising the R=zero.
9 As we saw before, when you cumulate those, you get even a higher
10 increase in R-zero,

11
12 Now, I will say, at this point, that remember the R-zero, in
13 this case, is not only a function of our shrimp bycatch, but it
14 is also a function of the natural mortality that is used on the
15 age-ones, and so the shrimp -- As some of you may recall, back
16 in red snapper, probably ten years ago, or maybe even fifteen
17 years ago by now, or maybe even twenty, there was a balance
18 between the natural mortality of these fish versus those that
19 would end up in the shrimp fishery bycatch, and so just keep in
20 mind this is not just a data-driven phenomenon, but it is also
21 driven by what we use for natural mortality on those age-one
22 fish.

23
24 Let's take these models then and fit them all the way -- Well,
25 let's take the SEDAR 38 update and fit that all the way to 2017
26 and see how that compares to SEDAR 38. Again, the black line is
27 always going to be SEDAR 38, and the colored line is the SEDAR
28 update.

29
30 What we see, if we add and fit to the 2017 data, is we keep that
31 increase in R-zero, and we have slightly less -- Well, we have
32 less spawning stock biomass than we had before.

33
34 As a comparison, let's just fit the model just like we
35 explained, but let's just change the shrimp bycatch and see if
36 we can get close to that SEDAR 38 estimate that we got, and what
37 you can see in the bottom-right-hand panel is, if we go back to
38 the shrimp fishery bycatch of 708,000 that we used, we start to
39 get a very similar picture. That is our R-zeroes are much
40 closer than they were before, but we still have that decrease in
41 the most recent year, and so we're getting closer. We're
42 figuring out why we deviated from SEDAR 38, and we can see from
43 here that, yes, the shrimp fishery bycatch is driving some of
44 that change, but not all of it.

45
46 During the jack-knife analysis, it became evident what was
47 responsible for the ending year biomass being different. In the
48 upper-right-hand panel, what we see is the trend in SSB by

1 deleting, one at a time, the indices of abundance, as well as
2 the shrimp bycatch.

3
4 When we're removing each of these indices of abundance, we still
5 pretty much end up with the same trend, and that is this cluster
6 here and this cluster down here. However -- Well, of course,
7 when we remove the shrimp fishery, like we just showed, the
8 shrimp fishery bycatch, we get very close to what we had before,
9 but look at this. When we remove the headboat indices, we start
10 to get very close to where we were before, much closer than with
11 the other indices.

12
13 Remember that I asked you, a few slides ago, to put a pin in
14 that drop in the headboat CPUE. Before we remove that drop, the
15 estimates of recent spawning stock biomass are much closer than
16 we were before. If we use the old shrimp fishery bycatch, we
17 get much closer in the beginning than we were before. If we
18 then take out the headboat CPUE and use the old shrimp fishery
19 bycatch, down here in the bottom right, we see that we get very
20 close to where we were in SEDAR 38.

21
22 What do we conclude? We conclude that the shrimp fishery
23 bycatch is driving the change in the R-zero and the initial
24 biomass, and it's mostly the headboat CPUE that is driving the
25 difference at the other end. If we take out the headboat, and
26 we resort back to our old estimate, we get very close to where
27 we were in SEDAR 38. Those are the two changes that are making
28 the most difference in the assessment this time.

29
30 We're going to move on to diagnostics, and, as we saw in the
31 last assessment, the likelihoods are not as stable as I would
32 have liked to see them in the model, but the resulting trends
33 are not very different either. Like last time, the model
34 configuration and the observational data coupled together to
35 have a consistent model, but not one that arrives at the exact
36 same answer every time it's run when you jitter it. This was
37 the case last time, and it's the case this time, which you would
38 expect, using the same model configuration.

39
40 This does not make me happy, but it is what it is in this case,
41 and that would be one of the first chores of doing an update.
42 Why is this unstable? Remember that we can't always blame the
43 model. We tend to do that a lot of times, and we start right at
44 the end and say, well, there must be something wrong with the
45 model, and, oftentimes, we forget to work backwards and say,
46 well, wait a minute, maybe it's not the model, per se, and maybe
47 it's the observational data that is not in agreement with each
48 other.

1
2 I think what we need to do, in the next assessment, is not just
3 worry about how we're modeling this data, but let's go back and
4 see if we parsed out the data correctly, if we weighted the data
5 correctly, and let's even take a step before that and review the
6 GLMs that were used to arrive at the CPUEs and let's review
7 those, and let's even take one more step back and go right from
8 the beginning and examine, with great scrutiny, how this data
9 was collected right at the dock, and are we using the data in
10 accordance to how it was collected, and that's a very important
11 question.
12

13 You can collect data for an age sample, and you can collect data
14 for an age-and-growth study, and you can collect data for
15 conditional age-at-length, and all of these would be collected
16 in its own particular manner, but you have to make sure you're
17 using the data in the model appropriately, in the manner in
18 which it was collected.
19

20 The next assessment, we need to not only review the model, but
21 we need to step all the way back and make sure that everything
22 is in harmony with each other. Thankfully, the trend did not
23 change though.
24

25 Profile analysis on R-zero, let's look at the upper -- First of
26 all, you can see that there was conflict in the data. If you do
27 a broad overview of these plots, you will see that some of the
28 observational data pushed R-zero to small values, and that would
29 be the surveys in the upper-right-hand plot, but, just below
30 that, the ages wanted to push the R-zero in the other direction.
31

32 In the bottom-left, you will see that the lengths wanted to push
33 the R-zero to small values and that the discards wanted to push
34 it to the right, and so we have an obvious conflict in signals
35 between the ages, the lengths, and the CPUE.
36

37 In the upper-left, what we see is, in general, we have a nice
38 bowl-shaped R-zero, but, if you be honest about it, that is
39 really just the middle of the conflicting data, and it came out
40 at 8.9. However, you will see that it's really just a product
41 of the one data source is pushing it very far to the right, and
42 the other is pushing it very far to the left, and so, low and
43 behold, you end up in the middle, and so don't be fooled by
44 that. You will also see that the discards are driving a lot of
45 that bowl shape as well, and this is why the model fitting
46 surface is as flat as it is and not more of a definitive fit to
47 the data.
48

1 A profile on steepness, remember that we fixed at a 0.9, but we
2 still did a profile on it. If left to be estimated, the
3 steepness did want to bound out at one, and, if you look at the
4 upper-left-hand plot, you can see why. All of the general
5 sources of data, the discards, the length data, the index data
6 and so on, wanted to push that steepness as far to the right as
7 it could.

8
9 If we look at the upper-right-hand, we can see that that's being
10 driven a lot by the shrimp fishery bycatch. If you look,
11 there's a difference. If you look closely at that small number
12 on the Y-axis, you will see that there's a fifty-point
13 difference made up for by the shrimp fishery bycatch and almost
14 nothing made up by the discards of the headboat or the hook-and-
15 line.

16
17 In the bottom-left-hand, you will see the same thing, that the
18 length comps want to push the steepness to one, but the survey
19 generally wants to push it to a small value, but there are also
20 surveys that want to push it to the one, and so, again, we have
21 conflicts in the signals of the data, and this is why I would,
22 again, argue that we need a closer look at the data as well as a
23 closer look at the model.

24
25 We'll look at the fit to the indices, and we had the hook-and-
26 line in the upper-left, and we had the headboat indices, and,
27 here again, you will see that drop that we are discussing, and
28 the model tried to fit it as best as it could, but it was the
29 only CPUE that dropped, and so it's not going to fit it exactly,
30 but, for the most part, the directed fisheries show either
31 stable the last couple of years or an increasing trend, and this
32 is showing an increasing trend, but it was likely being dragged
33 down by the decrease in the headboat CPUE.

34
35 The SEAMAP trawl data is an index of age-one fish, and so that's
36 going to be driving the recruitment quite a bit, and then the
37 SEAMAP plankton is an indicator of spawning stock biomass, and
38 that's a common use of the plankton survey.

39
40 The fit to the length comps was not all that bad. The top
41 histograms are females, and the bottom histograms are males.
42 It's not what I would call a perfect fit, but it is a reasonable
43 fit, and these are the length comps aggregated across all
44 fleets. On the left is the SEDAR 38 and on the right is the
45 SEDAR 38 update.

46
47 Since 1995 or so, the percent of the length data is the same
48 data that was used last time, and that is we have so many years

1 of historic data that we are just carrying it over, and, with
2 only an update of five years, you would expect a very similar
3 fit to what we did last time.

4
5 Let's look then at the retrospective analysis, and, on the
6 upper-left-hand panel, you will see the entire time series of
7 SSB, and you can also see, from the view from a hundred feet,
8 you can see that there was very little retrospective pattern to
9 this data. If you focus in on the most recent fifteen years,
10 that is blown up in the upper-right-hand panel. If you look
11 very closely, there is a retrospective effect, but there is not
12 exactly a retrospective pattern. That is there is not a
13 unidirectional effect.

14
15 If you look down at the bottom-right-hand plot, that is the
16 Mohn's rho, which is used now to quantify the retrospective
17 pattern and to help make the decision that yes or no there is a
18 pattern, and that ranges from a negative-fifteen to 0.2, the two
19 red lines there. As you can see, the Mohn's rho falls very
20 close to zero, and so you would conclude that there is no
21 retrospective pattern to be concerned with in this model.

22
23 The fleet selectivities came out to be pretty much exactly the
24 same as they were. Again, we assumed asymptotic selectivity for
25 the commercial hook-and-line, and the rest were allowed to be
26 freely estimated. Fish enter the fishery at around twenty-four
27 centimeters, or that may be inches. It says inches, and that
28 would be age-two. Then note here that we chose an age-zero
29 selectivity, and only age-zero, for the SEAMAP trawl survey as
30 well as the shrimp fishery bycatch.

31
32 An examination of lengths from those two sources showed that a
33 very light bimodal distribution -- That there are not many age-
34 one fish in there at all, but they are present, and you can see
35 them moving through, but there's not enough of them, at this
36 point, to where it should matter very much at all, but I would
37 say that, like we did last time, it's something that should be
38 investigated as perhaps being a mix of age-zeroes and age-ones.

39
40 Exploitation, SS 3 uses exploitation as a proxy for fishing
41 mortality, and it's very simple. It's the percentage of fish
42 available to the gear that are removed from that population.
43 The exploitation rate on the far-right-hand corner, we were in
44 the green zone up until around 1990, and we went above the FSPR
45 threshold of 0.17 in around 1990.

46
47 It was overfished up until around 2000, or 1999, where the
48 regulations put us back into the green, and now our fishing

1 mortality is very close to where we want it to be, just slightly
2 below, a very good place. We saw that strong decline with the
3 advent of regulations, and, again, we're currently very close to
4 that 0.17 level.

5
6 As in SEDAR 38, we chose to fix the steepness at 0.99, because
7 there was no obvious -- There wasn't even anything close to a
8 stock-recruitment relationship, as you can see here. We ended
9 up with no way to estimate the stock-recruitment curve, and it
10 would have ended up bounded out at one anyway, as we saw, and so
11 we're sticking with that assumption, and, if we look at the
12 recruit deviations on the bottom-left, we see a somewhat
13 cyclical trend, with the early portion being either average or
14 below average, and then a period of above-average, sliding back
15 down to a couple of years of negative, with some higher variance
16 in the last couple of years.

17
18 That would be because we've had a very short look at those
19 cohorts, and so we don't have as much information on those as we
20 do the previous ones, and that's why the variance on those is
21 higher.

22
23 We did have what looks to be a very strong year class in 2016, a
24 low year class in 2015, and an above-average in 2014, again, and
25 so those would be working their way into the projections.

26
27 Here, we are comparing the trends in recruitment from SEDAR 38
28 in the top panel and then the update, and, again, of course,
29 because most of the data is the same, we're going to see very
30 similar patterns. The new recruitment estimates are the large
31 red dots on the right, and, as we saw before, the fluctuation
32 between high and low recruitment. Because we had no information
33 on that last year, it's going to fall right on the maximum
34 recruitment line, or the R-zero, and this is where the recruits
35 will be taken, and all the projections as well.

36
37 We're going to take a second look at the total spawning stock
38 biomass, and we're on a generally increasing trend from about
39 1990, with a little dip, and I believe that would be because of
40 some lower year classes coming into the fishery, as we just saw,
41 but hopefully those don't last long, as that trend may be coming
42 back up.

43
44 The differences between the two are shown in the bottom-right-
45 hand panel, and we've pretty much already seen that, and the
46 model suggests we're starting at a higher place, and, although
47 we're ending up in a slightly lower place, we are still not
48 overfished, still not overfishing, and we're pretty much where

1 we would like to be.
2

3 I want to add here that the 95 percent confidence intervals in
4 that upper-right-hand plot are most likely deceiving. They are
5 very tight there at the end. Unless you estimate all the
6 parameters in the model, you are likely going to get that type
7 of pattern, but, because steepness is fixed, you're going to get
8 what I would call a misleading tight distribution around the
9 final spawning stock biomass. That's not just this model here,
10 but other models can experience this as well.

11
12 Finally then, almost, is the stock status, and, again, we're not
13 overfished, and we're not overfishing, and we are pretty much in
14 that sweet spot of our F is below MFMT, and our SSB over MSST is
15 between our 1.0 and our -- Let's see. Our F at F 30 percent.
16 Our F in 2017 is 0.84, with a confidence interval of 0.68 and
17 0.98. Let's go to the top.

18
19 The SSB in 2017 over MSST is 1.12, with a confidence interval of
20 0.98 to 1.26, and the estimated probability that the stock is
21 not overfished is 85 percent. The F 2017 over MFMT is 0.84, and
22 the estimated probability that overfishing is not occurring is
23 91 percent, and so, again, I think the stock is in a real good
24 condition right now. If I was a manager, I would be very proud
25 of myself that it's been managed very nicely, and we're right
26 where we want to be, and we can, at the very least, maintain
27 catches right where they're at and likely be in a very good
28 position.

29
30 Overall, how has the stock changed since SEDAR 38? We're going
31 to look at trends in the various management type quantities, and
32 we have, starting from the left-top, the SSB panel, we have a
33 larger virgin population size than we estimated in SEDAR 38.
34 Consequently, on the upper-right-hand, we have a larger
35 recruitment than we did in SEDAR 38.

36
37 In the bottom-left, we have increased exploitation compared to
38 SEDAR 38, and, consequently, we have a decreased SPR in the
39 middle and the bottom, and then, finally, if we look at SSB over
40 SSB-zero, we are further depleted than we were before. However,
41 we still remain not overfished and not overfishing.

42
43 Finally, let's move on to the projections, and the projections
44 were made from 2021 to 2030. The exploitation rate -- Remember
45 the last year of data was 2017, and, since regulations from this
46 meeting were expected to start in 2021, we had to fill in 2018
47 to 2020, and what we did was carry the exploitation rate from
48 2017 over to 2018 to 2020.

1
2 The retained catch in 2018 to 2020 were arrived at by using that
3 exploitation rate and exploiting the estimated stock size for
4 2018 to 2020. All future recruitments were equal to the
5 maximum, the R-zero, and that is because we had a fixed
6 steepness of 0.1.
7

8 The P value, P^* value, that was used in the original assessment
9 was 0.43, and we applied the 0.43 P^* to the projections of the
10 overfishing limit to arrive at the ABC. These projections are a
11 P^* of 0.50, and you cannot apply the P^* value until after you've
12 made the projections, and, in the bottom-right-hand corner, we
13 see the table for the projected landings and resulting SSB over
14 MSST for fishing at F current, F MFMT, and also F optimum yield.
15 In this case, F optimum yield is the 85 percent -- Let's see.
16 It's the spawning stock biomass at 85 percent of the target.
17

18 In the upper-left-hand panel, the red line, the red-dotted line,
19 is MSST, and the black line is SSB at SPR 30 percent
20 equilibrium. As we are so close to that line, if we maintain
21 the current F, we stay pretty much where we're at, and, if we go
22 to -- This projection is at 85 percent of SPR 30. That would be
23 the green line.
24

25 The upper-right is the forecast of landings, and, as you can
26 see, we could even increase the landings slightly, because of
27 we're a little above where we need to be in SSB and a little
28 below in fishing mortality, but, even if we keep the F where
29 we're at currently, we should be in good shape and arrive pretty
30 much right at our target.
31

32 This is the projected OFL and ABC from SEDAR 38, and that is on
33 the right, and the SEDAR 38 update, fishing at FSPR 30, and
34 using the same P^* value of 0.43. The recommended, or the
35 forecasted, ABC, in millions of pounds, is the far-right-hand
36 column in the pink box. It's 10.47 for 2021, 10.6 for 2022, and
37 10.7 for 2023.
38

39 Because of the FES data increasing the stock size slightly, we
40 compared those ABC to the ones arrived at in SEDAR 38 on the
41 right, and we were closer to eight-and-a-half million pounds,
42 and now the advice would be the ABC would be closer to 10.7
43 million pounds, give or take a few, and so the FES landings, and
44 I suppose also the shrimp fishery bycatch, has given us a larger
45 stock size, and so, consequently, the ABC has increased
46 accordingly.
47

48 Then, finally, let's summarize. In order to maintain the use of

1 best available data, it was necessary to change three sources of
2 the catch data: the headboat data, the charter/private data, and
3 the shrimp fishery bycatch. The Gulf of Mexico stock is
4 currently not undergoing overfishing, nor is it overfished. The
5 stock size threshold is above the minimum stock size threshold,
6 but below the benchmark of the SSB/SSB MSY proxy.

7
8 Forecasts indicate that maintaining yields at or below the 2021
9 overfishing limit of 10.89 million pounds in the near term will
10 allow the stock to rebuild towards the SSB MSY proxy, but we're
11 already very close to that.

12
13 Similar data and modeling challenges faced in SEDAR 38 are still
14 evident in this update, and that is the conflicting signals in
15 the data and the jitter analysis arriving at slightly different
16 values, indicating that the fitted surface is a bit flatter than
17 we would like.

18
19 I would end with, while updates in the catch data for 2018 and
20 2019 might increase the accuracy of the projections somewhat,
21 really, to me, personally, without updating the indices of
22 abundance, these updated projections would only be of limited
23 value. I would rather see the CPUEs updated as well, and the
24 length comps and so on, and that would, obviously, be superior
25 to just making projections based on catch alone.

26
27 Research recommendations, and this is the last slide, I believe,
28 are, obviously, migrating to the latest version of Stock
29 Synthesis 3.30, and that would be the first and most
30 straightforward thing to do. We need to investigate the reasons
31 for these conflicting signals in the observational data, and
32 these should include, but not be limited to, all the way back
33 through reviewing the standardization of the fishery-independent
34 indices of abundance as well as reviewing the fishery-dependent
35 indices, to ensure that they are not being overly influenced by
36 management regulations, and that is quotas, minimum sizes, and
37 bag limits.

38
39 As all of you are aware, the more we regulate a fishery, the
40 less reliable the fishery-dependent indices and data become for
41 the stock assessment.

42
43 We should explore the use of other stock-recruitment
44 relationships other than just fixing the steepness of 0.99, and
45 this could be done with either an informative prior on
46 steepness, based on hopefully some type of a meta-analysis
47 approach or other similar highly migratory species in the Gulf,
48 but getting away from the 0.99, or at least investigating that

1 would probably be high up on the research recommendations.
2
3 We need to take full advantage of the upcoming shrimp bycatch
4 workshop. It's obvious, from other assessments, that we need to
5 take a good look at that and make sure that we're satisfied with
6 the methods that we're using, and this case is no exception.
7
8 We should take a more detailed examination of the effects of
9 minimum size in the bag limit regulations on further research
10 into the length compositions of discarded fish. I stressed, in
11 the beginning, that getting these length comps of the discarded
12 fish -- I realize it's difficult to get lengths on fish that are
13 only onboard for a few moments and are thrown right back in,
14 but, in getting a sample of those, we would benefit greatly.
15
16 Then, finally, we need to make assurances that there is an
17 appropriate match between the sampling design of the biological
18 data, how it's being collected, the ages, length, et cetera, and
19 the assumptions of its use in the assessment model, and we
20 touched on that before. If we're collecting data for an age and
21 growth study, we have to make sure we're using that for age and
22 growth. If we're collecting it as a random sample of ages from
23 the fishery, then we can use those in an appropriate manner.
24
25 With that, I will -- You can begin the discussion, and I will
26 entertain any questions that you might have about the
27 assessment. Thank you.
28
29 **CHAIRMAN POWERS:** Thank you, Michael. I think that was very
30 comprehensive in understanding what is going on. One little
31 note though. If you would refer to Slide 39, in the bottom
32 figure, all of these graphs are being shown in relation to MSST,
33 and there's a tendency to think of this as a target, and I think
34 one time you might have referred to it as a target verbally, and
35 it's not really the target. It's the limit, and you make that
36 distinction in the projections when you talk about ABC and that
37 sort of thing, but that's something that people should be aware
38 of, that the normalization that's being done here is relative to
39 the overfished condition and not the target.
40
41 **DR. SCHIRRIPA:** Thank you, Joe. I was a little stuck in ICCAT
42 mode, I have to admit, and one of the challenges, for me, was to
43 keep straight the buffer and the target versus the overfishing
44 limit, and thanks for pointing that out.
45
46 **CHAIRMAN POWERS:** Thank you. Are there comments and questions?
47 I will begin with Luiz.
48

1 **DR. BARBIERI:** Thank you, Mr. Chairman. Michael, thank you for
2 this very thorough and very good presentation. I really like
3 the way that you walk us through a whole bunch of decisions and
4 carefully present the stuff clearly to us. My question is about
5 your slide, and I think it's Number 14, and can you clarify -- I
6 am having trouble understanding how the FES, changes in the FES,
7 impacted the headboat data.

8

9 **DR. SCHIRRIPA:** Yes, and so do a lot of people. That seems to
10 be a popular question, and I will personally have to admit that,
11 having not worked with this data as much as others, I compare
12 what I have heard, and what I understand, but there may be other
13 people that have a more clear explanation, but, to my
14 understanding, we took -- I believe it has to do with discards
15 mostly, in that more -- Maybe I don't understand it as well.

16

17 It's estimated using a ratio from another recreational fleet,
18 and so it's really just about discards, and so the landings went
19 down, because the discards went up, because the discard
20 estimates are taken from another fishery. I suspect you will
21 see this in other assessments as well, as it's handled the same
22 way, and it's not unique to king mackerel.

23

24 **DR. BARBIERI:** Thank you. A quick follow-up, Mr. Chairman?

25

26 **CHAIRMAN POWERS:** Yes.

27

28 **DR. BARBIERI:** Michael, sure, but, by landings here, I mean, is
29 this landings plus discards? Because what you have there is
30 landings,

31

32 **DR. SCHIRRIPA:** Yes. I am going to -- I don't think I can give
33 you as satisfactory of an answer as I should, and I'm going to
34 punt that to people that are more familiar with the FES data
35 migration than I am, and I apologize for not being able to
36 answer that, and I should be, and I'm going to have to ask if
37 anybody else has a better understanding than I do of this. I do
38 recall that we saw it in the South Atlantic, and I believe we
39 saw it in vermillion snapper as well, and so I think there's a
40 very logical answer for that.

41

42 **CHAIRMAN POWERS:** Shannon, can you address this?

43

44 **DR. SHANNON CALAY:** I think I cannot fully answer this question,
45 but I can say what I know, and then maybe it will ring a bell
46 with Michael, and, if not, we can look into it more thoroughly,
47 but this assessment is a bit unlike the other Gulf assessments.
48 They made some different choices during SEDAR 38, and I believe

1 that one of them was that, in some cases, the discards were very
2 small, and so, in some cases, they did lump dead discards in
3 with the landings data, because they didn't have the length
4 composition of dead discards.

5
6 Furthermore, with the discards of some of these components, and
7 headboat is one, I do know, for a fact, that they have used one
8 of the other FES recreational fleets to estimate ratios and then
9 applied them to headboat, which leads to some unexpected trends
10 here, and so that's how thorough I can get, if that -- We can
11 look back into that and give you a better answer later during
12 this meeting.

13
14 **DR. BARBIERI:** No, and that helps, Shannon. Thank you.

15
16 **DR. CALAY:** This is unusual, and I don't think there is another
17 Gulf assessment that has handled the discards in exactly this
18 way. Usually, we do use the discards from the individual fleets
19 themselves more directly, and so it has to do with the discard
20 components are quite small for king mackerel and the choices
21 made during SEDAR 38 to lump dead discards with landings.

22
23 **DR. BARBIERI:** Right, and thank you, Shannon. That makes sense.
24 I mean, basically, this is like a carryover from the actual
25 SEDAR 38 that we haven't been able to resolve here in the
26 update, for obvious reasons, and it represents an uncertainty
27 that we can't properly account for at this point, and that's
28 enough for me. Thank you.

29
30 **DR. CALAY:** Thank you.

31
32 **CHAIRMAN POWERS:** Thank you. John Froeschke.

33
34 **DR. JOHN FROESCHKE:** I guess I had the same question regarding
35 that panel on Slide 14 for the headboats, and it does look
36 similar to what was done with lane snapper, in that dead
37 discards were part of that initially, because it was very low,
38 but I'm still a little confused on that, and so any follow-up
39 information would be appreciated.

40
41 **CHAIRMAN POWERS:** Thank you. Doug Gregory.

42
43 **MR. GREGORY:** Thank you. There's a couple of different things
44 that I wanted to touch on, but, with regard to the headboat,
45 this wouldn't be so problematic if it didn't have such an
46 unsized, oversized, influence on the assessment itself. This is
47 a small component of the fishery, and it's almost like you might
48 be better off ignoring headboat landings and discards, if we

1 can't estimate them, but that's my concern, is that it's having
2 an outsized influence on the assessment, being a very small
3 component of the fishery.

4
5 The other thing that I wanted to touch on, if we can go to Slide
6 17, is -- You see the recreational private and charter landings
7 and the big spike in the 1990s, and then it declined in 2000.
8 In 2000, and 1998 was the trial survey, and then, in 2000, MRFSS
9 officially went to a separate charter boat effort survey. That
10 dramatically reduced the annual recreational harvest of king
11 mackerel, to the point where, in the 1990s, the recreational
12 harvest of king mackerel continually overran their quota, and
13 they overran their quota because the system allowed charter boat
14 catches to continue after the commercial season was closed or
15 whatever.

16
17 My question is were those 1990 recreational landings calibrated
18 to the new charter boat survey that started in 2000, similar to
19 the way we're calibrating FES to the Coastal Household Telephone
20 Survey? If they weren't calibrated, then this is a problem, and
21 this is not real landings, so to speak, in the current currency,
22 and so that's my question, if this was calibrated after the new
23 charter effort survey was implemented.

24
25 **CHAIRMAN POWERS:** Michael, do you want to attempt?

26
27 **DR. SCHIRRIPA:** It's my understanding that the FHS calibration
28 is included.

29
30 **MR. GREGORY:** What is FHS?

31
32 **DR. SCHIRRIPA:** I'm sorry. FES.

33
34 **MR. GREGORY:** No, that's not the question. We know FES is
35 calibrated, but was the charter boat recreational landings in
36 the 1990s calibrated to the new charter boat effort survey that
37 was implemented in the year 2000?

38
39 **DR. SCHIRRIPA:** Yes, the charter method calibration is included.

40
41 **MR. GREGORY:** That's interesting, because that's a real anomaly,
42 those high, high catches in those years, when the other sectors
43 didn't have a similar large increase.

44
45 **DR. SCHIRRIPA:** I did speak correctly, and it is FHS, and that's
46 the for-hire survey.

47
48 **MR. GREGORY:** Okay. That was my confusion.

1
2 **CHAIRMAN POWERS:** Shannon, do you want to add to this?
3

4 **DR. CALAY:** I was just going to confirm what Michael said.
5

6 **CHAIRMAN POWERS:** Thank you.
7

8 **MR. GREGORY:** My last comment, while I've got the floor, is, on
9 the bycatch, and I appreciate all the different analyses that
10 you did to explain the influence of the bycatch, and I
11 understand bycatch estimation has always been problematic, and
12 we should put our hats off to Scott Nichols for all the
13 preliminary research that he did on it, but it's still
14 problematic, and, similar to my concern about the headboat
15 having an outsized influence on the assessment, the bycatch
16 estimates seem to have an outsized influence on the assessment
17 as well.

18
19 I know you said the methodology changed somewhat, but it's
20 really hard to understand how the bycatch estimates could
21 increase as much as they did between the regular assessment and
22 this update when the modeling probably didn't change that much,
23 and the current estimates of bycatch, in the last four years
24 since the assessment, have been very, very low, 400,000 fish or
25 whatever, and not 1.9 million, not even close, and so that's
26 another concern I have, but I appreciate all the extra analyses
27 that you apparently did to try to explain what's going on with
28 that. Thank you very much.

29
30 **CHAIRMAN POWERS:** Thank you.
31

32 **DR. SCHIRRIPA:** Can I address that, Joe?
33

34 **CHAIRMAN POWERS:** Yes, and go ahead.
35

36 **DR. SCHIRRIPA:** I just want to clarify, Doug, that the headboat
37 landings -- They don't have too much influence. What has the
38 influence is the headboat CPUE, and I don't know if that's what
39 you meant or not, but the headboat landings, in the grand scheme
40 of things, because they make up such a small portion, are not
41 too influential, but, as I tried to demonstrate, it's the
42 headboat CPUE, just as a clarification.

43
44 **CHAIRMAN POWERS:** Yes, but, to that point, and that was my
45 question, is have those differences in catches somehow affected
46 how the CPUE was standardized? That translation of the catch
47 and effort data from the headboat survey to a CPUE standardized
48 for the headboat survey -- That translation, what went on there,

1 that caused, that might have caused, the decline in CPUE in the
2 last few years. If you can answer that, go ahead.
3

4 **DR. SCHIRRIPA:** Yes. Because the CPUE is based on direct
5 observations of the logbooks, without any estimation or
6 anything, it should not affect the CPUE.
7

8 **CHAIRMAN POWERS:** Okay. All right. Harry.
9

10 **MR. BLANCHET:** Thank you. To follow-up on the question about
11 Figure 14 on the headboat, is that -- Rather than that being
12 landings, should that be harvest that is being shown there?
13

14 **DR. SCHIRRIPA:** I am not really certain. I can check on that.
15

16 **MR. BLANCHET:** Okay. Also, in the clean-up phase, in that I
17 guess it's Figure 39 that Joe had mentioned earlier, that what
18 you're showing is the status of the SSB compared to the limit,
19 and could you add what the target is? Basically, right now,
20 we're supposed to be at SSB at MSY, I believe is our target, and
21 could you add a line in there to show what that target is? I
22 think that would help with communicating current status better.
23

24 **DR. SCHIRRIPA:** Okay.
25

26 **MR. BLANCHET:** But neither of those was the question that I had.
27

28 **DR. SCHIRRIPA:** That would be the upper-left-hand panel here.
29 Go ahead.
30

31 **CHAIRMAN POWERS:** When you said the upper-left-hand panel,
32 they're all right-hand panels, and they're just panels. Anyway,
33 in terms of presenting this to the council, it would be nice to
34 have another horizontal line in there, to either redo the graphs
35 and rescale it or just put in another horizontal line.
36

37 **DR. SCHIRRIPA:** Okay.
38

39 **CHAIRMAN POWERS:** I would probably suggest that that should be
40 done for the executive summary, and probably more so important
41 for the executive summary, which we'll get into a little bit
42 later as well.
43

44 **DR. SCHIRRIPA:** Okay. Will do.
45

46 **MR. BLANCHET:** The real question that I had was something that
47 Doug brought up, and that was the issue of the shrimp bycatch.
48 The real impact of that is all in that -- It's driven by those

1 not very well-defined old bycatch estimates from the 1990s and
2 before that set the -- That really elevate what that R-zero was.
3

4 You mentioned an upcoming shrimp bycatch workshop, and when is
5 that going to occur, because that really does seem like -- I
6 mean, I saw the work that was done, and, honestly, I could not
7 understand a whole lot of it, because it was a pretty brief
8 paper, and maybe I couldn't wrap my head around it, but it seems
9 like addressing that is really important.
10

11 I understand that this has always been an issue with king
12 mackerel, and I remember discussions similar to this way back in
13 the day, but I have a hard time with the effect of that very
14 poorly characterized thing from back in the day having that much
15 of an impact, and I will let it go at that.
16

17 **DR. SCHIRRIPA:** Okay. I am going to go ahead and -- Shannon has
18 her hand up, and I guess she has a comment on that question.
19

20 **CHAIRMAN POWERS:** Go ahead, Shannon.
21

22 **DR. GALLAWAY:** I would like to interrupt. I am trying to raise
23 my hand, but it doesn't register. Bernie, am I on the right --
24 Did I join as a member, or what's my problem?
25

26 **MS. BERNADINE ROY:** You're in the right spot, and I'm not sure
27 why it isn't working.
28

29 **CHAIRMAN POWERS:** I will remember that you're on the list,
30 Benny. Shannon, did you want to address something related to
31 this?
32

33 **DR. CALAY:** Yes, and so we started, just this -- I guess last
34 week now, but we started, last week, with our first meeting of a
35 committee of members of the Southeast Fisheries Science Center,
36 the SSC, and council appointees as well, and academics, to
37 review all of the shrimp bycatch estimation procedure, and, as
38 Michael said, we were unable to exactly reproduce the SEDAR 38
39 shrimp bycatch estimates, and, furthermore, we don't have a
40 document describing how those estimates were made.
41

42 We chose to default to something that has been reviewed and is
43 reproducible. That being said, we have questions about how
44 shrimp bycatch is calculated, and that's the whole point of
45 these workshops, which will continue throughout the year and
46 into the spring, and the deliverable for those workshops is a
47 best practice. That's what we intend to do, is produce a
48 document describing best practices for shrimp bycatch

1 estimation.

2

3 **CHAIRMAN POWERS:** Thank you. Harry, any other follow-up?

4

5 **MR. BLANCHET:** I think I have some other questions, but I will
6 let somebody else chime in right now.

7

8 **CHAIRMAN POWERS:** All right. Thank you. Ryan.

9

10 **MR. RINDONE:** Thank you. Michael, I was just going to echo
11 adding in an SSB at MSY line for the lower-right plot there, for
12 council purposes.

13

14 **CHAIRMAN POWERS:** Benny.

15

16 **DR. GALLAWAY:** Thank you. Michael, it's good to hear from you
17 again, and it's been a long, long time. It seems like we were
18 talking about the same issue with a different species.

19

20 **DR. SCHIRRIPA:** Indeed.

21

22 **DR. GALLAWAY:** If you go back to the bycatch graphic showing the
23 stock assessment and the update graphic, the comparison of the
24 two, and I think Shannon may have answered some of my question,
25 but it's the big difference in the early years, and you couldn't
26 find how the early years were estimated, or it wasn't
27 documented, and is that correct, as a starting point for our
28 discussion? The graph I am looking for is the bycatch-specific
29 graph, and I didn't jot down the number, and I'm sorry.

30

31 **DR. SCHIRRIPA:** I believe it's 19.

32

33 **DR. GALLAWAY:** Prior to 2008, the differences are remarkable,
34 and the SEDAR 38 estimates were not documented, and you have no
35 idea, basically, how those were generated, and is that correct?

36

37 **DR. CALAY:** It is correct, yes. Unfortunately, the actual
38 estimates that appear in the SEDAR 38 stock assessment, we do
39 not have a corresponding document.

40

41 **DR. GALLAWAY:** Okay, and then, for the present estimates, as I
42 understand it, the main changes were incorporating estimates of
43 uncertainty varying nets per vessel, rather than using the
44 average value, and separating the observer data into BRD and
45 non-BRD datasets, and so, for the previous estimates -- These
46 changes were made from the original Nichols approach, and is
47 that correct? This was Zhnag and Isely's modifications to the
48 prior method, and I was wondering how the SEDAR 38 update model

1 compares to the previous Nichols model without these
2 modifications.

3
4 **DR. CALAY:** I know that Dr. Zhnag did look into that, and I can
5 review some information that he gave me and see if I can provide
6 an answer to that question.

7
8 **DR. GALLAWAY:** Then, from our meetings yesterday, and from the
9 paper itself, it seems like there's a very strong recommendation
10 from Zhnag to separate the modeling data into two periods, that
11 for which we have good data and the early period, 1972 to 2007
12 or 2008 or so.

13
14 If one looks at the estimates that are generated in SEDAR 38 and
15 looks at the confidence intervals, they are just off the charts,
16 and, as was pointed out, the uncertainty is very high in that
17 early effort, and we should focus on getting the best estimate,
18 or agree on what is the best estimate, for the early years and
19 then use that estimate and go forward with the years for which --
20 There's nothing we can do, analytically, to offset the
21 problems with the early datasets, and that's been put in print
22 by everyone since Nichols, and so I would suggest that --

23
24 I think that will be a recommendation coming out of the bycatch
25 workshop, and so I would like to see what the original model,
26 before you divided it up into BRD and non-BRD datasets, et
27 cetera, et cetera, et cetera, how that compares to this, and are
28 the confidence intervals still off the charts? My question is,
29 is the original -- Using the Nichols original model, without the
30 modifications, is that available somewhere?

31
32 **MR. GREGORY:** I think I can answer that.

33
34 **CHAIRMAN POWERS:** Go ahead, Doug.

35
36 **MR. GREGORY:** If you go back to 2004 or 2006 documents, SEDAR 7,
37 SEDAR 9, and clearly red snapper was the first species that
38 bycatch was being addressed in detail, and SEDAR 9 was a data-
39 limited stock assessment of vermillion, gray triggerfish, and I
40 think greater amberjack.

41
42 At that point, Scott Nichols tried to use this Bayesian
43 estimation process with the data-limited species, and it didn't
44 work, and he used king mackerel as an example of data-limited,
45 to compare with his red snapper analysis, and so he found that
46 he could not make annual estimates of bycatch, and so he
47 stumbled across this idea of taking the median catch of the time
48 series, and I don't know how it's done, but somehow taking that

1 median and combining it with other data to get annual estimates
2 of bycatch.
3

4 He got a median value for each year of the time series and then
5 took the median of the medians, and that's where the red line
6 comes from. The only difference between what the bycatch people
7 do and what Michael did is the Center, Michael's group, didn't
8 use the first three years of the data series, 1972, 1973, and
9 1974, and we all know, that has worked with the 1972, that it's
10 always been a crazy year. It was the first year of the survey,
11 and I don't know why it hasn't been chopped off years ago.
12

13 Scott Nichols did not do a king mackerel bycatch estimation this
14 way, and there is no direct model that we can compare to what
15 was done by Zhnag and Isely, but these workshops that NMFS is
16 doing on this should resolve the issue at the end of this series
17 of workshops, and so, in another year, I think your question,
18 Benny, will be resolved, but, right now, it's kind of up in the
19 air, and I don't know why, and that was one of my original
20 concerns, why this methodology is being used in this assessment,
21 and apparently it was used in 38 in some manner.
22

23 In the 2008 assessment, SEDAR 16, the old GLM and delta log
24 normal approaches to bycatch estimation was used, and I do know
25 that they were using this Bayesian approach in vermilion years
26 ago, because I remember that somebody from National Marine
27 Fisheries Service kind of not being happy about the way that
28 particular assessment went years ago, and I don't know what
29 assessment that was, and so we're kind of in a new territory.
30

31 I think the bottom line is there is no old model to compare it
32 to, particularly since we don't know how the SEDAR 38 benchmark
33 assessment was done, but I assume it was done similarly.
34

35 **DR. GALLAWAY:** This modeling effort that was done is the old
36 model, with several modifications, and so, if you just use the
37 old model without those modifications, you can get the answer
38 I'm looking for, wouldn't you, or am I forgetting something?
39

40 **MR. GREGORY:** I don't know. Thank you.
41

42 **DR. SCHIRRIPA:** First of all, Doug, we used the super-year
43 approach both in SEDAR 38 and in this, and that is the median is
44 used for the entire time series, because we didn't have faith in
45 the year-to-year estimates, and more faith in the median, and so
46 the median value of 708,000, versus the median value of
47 1,998,000 was used, and then it's effort that actually drives
48 the bycatch.

1
2 This is why the migration to 3.3 is probably going to take a
3 different approach, because it has explicitly in there a bycatch
4 fishery, and that is a fishery that kills fish, but does not
5 contribute to the catch, and so we are using the same method,
6 and it is the same super-year method that was used before, and
7 we do take the median, the one median value, for the entire time
8 series.
9

10 **CHAIRMAN POWERS:** Thank you. David, were you going to talk
11 about this subject?
12

13 **DR. CHAGARIS:** No, and my question was about something
14 different.
15

16 **CHAIRMAN POWERS:** All right, and let me go to Shannon. Is it on
17 this same subject?
18

19 **DR. CALAY:** Yes. Thank you. Michael's intervention is correct.
20 We did use a super-year approach in SEDAR 38 and in this
21 assessment, and so what we have is a median that is the median
22 of the annual median, and we fit that to approximate the
23 magnitude of shrimp bycatch across the time series. We also fit
24 to an effort series, which controls the trend in the shrimp
25 estimates, and so it's not a constant, necessarily, across all
26 years, and it does vary by year, and it's informed by the median
27 and the shrimp effort trajectory.
28

29 I did want to point out that Zhnag did run several comparisons,
30 to try to determine whether the magnitude of shrimp bycatch was
31 similar to Scott Nichols' SEDAR 7, actually, estimates. It was
32 a red snapper assessment, but it contained king mackerel
33 estimates as well, and he did find that they were similar to
34 Scott Nichols -- The magnitude of Scott Nichols' estimates.
35

36 He did run several different types of models at different
37 assumptions, and we agree that the uncertainty is quite large,
38 but that the magnitude of these SEDAR 38 update assessments are
39 more similar to Scott Nichols' estimates than they are to what
40 was in the original SEDAR 38 model, which we cannot duplicate,
41 and so I hope that's clear. That's a lot of information.
42

43 **CHAIRMAN POWERS:** Thank you. Anything else on this subject,
44 before we move on? Harry, did you want to talk about this
45 subject?
46

47 **MR. BLANCHET:** I think it was Figure 22, and the indices,
48 updated indices, of abundance and shrimp effort. The upper-

1 right-hand label, should that -- Rather than be CPUE, should
2 that be labeled as total effort or something? It looks like
3 that's not a CPUE graph. That's just a note.
4

5 **DR. SCHIRRIPA:** No, that's the -- I am not certain -- It's
6 updated indices and shrimp effort, and the upper-right-hand
7 panel does say shrimp -- I'm with you. Okay. Yes, you're
8 right. That should say "effort". Okay. Thank you.
9

10 **CHAIRMAN POWERS:** All right. Thank you. David Chagaris.
11

12 **DR. CHAGARIS:** Thank you. Michael, my question pertains to the
13 effective sample sizes, and we see this over and over again,
14 where the composition data is input as the number of fish
15 measured, where probably a better value would be number of
16 samples from which those fish came from, and I know you said
17 that you did the reweighting, and it didn't make much of a
18 difference, but I am curious. How often did you have to apply
19 the 100 cap to the composition data, and what were the effective
20 sample sizes that were input for the indices of abundance, just
21 for comparison to that 100 cap?
22

23 **DR. SCHIRRIPA:** Okay, and so thanks, Dave. I am looking at the
24 data file right now, and the 100 had to be used -- Wait a
25 minute. If Microsoft gives me an update now, I'm going to --
26 100 did have to be used, as I'm looking at the data file, pretty
27 extensively. I apologize, but what was the second part of your
28 question, while my file is loading here?
29

30 **DR. CHAGARIS:** I am curious what the effective sample sizes were
31 for these indices, for comparison.
32

33 **DR. SCHIRRIPA:** Well, in the indices, we don't use sample size.
34 We use the CV on the -- Just to be clear, if the sample size of
35 the lengths was greater than 100, then 100 was used. However,
36 if the sample size was less than 100, that value was used. So
37 we do capture the year-to-year variation.
38

39 **DR. CHAGARIS:** Except for when the cap is applied.
40

41 **DR. SCHIRRIPA:** Well, yes. Correct. For instance, if we only
42 had a sample size of nine, that was used, and so that year
43 shouldn't count for much in the fit.
44

45 **DR. CHAGARIS:** Right, but, if you had a thousand fish, but they
46 only came from three sets, or three trips, that should have a
47 much lower sample size than the 100 cap that gets applied. I'm
48 just curious, because we see this a lot, and I'm wondering how

1 the relative influence of the composition data versus the index
2 data, in general, across multiple assessments, how that
3 interplay is working, and then to what extent are we losing some
4 of the interannual variation in sample sizes by applying that
5 cap, versus taking like a square root or something like that,
6 that would still maintain some of the differences?
7

8 **DR. SCHIRRIPA:** Like I said, there was a workshop just on this
9 particular topic, and, if I had to do this assessment over, god
10 forbid, but I would go up to the -- I would refer to the latest
11 studies on this and see. You're absolutely right that it should
12 be the number of trips sampled and not the number of lengths,
13 because, as you point out, one trip could account for lots of
14 lots of lengths, when in fact it's not an adequate sample of the
15 fishery, but it's an adequate sample of that particular trip,
16 and so I agree with you that it should be number of trips.
17

18 **DR. CHAGARIS:** Thank you, Michael.
19

20 **DR. SCHIRRIPA:** Thanks, Dave.
21

22 **CHAIRMAN POWERS:** Thank you. Any other questions or comments?
23 All right. Should we move on then to whatever recommendations
24 we're making? If you refer to the scope of work, we have to --
25

26 **MR. RINDONE:** Dr. Powers?
27

28 **CHAIRMAN POWERS:** Yes.
29

30 **MR. RINDONE:** We have Ms. Emily Muehlstein with the Something's
31 Fishy analysis that we do for each of the stock assessments, and
32 so I think it's probably appropriate to have her share that
33 before you guys get into your recommendations to the council.
34

35 **CHAIRMAN POWERS:** Okay. I'm sorry. Thank you then. We will go
36 ahead then.
37

38 SOMETHING'S FISHY 39

40 **MS. EMILY MUEHLSTEIN:** Sure. I will go ahead, and so we've got
41 it pulled up, it looks like. I am just going to give you a
42 quick overview of our Something's Fishy tool for king mackerel.
43 Just sort of as a refresher, this is a tool that the council
44 uses to gather information on a fish stock from active fishermen
45 on trends or sort of unusual occurrences that science and
46 managers might not have observed.
47

48 Just internally, as a little update here, we do plan to conduct

1 one of these efforts ahead of each assessment, and we have been
2 doing it, but it's been a while since the SSC has heard the
3 summary of one, and so, in addition to presenting the results to
4 the stock assessment scientists while they are conducting each
5 assessment, we also plan to share the results with you each time
6 you review an assessment, and so that's why we're doing this
7 right now.

8

9 Then, also, sort of to help legitimize the tool and sort of
10 explain a little bit about how it works and how the analysis
11 takes place, I think we will try and give an overview
12 presentation of the Something's Fishy tool to the SSC at a
13 future meeting.

14

15 For kingfish specifically, we gathered responses from September
16 6 through October 6 in 2019, and then we generated a final
17 report and emailed it to all of the stock assessment scientists
18 that were working on king mackerel in February of 2020.

19

20 We didn't get a ton of response for this one, and we had forty-
21 seven respondents, and they were allowed to self-identify with a
22 sector, and, as you can see, a majority of respondents
23 identified themselves as private anglers.

24

25 We analyzed the sentiment in two ways. We manually analyze
26 sentiment with two readers, who independently classify each
27 comment as positive, negative, or neutral, and then the two
28 readers resolve any discrepancies to come up with a final
29 analysis, and then we also perform automated sentiment analysis
30 using R statistical software with a package TidyText, using a
31 revised bing lexicon library.

32

33 In this case, manual classification found that most comments
34 indicated a negative trend in stock health or abundance, and the
35 automated analysis did show a minor trend towards positive
36 comments.

37

38 This is probably one of the most useful things that we got out
39 of this particular analysis. As you can see, the positive
40 perception of stock sort of occurs off of peninsular Florida, as
41 well as off the Texas coast, where the negative perception of
42 the stock was expressed in the central and northern Gulf. Now,
43 respondents could report observations for one or more grid
44 location, and so we did have seventy-two reports for locations,
45 even though we only had forty-seven respondents.

46

47 The automated analysis showed the most frequently used words,
48 and you can see that here in both the bar chart as well as this

1 word cloud. Sort of based on the words that came out of the
2 most frequently words for both contribution to negative and
3 positive sentiment, they indicated that, while potentially some
4 anglers are seeing more large fish, overall, there might be a
5 decline or a negative perception of abundance across the Gulf.
6

7 Then, finally, the manual analysis is able to pull out some
8 themes, and we did find that respondents in the central and
9 northern Gulf indicated that the mackerel stock was in decline.
10 We found that anglers indicated that the positive trends in
11 stock abundance were occurring off of Texas and the peninsular
12 region of Florida.
13

14 We also noted that many of the negative comments specified that
15 there was a lack of bait, and that was driving the observed
16 decline in the stock, and the positive comments seemed to
17 indicate that fish were larger than normal. I think that's all
18 I had for that one, and I will take any questions, if you have
19 any. Thanks for the time.
20

21 **CHAIRMAN POWERS:** Can you go back to the previous slide? I have
22 a question. What was the question being asked that got the
23 response about the lack of bait? I don't understand.
24

25 **MS. MUEHLSTEIN:** That's a great question, and I think it's part
26 of the reason that we want to sort of talk to the SSC eventually
27 about the tool itself, and so, because we are limited under the
28 Paperwork Reduction Act, we can't ask any -- We can't solicit
29 any specific feedback, and so the tool, when it's built, simply
30 asks for the angler's association with the fishery, and so which
31 sector that they identify with, and then it asks for any general
32 observations that they are seeing about the stock, and that is
33 as specific as we can get without sort of having to get into
34 specific survey regulations. Then it asks the respondents to
35 identify the location. There wasn't any call, specifically,
36 that would have prompted that response, but it's just a general
37 observation of the stock and perception.
38

39 **CHAIRMAN POWERS:** Well, I guess my question is really does lack
40 of bait mean lack of bait for fishermen to use for bait or lack
41 of bait for mackerel to use as food, and I'm not sure exactly
42 what --
43

44 **MS. MUEHLSTEIN:** Based on the comments, it was a lack of
45 baitfish being available for the fish to eat as food.
46

47 **CHAIRMAN POWERS:** Okay. Thank you. Ken Roberts.
48

1 **DR. ROBERTS:** The question I have is why one month that the
2 system was open to the public, the September to October, and
3 what's the basis for choosing such a short period of time? Is
4 that characteristic of what is going to take place in the future
5 applications of this approach, or was it done for economy of
6 purposes, to only do a month's worth of information? Thank you.
7

8 **MS. MUEHLSTEIN:** Thank you for your question. We perform one of
9 these efforts prior to each assessment, and that includes both
10 the update assessments and sort of standard assessments, and
11 it's just sort of part of what we have been doing, is we allow
12 for comments for one month, and so it's just we standardize that
13 across all of these efforts.
14

15 **DR. ROBERTS:** Okay, and so, to follow-up then, the observations
16 they are reporting are for some period of time and not just that
17 thirty days, and is that correct?
18

19 **MS. MUEHLSTEIN:** Yes, and so the tool itself asks for
20 observations over recent years, is the actual wording that we
21 use.
22

23 **DR. ROBERTS:** Thank you so much. I appreciate it.
24

25 **CHAIRMAN POWERS:** Thank you. Michael.
26

27 **DR. SCHIRRIPA:** Thank you. Two comments. I think this is
28 really useful, and I would recommend that you keep this as one
29 document, and like every year being a chapter, because years are
30 not independent of each other, and you may see lots of small
31 fish, observations of small fish, in one year that would affect
32 the population a year or two later, and it would be nice to have
33 that all in one place.
34

35 Comment Number 2 would be it might be helpful to engage the
36 stock assessors in the formulation of these questions, and there
37 might be very good questions that could be used in the stock
38 assessment, and better than other questions, and so I might
39 recommend that you engage a stock assessment person, or two,
40 when building the survey questions. Thank you.
41

42 **MS. MUEHLSTEIN:** Thanks, Mike. Prior to each assessment,
43 actually, we have been trying to engage the assessment folks.
44 The first time we did this, we did it with red grouper, and we
45 were able to ask some specific questions about red tides and
46 discards, and, truthfully, we sort of are skirting the
47 regulations of the Paperwork Reduction Act, and so, since that
48 effort, when we sort of got a little bit of advice that maybe

1 that was not the legal way to do it, we have been dialing it
2 back to just ask the general question.
3

4 Now, I will say that I did give an overview of the tool itself
5 at a meeting last week, and what I did make clear is sort of, in
6 our future efforts, one of the things that we're working to do
7 is trying to gain clearance from the Paperwork Reduction Act
8 that would allow us to expedite the addition of questions that
9 the assessment scientists sort of specify that they need
10 information on, and so it's definitely something that I have on
11 my radar, but it's just not something that we've been able to
12 do. We have only been doing this for about two years, and so
13 we're really trying to hone it and make it better as we move
14 forward.
15

16 **CHAIRMAN POWERS:** Okay. Thank you. Ryan, to that point?
17

18 **MR. RINDONE:** Thank you, and, Michael, we had reached out
19 originally to Matt Lauretta, and I guess the connection back to
20 you somehow fell in the crack somewhere along the way, but we
21 did get pretty good input from Matt, and we had a lot of back
22 and forth over a few phone calls about what specifically to ask,
23 and, like Emily said, we're going to try to see how we can
24 improve that process specifically, but we will continue to keep
25 the Science Center involved on the front end.
26

27 **CHAIRMAN POWERS:** Thank you. Benny Gallaway.
28

29 **DR. GALLAWAY:** My question has been answered.
30

31 **CHAIRMAN POWERS:** Thank you. Paul Sammarco.
32

33 **DR. SAMMARCO:** Thank you, Mr. Chairman. The last few talks have
34 been very interesting, and there's a lot of very interesting
35 data and good solid stuff to rely on. On this last analysis, a
36 quick couple of comments, and the first is that it is, of
37 course, a small sample size, and there's not too much you can do
38 about that, other than throw out more flyers, as usually the
39 return is low, but the other thing is that it is -- Most of the
40 questions have been answers of perception that are not -- If you
41 compare Michael's talk with this one, Michael's talk is very
42 hard, or it's hard data to get, and this is more soft data.
43

44 My thought would be that, when we're to use these data as they
45 have come in, to use them to temper the first set of data and to
46 take two steps back and say, ah-ha, these are the perceptions
47 that are out there, and the rest of the hard data is probably
48 what's really going on, and how do we deal with that, and so

1 that's just a couple of thoughts that crossed my mind. Thank
2 you.

3
4 **MS. MUEHLSTEIN:** Thank you, Paul. I do think that the idea here
5 is that you can sort of groundtruth some of the trends that
6 you're seeing in the hard data, or, if there's an opportunity to
7 look at projections, when there's some uncertainty there, that
8 this data might give you a better idea of what the fishermen are
9 perceiving in recent years, when the terminal year of an
10 assessment is a few years in the past, and so I think you're
11 dead-on with the sort of idea of how this tool should be
12 utilized.

13
14 **CHAIRMAN POWERS:** Thank you. Andrew Ropicki.

15
16 **DR. ROPICKI:** I just wanted to ask, really quickly, if there's
17 any thought to changing the title on Something's Fishy to
18 something more generic, where -- If you're going to do this
19 positive/negative analysis, it seems like titling it Something's
20 Fishy is you're asking for issues with the fishery, and you
21 might be biasing the results towards negative opinions.

22
23 **MS. MUEHLSTEIN:** That's a reasonable point, and we hadn't sort
24 of thought about it. Really, from a communications standpoint,
25 that title just came out, because it's kind of catchy and
26 quirky, but certainly, as we sort of look into improving the
27 tool further, that is absolutely something that I will consider.

28
29 **CHAIRMAN POWERS:** Thank you. Anything else on this subject? If
30 not, the next thing on the agenda was actually the review of the
31 executive summary, but I would want to go ahead and go through
32 our recommendations for king mackerel, the best available
33 science and ABC and ACL and those sorts of things, overfishing
34 limit, and I would like to begin that discussion now, before we
35 get to the executive summary, so that it may affect what
36 modifications might be for the executive summary.

37
38 With that, I would open the floor and remind people, in terms of
39 the scope of work, what is being asked of us in terms of this.
40 Can you put up the scope of work, real quickly, and then, Luiz,
41 you can mention -- I will give you the floor.

42
43 **SSC RECOMMENDATIONS**

44
45 **DR. BARBIERI:** I just have a quick motion to offer regarding the
46 assessment results in general. Let me know when you're ready.

47
48 **CHAIRMAN POWERS:** I just wanted to put the scope of work up

1 there, just so people realize what it is that we're trying to
2 address, but go ahead.
3

4 **DR. BARBIERI:** The SSC determined that the SEDAR 38 update
5 assessment of Gulf of Mexico king mackerel represents the best
6 scientific information available, and, based on assessment
7 results, the stock status is not overfished and not undergoing
8 overfishing.
9

10 **MR. GILL:** Second, Mr. Chairman.
11

12 **CHAIRMAN POWERS:** Thank you. All right. Is there any objection
13 to deciding right now, and we have plenty of time for
14 discussion, I guess. Is there any objection to this motion?
15 Will Patterson, do you have discussion?
16

17 **DR. PATTERSON:** I just have a friendly recommendation here to
18 insert the words "estimated to be" between "not" and
19 "overfished", or, actually, the "not" should come after the
20 "be". I'm sorry.
21

22 **DR. BARBIERI:** Friendly amendment accepted, Mr. Chairman. Thank
23 you, Will.
24

25 **CHAIRMAN POWERS:** Doug Gregory.
26

27 **MR. GREGORY:** I still have difficulties. This is an update, yet
28 we changed the catch data for recreational dramatically, and I
29 think the assessment says that it increased by 102 percent. We
30 changed the bycatch estimation, all contrary to the rules of
31 being an update assessment, and, with these changes, this should
32 have been a benchmark assessment. I think maybe, going forward,
33 other species that incorporate FES should not be done as
34 updates, and so I'm going to oppose this motion. Thank you.
35

36 **CHAIRMAN POWERS:** Ryan, to that point?
37

38 **MR. RINDONE:** Thank you, Mr. Chair. Based on the work that was
39 done for this assessment, if we were thinking about the way that
40 we've done SEDARs in the past, this would not be considered a
41 benchmark, and this would be more on a standard level, in that
42 some of the retooling had to be done for shrimp bycatch, which
43 would have deviated from just a strict update, but, however,
44 like Dr. Schirripa had stated, some of these changes were
45 unavoidable, and that includes the use of the MRIP-FES data,
46 which are considered by NMFS and the Science Center to be the
47 best scientific information available, and, in the case of this
48 species, for many states, and for much of the time series, it's

1 the only information available, and so the use of those data was
2 requisite to doing this assessment at all.

3

4 **CHAIRMAN POWERS:** Thank you. Benny.

5

6 **DR. GALLAWAY:** I too will vote against the motion, because I
7 object to using a median for the entire time period, versus
8 using an estimate since 2008, which is represented by high-
9 quality data, separate from the early years of 1975 to 2008,
10 which probably should be broken into two additional segments,
11 including not only BRDs, but the use of TEDs and the increase in
12 observer effort, and I'm just not satisfied that the estimates
13 are the best available on the bycatch. Thanks.

14

15 **CHAIRMAN POWERS:** Thank you. Shannon.

16

17 **DR. CALAY:** I think Ryan pretty much said what I would have.
18 The only thing I will add is that update assessments essentially
19 are not part of the SEDAR process any longer. Instead, now
20 we'll do operational assessments and research track assessments,
21 and the operational can range from something approaching a
22 strict update all the way through a more advanced assessment,
23 but this one is a little unusual, in that it got caught back in
24 that old nomenclature of the strict update assessment, but what
25 Ryan said is true, that some of the data series we no longer
26 support, and so it was basically required that we update the FES
27 estimates. That, we don't think, necessitates a research track
28 assessment, but it should be, in the future, called an
29 operational.

30

31 **CHAIRMAN POWERS:** All right. Ryan, if this were voted down, if
32 there was no recommendation made about best available science,
33 about this particular assessment, what would happen? What would
34 become the default?

35

36 **MR. RINDONE:** Well, I would compel you all to try to figure out
37 where the shortcomings are and to work with Michael, in
38 providing him with recommendations of what you would like to see
39 revised, so that those revisions could be explored and then
40 brought back to you for additional review. In the meantime, the
41 status quo would be maintained.

42

43 **CHAIRMAN POWERS:** Thank you. Doug.

44

45 **MR. GREGORY:** Notwithstanding the virus that's causing us all to
46 meet virtually, the trend with SEDAR is to have fewer meetings,
47 but maybe we're all learning how to meet virtually more
48 effectively, but, during the process, and I assume operational

1 assessments will have an ongoing series of assessment webinars,
2 with SSC participants and others, and that would resolve the
3 issue we have here, for me.

4

5 In other words, here, we have no choice to really ask questions
6 like we normally do in an assessment workshop and have them
7 evaluated and resolved, and so we're almost faced with an all-
8 or-nothing situation, and so my question is, if we're not doing
9 updates anymore, and we're doing operational, what is the gray
10 snapper assessment that we're looking at terms of reference for?
11 I don't see the gray as operational or update or standard there,
12 and so what assessment is the gray snapper assessment going to
13 be?

14

15 Clearly the red snapper one is a research track, but, so that we
16 can guide our guidance for the terms of reference on gray
17 snapper, is that an operational, and maybe we need to be
18 reminded of what is an operational assessment now, because we've
19 gone from benchmark/standard/update and the new research and
20 operational, and I just worry that, as time goes on, the SEDAR
21 process is getting less transparent and less thorough than even
22 what we used to do prior to SEDAR. Thank you very much.

23

24 **CHAIRMAN POWERS:** Thank you. We're really talking about
25 definitions of what assessments are and things like that, and
26 let's focus on, at this point in time, what the motion is, in
27 terms of whether or not we can make statements about overfishing
28 and overfished specifications. Paul Sammarco.

29

30 **DR. SAMMARCO:** Thank you. I think it was Benny who made a
31 comment about the use of medians to work through some of the
32 data, and I would sort of agree with him that it's not the all-
33 time most powerful technique or accurate technique to use, and
34 it has its points, but I would say, offhand, that the data that
35 we have, and the rest of the data surrounding that, are probably
36 strong enough to be able to move through that and allow the
37 acceptance of the motion.

38

39 Then perhaps, in the next year, or coming years, whatever, we
40 should shy away from that particular technique and use something
41 a bit more robust, and there are many indicators, or many
42 parameters rather, that one could use, and so, on that basis, I
43 would say it's within our purview to approve the motion. Thank
44 you.

45

46 **CHAIRMAN POWERS:** Thank you. Julie, is it on the motion or just
47 about organizational things?

48

1 **DR. JULIE NEER:** Actually, I will withhold my comments until we
2 get to gray snapper, where we can talk about what an operational
3 is, and I agree that you should focus on this topic. Thank you.
4

5 **CHAIRMAN POWERS:** Okay. Michael Schirripa.
6

7 **DR. SCHIRRIPA:** Thank you. I am probably walking a thin line
8 entering into the SSC discussions here, and so I will tread
9 lightly, but I just want to make clear that there were terms of
10 reference outlined for this assessment, and, to meet those terms
11 of reference, like I believe this effort did, and then to draw
12 the conclusion that it does not represent the best available is
13 a bit contradictory.
14

15 If it did meet the terms of reference, then, sort of by
16 definition, it did use the best available, and it did meet the
17 terms of reference, and so I don't think you can have it both
18 ways. I think, if you're going to ask for something, and it is
19 addressed as it was asked -- I think it could be a bit
20 contradictory to then say, well, it's not the best available and
21 the conclusions, the results, are not adequate, and so that's
22 all I will say for the rest of the discussion. Thank you.
23

24 **CHAIRMAN POWERS:** Thank you. Luiz.
25

26 **DR. BARBIERI:** Thank you, Mr. Chairman. I can defer to Shannon,
27 if she has a comment that is specific to what Michael just said.
28 Is that it, Shannon?
29

30 **CHAIRMAN POWERS:** Shannon.
31

32 **DR. CALAY:** Essentially, I was going to say that there are two
33 major changes to this stock assessment, and they are the FES
34 estimates, which NOAA considers best available science, and the
35 shrimp bycatch, which, unfortunately, we could not reproduce,
36 and so the only option you would really have for shrimp bycatch,
37 other than what was done, was to retain the former median, and,
38 frankly, since we cannot reproduce that work, and it is not
39 documented, we would not recommend that.
40

41 **CHAIRMAN POWERS:** Thank you. Luiz, again.
42

43 **DR. BARBIERI:** Thank you, Mr. Chairman. Well, I just wanted to
44 bring this up as points of discussion for Doug and Benny. I
45 understand your concerns, and I am trying to think here on the
46 practical implications of these decisions here and thinking.
47

48 When you look at the trajectories of biomass and fishing

1 mortality there, you don't see things that are too different
2 than what we have found in the SEDAR 38, outside of the scaling
3 factor that has already been explained, and so, yes, there are
4 things that are imperfect with this assessment, and I think that
5 this process, or review, that we are providing now is helpful in
6 identifying what those imperfections, those uncertainties, are
7 and then making recommendations, going forward, perhaps to speed
8 up the process of a, I guess, research assessment for king
9 mackerel, and that we try and deal with some of these issues
10 that are complicated and complex and not easy to resolve.

11

12 I doubt that, within the update-type framework, and I guess this
13 is a question for Julie and Shannon as well, whether Michael
14 could go back and completely redo methodologies to account
15 differently for the shrimp bycatch and then bring this back to
16 us during the next six months or thereabouts.

17

18 Yes, there are serious issues, and we've had those come up with
19 different assessments, and usually we review them, and we
20 identify what the problems are, and we make recommendations to
21 the Science Center and the SEDAR Steering Committee to perhaps
22 upgrade those assessments, the next ones, to be a research,
23 dealing with those issues in more detail, but I am not sure that
24 we can handle this outside of that process, given the complexity
25 of what we're dealing with. Thank you.

26

27 **CHAIRMAN POWERS:** Thank you. Benny.

28

29 **DR. GALLAWAY:** Shannon, in response to your point, I wasn't
30 advocating using the previous median from the 38. What I was
31 doing is just following the author's recommendation that said,
32 you know, we need to revisit this estimate and divide it up into
33 at least two periods, and, given the impact that the bycatch has
34 on the overall assessment, I think that needs to be done as
35 well.

36

37 **CHAIRMAN POWERS:** Kai.

38

39 **DR. LORENZEN:** While I sort of share some of the concerns about
40 the shrimp bycatch issues, I also think that we really should
41 have a separate analysis of that taken forward, in maybe some
42 type of research track process, but, in this particular case, I
43 mean, it's really just scaling the estimates, and so I am good
44 with it for the current assessment, as it is.

45

46 I also wanted to comment on this idea that -- I don't quite
47 agree with Mike's point that -- I don't see that, as long as the
48 assessment does what is asked in the terms of reference that

1 we're more or less bound to declare it the best available
2 science, and I think it would very much still depend on the
3 actual assessment results, and so I don't think that's a
4 foregone conclusion. Thank you.

5

6 **CHAIRMAN POWERS:** Thank you. Jim Nance.

7

8 **DR. NANCE:** I am going to speak in support of the motion. You
9 know, it's one of those things that, if we have an old estimate
10 of bycatch, really that was undocumented and can't be
11 reproduced, we need to use the method that has been used in the
12 past to come up with our estimates. I think, as has been
13 pointed out, we have a working group that's ongoing now to come
14 up with more refined methodology to be used in bycatch
15 estimation, and, once that's done, then we can start to use that
16 more refined method, but, until that's done, I think we need to
17 go back and use what has been done in the past. Thank you.

18

19 **CHAIRMAN POWERS:** Thank you. Will Patterson.

20

21 **DR. PATTERSON:** Just to follow-up on what Kai said there, I
22 think sometimes the terms of reference are so specific that the
23 analysts, or the analytical team, has to do exactly what is
24 said, and, in that case, there's no wiggle room for
25 interpretation, but you can address a term of reference, but use
26 a different methodology in doing so, and I think that's where
27 that kind of gray area can come in, and so, anyway, I don't want
28 belabor the point, but I see what Mike is saying, and I agree to
29 an extent, but there are some places where you can deviate from
30 what was done previously and interject a new methodology, which
31 isn't specifically asked for in a term of reference, that the
32 SSC could then find to be not the best available approach.

33

34 **CHAIRMAN POWERS:** Thank you. Jim Tolan.

35

36 **DR. TOLAN:** Thank you, Mr. Chairman. My points have been
37 addressed.

38

39 **CHAIRMAN POWERS:** Thank you. All right. I think we're at the
40 point of voting. Let me do it this way. I will ask if there is
41 any objections to the motion, and, if anybody wants to object or
42 abstain, they can individually do that. If it turns out to be a
43 large number, then we'll go to voice vote. **Is there any
44 objections to this motion, and, those that do, please state that
45 you do object.**

46

47 **MR. GREGORY:** I object.

1 **CHAIRMAN POWERS:** Thank you.
2

3 **DR. GALLAWAY:** I object.
4

5 **CHAIRMAN POWERS:** Are there any abstentions?
6

7 **MR. BLANCHET:** I object.
8

9 **DR. ROBERTS:** I object.
10

11 **CHAIRMAN POWERS:** All right. **Are there any other objections?**
12 **Are there any abstentions? The implication is all other people,**
13 **including myself, are voting yes. If that's the case, then I**
14 **believe the motion carries.**
15

16 I have worded this as objections, but, to me, it's just voting
17 no. I am not sure what the proper wording is here for
18 objections versus -- Anyway. All right. The next step is the -
19 -
20

21 **MR. RINDONE:** Mr. Chair, one moment, please. Jason, you're
22 unmuted now.
23

24 **MR. ADRIANCE:** Thanks. I was just trying to chime in and also
25 vote no, but I was muted. I apologize for the delay.
26

27 **CHAIRMAN POWERS:** Thank you.
28

29 **MR. RINDONE:** Sorry, Mr. Chair.
30

31 **CHAIRMAN POWERS:** All right. Thank you. The next step is the
32 ABC, OFL, and ACL sorts of discussions. Let's begin that
33 discussion by referring to the table in Michael's presentation.
34 I am not sure which it is, but it's the one with the time stream
35 of the numbers there.
36

37 **MR. GREGORY:** I think the following slide is a better place to
38 start.
39

40 **CHAIRMAN POWERS:** Yes. Thank you.
41

42 **MR. GREGORY:** Of course, I may be disqualified from commenting
43 anymore.
44

45 **CHAIRMAN POWERS:** All right. This is sort of the candidate
46 list, based on the discussions that Michael made in terms of the
47 presentation. Will Patterson.
48

1 **DR. PATTERSON:** Given that we've accepted the assessment and
2 projections as best available science, the OFL is basically part
3 of this process, but we have not yet actually worked our way
4 through the ABC control rule table or had any discussion about
5 whether we think some other proxy should be utilized, as we have
6 done sometimes in the past.

7
8 **CHAIRMAN POWERS:** Yes, that's correct. What you're suggesting
9 is to make sure -- At least apply the original control rule, in
10 terms of determining the P*.

11
12 **DR. PATTERSON:** Yes, and I think we should work through that,
13 because, given the discussion about whether this was the best
14 available science, people have chimed in about different sources
15 of uncertainty that may not have been considered last time, and
16 so I don't think we should necessarily just utilize the 0.43 as
17 the P* here.

18
19 **CHAIRMAN POWERS:** Okay. Luiz.
20

21 **DR. BARBIERI:** I agree with Will's point there about the fact
22 that the 0.43 P* may not be appropriate here, and I wonder if
23 any P* approach that we will use would be appropriate, given
24 some of the concerns that we have identified with this update
25 assessment that may not be easy to take care of, but,
26 nevertheless, will remain as major uncertainties in the
27 assessment, and I don't think that those would get captured
28 within the framework of our ABC control rule.

29
30 I guess the OFL yield stream that we would recommend would just
31 be the regular OFL and a P* of 0.5, and that's fine, but then,
32 for the ABC, I think it would be helpful for us to discuss some
33 alternative approaches for us to make the ABC recommendation,
34 and I would say depart from applying that ABC control rule.

35
36 **CHAIRMAN POWERS:** Then you're sort of making Will's point that,
37 in order to -- You need to document what that ABC control rule
38 actually does and go through that process. Given that, then are
39 we -- Do we have a -- Can we go through that table, that
40 infamous table?

41
42 **MR. GILL:** Mr. Chairman, since this is -- I agree with Will's
43 comment, and I happen to agree with Luiz's as well, but, since
44 this was an update, would not the P* calculation be the same as
45 it was previously for SEDAR 38, and, hence, we don't need to go
46 through it?

47
48 **CHAIRMAN POWERS:** One would argue that P* isn't a decision of

1 the assessment, but it's of the SSC, in which case maybe we
2 would have to do it, and I realize that -- Well, I think, at
3 this point, particularly if we can go through this fairly
4 quickly, let's at least visit the control rule table. Ryan, do
5 you have access to that?

6
7 **MR. RINDONE:** I do. If you want to take five minutes, I will
8 formally join the webinar on my laptop instead of just here in
9 the office, and I will switch screens, and I can get it up on
10 the screen.

11
12 **CHAIRMAN POWERS:** Okay. All right. You can do that. Ryan, go
13 ahead and do that. Let's not take a break, because I want to
14 move as quickly as we can on these sorts of things. Is there
15 any other discussion about the time streams and the catches that
16 are used in the intervening years and things like that, while
17 we're waiting for Ryan? Doug Gregory.

18
19 **MR. GREGORY:** My comment is more on this question, or issue, of
20 uncertainty. I agree with those points, and I brought up major
21 points of uncertainty for me, and we get wrapped up with this
22 concept, knowing that the PDFs and the ABCs are not really
23 capturing real uncertainty, which is probably infinite, given
24 that we're dealing with an ocean and populations and lots of
25 variability, but, if there is some way to capture it, and maybe
26 this is what the Pacific Council did, but our real -- Our best
27 measure of uncertainty is how things change from assessment to
28 assessment.

29
30 Just look how much changed in this update, for whatever reason,
31 and those changes, those differences, from assessment to
32 assessment of a species vary much more than any inverted Hessian
33 or anything else we can come up with for PDFs, and how to
34 capture that in a quantitative manner, I have no idea, but
35 that's really our best measure of uncertainty, if we could do
36 it, is from one assessment to the next and how the status
37 changes. Thank you.

38
39 **CHAIRMAN POWERS:** Again, this sort of leads to at least going
40 through this discussion, in terms of this table, and so I think
41 that we should do this. Will, because this table, the printing,
42 is rather small, can you kind of lead us through this?

43
44 **DR. PATTERSON:** Sure. At the top, we have assessment
45 information, and there's just one dimension here with the tier,
46 and the elements are quantitative age-structured assessment that
47 provides estimates of exploitation and biomass and includes MSY-
48 derived benchmarks. For quantitative-age structured assessment,

1 it provides estimates of either exploitation or biomass, but
2 requires proxy reference points. What is the SSC's score here?
3

4 **CHAIRMAN POWERS:** Well, clearly it has proxy reference points,
5 because the steepness was fixed, basically.
6

7 **DR. PATTERSON:** Right. Okay. Characterization of uncertainty,
8 the OFL PDF provided by the assessment model includes an
9 appropriate characterization of within-model and between-model
10 model structure error. The uncertainty and important inputs,
11 such as natural mortality, discard rates, discard mortality, age
12 and growth parameters, landings before consistent reporting has
13 been described, using Bayesian priors and/or bootstrapping
14 and/or Monte Carlo simulation, and full uncertainty has been
15 carried forward into the projections. It doesn't seem we're
16 quite there.
17

18 Next, the OFL PDF provided by the assessment model includes an
19 approximation of observation and process error. The uncertainty
20 in important inputs, such as natural mortality, discard rates,
21 discard mortality, age and growth parameters, landings before
22 consistent reporting, has been described with sensitivity runs
23 and full uncertainty has been carried forward into the
24 projections, or the OFL provided by the assessment model
25 includes an incomplete approximation of observation and process
26 error. The uncertainty in important inputs has been described
27 with sensitivity runs, but full uncertainty has not been carried
28 forward into projections.
29

30 I guess the other candidate here would be the OFL provided by
31 the assessment does not include uncertainty, and I don't think
32 that's the case at all, and so I think we're really between the
33 middle two. What is the preference of the committee?
34

35 **DR. BARBIERI:** Will, if I may, I would say the bottom one,
36 because I would say that the OFL does not include uncertainty in
37 important inputs and parameters, and so there are some of the
38 inputs that some members have pointed out are not properly
39 accounted for, and there are still some uncertainties with the
40 headboat data and how that information was compiled and included
41 in the assessment, and so, even though some assessment
42 uncertainty has been estimated, I would say that there are still
43 points, inputs and parameters, that are not included in that
44 uncertainty assessment.
45

46 **DR. PATTERSON:** My reading of that last one is that the OFL
47 provided by the assessment does not include any uncertainty in
48 important parameters, whereas the one before says incomplete.

1 Maybe I am reading that incorrectly, or supposing intent that's
2 not there, but that's how I distinguished those last two.
3

4 **DR. BARBIERI:** Well, and not to try to be funny here, but
5 English isn't my first language, but I don't see any --
6

7 **DR. PATTERSON:** No, it's not written clearly.
8

9 **DR. BARBIERI:** Right.
10

11 **DR. PATTERSON:** But you're talking about incomplete in your
12 statement about how this was done. I am not advocating for
13 either one, but I'm just trying to clarify. Does anybody else
14 have input here? I am not hearing anything. Luiz has advocated
15 for the bottom category, which would be the OFL provided by the
16 assessment does not include uncertainty in important parameters,
17 inputs and parameters. Does anybody disagree with that?
18

19 **DR. TOLAN:** I sort of disagree with that. It seems to me like
20 the fourth, the last, tier on this one really applies to
21 something like a data-limited assessment, where you don't have a
22 lot of information to go with, and I think I like your
23 explanation of incomplete, as some of the uncertainty has been
24 covered, and we talked about the shrimp bycatch and the
25 difference in the FES, and so it has been included. It may not
26 be complete, like the upper categories, but I would go with the
27 third one.
28

29 **DR. POWERS:** I would agree. I think that Michael has
30 investigated some of the uncertainty.
31

32 **DR. NANCE:** I agree with that, that it should be the third one.
33

34 **DR. PATTERSON:** Is that the general sentiment? I am not hearing
35 anything else.
36

37 **CHAIRMAN POWERS:** Let's go ahead and move on then, Will.
38

39 **DR. PATTERSON:** Okay. Let's go to the next. Retrospective
40 patterns have been described and are not significant.
41 Retrospective patterns have been described and are moderately
42 significant. Retrospective patterns have not been described or
43 are large.
44

45 **CHAIRMAN POWERS:** They have been described, according to the
46 Mohn's statistic, as not significant.
47

48 **DR. POWERS:** Joe, I have a question. Is this where the jitter

1 analysis comes in? It seems that the jitter analysis said there
2 some fairly large patterns.

3
4 **CHAIRMAN POWERS:** The jitter analysis presumably relates to the
5 yellow category, the uncertainty, and not necessarily the
6 retrospective analysis, or maybe, and I don't know. It's hard
7 to say.

8
9 **DR. PATTERSON:** So we have some issues here with changes in
10 methodology and not being able to fully duplicate the previous
11 assessment. We've heard Joe's perspective here about
12 retrospective patterns have been described and are not
13 significant, and does anybody else have a different opinion on
14 that? I'm not hearing any, and let's move on to the final.

15
16 **DR. GALLAWAY:** I have a question. Will, exactly what are we
17 talking about? What does retrospective patterns refer to
18 exactly?

19
20 **DR. PATTERSON:** It means that you take the current model and you
21 work back in time and start -- You look for divergence with
22 previous runs, and, if you start to see a divergence back in
23 time, then you have a retrospective pattern that's caused by
24 some issue in the data.

25
26 **CHAIRMAN POWERS:** I think, Benny, you're kind of getting at
27 another interpretation of retrospective, in the sense of things
28 like the changes in bycatch, and what was your recommendation
29 five years ago versus what it would be now, and, from that
30 standpoint, there has been a change in retrospective, but I
31 believe this blue category has really more been focused on what
32 Will said, in terms of the retrospective pattern of the data
33 themselves, for better or for worse, and, again, those others
34 were in the yellow category rather than the blue category.

35
36 **SSC MEMBER:** I would vote for moderately significant, for your
37 intermediate level in the blue area. Thank you.

38
39 **SSC MEMBER:** I would certainly second that, given that the
40 currency for the stock assessment has completely changed, and so
41 it's tough to do retrospective on a totally different currency
42 now.

43
44 **MR. GREGORY:** This is referencing Slide 33 of the stock
45 assessment, and the retrospective analysis is perfectly good.

46
47 **CHAIRMAN POWERS:** Will, let's skip on to the last category, and
48 then we'll return to this blue thing.

1
2 **DR. PATTERSON:** In the last category, known environmental
3 covariates are accounted for in the assessment, known
4 environmental covariates are partially accounted for in the
5 assessment, known environmental covariates are not accounted for
6 in the assessment.

7
8 This came up recently when we talked about Deepwater Horizon and
9 dead zone issues, red tide, et cetera, and the fact that those
10 are known environmental covariates, but they're not accounted
11 for in this assessment, or they weren't accounted for, excuse
12 me, in the previous assessment. What is the committee's
13 preference here?

14
15 **SSC MEMBER:** I think, for every one of these tables, it's almost
16 always in the last category, and so that's what my vote would
17 be.

18
19 **DR. PATTERSON:** Does anybody have a different opinion on that?
20 I am not hearing any. Joe, do you want to revisit the
21 retrospective pattern?

22
23 **DR. NANCE:** I think it should be the first one, or not
24 significant.

25
26 **DR. PATTERSON:** Are there any other opinions? Joe, do you want
27 to weigh-in here?

28
29 **MR. RINDONE:** Joe has fallen off the map. Kai.

30
31 **DR. PATTERSON:** Maybe we're having a hard time hearing Kai as
32 well, and so, if anybody wants to speak is able to, just talk
33 over me, and I will shut up. It seems to me that how
34 retrospective patterns have been thought of in the traditional
35 sense, and utilized in this table, and how Schirripa and his
36 team performed retrospective analysis in this assessment, then
37 we would fall into the first category. I think some of the
38 discussion about really not retrospective, but perspective, has
39 crept into this discussion, but I am open to hear other
40 perspectives.

41
42 **SSC MEMBER:** I will certainly yield to that line of thought and
43 go with the first category.

44
45 **MR. ADRIANCE:** I would agree with the way you described that,
46 Will, given how we've approached this in the past.

47
48 **DR. CHAGARIS:** I also agree that it should be the first

1 category.

2

3 **DR. PATTERSON:** Okay. It sounds like we're forming some
4 consensus there, and so I think we're done with our table, if we
5 can scroll up, and so our P* does change slightly. I am waiting
6 for Joe to kind of chime back in here, but it seemed to me that
7 what Joe was talking about previously -- We have 0.43 versus
8 0.40 as our P*, and so that's one thing to take into account.
9

10 Then the second is do we think this P*, given the fixed
11 parameters in the assessment and given our ideas about whether
12 the PDF actually captures -- Accounts for all the uncertainty in
13 the data inputs, whether that is the appropriate choice to use
14 the P* approach or whether we should use some alternative
15 approach. Really, I think I should probably yield her to Kai,
16 as the Vice Chair, to carry the meeting in Joe's absence.
17

18 **DR. LORENZEN:** So we've arrived at a P* recommendation, and is
19 that right?

20 **MR. RINDONE:** Yes.

21

22 **DR. LORENZEN:** Okay. So do we return to the ABC determination?
23 Any discussion, any more discussion, on the P*?

24

25 **MR. GREGORY:** I have a question, I think for the analyst. How
26 much difficulty is there in recalculating the P*, because I can
27 -- Given our experiences, I can assure you that the difference
28 between 0.398 and 0.43 is only going to be a few thousand
29 pounds, in the tens, and not even hundreds of thousands of
30 pounds, and I wonder if it's worth the effort. If it can be
31 done quickly, that would be great.
32

33

34 **DR. SCHIRRIPA:** Doug, for you, it can be done, and no one else
35 though. If I can have the screen for a moment, and everyone can
36 see that, but here is the P* table for a P* of 0.4. I hope you
37 can see that.

38

39 **MR. RINDONE:** Yes, Michael, we can see that.

40

41 **DR. LORENZEN:** Okay, and so that is very close to what we have,
42 the point-three-nine-something, and are we happy to run with
43 0.4?

44

45 **MR. RINDONE:** Kai, you have hands up from Will and Luiz.
46 Michael, your screen is still being shown.

47

48 **DR. LORENZEN:** Will.

1
2 **DR. PATTERSON:** Sorry. My hand was just up accidentally.
3
4 **DR. LORENZEN:** Luiz.
5
6 **DR. BARBIERI:** Thank you. This is -- I think it was worth going
7 through the ABC control rule, as Will and Joe pointed out, so we
8 can see how the uncertainty is or actually is not properly being
9 accounted for with this process, but, to me, the difference in
10 ABC using the different levels -- I found that slide, Michael,
11 that you have as an extra slide that has the different levels of
12 P^* already calculated, and, to me, relying on the control rule
13 and this change in P^* , for a stock assessment update that has
14 shown this level of problems, I think is not really appropriate.
15
16 Just fifteen minutes ago, we had four SSC members actually not
17 agreeing that this assessment represented the best available
18 science, because they felt that the uncertainty was either too
19 large or too many things were not properly accounted for, but I
20 think that having our uncertainty estimation trying to be
21 measured by this control rule is really inappropriate. I would
22 vote for us to discuss potentially using something different,
23 and we've done this in the past, and we can justify departure
24 from our ABC control rule.
25
26 **MR. RINDONE:** You also have Shannon, Kai.
27
28 **DR. CALAY:** I think we would agree with you that the scientific
29 uncertainty of this assessment is larger than the PDF that is
30 produced by Stock Synthesis, and so we also would agree that
31 considering an FOY scenario, or some percentage of the OFL, the
32 annual OFL estimates, would be advisable.
33
34 **DR. LORENZEN:** Thanks, Shannon. I am actually wondering -- I am
35 conscious of the fact that we have a lunch break scheduled for
36 12:00 to 1:00, and the fact that we've been going solidly for
37 three hours, and whether we should ponder this question and
38 reconvene at 1:00.
39
40 **CHAIRMAN POWERS:** I am back online, and sorry for the delay,
41 but, obviously, I missed much of the discussion, and I heard the
42 last comment from you, Kai, that, basically, maybe we should
43 consider, over the lunch period, how to approach this sort of
44 problem, specifically for this particular situation, and so, if
45 there's no objection to that, then let's break for lunch now,
46 with the proviso that we'll come back and within a fifteen-
47 minute period we will resolve this issue. Do you all promise?
48 All right. Let's break until 1:00.

1
2 (Whereupon, the meeting recessed for lunch on September 14,
3 2020.)
4

5 - - -
6

7 September 14, 2020
8

9 MONDAY AFTERNOON SESSION
10

11 - - -
12

13 The Meeting of the Gulf of Mexico Fishery Management Council
14 Standing and Special Reef Fish, Ecosystem, and Socioeconomic
15 Scientific and Statistical Committees reconvened via webinar on
16 Monday afternoon, September 14, 2020, and was called to order by
17 Chairman Joe Powers.
18

19 **CHAIRMAN POWERS:** Can you put up the table, the 0.4 table that
20 was shown, because I wasn't able to see it. Let me open the
21 floor then to motions relative to this. We always have this
22 debate about whether the P* approach captures all the things
23 that we want to capture versus the fact that we do have a
24 bonified control rule, which goes through this process, in this
25 case to produce something like 0.4. The floor is open for a
26 motion. Go ahead, Doug.
27

28 **MR. GREGORY:** I will put the target up there. **I move that we**
29 **use the equilibrium OFL projection and the OY projection for**
30 **ABC, the OY equilibrium projection for ABC.**
31

32 **CHAIRMAN POWERS:** Okay. We will probably have to reword this.
33

34 **MR. GREGORY:** Sure. Consider this as the consensus statement
35 anyway, but what struck me was that the equilibrium projection
36 for OY was pretty much the same as the current projection -- For
37 the current year, the 2021 projection, if we were fishing at
38 MFMT.
39

40 **CHAIRMAN POWERS:** Okay. Can you tell me where to refer to to
41 actually see what those are? That was in the presentation.
42

43 **MR. GREGORY:** Right, and it's Table 5.5 in the document. In the
44 presentation, it's near the end.
45

46 **CHAIRMAN POWERS:** It's 44.
47

48 **MR. GREGORY:** Yes, the one that you were trying to expand early

1 on.

2

3 **CHAIRMAN POWERS:** Yes. 44.

4

5 **MR. GREGORY:** Or 43.

6

7 **CHAIRMAN POWERS:** 43?

8

9 **MR. GREGORY:** Yes, and we've done this, or we've talked about
10 this, in the past, about using equilibrium numbers and also
11 trying to go to OY, if we can. In this instance, the definition
12 of OY is 85 percent of the F of MSY, which is in the range of
13 recommendations that we have made in the past for OY, and it
14 seems reasonable, when you see that the FOY equilibrium level of
15 10.83 is a little bit less than what the landings would be
16 currently at an MFMT level, and so it just seems to make sense
17 to me, and it's about half-a-million pounds less than what
18 landing would be if F stayed at current levels, because the
19 current F is about 92 percent of F of FMSY, or MFMT. Since MSY
20 is usually the historical definition of overfishing, I think we
21 ought to try to get fishing mortality to MSY or a little bit
22 above.

23

24 **CHAIRMAN POWERS:** Well, I mean -- All right. So everybody
25 understands, including myself, what is being argued here, in
26 terms of this table, which one of these columns are you arguing
27 for?

28

29 **MR. GREGORY:** For OFL, it would be the equilibrium F MFMT level,
30 11.51. For ABC, it would be the equilibrium FOY level of 10.83.

31

32 **DR. PATTERSON:** Joe, I think what Doug is arguing here is to use
33 the equilibrium values and make them constant.

34

35 **CHAIRMAN POWERS:** Okay, because it's constant anyway, pretty
36 much.

37

38 **DR. PATTERSON:** But I don't understand the logic here. It seems
39 like the argument is, because they are kind of close to the
40 yield at F MFMT, that we would -- Why don't we just use the
41 equilibrium values, but that would be a departure -- An approach
42 -- I don't understand the logic. Why wouldn't we just use the F
43 MFMT yield values?

44

45 **MR. GREGORY:** If I may?

46

47 **CHAIRMAN POWERS:** Yes, go ahead.

1 **MR. GREGORY:** My understanding of dynamics is, if we did that,
2 the biomass would be approaching the biomass at MSY in an
3 asymptotic way, and so we need a target that's a little more
4 conservative than MSY to actually get there.
5

6 **DR. PATTERSON:** The yield in 2021, given the assumptions and
7 methods of the projections, had F MFMT as 10.89 million pounds,
8 and so 11.51 million pounds is not more conservative than that.
9

10 **MR. GREGORY:** Our ABC would be 10.83, and so that's our target,
11 and that is more conservative.
12

13 **CHAIRMAN POWERS:** All right. Now I get the gist of what you're
14 getting at. Also, if we're looking at these tables, look at the
15 column SSB over MSST. Ultimately, what you're trying to do is
16 recover to MSY, SSB at MSY, and so the implication of that is
17 that our proxy for that would be a ratio of about 1.17 or 1.18,
18 which is -- If you use that projection -- Because, basically,
19 you can't make the argument -- In a sense, because it's under
20 the BMSY level, but it's above the B MSST level, you're in a
21 point of recovering. It's still not overfished, but you're in a
22 point of recovering, and so that may guide some of the thoughts
23 about this. All right.
24

25 **DR. PATTERSON:** Joe, I have a question for Mike, if I could.
26

27 **CHAIRMAN POWERS:** Yes, go ahead.
28

29 **DR. PATTERSON:** On these figures accompanying the yield streams,
30 it gives FOY as 85 percent of the F of FSPR 30. Is that
31 accurate, or is that supposed to be 75 percent?
32

33 **MR. RINDONE:** That is accurate.
34

35 **DR. PATTERSON:** Okay. Thanks.
36

37 **CHAIRMAN POWERS:** All right. The motion -- Conceptually, the
38 motion on the floor is to essentially use a constant value, and
39 did you specify a particular time period?
40

41 **MR. GREGORY:** No, but values stay the same until a new
42 assessment is done.
43

44 **CHAIRMAN POWERS:** Okay. That would be the implication of it.
45 All right. Assuming that this will get a second -- Is there a
46 second, conceptually, to what we're doing here?
47

48 **SSC MEMBER:** Second.

1
2 **CHAIRMAN POWERS:** Okay. Then let's put in some words to know
3 exactly what it is that we're talking about, in terms of what
4 the actual values are.
5

6 **MR. GREGORY:** I assume you want me to do that?
7

8 **CHAIRMAN POWERS:** Yes.
9

10 **MR. GREGORY:** Use of equilibrium OFL projection of 11.51 million
11 pounds.
12

13 **MR. RINDONE:** This is whole weight. Previous assessments, in
14 antiquity, have used landed weight, but SEDAR 38 converted
15 everything over to whole weight, and so that's good to note.
16

17 **CHAIRMAN POWERS:** Okay.
18

19 **MR. GREGORY:** Thank you. The OY equilibrium projection of 10.83
20 million pounds for ABC.
21

22 **CHAIRMAN POWERS:** All right, and there is a second for this.
23 All right. The debate really centers, again, between some
24 approach like this versus the direct application of the P*
25 approach.
26

27 **DR. BARBIERI:** Mr. Chairman, if I may?
28

29 **CHAIRMAN POWERS:** Yes.
30

31 **DR. BARBIERI:** I can offer a substitute motion, when it's
32 appropriate.
33

34 **CHAIRMAN POWERS:** It's always appropriate.
35

36 **DR. BARBIERI:** Then, Jessica, I emailed that to you, to the
37 meetings@gulfcouncil. I will wait to see if there is a second,
38 and then I can explain in more detail the rationale.
39

40 **CHAIRMAN POWERS:** Is there a second?
41

42 **DR. NANCE:** I will second it.
43

44 **CHAIRMAN POWERS:** Okay. Go ahead, Luiz.
45

46 **DR. BARBIERI:** Well, this would be in the same spirit of what
47 Doug just recommended, and I don't disagree with that approach,
48 Doug, of going to an ABC that is based on OY, given the fact

1 that we would like to have a bigger buffer between OFL and ABC,
2 but it actually uses the yield streams that are available in the
3 projections, and so, instead of using the equilibrium, it uses
4 the yield streams for OFL at that 50 percent probability of
5 overfishing. Then, for the ABC, setting that equal to the 85
6 percent of F 30 percent SPR. It gives that timeline of three
7 years to basically set some expectation of having a more
8 informative assessment in place, and I think that's it.
9

10 **CHAIRMAN POWERS:** Okay, and so -- Again, this was based on the
11 P^* of 0.4, correct?
12

13 **DR. BARBIERI:** No, this is based on --
14

15 **CHAIRMAN POWERS:** In essence, it would be -- The difference is
16 using the F 30 percent SPR of 0.85.
17

18 **DR. BARBIERI:** Correct.
19

20 **CHAIRMAN POWERS:** Okay.
21

22 **DR. BARBIERI:** And using a yield stream there of three years for
23 the OFL, instead of using the equilibrium OFL projection, and so
24 that would move --
25

26 **CHAIRMAN POWERS:** Excuse me for interrupting, but, in a sense,
27 because the stock -- I am sort of putting forth an argument of
28 what this means, in terms of if we need a justification for it,
29 but it's that, currently, the stock is close to the overfished
30 condition, and, if you want to more rapidly approach the MSY
31 condition, and, therefore, the 0.85.
32

33 **DR. BARBIERI:** That's correct, yes.
34

35 **CHAIRMAN POWERS:** Okay.
36

37 **DR. BARBIERI:** It creates a buffer in the order, depending on
38 years, of 10 to about 15 percent, which is consistent with the
39 buffers that we have recommended in the past.
40

41 **CHAIRMAN POWERS:** Okay. Is there discussion? John Mareska.
42

43 **MR. MARESKA:** Joe, I think you were asking my question, but I
44 don't think I got a good, solid answer to it. Based on Slide
45 43, it looks like these projections -- If you scroll to the top,
46 all these projections are based on the P^* of 0.5, and so was
47 that the intent for both Luiz and for Doug? That is my
48 question.

1
2 **DR. BARBIERI:** Well, the OFL, John, yes, because that's how we
3 set OFL, is at that level there of P^* of 50 percent, and so the
4 yield stream for OFL is that, and the yield stream for ABC -- My
5 intent was not to use any P^* , but use the value that is given by
6 the 85 percent -- The yield at 85 percent of F 30 percent SPR.
7 Instead of using a P^* approach, we actually make an ABC
8 recommendation based on that value.
9

10 **CHAIRMAN POWERS:** Another way to interpret that is you are using
11 a P^* approach, but it's just different than what was derived by
12 the control rule.
13

14 **DR. BARBIERI:** Correct, yes.
15

16 **CHAIRMAN POWERS:** At some point, probably -- If we were to adopt
17 this going before the council, I would probably translate back
18 into P^* or something, but anyway. All right. Going back to the
19 motions. I think, Harry, you were on the list. Harry, I can't
20 get you. Will, do you want to go ahead, and we'll check on
21 Harry?
22

23 **DR. PATTERSON:** Sure. I support this substitute motion. I
24 think it's in the spirit of how we've handled this in the past
25 when we didn't feel like the PDF fully captured all of the
26 uncertainty in stock dynamics and the assessment.
27

28 Also, the biggest uncertainty, I feel, for king mackerel we
29 haven't even talked about, and it's one thing that was supposed
30 to be an international sort of benchmark assessment this go-
31 round, is what's happening in the western Gulf and the
32 connectivity between the western migratory group and Mexico and
33 what impact Mexican landings have on the productivity of that
34 western migratory group, or potentially a separate stock even,
35 and so I think it's important to be cautious, and this is
36 consistent with how we're handled this in the past, and, for
37 that reason, I support it.
38

39 **CHAIRMAN POWERS:** Thank you. Harry, are you back? Is he on, or
40 has he lost his signal?
41

42 **MS. MATOS:** He's on, and he's unmuted, but we're not hearing
43 him.
44

45 **CHAIRMAN POWERS:** Okay. All right. Any other discussion? I
46 hesitate to go ahead without allowing him input.
47

48 **MS. MATOS:** He's on a phone, and so I'm not sure if his actual

1 phone is muted.
2

3 **CHAIRMAN POWERS:** Just to fill up space, is there any indication
4 of when a more complete assessment for king mackerel might be
5 done, in terms of the next five years, in terms of scheduling
6 and things like that?
7

8 **MR. RINDONE:** Let me pull the schedule up.
9

10 **DR. NEER:** Ryan, it's not currently on the schedule for the next
11 five years. It is not on the schedule at all.
12

13 **MR. RINDONE:** I was just trying to see if there was room to
14 squeeze it in somewhere.
15

16 **CHAIRMAN POWERS:** I am thinking ahead, and, if this substitute
17 motion were to occur, and so it's basically setting things for
18 three years, and then, as with other things, if nothing was done
19 at that point, it would stick at the 9.99 million pounds for the
20 ABC, correct?
21

22 **MR. RINDONE:** That's correct, and so, when you guys make these
23 recommendations, and they are adopted by the council, they
24 remain in place until changed, and so, like in the regulations,
25 it would read that the OFL would be 11.18 million pounds whole
26 weight, and the ABC would be 9.99 million pounds whole weight
27 for 2023 and subsequent years.
28

29 **CHAIRMAN POWERS:** Okay.
30

31 **MR. RINDONE:** "Whole weight" should probably be added to the
32 motion, Luiz, if you care to make that adjustment, just to be
33 specific.
34

35 **CHAIRMAN POWERS:** Yes, please do.
36

37 **DR. BARBIERI:** **Absolutely, Ryan. Yes, thank you.**
38

39 **CHAIRMAN POWERS:** Benny.
40

41 **DR. GALLAWAY:** I was just curious. Seeing that this is not on
42 the schedule, does this mean that, if the bycatch working group
43 worked out the bycatch models, to where they were more realistic
44 and had less uncertainty, it wouldn't get incorporated for years
45 to come?
46

47 **CHAIRMAN POWERS:** No, and that would say that that would be good
48 negotiating fodder for making sure it did happen.
49

1
2 **DR. GALLAWAY:** Okay.
3
4 **CHAIRMAN POWERS:** That's the way I would kind of interpret it.
5 Jason.
6
7 **MR. ADRIANCE:** I just wanted to check, and I had texted Harry,
8 and he's got technical issues on his end, and so I'm not sure
9 when he will get back in.
10
11 **CHAIRMAN POWERS:** All right. We're going to have to go ahead
12 then, I think.
13
14 **MR. GILL:** Mr. Chairman?
15
16 **CHAIRMAN POWERS:** Yes, please.
17
18 **MR. GILL:** Thank you, sir. My memory says that we agreed that
19 we were going to do these things to three significant digits, in
20 which case we ought to round the OFL numbers.
21
22 **CHAIRMAN POWERS:** Three significant or one?
23
24 **MR. GILL:** Three significant digits is my recollection.
25
26 **DR. PATTERSON:** These are three significant digits, or the ABC
27 ones are, and I'm sorry, but not the OFL.
28
29 **MR. GILL:** The ABC is, but the OFL is not.
30
31 **CHAIRMAN POWERS:** Okay. It's terminology, but I always consider
32 significant digits after the decimal point, and so what you're
33 suggesting then is for the ABC it should be 9.37, but, for the
34 OFL, it should be 10.9?
35
36 **MR. GILL:** Correct, and the only changes I see needed are OFL
37 numbers, the 10.9 and 11.6 and 11.2.
38
39 **MR. GREGORY:** Bob, you may be technically correct that we
40 decided that at some point, but the rest of the world is going
41 to think we're crazy.
42
43 **CHAIRMAN POWERS:** Yes.
44
45 **DR. NANCE:** It should just be after the decimal.
46
47 **CHAIRMAN POWERS:** All right. Jason, did you have --
48

1 **MR. ADRIANCE:** Thank you, Mr. Chairman. Acting as a go-between
2 again, Harry has mentioned that he sent something to the Gulf
3 Council meetings email.

4
5 **CHAIRMAN POWERS:** Okay. This is a subsequent thing. Wait a
6 minute. All right. How many substitute motions can we do? Is
7 this a substitute motion?

8
9 **MR. RINDONE:** Two.

10
11 **MR. ADRIANCE:** Actually, I think Harry indicated this as a
12 separate way to deal with OY.

13
14 **CHAIRMAN POWERS:** Well, effectively, that makes it a substitute
15 motion. This is cumbersome without being able to talk to him.
16 The way I interpret this is there's no time period specified for
17 this, and it sort of punts it into the future.

18
19 **MR. RINDONE:** Dr. Powers, we have an OY on the books already for
20 Gulf kingfish, and that's that 0.85 times F at MSY, and, since
21 we currently use 30 percent SPR as the MSY proxy, that's
22 reflected in Luiz's motion.

23
24 **CHAIRMAN POWERS:** Okay.

25
26 **DR. BARBIERI:** Right, and this is why I used that specific
27 number there for specification, so that it will be in agreement
28 with what is already in the books.

29
30 **CHAIRMAN POWERS:** Okay, and so -- Again, sort of technically how
31 we proceed through this, I'm interpreting this as a substitute
32 motion. If it were to pass, then, basically, that would
33 effectively mean what's on the books will remain on the books,
34 and so what is gained is -- Is Harry back?

35
36 **MR. BLANCHET:** Can you hear me now?

37
38 **CHAIRMAN POWERS:** Yes. I am trying to interpret that. All
39 right. Go through your arguments, please, Harry.

40
41 **MR. BLANCHET:** My concern was that, as the motion was phrased,
42 it was a different method of selecting ABCs than what we had
43 used in the past, and, while I don't have necessarily an issue
44 with it, I don't know if, by going down this road, whether we
45 are getting into some of the Gulf Council's business more than
46 we should. Now, some of this may be colored by my perspective
47 on the current assessment, but that's where I was going.

1 **CHAIRMAN POWERS:** So you're viewing this as a substitute motion,
2 correct?

3
4 **MR. BLANCHET:** Yes.

5
6 **CHAIRMAN POWERS:** All right. Is there a second? There is no
7 second? Lacking a second, the substitute motion dies. John
8 Froeschke.

9
10 **DR. FROESCHKE:** I was just going to say that, in the prior
11 substitute motion, perhaps we could put, at the yield at F at
12 0.85, we could put, somewhere in there, at OY, and put that
13 value in parentheses, so it's clear that that corresponds with
14 OY as it's currently defined.

15
16 **CHAIRMAN POWERS:** We ought to say that corresponds with OY as
17 currently defined, rather than something cryptic. It also
18 corresponds to a different P*. I mean, you can interpret this
19 in a number of different ways. All of those arguments, I think,
20 ought to be explained at the council level, but this was Luiz's
21 motion. What do you feel about that further wording?

22
23 **DR. BARBIERI:** I don't have a problem, and I think that that
24 helps clarify, what John just recommended, and so before --

25
26 **CHAIRMAN POWERS:** The one thing I am adamant about is, if you
27 put it in, don't put it in as a little cryptic subscript. Just
28 actually say the words.

29
30 **DR. BARBIERI:** Right, and so, with annual ABC being the
31 projected yield at OY. Then, in parentheses, we can put the --

32
33 **CHAIRMAN POWERS:** I would think it should be the other way,
34 because we don't have anything to do with OY. What we're doing
35 is making a decision, essentially, based on our perceptions of
36 some inherent P*, and we just happen to mention that it's
37 equivalent to the OY, and so you should begin with the 0.85 SPR
38 business and then mention --

39
40 **DR. BARBIERI:** Joe, if I may, I disagree, because we don't know
41 what the probability of overfishing would be. We don't have --

42
43 **CHAIRMAN POWERS:** I guess my real point is why are we projecting
44 yield at optimum yield? Optimum yield isn't our decision.
45 We're projecting it at a value that happens to be at optimum
46 yield.

47
48 **DR. BARBIERI:** Right, and that's fine.

1
2 **CHAIRMAN POWERS:** That's why I want to emphasize the 0.85 first,
3 which is equivalent to the projected yield at optimum yield.
4

5 **DR. BARBIERI:** If I may, I think that, in this case, we are
6 basically setting it at that value, and I think it helps the
7 council understand what we are recommending here, that that
8 value is equivalent to OY and that --
9

10 **CHAIRMAN POWERS:** I am not arguing with that. I am saying the
11 emphasis is we aren't deciding what OY is and projecting on the
12 basis of OY. We're deciding on something else, which happens to
13 be equal to OY, and so that's why I want to mention the 0.85
14 first and then say which is equivalent to OY.
15

16 **DR. PATTERSON:** I disagree. I disagree with that. We have
17 selected this yield stream based on the yield at FOY. Not at
18 OY, but FOY, which happens to be 0.85. We didn't pick a P* and
19 then coincidentally it was the same as this yield series, right?
20 Luiz proposed this based on the yield at FOY, and it does
21 correspond to a P*, but that P* wasn't selected first and then
22 this was the yield stream.
23

24 **CHAIRMAN POWERS:** Well, I would argue that, psychologically, we
25 did pick a P*, because that's why we wanted to reduce this, but
26 I am not going to belabor it, and so what is the wording that is
27 wished there?
28

29 **DR. BARBIERI:** The point that Will just made is correct. **The**
30 **yield at FOY.**
31

32 **CHAIRMAN POWERS:** Okay. So that's the motion. We have gone
33 through a fair amount of discussion, and is there any more
34 discussion on this?
35

36 **DR. PATTERSON:** We just need to subscript that "OY".
37

38 **CHAIRMAN POWERS:** All right. What we'll do is we'll vote on
39 this, and, if it passes, we're finished with this issue. If it
40 is voted down, then we return to the previous motion and vote on
41 it, without any other discussion. All right. **Let me just, to**
42 **speed things up, ask if there any objections to this motion.**
43

44 **MR. GREGORY:** Doug Gregory objects.
45

46 **CHAIRMAN POWERS:** All right. Let's just go through the actual
47 person-by-person vote.
48

1 **MS . MATOS:** Lee Anderson.
2
3 **DR . ANDERSON:** Yes.
4
5 **MS . MATOS:** Luiz.
6
7 **DR . BARBIERI:** Yes.
8
9 **MS . MATOS:** Harry Blanchet. Dave Chagaris.
10
11 **DR . CHAGARIS:** Yes.
12
13 **MS . MATOS:** Benny Gallaway.
14
15 **DR . GALLAWAY:** No.
16
17 **MS . MATOS:** Bob Gill.
18
19 **MR . GILL:** Yes.
20
21 **MS . MATOS:** Doug Gregory.
22
23 **MR . GREGORY:** No.
24
25 **MS . MATOS:** Walter Keithly. He has to enter his audio pin in
26 order to get his audio working. Robert Leaf.
27
28 **DR . LEAF:** Yes.
29
30 **MS . MATOS:** Kai Lorenzen.
31
32 **DR . LORENZEN:** Yes.
33
34 **MS . MATOS:** Camp is not here. Jim Nance.
35
36 **DR . NANCE:** Yes.
37
38 **MS . MATOS:** Will Patterson.
39
40 **DR . PATTERSON:** Yes.
41
42 **MS . MATOS:** Joe Powers.
43
44 **CHAIRMAN POWERS:** Yes.
45
46 **MS . MATOS:** Sean Powers.
47
48 **DR . POWERS:** Yes.

1
2 **MS. MATOS:** Ken Roberts.
3
4 **DR. ROBERTS:** Yes.
5
6 **MS. MATOS:** Steven Scyphers.
7
8 **DR. SCYPHERS:** Yes.
9
10 **MS. MATOS:** Jim Tolan.
11
12 **DR. TOLAN:** Yes.
13
14 **MS. MATOS:** Jason Adriance.
15
16 **MR. ADRIANCE:** No. Harry asked me to indicate that he's voting
17 no, but I will let you all confirm that, and I don't want to be
18 responsible for that.
19
20 **MS. MATOS:** Jud Curtis.
21
22 **DR. CURTIS:** Yes.
23
24 **MS. MATOS:** John Mareska.
25
26 **MR. MARESKA:** Yes.
27
28 **MS. MATOS:** Kari Buck.
29
30 **DR. MACLAUCHLIN-BUCK:** Yes.
31
32 **MS. MATOS:** Jack Isaacs.
33
34 **DR. ISAACS:** Yes.
35
36 **MS. MATOS:** Andrew Ropicki.
37
38 **DR. ROPICKI:** Yes.
39
40 **MS. MATOS:** Cam Ainsworth. Mandy Karnauskas. Paul Sammarco.
41
42 **DR. SAMMARCO:** Yes.
43
44 **MS. MATOS:** Harry, are you able to speak, or can you send a chat
45 with your vote?
46
47 **DR. PATTERSON:** On that previous page, there wasn't a vote
48 entered for Jason, who was a no, and there wasn't a vote entered

1 for John Mareska either, and I don't recall what John voted.
2

3 **MR. MARESKA:** Will, she did enter them, and she entered them
4 under Reef Fish rather than under the Mackerel.
5

6 **DR. PATTERSON:** I see. My mistake. Thanks, John. Joe, can I
7 ask one more question?
8

9 **CHAIRMAN POWERS:** Yes.
10

11 **DR. PATTERSON:** So we have the second substitute motion listed
12 here, which I assume means it would go into the report, but it
13 didn't have a second, and so that motion in fact disappears,
14 right?
15

16 **CHAIRMAN POWERS:** Yes, it disappears.
17

18 **DR. PATTERSON:** It was never fully made.
19

20 **CHAIRMAN POWERS:** Well, it didn't have a second.
21

22 **MR. GREGORY:** So I think the point is that it shouldn't be in
23 the report.
24

25 **CHAIRMAN POWERS:** Yes.
26

27 **DR. PATTERSON:** Yes, and it should be deleted here, is my point.
28

29 **MR. RINDONE:** We have verbatim minutes for all of the SSC
30 meetings, and so, if someone is really interested, they can go
31 back and listen to all of this exciting back-and-forth. In the
32 summary report though, we will just stick to the motions that
33 were passed.
34

35 STOCK ASSESSMENT EXECUTIVE SUMMARY 36

37 **CHAIRMAN POWERS:** All right. The executive summary, if you can
38 bring that up. All right. Let's just go through this,
39 hopefully quickly.
40

41 **MR. RINDONE:** Dr. Powers, this is set up very similarly to the
42 way that the rest of them have been set up, and then, of course,
43 it will be updated under the part about SSC discussions to
44 reflect the decisions that are made at this meeting.
45

46 **CHAIRMAN POWERS:** All right, and this is something that I will
47 bring up. On that figure, the right-hand table, it's expressed
48 in terms of depletion, and I am interpreting that horizontal

1 line at 30 percent. Is depletion -- But depletion is -- I can't
2 read that. The horizontal line is represented as SPR of 30
3 percent, and so the SSB, relative to unfished, shouldn't be the
4 same thing, in general anyway, as the SPR of 30 percent, or 0.3.
5 I mean, I think -- I am trying to figure out how this is
6 labeled.

7
8 The depletion being SSB relative to unfished, and that's one
9 thing, but the horizontal line relates to the SSB at MSY proxy,
10 which isn't necessarily going to be 30 percent, even at an SPR
11 of 30 percent, and it may be close, and I don't know, but I want
12 to make sure that --

13
14 **DR. FROESCHKE:** Could it not just SSB MSY proxy and leave it at
15 that, because that's what the line corresponds to.

16
17 **CHAIRMAN POWERS:** That's what it should be. I mean, one, I
18 think it ought to be labeled that way, but, secondly, because it
19 looks like it's exactly at -- Well, maybe not. Maybe it's above
20 30 percent. All right. It should be labeled as the SSB MSY
21 proxy. Let's not belabor that. Will.

22
23 **DR. PATTERSON:** I don't see why you need the word "depletion"
24 here, and then have what's actually shown in parentheses. I
25 think, if you just have SSB over SSB unfished, that accurately
26 labels that axis. To Joe's point about the horizontal line,
27 that's the horizontal line at full recovery to SSB at MSY proxy,
28 and it seems you need another horizontal line here that has the
29 actual limit, which would be the MSST value.

30
31 **CHAIRMAN POWERS:** That's where I was having trouble, because, in
32 the assessment graph, as I recall, the most current level was
33 slightly above the MSST, and, admittedly, the two lines probably
34 are fairly close together, 17 percent apart, one minus M apart.
35 Anyway, check that. I agree with Will to just label it SSB over
36 SSB unfished and label the horizontal line SSB MSY proxy, or
37 relative to -- Yes. All right. Continuing on, we'll go down a
38 little bit. Doug, did you want to say something about this?

39
40 **MR. GREGORY:** Yes, and it's confusing to have that line when
41 nowhere else in the document, or in our discussions, we really
42 relate spawning stock biomass to MSY, but rather the MSST, and
43 so we clearly need an MSST line there, to avoid confusion,
44 because this will suggest, to the layman, that the stock is
45 below where it should be. I mean, technically, it's correct,
46 but not according to the Magnuson overfished guidelines.

47
48 **CHAIRMAN POWERS:** This was sort of what I brought up in

1 Michael's presentation, that you needed two lines, and so,
2 actually, I mean, I think it would probably be better to rescale
3 it, so that the 1.0 is at the MSY level, and then have two lines
4 for the MSST and the MSY level. Harry. We'll come back to him.
5 Let's move on down the document. Any comment on this, this
6 section?

7

8 **MR. RINDONE:** F current should be specified as the geometric
9 mean of the most recent three years, and so 2015, 2016, and
10 2017.

11

12 **CHAIRMAN POWERS:** Any other comments on this? Moving on. Okay.
13 I want to make sure -- Harry, are you back on yet? Ken Roberts.

14

15 **DR. ROBERTS:** Could you scroll back up a half-page, please?
16 Right there. Socioeconomic and ecosystem considerations, it
17 props a question in my mind. There are currently no
18 socioeconomic considerations incorporated. Are there ever any
19 incorporated into stock assessments, or is that basically --
20 Does it come about generally when the council is going through
21 the amendment process?

22

23 **MR. RINDONE:** This is usually where we fold in a bit about
24 Something's Fishy, and so council staff can make an edit to this
25 particular section and send it to Dr. Schirripa for inclusion.
26 At present, we don't have the same metrics built in for
27 including certain social and economic indicators into the
28 assessment process, but some of those things are considered
29 externally and do ultimately weigh on the outcomes of the
30 assessment.

31

32 If you think back to red grouper as an example, where the
33 combination of the NMFS interviews and surveys in southwestern
34 Florida, combined with the red grouper Something's Fishy
35 analysis, helped to parameterize the severity of the 2018 red
36 tide, and it helped inform also FWC's estimate of severity.

37

38 That's an example of where those social and economic
39 considerations actually had an effect on the outcome of the
40 assessment, and so we do make an effort. It's not presently as
41 comprehensive and robust as it may be for some of the biological
42 factors considered. However, it is something that we're working
43 on growing.

44

45 **CHAIRMAN POWERS:** Thank you. Shannon.

46

47 **DR. CALAY:** Thank you. Ryan said most of what I would have
48 said. I just also wanted to point out that it is a strategic

1 objective of SERO and the Southeast Fisheries Science Center,
2 and so there will be effort made in the future to better
3 integrate socioeconomic considerations into stock assessments.
4 It is something that we are aware that we do need to do better.
5

6 **CHAIRMAN POWERS:** Thank you. Paul Sammarco.
7

8 **DR. SAMMARCO:** Just a quick note to add to that, what you said
9 that there have been no issues regarding ecosystem
10 considerations which have been brought to this sub-committee,
11 and, yes, there are probably important things out there, but
12 they're, I guess, not under consideration at this time, and
13 perhaps they should receive more attention in the future. Thank
14 you.
15

16 **CHAIRMAN POWERS:** Thank you. Luiz.
17

18 **DR. BARBIERI:** I just have a very general question, I guess for
19 Ryan Rindone. Where do these summaries live, Ryan, after they
20 are corrected and adjusted? Is there a repository? I find them
21 to be very useful to be used later on as a reference document,
22 and, looking for them, I couldn't find them anywhere, and are
23 they posted somewhere?
24

25 **MS. MUEHLSTEIN:** Luiz, I think I can handle that one for you.
26 Right now, we're not housing them anywhere where we show them
27 publicly, and we're just reporting them to the stock assessment
28 scientists and then, again, to you all, when you receive the
29 assessment report. However, we are in the process, internally,
30 of building a new fisheries science webpage that is going to be
31 part of our website, and they will all be housed there
32 eventually.
33

34 **DR. BARBIERI:** Perfect, Emily. Thank you so much.
35

36 **CHAIRMAN POWERS:** Thank you. Moving on.
37

38 **MR. GREGORY:** I have a question. At the bottom of page 2, that
39 last sentence, it says that trends from the optimum yield
40 projection will result in a higher SPR of 0.35, and is that from
41 the assessment, or was that calculated outside of the
42 assessment? This is the first I've seen of it.
43

44 **CHAIRMAN POWERS:** While I look at that, I'm also sort of struck
45 as the yield projections -- Never mind. Excuse me. Can anybody
46 answer Doug's question?
47

48 **MR. GREGORY:** It references Figure 2, but I don't see -- The

1 dashed-blue line in Figure 2 is the optimum yield line and the
2 biomass. Okay. I mean, I don't object to it, and I think it's
3 good to have that perspective, but I don't know if that -- Did
4 that come from the assessment? That is my question, or is it
5 something put in later? I mean, it's a good perspective.
6

7 **CHAIRMAN POWERS:** We don't have an immediate answer to that.
8

9 **DR. FROESCHKE:** Those should have come from the assessment.
10

11 **CHAIRMAN POWERS:** Okay. Harry.
12

13 **MR. BLANCHET:** My general comment is what we're seeing in the
14 executive summary includes a lot of graphics that were not in
15 the presentation or in the original assessment document, and,
16 unless there is some real good reason, like trying to condense
17 something or trying to present something that's in a table in a
18 more user-friendly form, I don't know that we ought to be having
19 new material in the executive summary that's not in one of those
20 prior documents.
21

22 **CHAIRMAN POWERS:** Thank you. Skyler.
23

24 **DR. SKYLER SAGARESE:** I just wanted to follow-up on a couple of
25 the comments, and I'm listening along and making a list of all
26 the modifications you would like, and, just in response to
27 Doug's question here, a lot of these figures are summarizing
28 content that should be in probably tables within the longer
29 stock assessment document, and so, when we do projections,
30 sometimes we have the ratio of the SSB in each year to the
31 unfished SSB, and so that figure on the right -- We can remove
32 the reference to depletion and just kind of -- We're just
33 showing those different projection scenarios, and so I think
34 Doug was kind of getting there with Figure 2 on the right-hand
35 side.
36

37 With your MSY proxy, your equilibrium projection, you see it
38 rebuilds to essentially 0.3 later on, and that's the 30 percent
39 SPR, but, when you project the optimum yield, I think you're at
40 85 percent of that level, and you can see that it rebuilds just
41 a little higher, in terms of 0.35 here, and so it's just some of
42 this information we have sort of settled on figures.
43

44 If they are too confusing, and they're not present in the
45 assessment document, we're certainly working on trying to
46 standardize everything, but, as you all probably remember, we
47 did do this for red grouper, and we're just trying to kind of
48 summarize the information with these graphs, because it's a bit

1 easier to understand what's going on than seeing a table of
2 endless numbers, where some of this material is often housed,
3 and so I just wanted to bring that up.

4

5 **CHAIRMAN POWERS:** Thank you.

6

7 **MR. GREGORY:** Thank you. I like it. I particularly like it
8 because the Magnuson Act reauthorization in 1996 asked us to be
9 managing to OY, and we're just a little late. Thank you.

10

11 **CHAIRMAN POWERS:** Julie.

12

13 **DR. NEER:** I just wanted to point out that the executive
14 summaries are also going to be housed on the SEDAR website.
15 SEDAR 61, red grouper, is the only one that has been finalized,
16 and that's posted up there, along with the SSC report. For
17 every given assessment, we put the SSC report on the SEDAR
18 website for that particular SEDAR page, as well as we put the
19 executive summary for that one.

20

21 We'll be doing 67, which was the second one you guys have
22 reviewed, and that was vermillion, and you just reviewed that
23 recently. Once that's available, it will go up there as well,
24 and so I think you will either be able to find them on the Gulf
25 Council website, when they develop a place to put them, but they
26 can also be found under any individual SEDAR, along with the SSC
27 report for that SEDAR, on the SEDAR website for that particular
28 project. Thanks.

29

30 **CHAIRMAN POWERS:** Thank you. Moving ahead, the indices. Moving
31 on, basic biology, biological statistics, recruitment. Moving
32 on again, landings. Moving on, discards. Any other
33 recommendations relative to the executive summary? Hopefully
34 we'll come to a standardized approach to all of these things, so
35 that, when somebody picks it up, they're used to seeing it in a
36 certain way. All right. With that, are there any other
37 discussions about this agenda item and king mackerel?

38

39 If not, then I'm not giving you a fifteen-minute break. We're
40 going to move right on into gray snapper, because we want to get
41 as much done as we can today. We're kind of behind.

42

43 **MR. RINDONE:** Gray triggerfish and then gray snapper.

44

45 **CHAIRMAN POWERS:** Excuse me. Gray triggerfish. Yes. They're
46 all shades of gray. Gray triggerfish interim analysis, the
47 presentation.

1 **MR. RINDONE:** Is this Matt Smith that's going to be giving this
2 or Katie or who is up to bat?

3
4 **DR. CALAY:** If you can hear me, it's Matt Smith.
5

6 **REVIEW OF GULF GRAY TRIGGERFISH INTERIM ANALYSIS**
7

8 **MR. MATT SMITH:** This is a pretty concise presentation, and so
9 hopefully we can get through it relatively quickly. It's for
10 the interim assessment of Gulf of Mexico gray triggerfish. Off
11 the bat, I just want to extend our apology for the delay on the
12 materials that I provided.

13
14 We are tantalizing close to having the MSE component of these
15 interim assessments up and running, and we attempted to use that
16 for this gray triggerfish, and we did get some results, but,
17 unfortunately, making that push kind of delayed the report
18 getting written, which delayed the review, which then delayed
19 getting the materials out, and so I hope we'll be able to answer
20 everybody's questions today during the presentation and that not
21 having the stuff ahead of time doesn't interfere with making
22 progress here.

23
24 Purpose and need for the outline, and we'll start with the
25 basics, and then we'll look at where gray triggerfish are, in
26 terms of their management history and landings. We'll review
27 the indices that were available to use for this interim
28 assessment, and then we'll get into the assessment itself.
29 We'll look at the harvest control rule that was implemented, and
30 we'll look at the index that was selected and how that selection
31 was made and how the harvest control rule was parameterized and
32 then the results that come out of that.

33
34 Just for anybody who is new on the committee, or maybe just
35 needs a refresher, in a two-sentence version, the interim
36 assessments are a part of the three-pronged approach that the
37 Science Center is taking with our assessments now, which
38 includes the research track assessment, which is the old
39 benchmark, the operational track, which is sort of akin to what
40 an update was, and then the interim assessment, which was
41 designed to fill the spaces between those larger assessments and
42 allow the council and the SSC to update catch advice based on
43 current stock conditions, and so rather than have a five-year
44 delay between assessments.

45
46 The idea is, once we're fully up and running here, we'll be able
47 to produce these interim advice assessments on an annual, or
48 semi-annual, basis, to keep everybody up-to-date with what's

1 going on with the stocks, and so that brings us to gray
2 triggerfish.

3
4 Just to review, the last accepted assessment from this was SEDAR
5 43, back in 2015, and the current catch advice is based on the
6 SEDAR 9 update, which was a 2011 product, and you will all
7 probably remember that -- I guess it would have been early this
8 year, or last year, but SEDAR 62 was supposed to produce updated
9 assessment-based catch advice for gray triggerfish, but that
10 assessment had to be withdrawn late in the process, because the
11 modeling was heading in a direction that just couldn't be
12 accommodated within the specification of that assessment, and so
13 I'm sure there will be a new triggerfish assessment coming up in
14 the near future.

15
16 I'm not sure where it is on the schedule, but, essentially, the
17 take-home here is that the current ABC catch advice is stemming
18 from the SEDAR 9 update assessment out of 2011, and so quite a
19 bit out-of-date on triggerfish.

20
21 This sort of zooms in on where we're at. Here, you can see a
22 year, the assessment from which the advice is based, and then
23 this OFL and ABC column on the top table represent the actual
24 yield streams produced from those assessments, and so the annual
25 versions of this advice.

26
27 You can see there in 2012 the ABC of 305,300 pounds, which is
28 the current ABC, and that's where that number comes from, and
29 then highlighted here in the red are some of the rebuilding
30 trajectories that came out of SEDAR 43. At the time, there was
31 an eight-year, a nine-year, and a ten-year rebuilding requested,
32 with the nine-year essentially being what would have been
33 recommended, because the nine-year rebuild, with a 2025
34 rebuilding date, was put in place for this stock.

35
36 These values weren't implemented at the time. The SSC
37 recommended them, or a very slight modification of what you're
38 seeing here was recommended, and the council opted to stay with
39 the existing management of 305,300 pounds. That's where we are
40 in terms of the management.

41
42 If you go to the bottom table, you can see some recent landings
43 numbers from the SERO ACL monitoring website, where I pulled
44 these, just to give a sense of what the fishery looks like, and
45 it's predominantly recreational, and that is determined by
46 allocations that are established. The commercial landings, by
47 and large, stay within their bounds.

48

1 You can see it's fairly consistent through the commercial
2 landings, and then the recreational landings tend to bounce
3 around quite a bit, and that's because the recreational fishery,
4 like a lot of our fisheries, recreational versions, experience
5 some periodic overages, and then there are accountability
6 measures in place that have resulted in paybacks from year to
7 year.

8

9 What you see like in 2015, for example, with the 94,000 pounds
10 of recreational landings, that's not indicative of the removals
11 from an unrestricted fishery. That represents accountability
12 measures being put in place and in-season closures restricting
13 the removals.

14

15 Just to see what the indices were that are available, again,
16 these interim assessments, in their present form, are index-
17 based harvest control rules, and so having an index for that
18 process is essential. We had several to choose from for gray
19 triggerfish. What you're looking at on your screen right now
20 are the fishery-independent indices of abundance, and these come
21 from the SEDAR 62 assessment, despite the fact that that was not
22 put into practice, and the assessment never came to completion,
23 like I said before.

24

25 These represented the most up-to-date, in terms of years of
26 available indices, and so through 2017 in most cases, and they
27 represented the indices that will be included in a future
28 assessment, and so SEDAR 43, for example, did not have the
29 combined video index, and they had one of the other labs'
30 indices. The combined video index, which includes the
31 Pascagoula, Panama City, and the Florida video surveys, was put
32 forward in 62 and approved for use in that assessment, and so,
33 therefore, it's very likely to appear in subsequent assessments,
34 and so we wanted to present that, rather than some of the
35 indices used in the past.

36

37 The specifics here, in terms of each index and how it behaves,
38 are not that important at this point. What we're basically
39 looking at right now is trends in these indices and whether they
40 agree or not, and then we will get into the specifics of the
41 selective index later on.

42

43 Now you're looking at the fishery-dependent indices, and you've
44 got the headboat eastern Gulf in the top-left, headboat western
45 Gulf in the top-right, an MRIP, and so this is the
46 private/charter index, for the eastern Gulf of Mexico in the
47 bottom-left, and the commercial handline index, and this was
48 basically Gulf-wide. There were two produced, but they were

1 identical, and so this is more of a Gulf-wide commercial
2 handline index at the bottom-right.

3
4 The general take-away from those -- Like I said at the top for
5 the gray triggerfish status, the current rebuilding plan is a
6 nine-year plan that aims to rebuild gray triggerfish by 2025.
7 The indices, in general, agree that the stock hit its low point
8 in the late 2000s, the early 2010s, and, while there is some
9 variation from index-to-index, in general, they tend to be
10 trending upward, especially in the eastern Gulf of Mexico, and
11 so this suggests that the rebuilding plan and the restricted
12 landings is having, at least to some extent, its desired effect
13 of beginning to rebuild biomass in the Gulf for gray
14 triggerfish.

15
16 All that means, essentially, is that the stock can potentially
17 support increased removals without compromising that rebuilding,
18 and this interim assessment process can hopefully provide
19 advice.

20
21 Here, we're looking at the harvest control rules and these are
22 not overly complicated. There is a paper out that details some
23 of these, and what you're looking at is a very slight
24 modification from what has been published for these index-based
25 assessments, and there is two essential approaches.

26
27 I guess we'll start at the top. At the core, what you're aiming
28 to do, regardless of which approach you take here, is take a
29 reference catch, which is shown in both of these equations with
30 the C_{ref} , and that reference catch, in this case, would be that
31 305,300 pounds, and so the existing management advice, and
32 you're going to modify that by an index ratio.

33
34 If you look at the bottom equation, it's a little bit more
35 straightforward, because it doesn't have the summation in there,
36 but you can see the ratio is essentially the index in the
37 present year, and so, here, we would be in 2020 for Y , with the
38 goal of setting catch advice for 2021, and that's the Y -plus-one
39 on the left-hand side of the equation, over the index value at
40 that reference time period, and this would be back in 2012, when
41 the catch advice was put into place.

42
43 At its core, you're taking the existing catch and you're
44 modifying it by some ratio of the indices. If the index has
45 increased in time since the reference, you would be increasing
46 your catch. If it has decreased in time, you would then be
47 decreasing your catch, and then you've got two ways of dealing,
48 or buffering, for uncertainty in your index.

1
2 As we all know, our indices do not track abundance exactly, for
3 a number of reasons, and so you wouldn't necessarily want to
4 change your catch advice in a subsequent year based on noise.
5 If you happen to have a particularly noisy index, you wouldn't
6 want to be dramatically changing catch advice every year, and
7 you would want to kind of smooth that in one way.
8

9 The two ways that have been proposed and examined and looked at
10 as part of this and other interim assessment processes are to
11 either take an average, in the top equation, where you use more
12 than one year of the index to sort of smooth it out, or applying
13 a smoothing parameter, this beta term in the bottom equation,
14 and, here, we have multiplied it by sigma, or an estimate of the
15 variation in the index itself, to smooth out the process in that
16 way.
17

18 As we kind of discussed in the previous slide, but just to
19 summarize, the interim assessment process has two main decision
20 points. The first one is identifying the index that we're going
21 to use for defining the reference value as well as the current
22 value, and then the second one is selecting the harvest control
23 rule, whether it be the averaging approach or the smoothing
24 through the beta parameter approach, and then parameterizing
25 that.
26

27 In that case, parameterization of that for the average is how
28 many years to average over, and, obviously, you could average
29 over any number of years, but, at least through the MSE process
30 that we tried to implement, we looked at one-year averages,
31 three-year averages, and five-year averages. Then, for the beta
32 parameter version, you parameterize that by trying to identify a
33 beta parameter that provides the optimum smoother, and that
34 parameter can take on any value you want, and it smooths it,
35 depending on the magnitude of the parameter.
36

37 Like I said at the get-go, we are extremely close to being able
38 to produce these MSEs to help us identify the best index and
39 help us identify how to parameterize the harvest control rule,
40 and that has been brought to fruition through a collaborative
41 project developing this SS MSE toolkit, which is essentially an
42 extension of Stock Synthesis, and, when it is fully operational,
43 it will allow us to just take the output from our stock
44 assessments and feed them into this extension that will turn
45 them into the operating models we need to do the MSEs for this
46 process.
47

48 We set out to try and do this for gray triggerfish, and we made

1 great progress in the time that we were working on it, and we
2 started to produce some advice, but, at the end, we essentially
3 started to run out of time to complete this process to use it
4 for this interim assessment, and so we fell back on some of our
5 old methods for coming up with a few of the decision points that
6 we had to make, but I just wanted to bring this to your
7 attention, is that, unfortunately, we didn't make it for this
8 go-round, but, for the next go-round, whether that be red
9 snapper, which I know is on the schedule, or a subsequent
10 assessment, we'll likely be giving advice through this SS MSE
11 process.

12

13 As we start to develop that, we're going to need stakeholder
14 input from the SSC and from the council and from other
15 interested parties to really pinpoint the performance metrics,
16 or the ways that we use to make decisions from the MSE, which
17 ones are the most valuable and which ones should be included to
18 help the committee and the Science Center come to the right
19 decisions, as far as which index and which harvest control rule
20 and how the tradeoffs interact, and so that's something to keep
21 on your radar, and we'll probably be coming at you in the future
22 looking for input into this SS MSE process.

23

24 From the preliminary MSE, one thing -- A couple of things that
25 were able to identify fairly clearly in that process was that
26 the fishery-independent indices were preferred over the fishery-
27 dependent indices for gray triggerfish. From the averaging,
28 versus the beta parameter, the three-year average approach was
29 preferred as well, and so we used those nuggets that we were
30 able to get from the initial MSE runs and then combined it with
31 a sort of something we've done in the past, pre-MSE.

32

33 That was looking at residual analyses of the indices, and so, in
34 this graph on your screen, you see the residuals from the video,
35 the combined video, survey in orange, and the SEAMAP trawl in
36 blue. Essentially, what you can see is that the video index, in
37 general, does not have any trend to it, and it's relatively un-
38 trended, whereas the SEAMAP index seems to have some trends,
39 suggesting some correlation in the index.

40

41 It's also a much shorter index, which weighed against it, in
42 terms of our decision points, and so, based on this and some of
43 the evidence we got from the MSE and other discussions we've had
44 in the past, we selected to go with the combined video index for
45 this interim assessment.

46

47 We're going to focus in a bit on the combined video index here,
48 and what you're looking at now is the index that was updated

1 through 2019, courtesy of Kevin Thompson over at FWRI and all
2 the other partners providing data. He went above and beyond to
3 get this to us in an extremely short amount of time, and we
4 can't thank him enough for that effort, if he's listening.
5

6 What you see, essentially, is that the index, like I said, has
7 been highly variable, and it achieved its highest value in 2009,
8 and its lowest value in 2005, but it has then hit subsequent low
9 periods that have almost achieved the time series low in 2012
10 and then again in 2018, before seemingly rebounding again in
11 2019. This variability that is quite obvious in this index,
12 again, plays back into the need to do some buffering, whether
13 that be through the average or through the beta approach.
14

15 The interim assessment, like I said, is going to adjust the
16 current ABC of 305,300 pounds, which is our C_{ref} value. It's
17 going to do that through the harvest control rule, and, again,
18 we ended up selecting the average approach, and so the harvest
19 control rule you see on the screen is the one that averages the
20 index, and it averages two different index values. It averages
21 the reference value, which is shown in green, and this large
22 table on the left is the output from the combined video index
23 standardization process, with the column that has the shading in
24 it being the standardized index values itself.
25

26 We ended up averaging the reference index here as well, shown in
27 green, and we did that for one primary reason, and that is that
28 the stock assessment, and we'll see this in the next slide as
29 well, but the stock assessment that produced this catch advice
30 of 305,300 pounds, which was the SEDAR 9 update, wrapped up in
31 2012, and it went through a terminal -- I guess it wrapped up in
32 2011, and it had a terminal data year of 2010, and it was then
33 implemented in 2012.
34

35 2012 was one of the lowest years in the time series, and that,
36 in and of itself, is not a reason to average this, but, if we
37 look back, or we'll see it on the next slide as well, the
38 terminal data in the assessment that produced this catch advice
39 was almost a time series high for gray triggerfish, and so the
40 projections used to create this catch advice were being informed
41 by data that suggested that gray triggerfish were doing quite
42 well.
43

44 Almost immediately after that assessment wrapped up, the stock
45 appeared to drop quite low, based on the indices, and that's
46 supported by a number of indices, and so it seemed ill-advised
47 to use a reference index value from the trough of a time series
48 when that information was not available to the assessment that

1 produced the catch advice.
2

3 There was two things that we could have done. We could have
4 tried to use the predicted index value from the SEDAR 9 update
5 assessment for 2011, 2012, and 2013. That information was not
6 available to us at the time of this interim assessment, due in
7 part to the fact that that assessment was from 2011, and it's
8 quite a bit out-of-date. In lieu of having those predicted
9 index values to use in its place, we decided to average over the
10 reference index to provide some additional smoothing at that
11 end.

12
13 The other part of the equation is the observed index, and,
14 there, we have a three-year trailing average, and so we used the
15 2019, 2018, and 2017 value to create our three-year current
16 index, and so those two values are shown here. The reference
17 index came at 0.66, and the current index at 0.988, and that
18 creates a ratio of those two indices of nearly 1.5, suggesting
19 that ABC could be increased.

20
21 This is basically a graphical representation of what we just
22 went over, just to reinforce some of the points, and so this
23 vertical black line in the plot that you see, or I guess I'll
24 start with the basics.

25
26 This is the combined video index, again, obviously, and the blue
27 line shows the predicted index, and the orange line is the
28 nominal, or observed, and the orange dots are the nominal, or
29 observed, index. The vertical black line at 2010 is denoting
30 the terminal data year of the SEDAR 9 update assessment, and
31 then the red dot is showing the average, the reference index
32 value, and the red line is showing the recent value.

33
34 Then the rest of the information is presented that we just went
35 over, and this just reinforces what I was saying. If you look
36 back, this 2010 data point would have been included in that
37 assessment, but, by and large, 2009, again, was the highest
38 point on record for this index, and so the assessment was
39 getting fed information that was quite positive right before
40 falling off a cliff.

41
42 This similar type of scenario occurred in red grouper, and not
43 in the interim assessment, but in the assessment itself, where
44 we had a situation where catch advice was set, and rightfully
45 so, from an assessment that suggested the stock was doing quite
46 well right at the time the projections were done. In subsequent
47 years, shortly thereafter, the stock declined quite a bit, and
48 we found ourselves in a scenario where we had catch advice that

1 was much higher than seemed appropriate, because it was based on
2 a much rosier picture in the past.

3
4 I won't beat that dead horse any more, but, down here at the
5 very bottom, tucked away, is what applying this harvest control
6 to the reference catch gives you, and it gives you an adjusted
7 catch recommendation of 456,900 pounds whole weight for 2021.

8
9 This is just a summary of the options that we are putting
10 forward, which is essentially, if you keep the status quo value,
11 which is 305,300 pounds, and then, over to the far-right of the
12 table, how that breaks down on a sector-to-sector basis, based
13 on the established allocations, and then adjusted reference
14 catch is in the bottom row of that table.

15
16 The other thing to mention here is that the OFL was not changed.
17 We have looked into this some, and we believe the OFL can be
18 adjusted in the same fashion as the ABC, using that index ratio.
19 In this case, the OFL of 1.2 million pounds stems from the SEDAR
20 43 assessment, and that OFL got implemented when the ABCs did
21 not, and that remains unchanged. Here, it's not going to be
22 limiting in any case, because the ABC is quite a bit lower.

23
24 The need to adjust the OFL will certainly become an issue if we
25 do interim assessments on stocks that are managed by a P*, where
26 the ABC and the OFL are quite close to each other, and you could
27 very easily run into a situation where the ABC is recommended to
28 be increased and that the increased value would exceed the
29 existing OFL without an adjustment to the OFL as well, and, like
30 I said, we think that can be done using the same index ratio
31 approach, and we would certainly recommend that in future
32 interim assessments where it's necessary. However, here, it's
33 clearly unnecessary to raise this OFL at this time, and so we
34 recommend sticking with the current 1.2 million pounds that is
35 on the books.

36
37 I believe this is my last slide, and the next slide is just a
38 question slide, and so I'm happy to take any questions at this
39 point. If we want to put the other slide back up, for
40 discussion purposes, that's fine as well. Thank you for your
41 attention, and I'm happy to answer any questions.

42
43 **CHAIRMAN POWERS:** Thank you. The floor is open. The OFL, using
44 this process, has not changed. The ABC is 456,000, and the
45 reference level for the -- The ABC before was 305,000, correct?

46
47 **MR. SMITH:** Yes, that is correct.

48

1 **CHAIRMAN POWERS:** Okay. All right. Any discussion? Paul.
2

3 **DR. SAMMARCO:** Great presentation. I enjoyed that. Many a
4 triggerfish has tried to take most of my hair out when I'm
5 diving and bounced up against my mask, but I had a -- It's more
6 of a comment than a question, and I can't tell you what slide it
7 was, and it was probably about eight or ten slides back, but I
8 was thinking your numbers are six figures or so, and they are
9 fairly variable, depending on what you're using as a measure,
10 and you're using, of course, your raw numbers to run your
11 equations on and so forth.

12
13 I was going to suggest, just for kicks, to try taking your raw
14 numbers, and I'm looking at one here of 305,300, and using a log
15 transform on your numbers. I think you'll find that your data
16 on your graphs is not quite as variable as it might appear at
17 first. Also, if you used logs of those numbers, and you pump
18 them through your equations, and then, after you get the number
19 you're looking for, back-transform it, I think you will find it
20 fairly similar to the ones you're getting using the raw numbers.

21
22 The main thing about it is it would give you a -- It gets rid of
23 a lot of the noise, so you can see some sweet trends in the data
24 without the bounce, and it's a fun exercise, and I'm just
25 suggesting it, to give it a go and see how it goes. Thank you.

26
27 **CHAIRMAN POWERS:** Thank you. Luiz.

28
29 **DR. BARBIERI:** Thank you, Mr. Chairman. Matt, thank you. Great
30 presentation. My head is still spinning a little bit, because
31 this is a lot of information to take in, and so I'm trying to
32 kind of think my way through this.

33
34 If you don't mind going back to Slide 4, in a nutshell,
35 basically, I think what we are trying to do is use an index-
36 based approach to scale the ABC value there, the 305,300 that
37 has been in place since 2012, but it's based on data from 2010,
38 which was the last year of data into the assessment, and to
39 scale that forward, right?

40
41 **MR. SMITH:** Yes. That's 100 percent correct.

42
43 **DR. BARBIERI:** All right. Wow. I mean, I have been thinking
44 about this, and I see the value of these interim analyses, and I
45 guess usually it has been Skyler that came over and gave us
46 presentations on those, but they are really sort of done to kind
47 of update the data in between assessments, but usually you don't
48 have this long time period.

1
2 Like, if you go now to your Slide 14, because, really, yes, we
3 have the index there, and, of course, this is an index-based
4 approach, but we really know nothing else about the dynamics,
5 what might be driving the dynamics, of this stock, since the
6 assessment was conducted so long ago, and the terminal year of
7 data is 2010.

8
9 I am just trying to digest that this -- It's quite the leap of
10 faith, and it's nothing to do with the process that you followed
11 here, Matt, and I think that this is straight-up well done, but
12 I just wonder if we are not pushing the intent of the interim
13 analysis here beyond what would be its reasonable capabilities,
14 and so I'm going to just stop there and let others discuss some
15 points as well.

16
17 **CHAIRMAN POWERS:** Thank you, Luiz. In a sense, and I don't know
18 if Skyler -- We went through actually a SEDAR process for data-
19 limited, in which we used either index or average catch,
20 weighted average catch, or something like that, and, in those
21 particular cases, you still had to kind of come to an agreement
22 about what to assume what the initial conditions are for a
23 completely data-poor.

24
25 Conceptually, the way I interpret this is going on, is you are
26 using essentially those data-poor methods, but you're defining
27 those initial conditions based on something from an assessment,
28 the 305,300, and so, in essence, you are essentially defining
29 this as a completely data-poor, no stock assessment sort of
30 situation, but you are limiting it a little bit by what the
31 assessment said in 2012, and, conceptually, that's, I think, in
32 essence, what is going on. Is there somebody that disagrees
33 with that? If not, David.

34
35 **DR. CHAGARIS:** Thank you. I guess a little bit of follow-up to
36 maybe what Luiz was getting at, and that is that I think one of
37 the downsides of this approach is that it is really completely
38 disconnected from the population dynamics, and it seems like it
39 would be a big jump, if you've already gone through the process
40 of extending the index, and you have the catch data for the
41 interim years, to actually put those values back into the
42 assessment model and keep a bunch of parameters fixed, but then
43 estimate what you need to project through those years of
44 data.

45
46 Especially when you have a long time period, such as this, I
47 don't know if it's possible, because -- I may be incorrect, but
48 I think the index shown here for the interim analysis was not in

1 the previous assessment, and so that could be an issue.
2

3 Then the other point to kind of bring up is that this does
4 assume strong proportionality between the index and the stock
5 size, and, I mean, it is a fisheries-independent survey, and so
6 that's good, but that's definitely something that I think should
7 be evaluated, and so I wonder if you guys looked at the
8 performance of the interim analysis under different assumptions
9 about proportionality.

10
11 **MR. SMITH:** To a certain extent, yes, and, ideally, those
12 comparisons will be made within the MSE process, when that's
13 fully operational, and so, like I said, we did do some runs, and
14 we basically only had one performance metric in those MSEs, and
15 that was looking at SSB over SSB 30 percent, to compare, but we
16 did, in the process, a variety of different averaging of the
17 buffering approaches, of the smoothing approaches, and we used a
18 number of different reference values, possible candidate
19 reference values, and then we looked across all of the indices
20 we had available and ran numerous simulations for each scenario
21 and plotted out the uncertainty and the bias potentially
22 associated with the different runs.

23
24 We used those to guide the decisions that we came to, to the
25 extent that we could, given the limitations of the MSE and its
26 early stages right now, and I don't know if that answers your
27 question.

28
29 Other than that, we definitely understand that you're making a
30 pretty strong assumption by assuming that the abundance follows
31 the index, and we're hoping that the MSE will be able to provide
32 the quantitative support for future versions of this, as it
33 started to for this current one, to allow us to say,
34 definitively one way or the other, that one of these achieves
35 the management objectives that we're trying to achieve better
36 than the other, or, if it comes down to a few candidates, that
37 then we can bring those options to the SSC and they can weigh
38 the tradeoffs between catch stability or probability of
39 overfishing or becoming overfished or whatever it is that we
40 deem to be the most important.

41
42 **CHAIRMAN POWERS:** Thank you.
43

44 **DR. CHAGARIS:** Thank you, Matt. That does answer my question,
45 and, if you're not aware, you might want to take a look at the
46 Gulf menhaden MSE that Doug Butterworth was working on for the
47 last year or so, and I think that had a pretty robust management
48 strategy evaluation around that, and it's very similar to what

1 you guys are looking to do.
2

3 **CHAIRMAN POWERS:** Sean.
4

5 **DR. POWERS:** Thanks, Joe. I guess I am really concerned,
6 obviously, about this assumption of proportionality, and the
7 index doesn't seem to give you as much contrast as you would
8 think with the stock as low as we thought it went, and I have
9 two questions. One is this index is only from a certain section
10 of Florida, correct?
11

12 **MR. SMITH:** That's not entirely correct. This index now
13 encompasses three different video surveys that essentially
14 extend from the Gulf of Mexico all the way to -- Not quite the
15 tip of Florida, but pretty far down the West Florida Shelf, and
16 so it's the FWRI index, which operates pretty much off of Tampa,
17 the Panama City index, which encompasses the Bend, and the
18 Pascagoula survey, which is deeper waters, but it encompasses
19 almost the entire eastern portion of the Gulf of Mexico.
20

21 **DR. POWERS:** My understanding is the FWRI is new, and so that
22 wouldn't help us in the very long time series, and the Panama
23 City is the most relevant one, because it's got the highest
24 abundances on the video, and the deeper Gulf-wide one really
25 doesn't pick up that many triggerfish. Is that an unfair
26 characterization?
27

28 **MR. SMITH:** No, I don't think it's an unfair characterization of
29 the video surveys.
30

31 **DR. POWERS:** That's what my point was, that it's mainly the
32 Panama City video survey that's driving it.
33

34 **MR. SMITH:** I guess it has most of the positive results, yes.
35 They are not combined naively, and they are combined through a
36 model-based approach that takes into account habitat and
37 individual surveys, to try to account for those differences in
38 the survey, but you are correct that most of the positive
39 observations came from the Panama City Lab, but I don't think
40 that comes at the expense of the other two surveys.
41

42 **DR. POWERS:** I am not criticizing the survey. I mean, it is
43 what it is, and I think you guys have done a fabulous job
44 getting it to an index, and I am just trying to wrap my head
45 around the limitations of why it wouldn't be necessarily
46 proportional.
47

48 The other one is did you all try to see what the index value was

1 with the other indices, just to get a range? I mean, I don't
2 think the other indices -- This is the one that I would have
3 chosen, if I had to choose an index, but I was just wondering
4 what the range would be if you chose another index.

5
6 **MR. SMITH:** We did not, as part of this exercise, and part of
7 that has to do with time constraints, and part of it has to do
8 with the spirit of these interim assessments in general, and
9 this kind of plays back into what Dave had said before about
10 kind of creeping this into a larger stock assessment.

11
12 These are meant to be produced quickly and regularly, and it's
13 possible that we'll be up to a point, in the not-too distant
14 future, where we'll be doing one of these for almost all, if not
15 all, of the stocks that are managed, on an annual basis, and so
16 we're very cognizant, at the Science Center, about avoiding
17 mission creep on these, which, if we're going to start running
18 every possible index, to see what they look like, that's not a
19 ton of extra work, but it is extra work, and it will start to
20 add up and chew into analysts' time for other tasks.

21
22 The short answer is, no, we did not do that for this, and we are
23 certainly open to considering combination of indices in the
24 future, and that's one thing that we've talked quite a bit
25 about, in terms of running these through the MSE, is, rather
26 than just doing individual indices, to try combinations of
27 indices, to see if there are some advantages to going down that
28 road, but I think I would caution against pushing towards trying
29 to do this for every available index for every species and then
30 allowing subjective decisions to be made based off of the result
31 of those.

32
33 We're hoping to get to a situation where the MSE can be
34 conducted separate from the advice process, and thoroughly
35 reviewed, and then we settle on an index and a harvest control
36 rule, and then advice will be produced annually, or as demanded,
37 from that point on, until such time down the road, whether that
38 be five years or ten years or whatever time period, where we
39 decide again, as a group, that we need to revisit the index
40 harvest control rule combination, and then we would conduct the
41 MSE again.

42
43 It's all in the spirit of streamlining this process, so that we
44 can provide as much advice to the council as we possibly can in
45 the time that we have, with the limited staff.

46
47 **DR. POWERS:** Okay. Thanks. One more clarification. What is
48 the years for the FWRI? Is that 2017, 2018, and 2019?

1
2 **MR. SMITH:** The FWRI component of the survey goes from 2010
3 through 2019.
4

5 **DR. POWERS:** Thanks.
6

7 **CHAIRMAN POWERS:** Ryan.
8

9 **MR. RINDONE:** Thank you, sir. I just wanted to remind the SSC
10 that the purpose of the interim process, or the interim analysis
11 process, is to provide advice to the SSC to consider for the
12 council in between assessments, and it's not intended to replace
13 the other parts of the actual SEDAR stock assessment process.
14

15 If you guys -- I know that we had issues with SEDAR 62, and
16 we're working on getting a research track lined up for gray
17 triggerfish in the future, but, in the meantime, this is a tool
18 that can be used to try to take a glimpse at what's going on
19 with the stock and to help the council to revise catch
20 accordingly, if it's appropriate to do so, but this is not meant
21 to take the place of an operational assessment. Those would
22 still need to be considered and scheduled by the council, with
23 input from the SSC at appropriate intervals, like they would for
24 any other species. Thank you.
25

26 **CHAIRMAN POWERS:** Thank you. Carrie Simmons.
27

28 **EXECUTIVE DIRECTOR CARRIE SIMMONS:** Thank you, Mr. Chair. I
29 just -- I guess I wanted to make it clear, and maybe reiterate
30 what Matt said, that we did have an approved stock assessment,
31 and it was in 2015, right, Matt?
32

33 That did include the last terminal year of data was 2014, or
34 2015, and then the council did put in a rebuilding plan for
35 triggerfish, and they decided to stay with the 305,300, and that
36 was implemented in January of 2018, and so it's not that old.
37 It was a conscious decision by the council to keep that ABC of
38 the 305,300, and so we have a more recent stock assessment that
39 was approved by the SSC, I believe in 2016, early 2016.
40

41 I did have a question for Matt. In the SEDAR 43 that was done,
42 was the Panama City index included in that assessment, the
43 visual survey?
44

45 **MR. SMITH:** I would have to go back and check, but my guess
46 would be that, if a video index was going to be included, it
47 would have been the Pascagoula survey. We typically don't
48 include, or haven't included, in the assessments that I have

1 worked on, multiple video indices.
2

3 **EXECUTIVE DIRECTOR SIMMONS:** Right, and so I was thinking that
4 it might be the Panama City one. I will look it up. I thought
5 you might know. Thank you.
6

7 **MR. SMITH:** I did not. Sorry.
8

9 **CHAIRMAN POWERS:** Thank you. Again, we are being asked to
10 provide ABC advice, and an option for approaching this has been
11 presented here. If we did nothing, presumably the 305,300 would
12 remain as our determination of ABC. What do you want to do?
13

14 **DR. POWERS:** Joe, that 305,300 -- Based on what Carrie said, it
15 sounded like the council had some room to increase that, because
16 some of our subsequent ABC recommendations were higher in the
17 series, and did I hear that correctly, Carrie?
18

19 **EXECUTIVE DIRECTOR SIMMONS:** Yes, that is correct. I believe
20 the eight-year rebuilding time series was a little bit lower,
21 but the nine and ten were higher, and the council went with no
22 action and kept the ABC of the 305,300. They made other
23 management changes, and I think they increased the recreational
24 minimum size limit to fifteen. Within the twenty-reef-fish bag
25 limit, they reduced it to one fish, and they closed it in
26 January and February for the recreational sector.
27

28 **CHAIRMAN POWERS:** So what's the will of the SSC? Essentially,
29 the way I kind of interpret this, there was a decision made, an
30 analysis made, that originally established this reference level
31 of 305,300 pounds, and that becomes sort of the standard to
32 which we're kind of comparing.
33

34 There is a process of adjustment that has gone through a fair
35 amount of analysis, and particularly in the context of the data-
36 poor limitations for SEDAR and the efforts that Skyler has done,
37 and, if you did that and scaled it to what we thought we knew in
38 2012, then you would go through this adjustment to 456,000.
39

40 There have already been discussions about how well the index
41 might provide support for that increase, and, in essence, is
42 that index indicative of the changes in the stock, proportional
43 to the stock, and so that's kind of where we land.
44

45 **MR. RINDONE:** Looking at our SEDAR schedule, we have a gray
46 triggerfish research track scheduled to begin in 2023, and this
47 is tentatively scheduled, and so the SEDAR Steering Committee
48 has accepted the SEDAR cooperator requests for 2023, but we

1 still need to finalize all the scheduling with the Science
2 Center before we can say that that's nailed down, but it is on
3 the schedule.

4
5 You figure the time it takes to complete a research track,
6 followed by an operational assessment, and it could be 2025
7 before the council gets management advice, and so using these
8 interim analyses is something that you guys should consider.
9

10 **CHAIRMAN POWERS:** What's on the screen? I am not sure what is
11 there, and can you make it bigger, so that I can actually see
12 it?

13
14 **MR. RINDONE:** This is from Reef Fish Amendment 46, which
15 characterizes the gray triggerfish rebuilding plan, and what you
16 see on the screen is Action 2, which established the annual
17 catch limits and catch targets for gray triggerfish, and the
18 council chose the no action alternative, which is Alternative 1,
19 which maintained an ABC of 305,300 pounds. Then you can see how
20 that's divided up between the commercial and recreational
21 sectors, which have 21 percent and 79 percent of the stock ACL
22 allocated to them, respectively.
23

24 **CHAIRMAN POWERS:** All right. Thank you. Carrie, did you have a
25 comment?
26

27 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair. I think Ryan
28 covered most of it, but I was just going to point out that I
29 think Dr. Powers, Sean Powers, asked about the council had an
30 option to increase the catch levels from the last assessment,
31 and they decided to keep status quo, and that just shows what
32 the options were under the various rebuilding plans after SEDAR
33 in 2015. That's what we were bringing up. Thanks.
34

35 **CHAIRMAN POWERS:** Thank you.
36

37 **MR. RINDONE:** So that would be the 225,333, 403,333, and 551,667
38 values, and those were all in pounds whole weight.
39

40 **CHAIRMAN POWERS:** Thank you. What's the wishes of the SSC?
41 David.
42

43 **DR. CHAGARIS:** Just a quick question. Does somebody know what
44 percent of the ACL has been landed in the last few years?
45

46 **MR. RINDONE:** Hold, please. For 2019, the recreational sector
47 landed 129 percent of its ACL, using CHTS data currency, and was
48 closed in May. The commercial has been under pretty regularly,

1 as Matt had said, but I will look up 2019 data. 98 percent of
2 its ACL for the commercial sector.

3
4 Then, if we go back, and you can find all this stuff on the
5 Southeast Regional Office's ACL monitoring webpage, for those
6 that want to dig through it at home. Historically, for the
7 commercial sector, for gray triggerfish, in 2018, they were at
8 102 percent of their ACL, and then this is going 2017, 2016, et
9 cetera, but 98.7 percent, 93.3, 74.9, 63.8, 115, and 113. On
10 the average, they have been under their ACL, if I were
11 eyeballing that.

12
13 Then, recreationally, historically, the ACL has been exceeded
14 every year since 2015, the most of which was in 2017. 313
15 percent, almost 314 percent, of the ACL was landed. That was
16 due to an overage in the previous year.

17
18 **DR. CHAGARIS:** Thank you for that, Ryan.
19

20 **CHAIRMAN POWERS:** All right. Thank you. What I would like is a
21 motion, some sort of discussion to move ahead, and I think that
22 there are several options. We can basically say the ABC is the
23 456,000, in essence saying that this methodology is appropriate,
24 and we might do that and say that this is appropriate just for
25 two years, three years, five years, and we might take the option
26 that, while this might be appropriate at some point in time,
27 we're unwilling to buy off on it now, in which case you leave it
28 at the 305,000.

29
30 Those are the range of things that we are talking about, and so,
31 obviously, in a data-poor situation like this, the reason we
32 have difficulty with decisions is because it's data poor, and so
33 you have to kind of build in there that you know you're going to
34 be wrong a fair amount of the time. David.

35
36 **DR. CHAGARIS:** It's not a motion, but I'm just wondering if
37 there's any way that we can lean on our P* decision criteria to
38 use this approach, but reflect our uncertainty. I mean,
39 essentially, we're treating the index like a stock assessment,
40 and we would typically go through some process of incorporating
41 our uncertainties into the decision process, and so I wonder if
42 there's a way to think about that.

43
44 **CHAIRMAN POWERS:** Well, in essence, what you're doing here is
45 saying that this is a data-poor stock, which effectively would
46 reduce it -- It would reduce the tier you're trying to deal with
47 it for, and so it would be part of the control rule, but not
48 necessarily going through the whole P* sort of situation.

1 That's essentially it. To me, this certainly is consistent with
2 the data-limited approaches. Shannon.

3
4 **DR. CALAY:** I was just going to lend a little bit of support. I
5 do realize that this is quite a data-limited approach,
6 particularly given that the management advice we're adjusting is
7 from an assessment that is quite old, but the balance of
8 information that we've received indicates that the stock has
9 increased in recent years, and the MSE basically supported this
10 index that's shown on the screen as the most reliable index.

11
12 The whole point of using a moving average is to attempt to not
13 adjust too strongly based on one annual estimate, and so it is a
14 way of attempting to acknowledge the uncertainty in the annual
15 estimates, and so I did want to say that, even though,
16 obviously, a full stock assessment would give us better
17 information, or even -- Well, certainly a full stock assessment,
18 but I do think that, even though the stock has experienced some
19 recent overages, the indices suggest the stock is increasing,
20 and so I'm fairly confident that we could adjust the ABC
21 somewhat to reflect that increase, and that's essentially what
22 we've done in this approach.

23
24 **CHAIRMAN POWERS:** Again, if we take that approach, you can -- We
25 could specify that it only occurs for two years or five years,
26 and then suggest that, if there was no interim analysis that was
27 done in three years, for example, then it would revert to the
28 305,000. I mean, I think there's some flexibility there. We
29 need to move on this. Sean.

30
31 **DR. POWERS:** (Dr. Powers' comment is not audible on the
32 recording.)

33
34 **MR. RINDONE:** Sean, you sound like you have the worst laryngitis
35 ever.

36
37 **DR. POWERS:** (Dr. Powers' comment is not audible on the
38 recording.)

39
40 **MR. RINDONE:** He sent a motion. Jess will pull it up. **Mr.**
41 **Chair, Sean's motion is on the board.**

42
43 **CHAIRMAN POWERS:** Okay. Is there a second?

44
45 **SSC MEMBER:** Mr. Chairman, I will second that.

46
47 **CHAIRMAN POWERS:** All right. Thank you. This is where, for
48 those of us that are kind of edgy about this, we might put in --

1 Not necessarily in this motion, but in a subsequent motion, say,
2 after 2023, the ABC should be X, unless another interim analysis
3 is done. I mean, the frequency of interim analyses -- If this
4 were voted for and accepted, would there be an interim analysis
5 required in 2023 or 2024? That's a question. Ryan.
6

7 **MR. RINDONE:** Thank you, Mr. Chair. You guys can recommend to
8 the council the frequency with which you think you should be
9 reviewing interim analyses, be that annually or biannually or
10 what have you, and we, of course, would have to try to work with
11 the Science Center and their workload to find ways to
12 accommodate whatever the council ultimately decides to request.
13

14 The way that this is set up, it's such that -- Again, it would
15 stay at 456,900 for 2023 and subsequent years, and that's the
16 way that would be written into the regulations, and so basically
17 until changed.
18

19 **MR. GILL:** Mr. Chairman?

20
21 **CHAIRMAN POWERS:** Yes. Thank you. Go ahead, Bob.

22
23 **MR. GILL:** Thank you, sir. You're getting to the friendly
24 amendment that I wanted to see if Sean would accept, and that
25 is, after "2023", we add the words "and interim analysis for
26 2024 forward be conducted at that time".
27

28 **MR. RINDONE:** Mr. Chair?

29
30 **CHAIRMAN POWERS:** Go ahead, Ryan.

31
32 **MR. RINDONE:** Just a couple of points. It probably would be
33 good to mention the species in the motion and to note that the -
34 -- The SSC recommends an ABC for gray triggerfish.
35

36 **DR. NANCE:** I would put it up as based on the gray triggerfish
37 interim analysis.
38

39 **MR. RINDONE:** There you go. Just somewhere. Then, after the
40 "456,900", to put "pounds whole weight". Then, to address Mr.
41 Gill's edit to the motion, I think it's important to remember
42 that we have to send a letter requesting the work be done by the
43 Science Center, and they would figure out who is going to do it,
44 and you never know. Matt might win the lottery and decide to
45 buy himself a small island in Panama and just that's it for him,
46 and so they will have to task somebody to do it.
47

48 They will have to go through and evaluate the analysis

1 internally and then bring it to you guys, and you guys will have
2 to review it, and then the council has to look at your
3 recommendations and initiate council staff to do a thing. The
4 council staff will have to do that thing, and then that gets
5 sent to NMFS, and then that gets made into a rule.
6

7 By then, what we have started at the end of 2023 and the
8 beginning of 2024 is dusty, and so some consideration of the
9 time it takes to go from science to management to law would
10 probably be a good consideration to make.
11

12 **CHAIRMAN POWERS:** That was one of the reasons -- A way to kind
13 of get at this the same way was to say, in 2024, the ABC would
14 revert to 305,000, unless information indicated otherwise, and
15 that would kind of force the issue. How the timing went on and
16 everything else would be left to the intricacies of the
17 agencies. Doug.
18

19 **MR. GREGORY:** With all due respect, Ryan, I think you made it
20 way more complicated than it is. My memory is that we were
21 told, in the beginning of this whole concept of interim
22 analyses, that we could virtually get them annually, in lieu of
23 updates and standards and operational and research tracks, and I
24 think we ought to -- We the SSC, and not at this meeting, but at
25 a future near meeting, set our own schedule.
26

27 Let's look at the SEDAR schedule for stock assessments, and
28 let's develop a maybe even longer schedule, and I know Ryan has
29 done this for the council in the past, and go beyond what the
30 SEDAR timeframe is, but to give us a roadmap, and we can include
31 -- We can identify when we want interim analysis of different
32 species, and even identify why, and that will help us, because
33 this is supposed to be kind of a quick-and-dirty assessment, to
34 let us let the council have some insight as to where they can go
35 from year to year, or every two years, at the longest period of
36 time, and so I don't think we have to worry about getting
37 another interim analysis in four years. It will happen.
38 Anybody can request it. I see Shannon just popped up, and so I
39 said something wrong.
40

41 **CHAIRMAN POWERS:** Let me go first with Ryan and then Shannon.
42

43 **MR. RINDONE:** Thank you, Mr. Chair. It's the ultimate goal of
44 the Science Center to be able to host the method for doing these
45 interim analyses online, such that the council could request one
46 digitally and basically just -- I may be oversimplifying this,
47 and I'm sure that Shannon will correct me if I do, but go to a
48 drop-down menu, pick your species, say give me an interim

1 analysis, and the MSE runs in the background, and the updated
2 catch advice and all the tables and figures that are requisite
3 for it are automatically produced.

4
5 The SSC could decide that it's going to review certain species
6 every year at certain times of year, or every other year, or
7 whatever the pleasure, and the council is actually going to have
8 a discussion about these interim analyses and their timing and
9 use and management at the October council meeting.

10
11 What I described that Doug said was probably too deep of a dive,
12 is the way that the process exists currently, but it is the
13 Science Center's desire that the vast majority of this process
14 be automated to increase throughput and to provide better
15 flexibility to the councils for when they request these and how
16 they use them. Thanks.

17
18 **CHAIRMAN POWERS:** Shannon.

19
20 **DR. CALAY:** Yes, certainly we are investing heavily in the
21 automation that will be required to run these things more
22 frequently, and we do envision a day when we would be able to
23 run many of these each year.

24
25 The complication right now is that, in order to test which of
26 the available indices is most appropriate, that does require MSE
27 work, and so it won't initially be that fast, but I do agree
28 that we can certainly look at the available time as part of our
29 process of writing our calendars and workplans for each year,
30 and we could set aside a certain amount of time to do some of
31 these interim assessment approaches. The trick would be
32 prioritizing them, because there is MSE work required to ensure
33 we're using the most appropriate index.

34
35 **CHAIRMAN POWERS:** Thank you. John Mareska.

36
37 **MR. MARESKA:** I think, in this time of transition, I think it's
38 important that this also be indicated that these units are in
39 CHTS, if I heard Ryan correctly, so that, in a couple of years,
40 when we look back on it, there is no confusion.

41
42 I think it's important that we look at this again in the near
43 future, because I think, this year in particular, in 2020, with
44 everybody going fishing as an alternative for COVID activities,
45 I think we're going to see that we're going to have some really
46 unusual numbers in this year, and so we may want to address this
47 perhaps sooner than 2024, particularly if we see something very
48 interesting, by 2022, that happened during this year. If Sean

1 would accept a friendly amendment, I would like to add "CHTS"
2 into that motion.

3
4 **CHAIRMAN POWERS:** What's that the acronym for? It's for the
5 Household Telephone?

6
7 **MR. RINDONE:** The Coastal Household Telephone Survey. John,
8 where did you want to put that?

9
10 **MR. MARESKA:** Can we put that behind the "whole weight"?

11
12 **MR. RINDONE:** Just put, in parentheses, "MRIP-CHTS"?

13
14 **MR. MARESKA:** Yes.

15
16 **MR. RINDONE:** Is that what you're thinking?

17
18 **MR. MARESKA:** It is.

19
20 **MR. RINDONE:** Okay.

21
22 **MR. MARESKA:** Ryan, while I've got you, do we need an OFL? I
23 know that's in our statement of work, to have an OFL as well,
24 and so --

25
26 **MR. RINDONE:** If you guys choose not to -- I mean, that
27 information wasn't presented to you today, and the ABC that is
28 being discussed in this motion is still below the OFL that's
29 codified in the regs, and so you do not have to address that at
30 this point. I think the OFL is like 1.2 million pounds-ish.
31 It's 1.22 million pounds, and so you still have a fair bit of
32 separation between the current OFL and the proposed ABC in this
33 motion.

34
35 **CHAIRMAN POWERS:** One other question. Do we have to have some
36 sort of statement that says it's the best available data?

37
38 **MR. RINDONE:** That would be good to add, I think, if that's what
39 you guys feel about the interim analysis.

40
41 **MR. MARESKA:** So, after "the SSC recommends", can we add "is
42 suitable for management", "and an ABC". That's it. Thank you.

43
44 **CHAIRMAN POWERS:** Thank you. All right.

45
46 **MR. RINDONE:** So I'm reading this, and -- The SSC recommends
47 that the gray triggerfish interim analysis is suitable for
48 management, and --

1
2 **DR. NANCE:** Ryan, I think it should be "the SSC finds the gray
3 triggerfish interim analysis suitable for management and
4 recommends".

5
6 **MR. RINDONE:** There you go. Then delete "based on". It
7 suitable for management and recommends an ABC.

8
9 **CHAIRMAN POWERS:** Thank you. Is everybody happy with that, all
10 the proposed motioners and all the seconders?

11
12 **DR. NANCE:** It looks good.

13
14 **DR. POWERS:** Yes.

15
16 **CHAIRMAN POWERS:** Ken Roberts.

17
18 **DR. ROBERTS:** Just a question. I don't know what the MRIP and
19 the CHTS have to do with that, in parentheses. What does that
20 add to the motion?

21
22 **MR. RINDONE:** Ken, the 456,900 pounds is in the data currency
23 commensurate with the data generated by the Coastal Household
24 Telephone Survey, which was the old effort survey used by MRIP,
25 as opposed to the Fishing Effort Survey, which is the new effort
26 survey that has been used for the assessments of red grouper and
27 vermilion snapper and cobia that you guys have already seen, and
28 the FES is the one that has been showing increases in the
29 estimates for catch and effort.

30
31 **DR. ROBERTS:** I understand that, but I just don't understand why
32 the telephone survey is --

33
34 **MR. RINDONE:** It's like the difference between specifying it in
35 terms of pounds or yen or dollars or what have you. It's the
36 currency in which the data were collected and the catch estimate
37 is provided.

38
39 **DR. ROBERTS:** I thought the telephone survey was not going to be
40 used in the future.

41
42 **MR. RINDONE:** Until we have another stock assessment, it's the
43 data currency in which we have to operate, because we don't have
44 other data that have gone through an accepted assessment yet.

45
46 **DR. ROBERTS:** I thought the telephone survey had been evaluated
47 and found not to be very strong, so to speak, and I'm trying to
48 find out -- Is that going to be used in the future, even though

1 we know there's some lack of faith in the strength of that
2 procedure?

3
4 **MR. RINDONE:** Effectively, what's happening now is the catch and
5 effort is being recorded using the Fishing Effort Survey and,
6 using a ratio adjustment, it's back-calculated into the Coastal
7 Household Telephone Survey data currency, and so, in effect, it
8 isn't being used anymore, but we have a method for converting
9 back to that data currency, for comparison, if you will, and for
10 being able to provide catch recommendations in situations like
11 this, where the SEDAR 62 assessment was stopped, and that's what
12 would have ultimately changed us over, for gray triggerfish,
13 from CHTS to FES.

14
15 **CHAIRMAN POWERS:** So, effectively, when this gets applied at the
16 management level, another conversion will take place, correct?

17
18 **MR. RINDONE:** Well, in effect, it already has taken place.
19

20 **CHAIRMAN POWERS:** Okay. Kai.
21

22 **DR. LORENZEN:** It was on the same point, and it's clear now,
23 because this interim analysis essentially starts off from that
24 previous assessment that used MRIP-CHTS, and so it's the same
25 currency, but it doesn't mean that the telephone survey is
26 actually being used, and, of course, it's not even conducted
27 anymore.

28
29 **CHAIRMAN POWERS:** John Mareska.
30

31 **MR. MARESKA:** You and Ryan addressed my comments.
32

33 **CHAIRMAN POWERS:** Shannon.
34

35 **DR. CALAY:** I think my comment has been addressed. I mean,
36 essentially, the important thing is to know that this
37 recommendation is in the CHTS currency, because we're adjusting
38 the ABC on the books, and so a -- The conversion could be
39 applied to change currencies, but that typically is not applied
40 by the Science Center. Typically, that is applied when
41 management occurs.

42
43 **CHAIRMAN POWERS:** Thank you. Harry.
44

45 **MR. BLANCHET:** I'm sorry. I raised my hand trying to get
46 unmuted.
47

48 **CHAIRMAN POWERS:** All right. If there's no other discussion,

1 then let me take a bold leap of faith here. **Are there any**
2 **objections to this motion? If not, then the motion carries.**
3 That concludes the section on the interim analysis. We do have
4 the Something's Fishy document.
5

6 **MR. RINDONE:** I will go through that. This iteration of
7 Something's Fishy was completed for SEDAR 62. Since we
8 completed the work on it, we'll just go ahead and present it to
9 you guys, really quickly.
10

11 We'll go real quick through this. Again, this is a tool that
12 we're using to collect input from active fishermen on trends or
13 unusual occurrences, and so responses were collected for gray
14 triggerfish from April 16 to May 10 of last year.
15

16 There were a total of 132 respondents, and you can see here that
17 they were mostly private anglers that made up the respondents,
18 followed by for-hire and then the commercial sector. The manual
19 response sentiment indicated a largely positive trend, followed
20 by neutral and negative, and the automated analysis also showed
21 a trend towards positive comments.
22

23 The majority of responses came off of Alabama through central
24 Florida, with a very large majority of them coming from the
25 Panhandle area. This is the word cloud that shows the word
26 association, with the words showing up in black being the
27 negative and then the orange being the positive, and so there
28 are lots of folks talking about there being large numbers of
29 large fish in large abundance, and we had to move "nuisance"
30 from negative to positive.
31

32 Folks were saying that triggers are larger than they've been in
33 the past, and there's so many of them that they're doing harm,
34 that they're eating up other fish, and smaller triggers are more
35 abundant. We heard that there were less triggerfish now off of
36 Texas, but they're more abundant off of Florida, and we've heard
37 that the rebuilding of red snapper and greater amberjack could
38 be harming triggerfish and that some of the triggerfish have a
39 strange chemical smell, which was a comment from the northern
40 Gulf. That's it. Any questions?
41

42 **CHAIRMAN POWERS:** Any questions or comments? Ken.
43

44 **DR. ROBERTS:** Thank you, Mr. Chairman. I don't want to slow
45 things down, but a clarification for me. The for-hire or
46 charter boat side, or the response, those are the captains of
47 the vessels or the people who use that as a method to catch the
48 triggerfish?

1
2 **MR. RINDONE:** The way that they're identified is as captains, or
3 operators.

4
5 **DR. ROBERTS:** Okay. Thank you.

6
7 **CHAIRMAN POWERS:** All right. Thank you. Any other comments on
8 this?

9
10 **DR. SAMMARCO:** A question, please. You mentioned that some of
11 the respondents had mentioned a chemical smell to the queen
12 triggerfish, and do you recall whether that comment was across
13 the Gulf, or was it centered in one area of the Gulf, in like
14 Galveston or Pensacola or whatever?

15
16 **MR. RINDONE:** Emily is really the better person to answer that,
17 and she had to step into another call, but I recall it being a
18 northern Gulf comment, when I was talking to her about it last,
19 but I can circle back on that.

20
21 **DR. SAMMARCO:** Okay. Thank you.

22
23 **CHAIRMAN POWERS:** Thank you. If there are no other comments,
24 then let's take a five-minute break right here, and then we're
25 going to move on to Agenda Item VII, which is the gray snapper
26 terms of reference, and so let's take a five-minute break.

27
28 (Whereupon, a brief recess was taken.)

29
30 **CHAIRMAN POWERS:** We're on to Agenda Item VII, Review of Gray
31 Snapper Terms of Reference. Ryan.

32
33 **REVIEW OF SEDAR 75: GULF OF MEXICO GRAY SNAPPER TERMS OF
34 REFERENCE, SCHEDULE, AND PARTICIPANT SOLICITATION**

35
36 **MR. RINDONE:** The terms of reference that were based on the
37 scope of work that you guys had approved for gray snapper are up
38 on the screen, and they are Item 12a, and you guys should have
39 had an opportunity to go through these and see if there were any
40 additions or modifications that you wanted to make. I think
41 that Doug had an edit that he wanted to make.

42
43 **MR. GREGORY:** If I may, Jessica, I sent in a draft motion this
44 morning, if it went through. Basically, we had some lengthy
45 discussions last year over the scope of work and some of the
46 reproductive stuff. The Gulf Council, on September 30 of last
47 year, wrote a letter to the Science Center with the draft terms
48 of reference, or scope of work, that the SSC had approved.

1
2 In that letter to the Southeast Science Center, based on the
3 conversations we had with the Science Center and among ourselves
4 at that earlier SSC meeting, the council letter had this phrase
5 "consider SEDAR 51 recommendations and any new information for
6 reproduction".
7

8 The terms of reference that came back from the Science Center
9 had deleted this phrase, and I would like to reinsert it in the
10 terms of reference. I mean, we have a commitment from the
11 Center, from last year, and I have it on the record, that they
12 could do this with no trouble, as a sensitivity run.
13

14 If you remember our discussion last year, it had some confusion,
15 and I was asking for a base run, or an alternative run, and I
16 didn't realize what that involved, and so, if there's any
17 objection to this from the Center, I think now is the time to
18 hear that, and, if not, I would like to have this included in
19 the terms of reference, like it was in the letter originally
20 submitted by the council.
21

22 **CHAIRMAN POWERS:** All right. Thank you. Is there a second?
23

24 **MR. GILL:** I will second for discussion.
25

26 **CHAIRMAN POWERS:** All right. Then discussion. I remember we
27 went through the discussion, and I don't remember all the
28 details about the letter, but I do remember the discussion.
29 Shannon.
30

31 **DR. CALAY:** I also remember this discussion. I don't think
32 there is any particular concern about adding this term of
33 reference. I recall at least a conversation about a specific
34 mortality function, or maturity function, and my apologies, and
35 we hesitate from writing specific formulations into terms of
36 reference, because that's not really the way it should work. We
37 should review the information and decide what the best available
38 science suggests.
39

40 I don't have any particular concern about this term of
41 reference. The only thing I would say is that, as our
42 operational stock assessments get closer to a benchmarking
43 procedure, the length of the calendar might need to be
44 increased, and so there must be some assessments that are nearly
45 mature that could be done more quickly, but the gray snapper
46 stock assessment is a fairly elaborate set of terms of
47 reference, and that just may have to be reflected in the
48 ultimate calendar for that stock assessment. It may take us

1 longer to be able to do more work.
2

3 **CHAIRMAN POWERS:** Thank you. Are there any other comments on
4 this motion?
5

6 **MR. RINDONE:** Dr. Powers, I do. Doug, under which term of
7 reference would you like to have this motion apply? At first
8 blush, I would think Term of Reference Number 2 would be an
9 appropriate home for it, but without speaking for you.
10

11 **MR. GREGORY:** I think this is exact wording that was in the
12 letter from the council, and so just insert it after the other
13 two "considers", just like in the original letter of request
14 from the council.
15

16 **MR. RINDONE:** Okay. Julie, if you're listening in, we would put
17 it after the first "to" and before the last "consider" bullet
18 under Term of Reference Number 2.
19

20 **DR. NEER:** Ryan, could you put up the terms of reference, so we
21 can see, just to make sure that everyone is in agreement on
22 where that's going? You just had it up there a minute ago.
23

24 **MR. RINDONE:** Jess will pull it up. Hold on.
25

26 **DR. NEER:** Thank you.
27

28 **MR. GREGORY:** It was after the phrase "consider SEDAR 51
29 recommendations for growth", after that insert, and I think it
30 was the second-to-last insert under 2.
31

32 **MR. RINDONE:** So recommend natural mortality and then growth,
33 and then the next -- It will become the second-to-last bullet,
34 is essentially what we're saying, for Term of Reference Number
35 2. Doug's motion would become the second-to-last -- We're not
36 going to delete that one, and we're going to add another one.
37

38 **CHAIRMAN POWERS:** All right. Then was there any other
39 discussion about this?
40

41 **MR. GILL:** Mr. Chairman, as previously noted, the TOR does not
42 identify what kind of assessment this is, and I think that needs
43 to be determined and added.
44

45 **CHAIRMAN POWERS:** Because Doug chose to do this in a formal
46 motion, let's get rid of the motion, and then we can go on for
47 further discussion about the terms of reference.
48

1 **MR. GILL:** My apologies, sir.
2

3 **CHAIRMAN POWERS:** Okay. No problem. **Is there any objection to**
4 **this motion? If not, then it will be included in the place**
5 **rendered.** All right. Bob, returning to you.
6

7 **MR. GILL:** As previously mentioned, the TORs, as currently
8 written, does not identify what kind of assessment is being
9 conducted, and I think it needs to be determined and added.
10

11 **MR. RINDONE:** Mr. Chair, I will add in that it's an operational
12 assessment, underneath the header. It will say "Operational
13 Assessment Terms of Reference", just for clarity for that. Will
14 that do, Bob?
15

16 **MR. GILL:** That's fine. Thank you, sir.
17

18 **MR. RINDONE:** Okay. Then we had a motion also from Steven
19 Scyphers that was sent in, Mr. Chair.
20

21 **CHAIRMAN POWERS:** Okay. While she's pulling that up, Carrie,
22 did you want to make a comment?
23

24 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair. I just
25 wanted to confirm with Julie, Dr. Neer, that this is the last
26 operational assessment that we have, that is scheduled, where we
27 would not indicate, in the letter to you all, that we want a
28 topical working group, because this actually has an assessment
29 panel, and is that correct?
30

31 **DR. NEER:** Carrie, I'm not going to say for absolute 100 percent
32 sure that this will be the last one, but that is our intent.
33 This is our -- We are supposed to be transitioning to using
34 operational assessments with topical working groups starting in
35 2022, but some are starting earlier and some are starting later,
36 and so, yes, but I'm not going to say for sure that we won't
37 have one that will show up somewhere in between that we'll have
38 to adjust in that transition period of moving from assessment
39 panels to topical working groups. I believe this will be the
40 last assessment panel for an operational assessment for the Gulf
41 of Mexico Fishery Management Council. I believe.
42

43 **EXECUTIVE DIRECTOR SIMMONS:** Okay. Thank you. I just wanted to
44 make sure that we don't need to think about working groups now,
45 and just remind us when we need to do that, because it's a new
46 process for us, or it's a different process for us. Thank you.
47

48 **DR. NEER:** Yes. Absolutely. The statements of work will be

1 written differently as well, to account for the topical working
2 groups, and we'll have to modify the ones that were already done
3 for 2022, and Ryan and I have been working on that already, but
4 I will make sure it is clear when we send the briefing
5 materials, or request for approval for briefing materials.
6

7 **CHAIRMAN POWERS:** All right. Thank you. **This was a motion that**
8 **was just brought up, and who did this?**
9

10 **MR. RINDONE:** Steven Scyphers. Steven, do you want to speak?
11

12 **DR. SCYPHERS:** Sure. Thank you, Mr. Chair. This is just a
13 small proposed addition, and it's very similar to a terms of
14 reference from SEDAR 64 on yellowtail snapper, which was --
15 That's basically just notes that I included in the email, if you
16 would like to delete that part.
17

18 I thought it could be something that we could include, in
19 addition to the efforts that the council has been doing with
20 their tools and stakeholder engagement, and it could just
21 provide a broader umbrella for any potential social science or
22 economics data that could be brought forward in the context of
23 the assessment process, and that other terms of reference also
24 included that, as practical, in it. Thank you.
25

26 **CHAIRMAN POWERS:** Okay. Thank you. Any comments on this? **Any**
27 **objection to this? If not --** If you have further suggestions,
28 and I don't think we have to go through a motion process, and
29 it's more recommendations, and so just bring them up, and we
30 don't necessarily have to do it through a motion, I don't think.
31 Are there other things on the terms of reference? Anything
32 else?
33

34 **MR. RINDONE:** Next would be the schedule.
35

36 **DR. NEER:** Ryan, could we get a motion to approve the terms of
37 reference, please?
38

39 **MR. RINDONE:** Sure. Yes. Mr. Chair, please. So to approve as
40 amended.
41

42 **CHAIRMAN POWERS:** The terms of reference --
43

44 **MR. GREGORY:** I so move.
45

46 **DR. NEER:** For SEDAR 75, Gulf of Mexico gray snapper.
47

48 **CHAIRMAN POWERS:** Do we have a second?

1
2 **MR. GILL:** Second.
3
4 **CHAIRMAN POWERS:** Thank you. Is there discussion? **Any**
5 **objections? None, and the terms of reference will go forward as**
6 **amended.**

7
8 **MR. RINDONE:** Next is the schedule, and that is Item 12b, and
9 it's up now. We are approving the terms of reference and the
10 schedule now, and --

11
12 **DR. NEER:** We need participants too for this one.

13
14 **MR. RINDONE:** Yes, and we'll need participants as well, and so,
15 guys, be taking a look at when things are occurring. If you
16 think you would want to participate, and all the data deadlines
17 and everything are all in here, and hopefully we'll be able to
18 have a workshop in-person, if we don't get COVID-ed out of it,
19 and then there will be a series of assessment webinars following
20 that, and the goal is to have a completed report submitted to
21 the council in November, which you guys would probably see the
22 following January, unless the council wanted a special meeting
23 convened.

24
25 **DR. NEER:** Just a note that these were submitted for approval
26 prior to Jeff Isely's retirement from the Science Center, and so
27 it will be Nancie Cummings who will be the lead analyst, and I
28 will make sure that is updated on the schedule. I apologize.

29
30 **MR. RINDONE:** Any edits to the schedule, Mr. Chair, or concerns?

31
32 **CHAIRMAN POWERS:** Not from me. Anybody else?

33
34 **MR. GREGORY:** I would just note that this is taking over a year,
35 to do an operational assessment, and so I don't know how much
36 time savings we're accumulating by dropping the benchmark and
37 doing this, where this is supposed to be more like a standard or
38 an update. I have a feeling we're just going to have mission
39 creep all along this.

40
41 **CHAIRMAN POWERS:** Perhaps. Perhaps. Ryan and then Shannon.

42
43 **MR. RINDONE:** Thank you, Mr. Chair. To Doug's point, there is a
44 lot that we are trying to accomplish in this operational
45 assessment beyond just turning the crank, and so that's part of
46 the reason why there's more time built into trying to handle
47 everything.

48

1 The migration to FES from CHTS will be more burdensome with gray
2 snapper, due to trying to reconcile some of the difficulties
3 with looking at the shore component of the private recreational
4 sector, and then there's some other aspects related to the life
5 history that we've already touched on that will take some time
6 to look at as well, and so that's part of the reason for there
7 being more time budgeted for this one. Thank you.

8

9 **CHAIRMAN POWERS:** Thank you. Shannon, did you want to --

10

11 **DR. CALAY:** Thanks. I mean, that's exactly the point. An
12 operational assessment now can be anything, from a strict update
13 to something much closer to a benchmark, and this one, the way
14 the terms of reference are written, is much closer to a
15 benchmark assessment and will require more time than a strict
16 update, and that's why there is flexibility.

17

18 It's intended, so that we can address concerns that arise or new
19 information that arises in a stock assessment, but the reality
20 is that you can't get -- You can't get a benchmark assessment in
21 a shorter timeframe. It's just not possible for the analytical
22 team to turn it around more quickly, and so, if you do want more
23 throughput, then we have to do more interim assessments, and we
24 need to do things that are closer to strict updates.

25

26 I also wanted to mention that we need a little bit of
27 flexibility on assigning a lead analyst for this stock
28 assessment, because we are undergoing, currently, a
29 restructuring, and we will, ultimately, be dividing the Gulf and
30 Caribbean group up into a Gulf group and a Caribbean group, and,
31 right now, Nancie Cummings is assigned to the Caribbean group,
32 and so it's likely we'll have to put in a different lead by the
33 time the stock assessment is actually conducted, and it could
34 well be Adyan Rios, and Katie will get back to you with a final
35 designee soon, Katie Siegfried.

36

37 **DR. NEER:** I hope it's soon, because we start in November, and
38 I'm sending the doodle poll out on Monday.

39

40 **DR. CALAY:** Well, internally, we've discussed this, and I think
41 we are pretty confident that we'll be putting Adyan Rios in that
42 spot for the time being.

43

44 **DR. NEER:** Okay. Katie can let me know.

45

46 **DR. CALAY:** Sure. Thank you.

47

48 **CHAIRMAN POWERS:** Thank you. Any other comments on the

1 schedule? Do we have to have a motion about the schedule?
2

3 **MR. RINDONE:** Please.
4

5 **CHAIRMAN POWERS:** Use the same terminology there and just say,
6 instead of "terms of reference", say "the schedule".
7

8 **DR. NEER:** Project schedule.
9

10 **CHAIRMAN POWERS:** You don't have to say "as amended".
11

12 **MR. GILL:** So moved, Mr. Chairman.
13

14 **CHAIRMAN POWERS:** All right. Do we have a second?
15

16 **DR. NANCE:** I will second.
17

18 **CHAIRMAN POWERS:** Any other discussion? **If not, any objection
to this motion? The motion carries.** The next thing was
20 solicitation of people to do this, to be a part of this, to be
21 part of the team.
22

23 **DR. NANCE:** Joe, I will put my hat in there.
24

25 **CHAIRMAN POWERS:** Ryan, how many people are you looking for?
26

27 **MR. RINDONE:** We can have eight participants and four industry
28 observers. Typically, we appoint three to four SSC members, but
29 as many as would like to volunteer can do so, and then the
30 council will select from those that have volunteered to
31 participate.
32

33 **CHAIRMAN POWERS:** A lot of names are being given here, and are
34 these names of people that are volunteering or people that want
35 to talk? We have Jim Nance who volunteered. Kai Lorenzen, are
36 you volunteering?
37

38 **DR. LORENZEN:** Yes, I am.
39

40 **CHAIRMAN POWERS:** Okay. Jim Tolan.
41

42 **DR. TOLAN:** Yes, I am. I would like to see this one through to
43 the end.
44

45 **CHAIRMAN POWERS:** Okay. Doug Gregory.
46

47 **MR. GREGORY:** I would like to participate, definitely.
48

1 **CHAIRMAN POWERS:** Steven Scyphers.

2

3 **DR. SCYPHERS:** Yes, I am, too. Thanks.

4

5 **CHAIRMAN POWERS:** Jim, did you want to discuss anything more?

6

7 **DR. NANCE:** No, and I was just making sure I was on the list,

8 Joe. Thank you.

9

10 **CHAIRMAN POWERS:** Okay. Then that's an adequate list, is it

11 not?

12

13 **MR. RINDONE:** That is adequate, and I will go ahead and have Joe

14 Powers on there as well.

15

16 **CHAIRMAN POWERS:** Okay. All right. I think that's it for this

17 agenda item.

18

19 **MR. RINDONE:** Yes, that takes care of gray snapper.

20

21 **CHAIRMAN POWERS:** Okay. Good. Moving right along then,

22 carryover in the ITQ, the red snapper ITQ.

23

24 **MR. RINDONE:** Dr. Stephen, are you available? That's right.

25 Dr. Powers, we were -- She is on. Okay. Let's see if she's

26 available.

27

28 **DR. JESSICA STEVEN:** I'm here.

29

30 **MR. RINDONE:** Perfect. Okay. Dr. Stephen, we will pull your

31 presentation up.

32

33 **DISCUSSION OF CARRYOVER IN THE RED SNAPPER INDIVIDUAL FISHING**

34 **QUOTA PROGRAM**

35

36 **DR. STEPHEN:** All right, and so I just wanted to go through --

37 This is a presentation that we updated from a previous council

38 meeting, and we'll probably update it again for the next one,

39 and, during kind of the presentation of what we were seeing in

40 the IFQ for the pandemic, it became suggested that we should

41 present this to the SSC as well.

42

43 I just wanted to let you know what we're going to go through,

44 and there are a lot of species in IFQs, but we picked our three

45 main primary species to go through, and we looked at red

46 snapper, gag, and red grouper. We did a couple of different

47 ways of analyzing the data, and we looked at the landings data

48 from 2020 and compared it to 2019, as well as compared it to the

1 average of 2017 to 2019, and I just wanted to let you know that
2 we were looking at the pounds landed, and we had a trip proxy,
3 and so IFQ doesn't report trips, but we looked at each landing
4 transaction as a proxy for trips, knowing that it's fairly
5 similar, though not exact.

6
7 The other things we looked at were the ex-vessel total value and
8 the average ex-vessel price. What we did is we had all the 2017
9 to 2019 set to the 2019 standards. 2020, we left the way it is
10 without an inflation adjustment, because the 2020 data is still
11 changing fairly rapidly, and it's a little bit hard to figure
12 out what will be the end inflation adjusted for that year.
13

14 I also have allocations, and, here, we're just comparing 2020 to
15 2019, with the total value as well as the average price per
16 pound for allocation, number of pounds transferred, and number
17 of transactions. Then I will finish up with just a little bit
18 of carryover considerations, and this might be where the SSC
19 comes into play.
20

21 All of the graphs are set up in a similar fashion. This is red
22 snapper in the upper-left-hand corner, and you see the trip
23 count, with the light-blue line representing 2020, and so you
24 can see that 2020 is lower than 2019, the black-dashed line, or
25 the average of 2017 to 2019, which is the gray line, but we are
26 starting to see that it's within the bounds of what we've had,
27 looking at variation over time, and you do see that where it
28 started to deviate was around Week 9, which is right about when
29 social distancing first started really taking a large part in
30 the Gulf region.
31

32 If we look at the pounds landed, we see that 2020 really started
33 to diverge quite a bit around Weeks 15 and 16 to 18, but, as
34 we're getting up here closer to Week 32, we're starting to see
35 it converge back closer to a normal pattern. Similar things can
36 be seen here in the total ex-vessel value.
37

38 Now, when we looked at the weekly average ex-vessel price per
39 pound -- Keep in mind that this information is a little bit more
40 dynamic, and weeks aren't always the same, and so kind of ignore
41 Week 1, where we have a very low price, and that's because it
42 wasn't a full week in each calendar year, but you can look here,
43 and we dipped really low around Week 15 and 16 in average ex-
44 vessel prices, way beneath what our upper and lower bounds were,
45 and now we're seeing that it's coming back a little bit more
46 similar to where we were for past years.
47

48 The same set of graphs, but this time we're looking at gag

1 instead, and you will see oftentimes a similar pattern. I do
2 want to take note that the pounds landed for gag in 2019 were
3 higher than usual, and so you see that 2019 value up there, but,
4 if we're looking at 2020 and the pounds landed, we're, again,
5 converging back close to the average of 2017 to 2019.
6

7 When you look at ex-vessel price, we are noticing that we're
8 actually curving above the average of 2017 to 2019, and then,
9 looking at the weekly price per pound, we were much higher
10 initially, before the pandemic, and so gag was set to have a
11 fairly strong average ex-vessel price, but you can see, once the
12 pandemic hits, the average ex-vessel price drops fairly low, and
13 then it becomes close to the average mark.
14

15 A similar process is going on with red grouper. We're seeing
16 that trips overall are a little bit lower than in past years,
17 and, when we look at pounds landed, we see here that we're
18 fairly similar to 2019. Now, keep in mind there was a pretty
19 dramatic quota shift in red grouper, and that's influencing the
20 2017 to 2019 average pounds landed compared to the 2019 and
21 2020, and so, here, you want to really concentrate on the 2019
22 to 2020, and it's a little bit more of an apples-to-apples
23 comparison.
24

25 Similar with the total ex-vessel value, and red grouper started
26 like gag, a little bit greater in the beginning of the year, and
27 the pandemic hit, and it didn't initially affect the total ex-
28 vessel value, but, as you see, when we get really into the
29 pandemic, in Weeks 15 and 16, and we start seeing a decrease,
30 and now we're seeing a little bit more of an uptick. A similar
31 pattern can also be seen in the weekly average ex-vessel price,
32 where we start at above average, and then it dropped, but it
33 always remained somewhat above the average for 2017 to 2019.
34

35 Now I'm going to switch to the allocation, and so, for the
36 allocation, we're looking at the pounds of allocation
37 transferred and we're looking at the average prices transferred.
38 In the upper-left-hand corner, what we see is the cumulative
39 weekly allocation total values, and that's overall, and we're
40 just summing up the different allocation prices for the
41 transfers over time. You can see there's not a strong
42 difference, really, between 2019 and 2020, minus that little
43 dip, again, in the weeks that we saw before, around Week 16.
44

45 When we look at the cumulative weekly allocation pounds
46 transferred, we see that actually 2020 was transferring more
47 pounds than 2019. Now, this could be due to some people
48 transferring it and then transferring it back if they weren't

1 able to fish, and so there might be other reasons that are
2 driving in, and that increase, of course, started early in the
3 season, prior to the pandemic, and so the pre-pandemic is shaded
4 in light blue in these graphs.

5
6 In the lower-left-hand corner, we have the cumulative weekly
7 allocation transactions, and that's how many transactions are
8 going on within the system. Keep in mind that not every
9 allocation transaction is equal to another one, and so someone
10 could transfer five pounds or 5,000 pounds, but we're just
11 looking at the number of transactions.

12
13 Then, when we look at the weekly allocation average price per
14 pound, we can see that there were some differences early on,
15 pre-pandemic, and we dropped, again, with the orange in 2020,
16 and coming on in Week 10, and we stayed pretty low, but, right
17 now, we're averaging, in these later weeks, fairly similar to
18 what we have in past years.

19
20 This is a similar set of graphs, and we're just looking at gag
21 instead, and you can see here that gag, in general, in 2020, had
22 less total allocation value being transferred, and that widened
23 the gap as we got further on, and so the pandemic potentially
24 was influencing that as we moved along.

25
26 If we look at the cumulative weekly allocation in pounds
27 transferred, and so how many pounds were transferred each week,
28 we see a similar pattern, in that 2020 is lower than usual, but,
29 coming up towards the later weeks, it's getting a little bit
30 more similar to where we have been before, and so it looks like
31 they're making up for some of that lost ground.

32
33 Looking at the cumulative weekly allocation transactions,
34 there's not a large amount of differences here, and, in the
35 later weeks, we're pretty much dead-on to what we've seen in
36 past years, and then the average allocation price per pound,
37 again, was significant lower initially, starting here for gag
38 pre-pandemic, and then it jumped up a little bit, and, right
39 now, we're still lower than we would have expected at this point
40 in time in the year.

41
42 Red grouper is a very similar pattern here to gag going on, and,
43 again, you see a much lower weekly allocation total value, and
44 the pounds transferred are lower, again, in 2020, even though
45 the number of transactions we have are roughly the same.
46 Allocation price per pound hasn't changed that dramatically
47 throughout 2020 as a whole, and this might be a little bit more
48 influenced as well by the lower quota that is occurring and its

1 effect on allocation price.
2

3 What I wanted to do is kind of give you guys a comparison of
4 where we are up through July, and so this was done a little bit
5 in advance of this meeting, and so we looked at, in July, each
6 of the share categories and where we were in landings compared
7 to previous years, and so you can see that, while we are
8 somewhat lower in some of the share categories, we're not that
9 far off from where we have been.

10
11 I do want to point out that red grouper, in 2019, we see this 16
12 percent, and, again, this is being driven because it's a
13 percentage of the quota, and the quota changed dramatically in
14 red grouper, and so that's some of the information to keep in
15 mind as you're looking at this. The percentages might not tell
16 you the entire story.

17
18 Then, if we look at the percentage of quota landed annually,
19 here's another one of how we typically see landings throughout
20 the entire year, and so 2017 to 2019 are full-year landings, and
21 the 2020 is the year-to-date that we had up through August 13,
22 and so it does not represent the entire year.

23
24 Typically, with red snapper, we see 99.6 or more percentage of
25 the landings, of the quota landed, and, right now, we're at 59.4
26 percent, and so we're probably a little bit behind where we
27 would have been, but we might still make high into the ninety-
28 nine percentages by the end of the year, and you can see, in the
29 other categories, that we have some variations as well going
30 through.

31
32 I will take any questions first on the data presented, and then
33 I'll get into what are some of the potential issues that we
34 might look into for considering carryover, and so I'm just going
35 to pause here for a second.

36
37 **CHAIRMAN POWERS:** Is there any questions? Carrie.

38
39 **DR. MACLAUCHLIN-BUCK:** I have a question about this last slide
40 with the year-to-date. As you said, you're a little bit behind,
41 and so you've been able to kind of compare where everybody was
42 in like the same time in past years, and so you know there
43 should be like a fall bump coming, or it doesn't look like
44 you're going to get it, get close to those past year
45 percentages?

46
47 **DR. STEPHEN:** Some of the share categories are a little variable
48 over time, and like shallow-water grouper is one that we

1 typically don't have a high percentage, and so you can see we've
2 gotten, in the past, 38 percent, 34, 26, and we're at 20. Other
3 ones, like red snapper, we typically land the entire thing.

4
5 If you go back one slide, this is the slide that kind of shows
6 the same point in time, and it happens to be July instead of
7 August at this point, and so this is the end of July for each
8 share category for each year. Here you can see, for red
9 snapper, we're at 55. Last year, at that same point in time, we
10 were at 58 percent. I'm going to skip red grouper, just because
11 it's really unusual with the quota change.

12
13 For gag, we're at 36 percent. In past years, we were at 35, 31,
14 or 44 at the end of July, and so this is what the indication is,
15 looking at these, that we're not too far off from where we were
16 in past years, simple due to the pandemic, and so I'm going to
17 ignore things like the drastic quota change in red grouper,
18 which would affect things like this. Does that help?

19
20 **DR. MACLAUCHLIN-BUCK:** Yes. I have one more question, but I
21 will get in the queue again.

22
23 **CHAIRMAN POWERS:** All right. Ken Roberts.

24
25 **DR. ROBERTS:** Thank you, Mr. Chairman. Do you have any idea of
26 what the number of quota holders on red snapper are
27 participating in the transfers, compared to previous years,
28 during the pandemic compared to the previous years? Not just
29 the number of transactions and pounds and value, but the
30 percentage of the people who are actually utilizing transfers.

31
32 **DR. STEPHEN:** No, I have not dug into that data, but we can look
33 into that and get back to you, if you would like some more
34 information on it. When it comes to kind of allocation
35 transfers, looking at that data, I would be curious to figure
36 out how much that has to associate with people who own shares or
37 don't own shares and what effect that might be having, and so I
38 would assume, in the pandemic, that that might be some of the
39 differences going on.

40
41 **DR. ROBERTS:** The other thing in there, if I could continue, is
42 the distinction between the people who are making the transfers
43 who don't fish, or maybe never have fished, and, if you could
44 delve into that a little bit too, I think it would be useful to
45 find out the number of participants and not just the number of
46 pounds and whatnot.

47
48 **DR. STEPHEN:** That's one of the analyses that gets a little bit

1 trickier, because of, in the IFQ system, we have a lot of what
2 we call related accounts, and so somebody might incorporate a
3 company in the same name as their vessel and then have another
4 vessel and incorporate the company in that vessel's name, yet
5 they might store all their allocation and shares in an account
6 that doesn't have a permit, and so trying to figure out who is
7 actually fishing and not fishing, with the related account
8 aspects, makes it a little bit trickier of an analysis.
9

10 When we look at it just straight out, it gives typically an
11 impression -- Red snapper is one I know a little bit better, and
12 we typically have what we call about 30 percent of the accounts
13 without permits that are owning shares and potentially
14 transferring allocation. When you dig into the related
15 accounts, that percentage drops dramatically.
16

17 **DR. ROBERTS:** Thank you. I appreciate that very much.
18

19 **DR. STEPHEN:** Yes.
20

21 **CHAIRMAN POWERS:** Thank you. I would return to Kari.
22

23 **DR. MACLAUCHLIN-BUCK:** Thank you. I think that this will be
24 important, at least for me, in thinking about the carryover
25 discussion, and can you talk a little bit about the impacts of
26 the pandemic on the industry, even if it's just anecdotal?
27

28 **DR. STEPHEN:** I am not quite sure how much I can contribute to
29 this. We had a lot of discussions early in the pandemic, when
30 the restaurants were being closed down, that we were hearing
31 that this was the largest impact in the fishery, if you think of
32 our fisheries are often more kind of fresh product, and they are
33 frequently selling to the restaurants, and so it does differ a
34 little bit by what state you're in and what the state is doing
35 for each of the different social distancing requirements coming
36 through.
37

38 What we did find is that there were a lot of dealers that just
39 weren't accepting fish at a certain point in time, and there
40 were dealers that were getting a little careful about how they
41 did it, making sure that they were able to move that product and
42 not have it just stored in the freezer or go bad, and a lot of
43 them started to get a little creative in how they were selling,
44 and so opening up for the public to come straight to the dealer
45 to get it.
46

47 My guess is that didn't come in anywhere close to what their
48 normal business practice is, and so we don't, in the IFQ system,

1 collect a lot of that information, and most of it is word-of-
2 mouth, when we're talking to the fishermen on the phone, and so,
3 in general, I would say it varied by state-to-state, and it also
4 varied by whether the restaurants were open or closed and how
5 they were selling things and that process.

6
7 Also, with economic kind of problems, selling fresh seafood to
8 stores might have also become another issue, where they weren't
9 doing as well as in the past, and that's all purely anecdotal,
10 and I have no data on that, just to be clear.

11
12 **DR. MACLAUCHLIN-BUCK:** Okay. Thank you.
13

14 **CHAIRMAN POWERS:** Thank you. Ryan.
15

16 **MR. RINDONE:** Thank you, Mr. Chair. Just to pile onto the
17 anecdotal side of things, some fishermen that we've talked to
18 have said that there were some examples of them taking turns
19 going out, when you had groups of fishermen that were all
20 selling to the same fish house, because there is only so much
21 that the fish house could actually buy and store and move, based
22 on what the restaurant scene looked like at the time.
23

24 I know that -- I don't know if Leann is still on, but I think
25 she had said -- She is. I think there has been some brief
26 conversation about vessel-of-opportunity sorts of situations for
27 the shrimp fleet, saying that they could be available to help
28 with carrying some of the surveying load, and I forget which
29 meeting I heard that mentioned at last, but, basically, some of
30 the fishermen are basically looking for alternative ways of
31 trying to bring in revenue when fishing was down, but, as
32 restaurants have opened back up more, and people have started
33 visiting those establishments more, the fishermen are seeing a
34 little bit of a turnaround, but it's still not what it was pre-
35 pandemic.
36

37 **CHAIRMAN POWERS:** Thank you. Andrew.
38

39 **DR. ROPICKI:** Along those same lines, at the University of
40 Florida, me and some colleagues at the Food and Resource
41 Economics Department did some COVID surveys, and we had a number
42 of the commercial fishermen tell us, and it was specific to
43 grouper and snapper, that the fish houses in Florida were asking
44 them to bring in smaller fish. They wanted retail fish, as
45 opposed to restaurant fish, things they could sell through their
46 fish market.
47

48 The other thing we heard, or found, was, when we surveyed the

1 fish houses, the wholesale dealers, as you would expect, the
2 restaurant business was well down, but they were actually doing
3 better, the ones that had their own affiliated retail market,
4 where they sold seafood through it, and that was kind of a
5 saving grace, but I don't want to get us too far off topic, and
6 I just wanted to throw that out there.

7

8 **CHAIRMAN POWERS:** Thank you. Okay. Then you were going to
9 continue on with the presentation?

10

11 **DR. STEPHEN:** All right. If we can just go one more slide, this
12 is a little bit of kind of information. Currently, our IFQ
13 system is in the middle of a migration to a new database and
14 frontend, and our old software is end-of-life, and hopefully we
15 will be transitioning in the fall or winter of 2020, and so keep
16 in mind that any potential carryover changes might be slightly
17 inhibited, due to the change in the catch share system as we're
18 migrating, and so I just wanted to make sure that was at the
19 forefront of everyone's minds.

20

21 Thinking about potential carryover timelines, if carryover is
22 decided as an option, we would have to calculate the remaining
23 amount of carryover on December 31, 2020. For those of you
24 unfamiliar with the catch share system, we're up 365 days a
25 year, but, on December 31 at 6:00 p.m., we shut down the system.
26 Typically, what happens is we take back all the allocation,
27 because it is considered annual, and we don't open the system
28 back up until 2:00 p.m. on January 1.

29

30 Any calculation would have to occur during that point in time,
31 and, of course, if we are going to do any carryover, the SSC
32 needs to approve a new ABC with the carryover of pounds, and
33 that can have no negative impact on the SSB or rebuilding time,
34 and it must consider any buffer between ABC and OFL. If
35 approved for a carryover, the disbursement most likely would
36 have to happen in the first quarter and not on January 1, like
37 when we distribute the rest of the allocation.

38

39 These were just some of the 2020 management values for you.
40 Keep in mind that the IFQ system is in gutted weight, but the
41 red snapper quota is set in whole weight pounds, which is why I
42 showed them both here, showing here the difference between the
43 commercial quota, the commercial ACL, and then the difference
44 between the OFL minus the ABC. Note that that OFL and ABCs are
45 all sectors combined.

46

47 These are carryover questions, and they're a little bit more for
48 the Gulf Council, but I did want the SSC to be aware of some of

1 the questions that would be occurring with the Gulf Council, if
2 they decide to move over, and some of the questions is whether
3 carryover should occur in all of the share categories or just
4 some of them, and keep in mind something like shallow-water
5 grouper.

6
7 Typically, at the end of the year, it wasn't getting much more
8 than 30 or 40 percent of the quota landed to begin with, and so
9 that may not be appropriate for carryover, versus red snapper,
10 which traditionally got close to 99 percent of the quota landed.

11
12 Whether we could do a full or partial carryover of the remaining
13 allocation, and this might be for those share categories that
14 fall in the middle, that typically get maybe up to 80 percent
15 landed, and how much of that do you want to carry over, and
16 then, of course, the questions the council will have to answer
17 will be who gets -- The recipients of that carryover, and do we
18 give it to the shareholders, the way we do allocation at the
19 start of the year, or do we look at who the allocation holders
20 were at the end of the year, or do we only distribute to those
21 people who had landings during the year? Then, of course, how
22 do we go about that? We'll have to think about things such as
23 proportional or equal distributions.

24
25 Then the impact that that might have on multiuse, and so this is
26 another question I think the SSC needs to be aware of. We have
27 gag and red grouper multiuse that are calculated by formulas
28 between the difference in the ACL in the quota between the two
29 different species. If we carry over one species and not the
30 other, we'll have to think about what those implications are,
31 and maybe we might have to adjust the formula, moving forward,
32 or maybe we implement a carryover that does not have a multiuse
33 component.

34
35 Typically, if multiuse is available in both species, people who
36 have shares in red grouper get allocation of red grouper, as
37 well as allocation of red grouper multi. Allocation of red
38 grouper multi has to be first used in red grouper, and then it
39 can be used in gag. Likewise, the opposite is true for the gag.
40 That might be the last slide.

41
42 **CHAIRMAN POWERS:** Yes, it is.

43
44 **DR. STEPHEN:** I would be happy to answer any questions here,
45 too.

46
47 **CHAIRMAN POWERS:** Thank you. From the SSC perspective, one
48 should be aware of all of this, but, also, some issues in terms

1 of how to adjust the ABC accordingly, and I think that's
2 something that we're going to have to think about. Kai.
3

4 **DR. LORENZEN:** I was reminded that we explored a lot of these
5 things recently, one or two years ago, in the context of the
6 recreational fisheries, and, if I remember -- Not questions to
7 do specifically with IFQs, obviously, and the IFQ internal
8 allocation problems that were brought up here, but in terms of
9 impact on rebuilding timelines and so on, and I was wondering
10 whether you have looked at these analyses, because I think they
11 answer some of the questions to do with the ABCs and so on.
12

13 **CHAIRMAN POWERS:** Thank you. Did you want to respond to that?
14

15 **DR. STEPHEN:** I will say that we did raise those points to the
16 council and looked at some other amendments that we had that
17 were starting initially to look at this, but, in both of those,
18 IFQ was not considered at that time, and I think it has some
19 added dimensions to it that made us a little bit more cautious
20 in moving forward.
21

22 **CHAIRMAN POWERS:** Okay. Andrew.
23

24 **DR. ROPICKI:** I just wanted to note, with regard to a couple of
25 these carryover questions, the recipient of carryover question -
26 - I mean, I guess I just want to get this on the record, but I
27 feel like it should be the allocation holder. It should be
28 whoever holds the allocation at the end of the year, because we
29 would guess that they purchased it from a shareholder, if they
30 don't own shares. The same thing with the distribution
31 calculations, and it seems, to me, like that one should be
32 whatever the remaining allocation is associated with each
33 account, but I just wanted to throw those two things out there.
34

35 **CHAIRMAN POWERS:** Thank you. Anything from anybody else? If
36 not, then thank you very much for this presentation.
37

38 **DR. STEPHEN:** Thank you. Then I'm assuming -- This will go in
39 front of the council at the abbreviated council meeting coming
40 up, and, if there are decisions made, my guess is it would come
41 back in front of the SSC again.
42

43 **CHAIRMAN POWERS:** Okay. Thank you.
44

45 **MR. RINDONE:** Dr. Powers, your excitement was overwhelming.
46

47 **CHAIRMAN POWERS:** Excitement about what? No, and I started
48 thinking ahead about 6:00 p.m. and that sort of thing, and I

1 would like to get as much done today as we can, and I'm sort of
2 shooting for at least to be able to get through, on this agenda,
3 IX and X, the discussion of the research track and the
4 allocation review procedures, and then leave tomorrow for gag
5 spatial management and sex change and the habitat research and
6 the red snapper supply chain.

7
8 Part of this is I'm sort of guessing that the Louisiana people
9 might not be available tomorrow, or might not be available now,
10 and so, anyway, let's plan on trying to get through IX and X
11 here, and so let's move on to SEDAR 74, discussion of the
12 research track, Ryan and Julie.

13
14 **MR. RINDONE:** First, I think Carrie wants to say something.
15

16 **CHAIRMAN POWERS:** I didn't see that. Sorry.
17

18 **EXECUTIVE DIRECTOR SIMMONS:** Thanks, Mr. Chair. Sorry to
19 sidetrack us, but I think, at the end of the meeting, we
20 probably should talk about whether this group should convene
21 tomorrow or not, and I would leave it up to you all, but it is a
22 Category 2 now predicted, and it's moving east. It looks like
23 it's going to hit Alabama and Mississippi pretty hard, and so I
24 don't know what the group's feeling is about trying to meet
25 tomorrow, but I appreciate everyone's hard work in getting
26 through all these agenda items today. Thank you.
27

28 **CHAIRMAN POWERS:** That was sort of my thing. The business-
29 related items, which are less interesting scientifically, I
30 think we can get through today, which is going through IX and X,
31 and then we'll kind of see it from there. Ryan, the research
32 track and red snapper terms of reference.
33

34 **REVIEW OF SEDAR 74: RED SNAPPER RESEARCH TRACK** 35

36 **MR. RINDONE:** All right. These terms of reference were
37 developed by the planning team for this research track
38 assessment, and this is the opportunity for you guys to take a
39 look and to make modifications, as you think are appropriate,
40 and so, with that, and without going through each of these
41 things line-by-line, I will open the floor for any comments or
42 edits, et cetera.
43

44 **CHAIRMAN POWERS:** Are there any comments, edits, et cetera?
45 Doug.
46

47 **MR. GREGORY:** I don't have any edits, and this is quite
48 extensive, but I don't recall seeing a scope of work, and so

1 maybe we don't get scopes of work for research tracks.
2

3 **MR. RINDONE:** Doug is right that we do not get scopes of work
4 for research tracks, and that's because we have dedicated
5 planning teams that evaluate what was done in the previous
6 assessments and what the past research recommendations were.
7 Given the data available and the time being budgeted, they
8 develop this proposed terms of reference, using all of that
9 information, and so the planning team consists of SEDAR,
10 council, Science Center, and an SSC member. We have teamed up
11 to present this to you guys, as you see it, and so, if there's
12 anything that you think has been left out, or anything that's a
13 step too far, or in between of that, just let us know, and we'll
14 make those edits.

15
16 **CHAIRMAN POWERS:** Bob, go ahead.
17

18 **MR. GILL:** Thank you, Mr. Chairman. A question for Ryan. On
19 Reference Number 3, the fourth bullet, is it intended that that
20 includes a commercial index for the 2007 through current, or
21 something close to it, timeframe as well, or is that not?
22

23 **MR. RINDONE:** We talked about that, and the goal is to look at
24 the post-IFQ years also, and we have more post-IFQ
25 implementation CPUE for red snapper than we do for any other
26 species, since it was the first one, and, as you have insinuated
27 through your question, this is something that has kind of dogged
28 us for a whole, and I will defer to folks from the Science
29 Center, specifically Matt, if he's still on, to speak more
30 specifically about this, but, yes, the goal is to investigate
31 this again.
32

33 **CHAIRMAN POWERS:** Thank you. Doug.
34

35 **MR. GREGORY:** I have a question. On Item 9, I don't know what
36 "CMS" is. Develop an updated CMS recruitment index.
37

38 **MR. RINDONE:** CMS stands for connectivity modeling system, or
39 simulation, and it's a product that Mandy Karnauskas and her
40 team created a few years ago, and they have published a few
41 papers on it, and it's a useful tool for recruitment
42 forecasting. It's actually pretty neat.
43

44 **MR. GREGORY:** I just wanted to say to spell it out the first
45 time it's used.
46

47 **MR. RINDONE:** You're right. We can do that.
48

1 **MR. GREGORY:** Thank you.
2

3 **CHAIRMAN POWERS:** Thank you. Any other comments? Benny.
4

5 **DR. GALLAWAY:** Is there -- I can't see the entire thing, and I
6 don't have it in front of me, but is there -- Will this
7 assessment address density-dependent, or independent, mortality?
8 It's been recommended in each stock assessment, and I just
9 wondered if it was going to be covered.
10

11 **MR. RINDONE:** We don't have that listed as a specific term of
12 reference here.
13

14 **DR. GALLAWAY:** Am I in error that it's been recommended by each
15 of the last three or four reviews that it be addressed?
16

17 **CHAIRMAN POWERS:** Okay, and, Benny, can you kind of explain what
18 it is that you're talking about here?
19

20 **DR. GALLAWAY:** Sure. It's been suggested that juvenile
21 mortality, in addition to being quite high, is actually density
22 dependent, with recruitment inversely related to fecundity, or
23 they are high natural mortality, right, and, the higher the
24 number of age-zeroes produced, the higher the natural mortality
25 rate. It's been suggested that that would have an impact on the
26 significance of bycatch mortality and that it should be
27 examined, and it's been recommended by the review panels, but it
28 has not been addressed, to date, to my knowledge.
29

30 **CHAIRMAN POWERS:** Yes, and it also affects how you calculate the
31 catch during a period of -- The catch equation during a period
32 of density-dependent mortality. To that point, Kai?
33

34 **DR. LORENZEN:** I wanted to support that. I'm with Benny there,
35 and I think it has been flagged before, and also from analyses
36 that I've been involved with, and it seems that the size of the
37 shrimp trawl bycatch is in the sort of range where you would
38 expect density-dependent mortality to occur, and so it would be
39 good to get that on the terms of reference.
40

41 **CHAIRMAN POWERS:** Okay. Where would be a good point for that?
42

43 **DR. LORENZEN:** I would have to get out of this screen and get
44 the big picture, but I'm sure we can find a place.
45

46 **MR. RINDONE:** Benny, you're right, in that that's been
47 recommended in the past, and I am looking at the SEDAR 52 stock
48 assessment report, and, at the tail-end of the assessment

1 process report, it's mentioned there. It says to further
2 explore the relationship among shrimp bycatch and juvenile red
3 snapper mortality with an investigation of incorporating the
4 potential for density-dependent juvenile mortality. If you like
5 the way that language reads in here, and I can show it on my
6 screen --

7
8 **DR. GALLAWAY:** At first blush, it sounded fine to me.
9

10 **DR. LORENZEN:** It seems to me that it should be probably -- I
11 mean, it has two components, right, and we have to find a way to
12 describe it, and that would maybe fall under life history, and
13 then the implications would be explored later on.

14
15 **DR. GALLAWAY:** I agree.
16

17 **MR. RINDONE:** Can you guys see that?
18

19 **CHAIRMAN POWERS:** Okay.
20

21 **MR. RINDONE:** If you guys like, then we can put that -- Kai,
22 where did you say to put it, under Number 2 or 3?

23
24 **DR. LORENZEN:** I would say under 2, because that's where we deal
25 with provide appropriate models to describe populations and
26 stock-specific growth and maturation and fecundity, and so it's
27 sort of to provide a different mortality model, in a sense, that
28 accounts for density dependence in the early stages.
29

30 **MR. RINDONE:** I will deal with formatting that later.
31

32 **CHAIRMAN POWERS:** Okay. Steven Scyphers.
33

34 **DR. SCYPHERS:** Thank you, Mr. Chair. I am actually going to
35 make the same suggestion, and it doesn't have to be a motion,
36 but that I made for gray snapper, to potentially include one on
37 social and economic data, if it's appropriate, and I actually
38 don't have thoughts on where it fits best, and it seems kind of
39 stand-alone.
40

41 **CHAIRMAN POWERS:** Okay. I see no problem with that.
42

43 **MR. RINDONE:** I have got that noted, also.
44

45 **CHAIRMAN POWERS:** Paul Sammarco.
46

47 **DR. SAMMARCO:** Thank you. Under Number 9, which mentions
48 ecosystem and climatic events as they relate to population and

1 fishery parameters, I don't know whether it would be of interest
2 or not, but there have been hotspots, over the years, in the
3 tropics and sub-tropics, where there has been mass mortalities,
4 which is indicators of well above normal temperatures for
5 reasonable periods of time.

6
7 There may be fishery data, which exists and has been published
8 and so forth, from those same areas, which may relate to this,
9 and it may be of value, and I don't know, and I'm just bringing
10 up the idea, and they're around the Galapagos, for example, and
11 the Great Barrier Reef and the Caribbean, but these are not
12 isolated events. Thank you.

13
14 **CHAIRMAN POWERS:** Thank you. I think that's sort of the things
15 that would be covered under Item 8, I believe. All right. Any
16 other suggestions for Ryan about this? If not, then this terms
17 of reference will go to the council for the next meeting?

18
19 **MR. RINDONE:** No, and it will go to the Executive Director and
20 the Chair for approval, and so, if you guys wanted to make a
21 motion to the effect of the one that you made for gray snapper,
22 saying that these are approved, as amended, that will do a great
23 deal for them.

24
25 **CHAIRMAN POWERS:** Okay. Great. If we can go to the list of
26 motions and just copy the gray snapper terms of reference
27 motion.

28
29 **MR. GILL:** So moved, Mr. Chairman.
30

31 **DR. NANCE:** Second.

32
33 **CHAIRMAN POWERS:** Any further discussion? **If not, then the**
34 **motion is approved.**

35
36 **MR. RINDONE:** Mr. Chair, Ms. Bosarge has a question.

37
38 **CHAIRMAN POWERS:** Okay. Leann.

39
40 **MS. LEANN BOSARGE:** On that agenda item before the red snapper
41 scope of work, when Dr. Steven was talking about the carryover
42 of the IFQ, this one is a little time sensitive, because the
43 council would need to have all the nuts-and-bolts in place for
44 that for the first quarter of next year, and so let's just say
45 January.

46
47 I was wondering if you could have a quick discussion as to, if
48 the council did a carryover, on red snapper specifically, would

1 it be a pound-for-pound carryover, or would those pounds need to
2 be discounted for mortality?

3
4 I remember you all talked about that, I don't know, a year or
5 two ago, and just get into that just a little bit, so the
6 council has an idea of what they're looking at in a carryover,
7 and we can maybe work out a few of those details. We don't need
8 to worry about what species we would carry over and who gets it,
9 and the council can deal with that, but we need you all to tell
10 us if it's pound-for-pound or not. Thank you, sir.

11
12 **CHAIRMAN POWERS:** As I recall, there was some simulations done
13 that would suggest that pound-for-pound was okay, but I'm not
14 sure about that. Kai.

15
16 **DR. LORENZEN:** I recall the same, and we had quite extensive
17 discussions about that, and I can't remember whether there was a
18 cap on -- In the simulations, there was a sort of maximum
19 percentage that they had looked at, but I do recall that the
20 conclusion was that pound-for-pound was okay, as long as you
21 carried over both overages and underages, and I think that's
22 where, in the end, the council decided not to move on that with
23 the recreational sector. I think, as long as you carry over
24 both, it should be pound-for-pound.

25
26 **CHAIRMAN POWERS:** The specifics, I don't think we're prepared to
27 get into, but, I mean, in general, I think we're okay with that.
28 Leann, is that helpful?

29
30 **MS. BOSARGE:** Yes, sir. Thank you very much. That's all I
31 needed to know.

32
33 **CHAIRMAN POWERS:** All right. Ryan.

34
35 **MR. RINDONE:** Thank you, sir. The next thing would be the
36 allocation review procedures, and then, after that, we should
37 probably have a discussion about what to do about tomorrow.

38
39 **CHAIRMAN POWERS:** Yes, and so allocation review procedures.

40
41 **ALLOCATION REVIEW PROCEDURES**

42
43 **DR. ASSANE DIAGNE:** I will try to discuss with the SSC the
44 allocation review procedures, and, to start, we'll begin with a
45 little bit of background, and we'll review some of those things.

46
47 As you recall, NMFS did publish a fisheries allocation review
48 policy, and that policy required the councils to establish

1 allocation review triggers. In fact, we did discuss those
2 triggers with the SSC a while back. The council established its
3 review triggers and published an expected start date for the
4 initial allocation reviews, and, at the end of this
5 presentation, just to remind everyone, we will present those
6 dates one more time.

7
8 The council also did mention, in its policy, that it could
9 initiate additional reviews as needed, saying that it was not
10 bound, if you would, by those starting dates. For example, we
11 have initiated a review, and actually a reallocation amendment,
12 for grouper, and I think that's Amendment 53.

13
14 The council established an allocation review workgroup, and we
15 started discussions on essentially how to conduct future
16 allocation reviews, and most of the questions that I will have
17 today for the SSC, and the main items that we will discuss here,
18 would be related to the work of the allocation review working
19 group.

20
21 A final point of background is that the General Accountability
22 Office released a report on allocation reviews in mixed-use
23 fisheries, and that report includes specific recommendations for
24 the councils, mainly the South Atlantic and the Gulf Councils.

25
26 The GAO, in its report, made two recommendations, one that the
27 councils develop documented processes for conducting allocation
28 reviews, and two that the councils make sure that they specify
29 how they will document their allocation reviews and including
30 the basis for their allocation decisions, whether the fishery
31 management objectives are met, the FMP objectives, if you would,
32 and three was what factors were considered in the reviews.

33
34 What we are discussing today essentially would pertain to the
35 first recommendation from the GAO report to establish a
36 documented process for conducting allocation reviews, and,
37 before I start this, just to mention that, in the future, we
38 will come back to the SSC to address the second recommendation,
39 once the allocation working group has completed some more when
40 it comes to the content of the reviews proper.

41
42 Here, we have the series of questions, and the first one has to
43 do with the membership of the review panel, and these are all
44 questions, if you would, and we will collect your input, and
45 we'll give a presentation to the council in October and get
46 their feedback before we can write the guidelines.

47
48 In terms of the composition of the review panels, we could think

1 about our usual process, which is an IPT-type process that would
2 include SERO and the Science Center and council staff, and these
3 members typically are selected through consultation between our
4 leadership, and, by that, I mean Carrie and John, plus the
5 leadership of the Science Center and SERO, and then members are
6 appointed to this I would say IPT structure.

7
8 Another way of thinking about it would be that the council may
9 decide that, for allocation reviews, it could draft, if you
10 would, or select, a number of SSC members, and NMFS and the
11 council would provide support, in terms of data collection and
12 so on and so forth.

13
14 We could also borrow something from the SEDAR, in the sense that
15 these allocation reviews could potentially be conducted by
16 independent experts that the council would select, perhaps with
17 advice from the SSC, or we could think about any number of
18 combinations from these three alternatives, and so that would be
19 for who should conduct the reviews. I am not sure whether I
20 should pause and have the SSC members discuss this a little bit
21 or I should proceed and perhaps have the discussion at the end.

22
23 **CHAIRMAN POWERS:** Let's stop here for this discussion. My first
24 reaction is perhaps some combination of these. I think giving
25 it a name and introducing a planning team would be important,
26 and it would probably also be important that -- It doesn't
27 necessarily have to be run through the council staff, in other
28 words take the lead of it, but, anyway, I'm open, but Lee
29 Anderson.

30
31 **DR. ANDERSON:** I would just like to say that -- As Assane knows,
32 I've been frustrated by this for the longest time, although I
33 think he's doing the best job he can, and the things that are --
34 We've talked about it, and what are the basis for the
35 allocations?

36
37 That was in the GAO thing, and then other things is we're going
38 to look at trends, and we're going to do some analysis, and I am
39 still completely at a loss as to what is the background, the
40 theory, behind these analyses, but I will say that I'm willing
41 to just be a worker on this and not to sit back and say there's
42 nothing good about it, and so, if there will be SSC members on
43 this allocation review panel, I volunteer to be a hard worker on
44 that panel and work with the other people to try to answer these
45 questions that I have put forward.

46
47 **CHAIRMAN POWERS:** Thank you. I think there would be interest
48 within the SSC, and not just Lee, and so -- I could see,

1 individually, where you might want to have an independent expert
2 approach this, for an individual situation, and so, I mean, this
3 combination of the three, and how it's balanced and everything
4 would be very important, but I am certainly open-minded about
5 it. Doug Gregory.

6

7 **MR. GREGORY:** I think the original purpose of the congressional
8 action is to force the councils to look at allocation on a
9 regular basis, and I don't think they cared what the reasons
10 were or how it was done, but to make sure the councils looked at
11 it, and that congressional action was through political pressure
12 of stakeholders who may have felt that they were on the wrong
13 side of the past allocation, and they want a new allocation, and
14 so what council staff has put together, with other help, is a
15 good process for doing that.

16

17 I know there's been some complaining that I've heard about the
18 schedule, the timing, and I think it's important that Assane
19 said the schedule is really up to the council, and the council
20 doesn't have to follow that schedule if they want to do
21 something more quickly, but it sets the stage for making sure
22 allocations are reviewed at some point, and, yes, I understand,
23 Dr. Anderson, what your concerns are and stuff, but I think,
24 anytime a good reason comes up to look at allocation, the
25 councils have the authority and can do it, but this forces them
26 to do it at a certain time. Thank you.

27

28 **CHAIRMAN POWERS:** I think, also, the report is basically
29 requiring that there should be written documentation and that
30 sort of thing, essentially to guard against litigation, which is
31 probably a good thing. Ken Roberts.

32

33 **DR. ROBERTS:** Thank you, Mr. Chairman. I see two levels here
34 that are not clear to me. There is one that you're starting a
35 new allocation in a fishery, and that begins from ground-zero.
36 The other one is dealing with an allocation redefinition, or
37 redistribution, from a fishery that already has an allocation.

38

39 I see those as two different and contrasting things, and maybe
40 Assane can comment, or Doug can comment, or Ryan, about what was
41 Congress's real intention. Was it to go back and look at the
42 existing allocation and work at the margins, to refine it over
43 time, or is this really something that is going to work,
44 basically, for new allocations, when IFQ programs are installed?
45 Thank you, guys.

46

47 **CHAIRMAN POWERS:** Thank you.

1 **DR. DIAGNE:** Thank you. I will start, and I guess there are
2 several comments, and I will start with the last one, meaning
3 Dr. Roberts' questions. These recommendations, as well as the
4 review triggers and processes and so forth, all of these are to
5 review existing allocations, essentially existing allocations in
6 mixed-use fisheries, for example allocation between the states
7 for red snapper, between the private anglers and the
8 charter/for-hire for red snapper, again, or between the councils
9 for certain species, or some of the snappers, and so forth.
10

11 These are existing allocations between sectors. If we think
12 about the IFQs, individual fishing quotas, these are not really
13 allocations in the same sense, if you would, because those
14 change on a daily basis. After January 1, once allocations are
15 distributed, people start trading, and we do not have set
16 allocations, if you would, and the council has other avenues to
17 review, I guess, the distribution methods, if you would, of IFQ
18 privileges. That's what I would offer to Dr. Roberts' points.
19

20 As far as Dr. Anderson, yes, absolutely. I mean, this is a
21 challenging process, and we have discussed this many times with
22 him, but, today, we are looking at the first step of this, and
23 if I may ask Jessica to go back to the slide on the
24 recommendations, the GAO recommendations.
25

26 Here, we see that we have two recommendations. The first one
27 has to do with the processes, meaning what are going to be,
28 quote, unquote, the administrative steps, if you would, and who
29 would perform the review, what type of a notice are we going to
30 have, what type of report to be written, and so forth, but
31 equally important, if not more important, is what Dr. Anderson
32 talked about, which is the second thing, what criteria, what
33 analysis, trends, data, et cetera, would be included in the
34 review.
35

36 Our allocation review working group has started thinking about
37 that, and, the next time we come to the SSC, our specific
38 purpose would be to discuss those things, essentially the meat
39 quote, unquote, if I may use that expression, of the review.
40 Thank you. I think I will stop here. If I missed something, in
41 answering the questions, please remind me.
42

43 **CHAIRMAN POWERS:** Thank you. Assane, we're getting into some of
44 the weeds here, and would you prefer to go on with the entire
45 presentation and revisit these things at the end or continue on
46 with this?
47

48 **DR. DIAGNE:** Mr. Chair, it's your discretion. However you want

1 to do it, we will do it.
2

3 **CHAIRMAN POWERS:** Okay. We started this, and then let's
4 continue on. Lee and then Mike Travis.
5

6 **DR. ANDERSON:** Thank you. I just wanted to make one small
7 correction, and that is that somebody mentioned that this is a
8 congressional action that this is going on, and, actually, I
9 believe the policy was started in the Council Coordinating
10 Committee, and we went through a lot of staff and came out,
11 although it's a small point, but it's still a NMFS policy that
12 came out of the CCC, and I quite agree with Doug that -- Because
13 one of the things that I remember the guys from Silver Spring
14 hammered at us, while we were sitting in our chairs, is how do
15 you know you made the right decision? You should look at
16 anything.
17

18 Again, as an economist, and I would like to think a scholar, I
19 would say, of course, you never want to think you're perfect,
20 but there is a problem of time and other things, and so I
21 certainly agree that it's necessary to look at it, but, again,
22 some of the stuff that Assane just said, like what is the basis
23 and how are you going to do it, and how are you going to make
24 sure that we don't spend too much time on this, and I don't even
25 know how to define too much time on this, but we all know that
26 we've got a full workload, but, again, I will say I will
27 volunteer to be on that and help to get in and dig out some of
28 that stuff.
29

30 **CHAIRMAN POWERS:** Okay. Thank you. Mike Travis and then Ken
31 Roberts.
32

33 **DR. MIKE TRAVIS:** One point that I wanted to emphasize, just to
34 make sure, and I think Assane covered this pretty well, but I
35 just wanted to make sure that everybody is on the same page, is
36 that the reviews are -- They should be seen as a steppingstone.
37

38 I don't want anyone to be under the impression that an
39 allocation review necessarily means that the council is going to
40 take action to change an allocation. The whole point of the
41 review is to provide information to the council, who will then
42 decide if there is enough information here to tell us that, yes,
43 we need to start an amendment to look at the existing
44 allocation.
45

46 It could very well be that, when they look at the information in
47 the review, they decide that we don't see any reason to change
48 the allocations, and we're going to leave them alone, and

1 they're done, and they move on to lots of other issues, and so
2 that was one point.
3

4 Then this is a question, I think, to Lee about -- Because, Lee,
5 I'm not sure exactly what your concerns were, but, with respect
6 to external experts and the role of SSC members in reviews, or
7 even, more specifically, with the analyses that could go into
8 these reviews, I believe that you have direct experience in the
9 Mid-Atlantic Council with regard to economic analyses of
10 allocations within the summer flounder fishery, as well as the
11 scup fishery, which those analyses were done by external folks,
12 but were reviewed by a panel of experts as well, and so I'm
13 rather curious as to your opinion on how that process has
14 worked. Has that been a good and useful process, from your
15 perspective?
16

17 **CHAIRMAN POWERS:** To that point, Lee?

18
19 **DR. ANDERSON:** Well, if you recall, Mike, the council did do a
20 lot of stuff on summer flounder, and most of it was based on the
21 economic equal marginal principle, where is the best allocation
22 -- Where does the last fish go to either sector provide the
23 highest value, and that has some value, although there is the
24 recent research that shows that you've also got to take into
25 account how the regulations run, because you can, theoretically,
26 get pretty good estimates of where the highest value is, but
27 your regulations will determine who catches it, and so you may
28 make a basis and then set regulations to give it to other
29 people, and so there's a lot of things.
30

31 Also, Mike, I would say that -- I'm sure that there are going to
32 be people who will say that I want other criteria to be used,
33 rather than the equal marginal principle, and so thanks for the
34 nice words about the Mid, but there's a lot to be done.
35

36 **DR. TRAVIS:** If I could follow-up on that, I understand
37 everything that you brought up, because I know we've discussed
38 this before, but I was asking more about the process itself and
39 the use of external folks, whether they are SSC members or not,
40 or the expert review panels that have been used, and do you
41 think that that worked well in the end?
42

43 **DR. ANDERSON:** Yes, and I think we got good people to do it, and
44 I'm sure that the Gulf will do the same thing. You've got to
45 bring the experts in, and there's going to be different views,
46 and you've got to argue them out and see what happens, but I
47 think, other than the equal marginal principle, which is an
48 economic thing, I don't know of another factual basis for making

1 -- That's one of the issues that I think is going to have to be
2 looked at, but, in answer to your question, I think our review
3 process was fair, and I think a similar process could be set up
4 in the Gulf.

5
6 **DR. TRAVIS:** Okay. I find that helpful, in part because,
7 particularly with some of the more recent expert panel reviews
8 of the analyses done for summer flounder, they were pretty
9 critical of the analyses that were done, for a host of reasons,
10 and so that was part of my reason for asking, but thanks.

11
12 **CHAIRMAN POWERS:** Thank you. Ken Roberts.
13

14 **DR. ROBERTS:** Thank you, Mr. Chairman. Assane, I know you
15 indicated between sectors, and that sounds pretty simple on the
16 surface, but it's really not, the recreational sector versus the
17 commercial sector, and the real problems lie within each of
18 those sectors, in my opinion, and the reason I brought up
19 Congress is remember clearly, even though I'm seventy-six years
20 old and I'm losing a lot, I clearly remember Congress in a buzz
21 about the articles that came out, and I think were called fish
22 lords, and do you remember that?

23
24 They were talking about the people who receive allocation within
25 a sector, but don't do anything but sit on their rumps and lease
26 it out as convenience for their own purposes and not to
27 participate in the fishery.

28
29 I know that was a big thing in Congress, because I got several
30 phone calls to get dragged into that by people from the Pacific
31 Northwest and the Gulf, and I refused to get involved, but I
32 don't think we can dispense with the fact that there are big
33 allocation issues within each of those two sectors that you
34 defined, and I think they're too crudely defined, because there
35 are sub-sectors that are large enough to be sectors themselves,
36 and I just urge the council and people to look a little broader
37 than just sectors, because, within sectors, there is as much
38 allocation issues as anywhere else, I think. Thank you so much.
39 I appreciate it.

40
41 **CHAIRMAN POWERS:** Thank you. Assane.
42

43 **DR. DIAGNE:** Thank you, Mr. Chair. A couple of points. The
44 position that Mike Travis offered is something that I should
45 have, I guess, emphasized, but we did discuss this with the SSC
46 previously, and so today I did not. In the NMFS allocation
47 review policy, they make a clear distinction between an
48 allocation review, which is essentially the evaluation as to

1 whether or not the reallocation amendment is needed or not,
2 essentially.

3
4 The second step is called an evaluation of allocation options,
5 if you would, which is what we typically do in our amendments,
6 and what we are discussing with you today is just to the
7 allocation review and potentially the processes by which the
8 council, at the end of the day, is going to decide whether they
9 are going to go to the next step and start an amendment.

10
11 As Mike said, the council can look at this and say, well, we are
12 pretty happy with the existing allocation and let's move on, and
13 so then we would wait for the next opportunity to do that. I
14 mean, the difficulty comes from the fact that we haven't really
15 formally yet conducted allocation reviews. What the council has
16 done, up to this point, is started an amendment.

17
18 Within the justification for the amendment and the analysis, you
19 can argue that the allocation review is embedded in it, but, I
20 mean, using the policy, from now on, we would have a very
21 deliberate and clear process to evaluate the existing
22 allocation, decide whether an amendment is needed, and, if so,
23 start an amendment, and so that is, I guess, the distinction to
24 be made.

25
26 For Dr. Roberts, Congress has something to do with this, because
27 the GAO recommendations that we are discussing with you, that we
28 talked about in the beginning, those come from a specific
29 recommendation from the Modernizing Recreational Fishing Act of
30 I believe it was 2018, and one specific, I guess, provision of
31 that Act was that the GAO examines the allocation in mixed-use
32 fisheries and produce a report on those. The two
33 recommendations we presented early on, those come from that
34 report, which was, I guess, requested by Congress, and so
35 Congress also has a role in this discussion.

36
37 The economic considerations and the biological indicators and
38 social indicators and all of those things, that discussion we
39 will have another day, if you would, but I guess our main
40 interest right now is for the SSC to help us, help the council,
41 quote, unquote, begin to set the guidelines for allocation
42 review.

43
44 In preparation for this, several of us have looked at the SEDAR
45 guidelines, for example. Without the appendices, it's a very
46 short document, and it just essentially lays out how this is
47 going to be done, but the meat of it, let's say the stock
48 assessment, those things are not really in let's say the short

1 document, if you would, to use that analogy, if I could. Thank
2 you, and I see another hand raised, and I will wait for that
3 before we continue.

4

5 **CHAIRMAN POWERS:** I will give Mike Travis the floor in a second,
6 but I do want to move on and finish the entire presentation, and
7 we can return to this. Mike, a short comment?

8

9 **DR. TRAVIS:** Yes, and so, to Ken's points, one is the council
10 already decided which, quote, unquote, sector allocations it
11 intends to review, via a letter that they sent to the agency
12 about a year or so ago, and Assane can correct me, but I thought
13 that that letter, laying out all those allocations, was provided
14 to the SSC at a previous meeting, and that would be one point.

15

16 Then, with regard to I guess what you would call intersector
17 allocations, such as within the IFQ programs, we do look at
18 those within the context of our catch share reviews, as opposed
19 to allocation reviews, and so I don't want you to be under the
20 impression that we just completely ignore those.

21

22 **CHAIRMAN POWERS:** All right. Thank you. Assane, go on with the
23 presentation, and I won't interrupt you again until the end.

24

25 **DR. DIAGNE:** Thank you, Mr. Chair. Just to say that, yes, Mike
26 is correct, and we did bring the allocation review triggers, as
27 well as what the council discussed, to the SSC. That is number
28 one, and, also, a comment. The council is using the avenues at
29 its disposal to address, I guess, the distribution of shares and
30 allocations within the IFQ program.

31

32 For example, the council has an amendment that is Amendment 36B
33 that looks at establishing permit requirements, meaning to hold
34 shares and transfer, et cetera, one would have to have the reef
35 fish permits. We have alternatives there, and some of the
36 options would call for divesting of your shares if you don't
37 have a permit after a certain time interval. The council is
38 working on that, but the specific allocations addressed by the
39 policy, and, the allocations that we are talking about, these
40 are deliberate distributions of fishing privileges to well-
41 established groups, and so that's the definition in the policy,
42 and these groups could be states, sectors, sub-sectors,
43 councils, et cetera, and so, with that, I will, I guess,
44 continue on, Mr. Chair.

45

46 The next topic and question that we would ask would have to do
47 with the contents of the review notice, because, in our
48 understanding, and, by our, I mean the allocation review working

1 group, before the beginning of each allocation review, and
2 that's one of the alternatives, the council would publish a
3 notice letting the public know that, for example, the red
4 snapper allocation between the states, and I use that as an
5 example, is going to be reviewed.
6

7 Now the question is what else should the notice include? If we
8 have a certain type of membership, should the notice list those
9 members, and should the council also let the public know how
10 long this process is going to take by putting a completion date
11 in the notice and that sort of thing?
12

13 Just a note there that IPT meetings -- By IPT, I mean -- I never
14 can remember this term, but interdisciplinary planning teams,
15 which we use to develop amendments, and those meetings do not
16 have to be noticed, but, in a general sense, for allocation
17 reviews, what else should we have in the notice except the
18 species, the starting date, the composition of the panel, and
19 potentially the completion date of the review? I will continue,
20 and, if the SSC has recommendations or questions, we would be
21 glad to take those.
22

23 The allocation review working group, in our discussions, we felt
24 that all of the species that we have are not really the same,
25 and, by that, the allocations attached to those species could be
26 treated differently, and what we are thinking about is to
27 establish two tiers of allocation review, I should say.
28

29 In the first tier, we would put the species, or the species
30 groups, with allocations that were established mainly to
31 determine commercial quotas for the IFQ programs, and that would
32 include the shallow-water grouper, the deepwater grouper, and
33 the tilefish IFQ aggregates.
34

35 These are really just functional allocations, if you would, that
36 we have to include in this process once we receive the legal
37 advice, and, in our understanding to date, the allocation review
38 for these species could be fairly straightforward and very
39 simple.
40

41 The Tier 2 would include everything else, because, for
42 everything else, you have competing user groups and very, I
43 guess, stark interest being advocated for one side or another.
44 Although we do not know yet what the reviews would entail, we
45 can safely say that the Tier 2 species, or species groups -- You
46 see here that it says only species or species, and there is
47 "group" missing, but it would require more complex reviews, and
48 that is to be determined, I guess, at a later stage.

1
2 Now, in terms of how should an allocation review be organized,
3 again, in discussing this, several of us essentially just looked
4 at SEDAR, which is a fairly, I guess, well established and
5 involved process, and the allocation review working group is
6 suggesting that we conduct the allocation review in stages.
7

8 For example, the first stage could be a data review stage, and,
9 in that stage, the data sources would be identified, and we will
10 gather the data, and then we'll have the allocation review
11 proper, the analysis, evaluation of trends, et cetera, that are
12 needed would be conducted, and then the report would be written,
13 and, finally, the report would be reviewed, and the
14 recommendations would be made by SSCs and relevant advisory
15 panels. The draft would be submitted to the council for review
16 and additional recommendations and, finally, approval. To date,
17 these are the stages that we have identified to conduct
18 allocation reviews in the future.
19

20 We spent some time, during our last meeting, the working group,
21 looking at some of the elements that may be in the review. At
22 the minimum, it seemed to us that we would need, in the
23 background, to discuss the historical allocations and the
24 methods that were used to establish those, and we will discuss
25 the data, in a general sense, and have the body of the review
26 and have a specific section for recommendations, and, also, it
27 seemed important to us to have a research needs section, because
28 it may be the case that some of the evaluations that were called
29 for in the allocation review were not able to be completed,
30 because something was missing
31

32 Maybe the methods were not there, or some of the data were
33 missing, and so on and so forth, and, also, this report should
34 have the council's conclusions, with the main conclusion as to
35 is an amendment to revisit the allocation warranted or not, plus
36 other conclusions that the council may see fit.
37

38 This is something that, during our discussions, was brought up.
39 Because we have a calendar based on time intervals, because the
40 council set time-based triggers, when should the allocation
41 review clock reset?
42

43 Now, if the council, at the end of an allocation review,
44 determines that there is no need to go further, that it is
45 satisfied with the existing allocation, then the clock will have
46 to reset once the report becomes final, but, if the council
47 determines that a plan amendment is needed to revisit this
48 allocation, then what we are suggesting is that the clock should

1 reset on the implementation date of the amendment that
2 reallocated the resources between the user groups.
3

4 This is just, as we mentioned early on, to remind us of the time
5 intervals that the council selected, and it goes from four to
6 seven years, and the seven years would include all of the IFQ
7 species, because we would like for the review of the allocation
8 to coincide with the review of the IFQ program itself. It's
9 more than a preference, but it is in fact a requirement that
10 we'll have to abide to.

11
12 The important thing, as we said before, is the council can, at
13 any time, initiate an allocation review and reallocate fisheries
14 resources, but, if the council doesn't do anything, now it is
15 bound, at the very least, to do that once every so often, based
16 on these time intervals. I think this is the last slide I have,
17 and I will try to answer questions, if SSC members have them.
18

19 **CHAIRMAN POWERS:** Thank you. Are there questions to continue on
20 the discussion? Go ahead, Bob.
21

22 **MR. GILL:** Thank you, Mr. Chairman. Thank you for the review,
23 Assane. Referring to the slide on the screen now, and
24 recognizing that the allocation decisions are perhaps the most
25 contentious thing the council deals with, and, therefore, they
26 are a time-sink extraordinaire, have you considered, or looked
27 into, the impact on the council's schedule that this allocation
28 review schedule suggests?
29

30 Since taking a year to complete an allocation review may or may
31 not occur, some of these things can seem like multi-year
32 durations, and, as such, can have considerable impact on the
33 council performing its normal, expected, and anticipated
34 responsibilities, and has that been addressed and analyzed?
35

36 **DR. DIAGNE:** It has been contemplated, for sure. Addressed and
37 analyzed, I would think that that is forthcoming. For one
38 thing, in the GAO report, they do mention that, because, in our
39 discussions with them, that was one of the things mentioned, and
40 the workload, to put it along those lines, that this would
41 impose on the council staff, but on also the SERO staff, as well
42 as the Science Center staff, because, by and large, they would
43 provide the data and work with us on the analysis and
44 evaluation, like they do for all of the amendments and other
45 things.
46

47 How heavy and taxing, in terms of resources, this would be would
48 also depend on the extent of these reviews. If, at the end of

1 the day, to make the determinations as to whether to proceed or
2 not, the council has a very succinct set of criteria, and then
3 it would be manageable, but, if for each and every allocation
4 review, we want to know everything, quote, unquote, about a
5 particular species or species group, then, yes, starting from
6 2023, we would be extremely busy, on top of everything else.
7 Absolutely, but this is a requirement, and it's a mandate, and
8 we will do our very best, of course, to fulfill it, and, if the
9 council needs to make adjustments, I'm sure they will.

10

11 **CHAIRMAN POWERS:** Thank you. Lee.

12

13 **DR. ANDERSON:** Thank you. I just want to agree with Assane.
14 The allocation review process did originate in the CCC, and so,
15 in one sense, the allocation process that came out of that beat
16 the Modernizing Fisheries Act, because it was already in place
17 when that Act was passed, but, Assane, you are very correct that
18 that Act does stress more looking at that, and, more
19 importantly, I just want to say that I appreciate all the work
20 that you and the working group has done.

21

22 I think the process that you have set up has a very good
23 expectation of doing the right job and getting things done,
24 although I think the things that Bob Gill raised are important
25 to keep in mind as well. Thank you.

26

27 **CHAIRMAN POWERS:** Thank you. Any other comments? I mean, this
28 is a very difficult situation, and I think -- I mean, what you
29 don't want is to sort of devolve into a negotiation meeting, and
30 you do want to set some certain criteria of things that you need
31 to look at in order to reallocate, and, again, it's providing
32 documentation to defend whatever decisions the council might
33 make later on. Any other comments or questions? Assane.

34

35 **DR. DIAGNE:** Thank you, Mr. Chair. Just to say thank you for
36 the feedback and to emphasize the fact that, next time we come
37 to the SSC, we have the council's, I guess, recommendations or
38 reaction, if you would, to this, and we would also have the
39 working group's first try at the criteria to be included in the
40 allocations, and, if those are appropriate at that time, the SSC
41 would let us know, and the SSC would also help us supplement the
42 list, to be able to have a manageable, and also meaningful,
43 allocation review, so that the council can make the decisions to
44 proceed with amendments or say that, no, I can wait another six
45 years, if we are talking, for example, about gray triggerfish or
46 greater amberjack, for example, and so this is just the first
47 step in this process, and we'll be coming back to you a couple
48 of times before this is done. Thank you.

1
2 **CHAIRMAN POWERS:** Thank you. Ken.

3
4 **DR. ROBERTS:** Thanks. Assane, before you leave, the time
5 intervals -- I know it's got to be dependent a little bit on
6 staff resources and funds, but why wait four years to start the
7 first one? I must have missed that, and so, if you could help
8 me out, I would appreciate that.

9
10 **DR. DIAGNE:** Again, Dr. Roberts, it is not wait four years.
11 Let's say, in general, the public has, or had, prior to this, no
12 knowledge, or no inclination, to figure out where and when the
13 council would, for example, reallocate -- I will pick gray
14 triggerfish. The council would do it whenever they saw fit.

15
16 Now, the only thing this is saying is, if you haven't done
17 anything, you are bound to review the allocation every six
18 years, and so let's read it along those lines. If the council
19 doesn't do anything, when it comes to red snapper allocation,
20 within four years, by 2023, they will have to do it, and, if I
21 take the example of red grouper, for example, where is red
22 grouper on this table? Let me locate it. It should be in the
23 seven years, because it's an IFQ species.

24
25 Normally, the schedule shows April of 2026, but, as we speak, we
26 have an amendment, which is Amendment 53, that is looking at red
27 grouper reallocation, because of the new information the council
28 got due to recalibration, and that sentence is in the policy.
29 The council can initiate allocation reviews at any moment, like,
30 for example, when it has new information. or when it deems it
31 necessary.

32
33 **DR. ROBERTS:** That's very good, and so it's flexible, is what
34 I'm interested in.

35
36 **DR. DIAGNE:** Yes, and what is not flexible is the upper limits.
37 The council cannot wait let's say more than four years to look
38 at these allocations. If you didn't do anything by then, you
39 now are required to revisit it.

40
41 **CHAIRMAN POWERS:** All right. Thank you. Are there other
42 questions? Thank you, Assane.

43
44 **DR. DIAGNE:** Thank you very much, Mr. Chair.

45
46 **CHAIRMAN POWERS:** All right. I believe we have finished Agenda
47 Item X, and so what are we going to do about tomorrow? Ryan, or
48 Carrie, do you have a --

1
2 **MR. RINDONE:** The hurricane is strengthening rapidly and
3 considerably, and some of our SSC members have already jumped
4 off to take care of personal preparations and indicated that
5 they will not be able to hang out with us tomorrow, more than
6 likely, and so the remaining items that we have are Dr. Barbieri
7 and Dr. Murawski's presentations and Dr. Asche's presentation on
8 supply chains and markets and then Other Business.
9

10 One option would be to reconvene at a later date for like a
11 half-day or so and hit these items, and, depending on the timing
12 of the congressional review of the Great Red Snapper Count, that
13 may be available for presenting as well, but Dr. Stunz could
14 probably speak more to projected timing on that.
15

16 **CHAIRMAN POWERS:** I don't have a strong view. Basically, the
17 recommendation is to delay the next agenda items and set up a
18 separate, perhaps, half-day webinar to do this, correct?
19

20 **MR. RINDONE:** That would be my thinking, just because we're
21 going to have folks from Louisiana through the Panhandle that
22 may be disinclined or unable to participate, for a variety of
23 hurricane-related reasons, and so just so that we don't try
24 logging on tomorrow to find that there's only seven or eight of
25 us. Out of deference for them, we can try to take these items
26 up at a time in the near future.
27

28 **CHAIRMAN POWERS:** Well, because this is a webinar, it's not like
29 people have had to travel.
30

31 **MR. RINDONE:** Correct.
32

33 **CHAIRMAN POWERS:** Doug.
34

35 **MR. GREGORY:** I mean, that would be doable. My thoughts, before
36 Ryan started talking, was why don't we just meet at the starting
37 time and see if we have a quorum? These items are informational
38 items, and we have verbatim minutes of everything, and so the
39 people that can't attend will have the presentations and the
40 verbatim presentation and discussion to rely on, and there's no
41 decisions to be made tomorrow, and, if we don't have sufficient
42 people, then just adjourn and meet at some future time, but
43 people have changed their schedules to be here, and so that's
44 the main thing. I had another thought, but I can't recall it
45 right now. Sorry.
46

47 **CHAIRMAN POWERS:** Ryan.
48

1 **MR. RINDONE:** Thank you, Mr. Chair. None of these items are
2 urgent, and they are informational, to a degree. There are some
3 kind of longer-view things associated with all of them, though.
4 For instance, with Dr. Barbieri's presentation, she is going to
5 provide a fair amount of information for the gag operational
6 assessment, and there's probably some other implications that
7 will come out of the work that she's doing there as well, as far
8 as how the SSC looks at gag, and how the council does as well.
9

10 Dr. Murawski's presentation will parlay into discussions that
11 the council has about things like essential fish habitat and our
12 fishery ecosystem plan, and then Dr. Asche's presentation will
13 tie into several aspects of things like carryover for IFQs and
14 allocation and things of that nature, and so there are
15 multifaceted components to all of these things, which, of
16 course, is why we want you guys to provide the council with
17 advice on all of them, but they are also things that we could
18 push to a little bit later in the year without any damage to the
19 council being able to move forward with objectives.
20

21 **CHAIRMAN POWERS:** What about for the people that are actually
22 making the presentations? If we cancel the meeting, we don't
23 want them to try to show up and nobody is there.
24

25 **MR. RINDONE:** We can reach out to them, and we can let them
26 know, and I would expect them to be understanding, being all
27 Florida residents.
28

29 **CHAIRMAN POWERS:** Okay.
30

31 **MR. GILL:** Mr. Chairman, I support the postponement, or
32 rescheduling, at the earliest appropriate opportunity, given the
33 nature of the items left there and their lack of time
34 sensitivity and the current environmental situation.
35

36 **CHAIRMAN POWERS:** All right. Thank you.
37

38 **DR. NANCE:** Mr. Chairman, I think we need to decide today and
39 not show up tomorrow and then decide.
40

41 **CHAIRMAN POWERS:** All right. Do we have a -- I think I also
42 would support stopping the meeting now and delaying these three
43 items, and, if I don't hear major objections to this, I think
44 that's what we should proceed to do. All right. If that's the
45 case, then I believe we're done. We did have the Other Business
46 about public comment, and are we required to do something about
47 that?
48

1 **MR. RINDONE:** We have been asked by the council to provide an
2 opportunity for the public to provide comment, and so we were
3 supposed to go until 6:00 today, and so, if you want to
4 entertain any, I think you could.
5

6 **CHAIRMAN POWERS:** All right. Is there any public comment?
7 These are people that -- I will give you a little bit of time to
8 manipulate the webinar process. I am not hearing anything, and
9 so we'll close that item as well. With that, I believe we're
10 finished for the day and for this meeting. Is there a motion to
11 adjourn?
12

13 **MR. GILL:** So moved, Mr. Chairman.
14

15 **DR. NANCE:** I will second. You guys all stay safe.
16

17 **CHAIRMAN POWERS:** Thank you very much. The motion is approved,
18 and we're adjourned.
19

20 (Whereupon, the meeting adjourned on September 14, 2020.)
21
22 - - -