

1 GULF OF MEXICO FISHERY MANAGEMENT COUNCIL

2  
3 SHRIMP MANAGEMENT COMMITTEE

4  
5 Embassy Suites Panama City Beach, Florida

6  
7 October 23, 2023

8  
9 **VOTING MEMBERS**

10 Chris Schieble (designee for Patrick Banks).....Louisiana  
11 Kesley Banks.....Texas  
12 Billy Broussard.....Louisiana  
13 Rick Burris (designee for Joe Spraggins).....Mississippi  
14 Dale Diaz.....Mississippi  
15 Dave Donaldson.....GSMFC  
16 Dakus Geeslin (designee for Robin Riechers).....Texas  
17 Bob Gill.....Florida  
18 Anthony Overton.....Alabama  
19 Andy Strelcheck.....NMFS  
20 Troy Williamson.....Texas

21  
22 **NON-VOTING MEMBERS**

23 Kevin Anson (designee for Scott Bannon).....Alabama  
24 Susan Boggs.....Alabama  
25 Jonathan Dugas.....Louisiana  
26 Tom Frazer.....Florida  
27 Michael McDermott.....Mississippi  
28 C.J. Sweetman (designee for Jessica McCawley).....Florida  
29 Ed Walker.....Florida

30  
31 **STAFF**

32 Assane Diagne.....Economist  
33 Matt Freeman.....Economist  
34 John Froeschke.....Deputy Director  
35 Beth Hager.....Administrative Officer  
36 Lisa Hollensead.....Fishery Biologist  
37 Mary Levy.....NOAA General Counsel  
38 Natasha Mendez-Ferrer.....Fishery Biologist  
39 Emily Muehlstein.....Public Information Officer  
40 Ryan Rindone.....Lead Fishery Biologist/SEDAR Liaison  
41 Bernadine Roy.....Office Manager  
42 Carrie Simmons.....Executive Director  
43 Camilla Shireman.....Administrative & Communications Assistant  
44 Carly Somerset.....Fisheries Outreach Specialist

45  
46 **OTHER PARTICIPANTS**

47 Leann Bosarge.....MS  
48 Peter Hood.....NMFS  
49 Tim Griner.....SAFMC

1 Clay Porch.....SEFSC  
2 John Walter.....SEFSC  
3  
4 - - -  
5

TABLE OF CONTENTS

1  
2  
3 Table of Contents.....3  
4  
5 Adoption of Agenda and Approval of Minutes and Action Guide and  
6 Next Steps.....4  
7  
8 Results of Side-by-Side Testing of Cellular Vessel Monitoring  
9 Systems (cVMS) and Cellular Electronic Logbooks (cELBs) on Gulf  
10 Shrimp Vessels.....5  
11  
12 Remaining Items from Summary of the October 19, 2023 Shrimp  
13 Advisory Panel Meeting.....28  
14  
15 Other Business.....34  
16  
17 Adjournment.....36  
18  
19 - - -  
20  
21

1 The Shrimp Management Committee of the Gulf of Mexico Fishery  
2 Management Council convened at The Embassy Suites in Panama City  
3 Beach, Florida on Monday afternoon, October 23, 2023 and was  
4 called to order by Chairman Chris Schieble.

5  
6 **ADOPTION OF AGENDA**  
7 **APPROVAL OF MINUTES**  
8 **ACTION GUIDE AND NEXT STEPS**  
9

10 **CHAIRMAN CHRIS SCHIEBLE:** Good afternoon, everyone. At this  
11 time, I would like to call the Shrimp Management Committee to  
12 order. The members of the committee are myself as Chair, Mr.  
13 Gill as Vice Chair, Dr. Banks, Mr. Broussard, Mr. Diaz, Mr.  
14 Donaldson, Dr. Overton, Mr. Geeslin, General Spraggins, or Rick  
15 Burris, Mr. Strelcheck, and Mr. Williamson. All committee  
16 members are present today.

17  
18 The first item on the agenda is Adoption of the Agenda, which is  
19 Tab B, Number 1. Does anyone have any other business that they  
20 would like to see added to the agenda? I think we need to  
21 actually add the other business that is listed, correct?

22  
23 **EXECUTIVE DIRECTOR CARRIE SIMMONS:** Thank you, Mr. Chair, and so  
24 I was just wondering -- We sent a letter to Dr. Evan Howell and  
25 Dr. Cisco Werner regarding the climate resilient money, and if  
26 it could be used towards the ELB effort, and so I will just ask,  
27 at the end of the meeting, if they could give us an update on  
28 that, if they have any information.

29  
30 **CHAIRMAN SCHIEBLE:** Okay. So noted. Without any other  
31 additions, does anyone have any objections to that agenda  
32 amended? Seeing none, the agenda is approved. The next item on  
33 the agenda is Approval of the August 2023 Meeting Minutes, which  
34 is Tab B, Number 2. Are there any additions, deletions, or  
35 corrections to those minutes from the August meeting? I don't  
36 have any either, and so, seeing none, is anyone opposed to  
37 adopting those minutes as written? Seeing none, the minutes are  
38 adopted.

39  
40 Next up on the agenda is the Action Guide and Next Steps, Tab B,  
41 Number 3, and I believe that Dr. Freeman is remotely on the  
42 meeting with us, and I will let him guide us through that. Dr.  
43 Freeman, can you hear us?

44  
45 **DR. MATT FREEMAN:** Yes, sir. Thank you. For the first agenda  
46 item, the committee will receive results of the NMFS cellular  
47 vessel monitoring, cVMS, testing on Gulf shrimp vessels.  
48 Responding to the Gulf Council's motion, the goal of this

1 project was to test several different models of cVMS units,  
2 alongside the existing cellular electronic logbook devices on  
3 five vessels off of Palacios, Texas for the full length of an  
4 average offshore trip.

5  
6 Originally, three models were requested to be tested, and the  
7 Southeast Fisheries Science Center expanded this to a fourth  
8 unit. Retrieved data has been run through the Dettloff effort  
9 algorithm for comparison. The committee will also hear about  
10 progress on the early adopter approach. The committee will then  
11 be presented with any Shrimp Advisory Panel motions related to  
12 the results of the NMFS pilot study. The committee should ask  
13 questions and provide feedback, both to NMFS on the pilot study  
14 as well as to council staff on the next steps and timing for the  
15 draft shrimp framework action.

16  
17 Mr. Chair, one thing to add is the Shrimp Advisory Panel meeting  
18 was held this past Thursday, and there is a note in the meeting  
19 summary, but I did want to remind the Shrimp Committee that we  
20 were one individual short of a quorum, and so the AP still did  
21 make motions, and it was just one person short of a quorum.  
22 Thank you.

23  
24 **CHAIRMAN SCHIEBLE:** Okay. Thank you, Dr. Freeman. Moving on to  
25 Agenda Item Tab B, Number 4(b), which is the results of the  
26 side-by-side testing of cellular vessel monitoring systems, and  
27 that will be Dr. Walter. Can you hear us, Dr. Walter?

28  
29 **RESULTS OF SIDE-BY-SIDE TESTING OF CELLULAR VESSEL MONITORING**  
30 **SYSTEMS (cVMS) AND CELLULAR ELECTRONIC LOGBOOKS (cELBs) ON GULF**  
31 **SHRIMP VESSELS**

32  
33 **DR. JOHN WALTER:** Good afternoon, everyone. Sorry that I cannot  
34 be there in-person, but I'll be presenting the VMS testing  
35 results from the side-by-side testing, and I am presenting this  
36 on behalf of a large number of people who worked together on  
37 this and got the units deployed over the 4<sup>th</sup> of July holidays in  
38 Palacios, and then got the units taken off, and so I want to  
39 give a thanks out to a lot of the people who worked on that,  
40 from our staff, to LGL, and then to the vessel owners and  
41 captains who allowed us to get on their boats and install these.

42  
43 The motivation here is that we had previous monitoring done with  
44 the cELBs, the current electronic logbooks, that recorded  
45 information at ten-minute intervals, and that's the previous  
46 system we had, and that's what is used to generate fishing  
47 effort, which is critical information for managing the fishery,  
48 as well as essential information for the biological opinions

1 related to sea turtles, that we have to monitor that effort, and  
2 there's also an effort cap that is for bycatch.

3  
4 That data was originally transmitted to NOAA Fisheries by the 3G  
5 cellular network, but then, when that network stopped  
6 transmitting, we no longer were able to get that data directly  
7 from the devices, and so now we've got the process, in the  
8 interim, to collect the chips and have them either mailed back  
9 in, or we've got a lot of industry participation, with boots on  
10 the ground going to vessels to get those chips.

11  
12 We're collecting that data, in the interim, until we get a new  
13 process in place, and, right now, it's still giving us effort  
14 data, albeit not as systematic and as accurate as it was before,  
15 because some of the devices are failing, and then we're not  
16 getting as many chips back as we would have when the data was  
17 transmitted electronically.

18  
19 The goal is to try to determine what's going to be the future,  
20 and we have both a requirement to do this, a request from  
21 Congress to do this, and I think a strong motivation to get a  
22 more modern effort data collection process in place, and one of  
23 the keys to that is that we really want the units to be able to  
24 actually transmit the data to us through the cellular networks  
25 and not have to physically go out to vessels.

26  
27 The objectives were to install new cellular VMS devices  
28 alongside cELBs on five volunteer commercial shrimp boats and  
29 monitor the performance at-sea during regular fishing trips and  
30 then have that data be transmitted cellularly to us. In order  
31 to get it before the council, we had to schedule that after the  
32 Texas open, in the July-August timeframe, and we wanted the data  
33 to be recorded at the standard ten-minute intervals for the full  
34 length of an average offshore trip, and, in some cases, we got  
35 multiple trips, because we were able to do that, and then we  
36 wanted to run that data through the Dettloff algorithm, which  
37 calculates the number of shrimping days, shrimping effort in  
38 days, and so that is really the determinate of whether they work  
39 or not, is whether they gave us similar results as to what the  
40 existing 3G units gave us.

41  
42 Then we compared those results in the side-by-side testing, to  
43 evaluate the performance of the units, and this comes from a  
44 motion passed by this council to conduct a side-by-side test.

45  
46 The methodology is that Palacios, which is the port for a large  
47 number of shrimp vessels that were getting ready to fish during  
48 that Texas opener, was a convenient location for us to get on

1 vessels and get these units installed, and we installed multiple  
2 different units on the vessels during that July timeframe, in  
3 advance of the opener.

4  
5 We tested four different VMS units, Boat Command and NEMO, which  
6 are both approved by the ASMFC lobster fishery, and then Tracker  
7 One, which was added, because it was available, and then Zen  
8 VMS, which is approved for the for-hire fisheries in the Gulf of  
9 Mexico. Originally, we requested to put Nautic Alert units on  
10 the boats. However, they were not available, during this time  
11 period, to us, and so we replaced them with some of the other  
12 units that we had been exploring, and, as the ASMFC effort  
13 monitoring for the lobster fishery has opened up a number of  
14 units, we added both them and Tracker One to that.

15  
16 We also replaced -- If there was an old cELB, one of the 3G  
17 units, we put a new one on, to ensure that we would get reliable  
18 data from them, in case one of the older units might have  
19 failed, which, as it turns out, was a wise decision, and then  
20 you can see, on five different vessels, we got almost the full  
21 suite of different units on, except we didn't get Tracker One on  
22 Vessel 5.

23  
24 As I mentioned before, we ran it through the Dettloff algorithm,  
25 which identifies trawling versus steaming, based on vessel speed  
26 and based on the distribution of speed, and then that allows us  
27 to then say whether the effort in a given location and time is  
28 fishing effort or steaming effort, based on the vessel speed,  
29 and that's calculated because you have two position points, and  
30 then the straight-line distance between those two position  
31 points, and you can derive a speed from that.

32  
33 The results are we found that, of the old cELBs, two of the old  
34 ones failed. The new ones all worked, but it does show that, as  
35 those units age, just like any electronics, they're going to  
36 potentially not continue to work, and, in this case, it was good  
37 that we put new units on. We had results back from all four of  
38 the VMS testing, except for Vessel 5, where we didn't get the  
39 Tracker One on.

40  
41 I do want to put a disclaimer out that many of the results here  
42 will be focused on data determined to be valid by the current  
43 estimation of commercial shrimp effort algorithm, the Dettloff  
44 algorithm, and some gaps reflect device performance, while other  
45 gaps reflect the algorithm filtering, due to vessel behavior,  
46 such as when it's stationary for a long period of time. Also,  
47 points are filtered out if they're not in the area we're  
48 calculating our effort for, which is offshore, and so, if

1 they're inshore, those are filtered out, and so some of the  
2 results that you see are due to that filtering algorithm, and  
3 then we will try to clarify those as the results are presented  
4 in more detail.

5  
6 This is one result table for one vessel, and it's quite  
7 detailed. I'm not going to go through every single one of these  
8 for every vessel, and I will kind of briefly touch on them and  
9 note that the colors show us where we got most of the data back  
10 that we would expect, because we have an expected duration of  
11 the trip, and then we would want to get all of that data back.

12  
13 In some cases, we did not get all of the data that we expected  
14 back, and, in some cases, you will see numbers over 100 percent,  
15 and that means that there were data points that were in between  
16 the ten-minute interval, and so there are more data points,  
17 because, in some cases, devices are programmed to put a data  
18 point down when they cross a border, when they power-on or off,  
19 or for other reasons, and so sometimes you can get data that are  
20 at say seven, or five, minute intervals. That's not a problem  
21 for the algorithm, because, as I noted, it takes the speed from  
22 the position, the two positions, and then the time between them,  
23 and so it simply calculates that speed and whether it's steaming  
24 or towing, regardless of whether it's seven or ten minutes.

25  
26 You will see a number of situations of why issues were observed,  
27 where, for instance, some of the units didn't report all the  
28 data, and, in one case, for Vessel 1, one of the units required  
29 a reboot, which requires a magnet that we didn't send with the  
30 vessel, and so it couldn't get rebooted during the trip. There  
31 were also some units that had some substantial gaps in the data  
32 collection, and we're not quite sure why the Tracker One had  
33 that, but you will see that, systematically, the Tracker One  
34 units seemed to have a lot of gaps, which may be due to settings  
35 related to whether they were within cell service.

36  
37 Now, the units should still continue to report position, just  
38 like your phone knows its position, even if it doesn't have cell  
39 data, and it would just transmit that when it gets close enough  
40 to shore. However, there might have been something with why  
41 that didn't work, and we're going to explore that further,  
42 because we've heard that the units do well in other fisheries.

43  
44 Here is a figure of the estimated fishing tows, which is the  
45 upper-dashed line, and then all of the data, both fishing and  
46 steaming, which is the lower line, for each one of the units.  
47 For Vessel 1, in gray, you see when it's in port. The green and  
48 the red are the start and stop of a fishing trip, and what you



1 want to see is that the two lines show all of their data, that,  
2 when they're in port, they are not fishing, and then that there  
3 aren't substantial gaps.

4  
5 These are the same results as I showed for Vessel 1 for Vessel  
6 2, and, here, there was an issue, again, with the Tracker One,  
7 and some of the other units had some other power issues here,  
8 but, for the most part, we got pretty good results here from  
9 most of the units. The old cELB did not work on this one.

10  
11 Then you see the time series plot of the same data, and you see  
12 the Boat Command and Tracker One had missing data, and then, in  
13 some cases, the units were turned off for the first three days,  
14 and I believe that was a power issue, and I will just quickly  
15 scroll through the remainder of these slides, which are the  
16 same, and we kept the presentation nearly the same as what was  
17 given to the AP last week, and so, if there's a particular  
18 question that people want to go back to on one of these slides,  
19 we can do that, but I will just quickly go through them. This  
20 is the time series plot, and this is Vessel 4, and this is  
21 another time series plot, and this is Vessel 5.

22  
23 Here are maps, and we've gotten permission from the vessels to  
24 show the actual maps of the effort and space, and you can see  
25 when they're leaving port and then when they're -- You see some  
26 red in the bay, and we think that that's due to when the vessels  
27 are lowering their outriggers, and then you see where the bulk  
28 of the fishing is offshore, and you see that some of the units  
29 had some substantial missing data. This is for Vessel 1, and  
30 then Vessel 2, Vessel 3, Vessel 4, and Vessel 5.

31  
32 This is really probably the make take-home message, and this is  
33 the total effort, in tow days, after we've run the data through  
34 the Dettloff algorithm, and what you can see is that most of the  
35 units, except for the Tracker One, has got fairly similar total  
36 tow days, and, essentially, it would be giving us the same  
37 effort recording as any other ones, and we see that the new  
38 cELBs generally performed well, with the exception of for Vessel  
39 4. The Boat Command also performed well, except for on Vessel  
40 2. NEMO also performed well. However, it had some -- Again, on  
41 that Vessel 1, it required the reboot. Tracker One had the  
42 greatest challenge, and I think we're still sorting out what may  
43 have happened there, and then Zen showed quite good results.

44  
45 I will note that there was, in one case, where there was more  
46 effort hours recorded than any of the other ones, and this is  
47 because we actually were emailed some extra days of fishing, and  
48 that's simply because of that and not because there was anything

1 wrong with the unit, and it didn't have any other problem, and  
2 so what we see is, generally speaking, pretty good performance  
3 from the VMS units, and I think this sets us up well for moving  
4 into the early adopter phase.

5  
6 The challenges we faced were with some of the power issues, and  
7 I think that speaks to how we're going to need to ensure that  
8 the units are installed well and that they are wired to the  
9 vessel, so that they obtain power when the vessel is operating,  
10 and the data was also -- One of the other parts of this early --  
11 What will be the next phase of the early adopter, which we  
12 actually tested out during this testing phase, was having the  
13 data be passed directly to the Science Center.

14  
15 This is one of the potential options we're considering in the  
16 framework amendment, in terms of how the data is routed, and, in  
17 this case, we've created an application programming interface to  
18 allow the vendors to push the data directly to the Science  
19 Center. Several of the vendors tested pushing that data into  
20 the database during the at-sea testing phases in the API, and  
21 some of the vendors also emailed us the data, but now all of the  
22 vendors have that capacity to be able to push the data to us.

23  
24 Then what we would like to do is further flesh out that  
25 potential during the early adopter program and then determine  
26 whether that's something that we can do at scale as the program  
27 moves operation, and the question will be is that something that  
28 the Science Center can maintain, and that the vendors can also  
29 maintain, and does it ensure the confidentiality and data  
30 integrity necessary for the system to go operational.

31  
32 The next steps here are to embark upon the early adopter  
33 program. The Gulf States Fisheries Commission is administering  
34 the contract to do this, and the contract has been awarded to  
35 LGL Ecological Associates, and the goal of this is for voluntary  
36 adoption of cellular VMS units on vessels by vessel owners and  
37 operators.

38  
39 They would get two years of data transmission fees paid for, as  
40 well as the unit purchase and installation, and so it's a pretty  
41 good deal. This is in advance of any rulemaking, and is  
42 entirely voluntary, but it might -- It would most likely help to  
43 support whatever rulemaking comes into place, in terms of being  
44 able to beta test these units before anything is required, and  
45 so, if there are vessels who are interested in being part of  
46 this, they can contact Nathan Putman at LGL Ecological Research  
47 Associates, and what we would recommend is that vessel owners  
48 choose units that demonstrated good performance here and/or that

1 are type-approved for other fisheries.

2  
3 In that case, we want vessel owners to have the choice of what  
4 units to put in, and we, at NOAA Fisheries, are not dictating,  
5 or do not right now have any requirements as to which units  
6 would be supported. However, units that have shown pretty good  
7 performance here would probably be preferred.

8  
9 With that, I would just like to acknowledge, again, all the  
10 people who have contributed to this project, and the Port of  
11 Palacios, and give a thanks to the shrimp fishery. We know this  
12 is a challenging time for many in the shrimp industry, and we've  
13 heard that, and we want to ensure that we can get the effort  
14 data modernized, in a new and improved program, with a minimal  
15 and least challenges to the fishery, and we think that the early  
16 adopter program is an option to help support that, and so  
17 thanks, and I will take any questions.

18  
19 One other thing that I will note is that our communications lead  
20 -- We have a new communications person, and Meaghan Emory is in-  
21 person at the meeting, and, Meaghan, if you can raise your hand,  
22 and I believe we have handouts that we can provide on this early  
23 adopter approach, if people are interested. Thanks.

24  
25 **CHAIRMAN SCHIEBLE:** Understood. Thank you, Dr. Walter, and I  
26 appreciate, you know, your summary of this, and I know we've  
27 gone through this testing of these different units it seems like  
28 for quite a while now, and these are probably the best results,  
29 at least in my opinion, that I have seen over the course of  
30 going through this multiple different iterations, and so thank  
31 you for your patience, and all those folks that you have listed  
32 there, for putting the effort in to get this done to where we  
33 can work on it. Do we have some questions around the table for  
34 Dr. Walter on the test results? Kevin.

35  
36 **MR. KEVIN ANSON:** Thank you, Mr. Chair. I'm not on your  
37 committee, but, Dr. Walter, regarding the Boat Command unit, it  
38 had the overreporting, if you will, or the additional data  
39 points that were collected, but yet it's approved by the ASMFC,  
40 and is that an issue that they had noted, or do they have  
41 similar kind of reporting, or data issues, with that, as far as  
42 extra data points?

43  
44 **DR. WALTER:** I don't know about in ASMFC and whether that's an  
45 issue, but it's certainly -- With most of the VMS units, they're  
46 required to ping when they cross certain boundaries, or when  
47 they have a power-on or off, or when they've lost like  
48 communication, and so I think it's pretty standard to get these

1 pings at finer intervals, and the algorithm just simply deals  
2 with it appropriately, and so it's not an issue in any way, and,  
3 in fact, it's actually part of the standard programming under  
4 most VMS requirements, and so, no, it's not an issue that we  
5 could see, but I don't know about the ASMFC. Thanks.

6  
7 **CHAIRMAN SCHIEBLE:** Thank you, Dr. Walter. Mr. Strelcheck has a  
8 question.

9  
10 **MR. ANDY STRELCHECK:** Not a question, but I guess, in response  
11 to Kevin's question, I think the main issue might be the  
12 difference in the purpose of how they're using the units, and  
13 so, in this instance, we're, obviously, trying to estimate  
14 shrimp fishing effort, and ASMFC I think is more using them as  
15 just locational devices for where the lobster fishery is  
16 operating.

17  
18 **CHAIRMAN SCHIEBLE:** Okay. Thank you, Andy. Do we have any  
19 other questions? Ms. Boggs.

20  
21 **MS. SUSAN BOGGS:** I'm not on your committee, but I did want to  
22 ask, and is there a reason that Zen doesn't transmit directly to  
23 the agency? I mean, are they looking at the data prior to it  
24 going to the agency, or why is that different than the others?

25  
26 **DR. WALTER:** The reason that they emailed us was because we  
27 really only created the API during the testing phase, and so Zen  
28 had been planning on emailing us the data, and only tested it  
29 during that phase, but, operationally, how they sent it to us  
30 was by email, and they can also use the API now, and so it was  
31 just a timing thing, and I think, going on in the future, Zen  
32 will just be using that portal. Thanks.

33  
34 **CHAIRMAN SCHIEBLE:** Okay. Thank you, Dr. Walter. Mr. Diaz.

35  
36 **MR. DALE DIAZ:** I just wanted to kind of echo what Mr. Schieble  
37 said. Dr. Walter, thank you to you and your team, the folks  
38 that participated in it, and I know you all pulled this together  
39 in a short amount of time, and it's a difficult thing to deal  
40 and wrestle with, and it is noted, and appreciated, and so thank  
41 you, all.

42  
43 **DR. WALTER:** Thank you.

44  
45 **CHAIRMAN SCHIEBLE:** Ms. Boggs.

46  
47 **MS. BOGGS:** Again, I'm not on your committee, but, on slide 23,  
48 the results from Vessel 4, I've been -- I mean, most of the maps

1 on all the vessels show pretty closely, but, on Vessel 4, the  
2 Zen map, and it seems like I'm picking on Zen, but it's way  
3 offtrack, compared to the other tracks, and is there any  
4 explanation for that? I mean, on track compared to the other  
5 hardware that were used on this vessel, and was it a different  
6 trip?

7  
8 **DR. WALTER:** Yes, and that one has an extra three days of  
9 fishing, down there in that lower-left, and so Zen just happened  
10 to be able to collect that extra data, and we probably should  
11 have just removed that.

12  
13 **CHAIRMAN SCHIEBLE:** Okay. Do we have any other further  
14 questions for Dr. Walter? If not, we can move on to the next  
15 item on the agenda, which is Tab D, Number 4(a), and that's a  
16 summary of the October 19, 2023 Shrimp Advisory Panel meeting,  
17 and that will be from the Shrimp AP, Ms. Bosarge, please.

18  
19 **MS. LEANN BOSARGE:** Good afternoon. Thanks for having me, and,  
20 staff, if you want to, the first part of the summary is really  
21 going to focus on that presentation that was just on the board,  
22 and so, if you want to, you can pull that back up, because I  
23 think it will be helpful as we go through this.

24  
25 The AP first wanted to thank the council for putting forward the  
26 motion that we had in our former AP summary report, where we did  
27 ask for further testing on those three units, and thank you to  
28 the council for making that motion as well, and sending that  
29 letter on to the Science Center, and then we wanted to thank the  
30 Science Center, because, really, this round of testing was very  
31 well thought out, the protocols that you put in place, and you  
32 gave us a great baseline, and you were very proactive in making  
33 sure that you had the old 3G unit that had always been on the  
34 boat on there, but then you also pulled your 3G units, that you  
35 have the inventory at the Science Center, and put a new one on  
36 there, in case the old one failed, and I think, had you not done  
37 that, we wouldn't have had as great comparisons to go by, and so  
38 we really appreciate you thinking through that and making sure  
39 that this data was as useful as possible for us to figure out a  
40 path forward.

41  
42 Let me step back, and so we've had two rounds of testing, right,  
43 and the first round of testing -- Staff, if you want to pull  
44 that old PowerPoint up that we just saw, because we're going to  
45 need to refer to it, and you can go to Slide 25, if you don't  
46 mind, and so, in the first round of testing, we tested three  
47 type-approved VMS devices, to see if they would work for shrimp  
48 data collection, because our program is a scientific data

1 collection program.

2  
3 It's different. Its main function is for science, and it's  
4 different than all the other VMS programs that you have, right,  
5 and we have to take this data and make sure that the shrimp  
6 fishery is still in compliance with the Endangered Species Act,  
7 and so this idea of the unit is offline, or it has down time, or  
8 it has failures, and that's an inconvenience in a law-  
9 enforcement-based program, if that's the purpose for the  
10 program, and it's an issue when it's a science-based program.  
11 We have to make sure that we're getting enough of the data to  
12 get accurate results, right?

13  
14 The first round of testing, those three units were tested, Zen,  
15 NEMO, and Faria Beade. The Faria Beade failed, and I think NMFS  
16 even took it off the type-approved list for all the different  
17 fisheries, because it just -- It did not do well during that  
18 testing.

19  
20 NEMO had some issues, and it wasn't good at collecting the data  
21 consistently, but there was this hypothesis that maybe that was  
22 because it was not hardwired into the vessel, and it was using  
23 solar power, and then the Zen did fairly well. It had one  
24 issue, where, on a longer trip, it quit collecting data, and so  
25 we did have one failure on the Zen, but, by and large, it did  
26 well, and so we go into this second round of testing, right, and  
27 we -- You all, and the Shrimp AP, you asked NMFS to go back and  
28 test that NEMO some more, but hardwire it this time, to see how  
29 it does, and you asked them to test the Zen again, because it  
30 had that one failure, but it looked okay, and it looked  
31 promising, and you asked them to test the Nautic Alert, which is  
32 another type-approved VMS.

33  
34 Those are the three that you asked them to test, and I have to  
35 give the Science Center kudos, because they went and did some  
36 research, and they found some other devices that are being used  
37 in other fisheries that might work for us, and they tested those  
38 too, and so they went above and beyond in that respect, and so  
39 they tested an extra two, for a total of five, the Boat Command  
40 and the Tracker One, and so those are used in other fisheries.

41  
42 All right, and so the NEMO. We thought it was a solar-power  
43 issue. If you look at those results there, and like on Vessel  
44 1, and the new and old cELB give you about thirteen days of  
45 trawling, nets in the water, right, effort. Boat Command gives  
46 you about the same, and Zen gives you about the same, and the  
47 NEMO gave us 3.8. The Tracker One gave us 3.3, and so, when you  
48 do that math -- I mean, you don't have a 5 or 10 percent

1 difference in the effort being produced by these units, and  
2 you've got a 250-percent-plus difference in the effort being  
3 produced, and so, from a fisherman's perspective, at the AP, we  
4 didn't see that as success, right, and the success is that the  
5 testing showed us this, thank goodness, ahead of time, and it  
6 showed us which units are still having problems, even when  
7 hardwired, right, and so the AP did not feel like that NEMO was  
8 a success.

9  
10 Now, if you will go to -- I just want to point one thing out,  
11 and you all have an hour-and-a-half for this committee, and so I  
12 wanted to go through a couple of these slides in greater detail  
13 and show you what the fishermen see, and I am so excited that  
14 you have an hour-and-a-half, and this is pretty much the main  
15 thing on your agenda, and so, if you will let me, let's go to  
16 slide 11 real quick, please, ma'am.

17  
18 If you -- Here is the rest of the story, and so think about this  
19 from a fisherman's perspective, and so let's focus on the NEMO  
20 for a minute, and, Carrie, can you be my Vanna White? All  
21 right. On that screen back there behind you, because that's the  
22 one that everybody can see, the NEMO, and so there's a solid-  
23 gray line, and then there's a dotted-gray line above it, and the  
24 solid gray line is the one that we're going to focus on, and so  
25 any gap in the solid-gray line is where it stopped collecting  
26 data, right, and so, Carrie, point to the first gap.

27  
28 Okay, and there's gap one, and it quit working. Now go to the  
29 second gap. There's a gap, and then the next one, and there's a  
30 gap. Then the next one, and there's a gap, and then it stops  
31 altogether, and so it stopped working five times on a trip, all  
32 right, and that's a big deal for us as fishermen. That's a --  
33 In the AP's mind, that was an all-out failure, and we don't want  
34 you to push this unit forward in the early adopter program.

35  
36 It had issues during the first round of testing, and it's got  
37 more issues now, and there's another trip where it had issues,  
38 and so it had issues on two out of five trips, and that's 40  
39 percent failure, from a fisherman's perspective, and the other  
40 thing that you have to think about, from a fisherman's  
41 perspective, is heaven forbid if NMFS makes this a VMS rule, and  
42 we've got to go to the dock every time it does that, and so  
43 you're talking about twelve to twenty-four hours of just  
44 steaming, of just running, and can you imagine what that fuel  
45 bill looks like, to go in and fix it five times in one trip?

46  
47 That's how the fishermen think about it, and I just kind of  
48 wanted to back up and show you that from the fishermen's

1 perspective, and you can see there the Tracker One, and I'm not  
2 going to spend much time on it, because pretty much all of the  
3 boats that we put it on looks like that, and it just won't -- It  
4 won't cut the mustard. It's not saying online, and it's not  
5 collecting data when it's supposed to, and it's not reliable  
6 enough for what we need for scientific data.

7  
8 Then, if you go to slide 13, real quick, and so, on this one,  
9 see that Boat Command, and that's the green line, and it does  
10 pretty well until you get right down towards -- Right there.  
11 See that? It quits collecting data, and we're not sure why. We  
12 don't know if that's a power issue, a power supply issue, or if  
13 it really did fail, and that's the only boat that we saw this  
14 Boat Command vendor have an issue, and so the AP said, you know,  
15 maybe it could have been a power supply, and we're going to look  
16 into it more, and we feel like we want to continue testing this  
17 Boat Command, as we go into the early adopter. You can see that  
18 Tracker One has issues again.

19  
20 The other thing that you can notice from this is like you see  
21 how you have missing data at the very beginning of Zen, and the  
22 Tracker One and the cELB, and you didn't have power to the  
23 units, and my guess is -- See that gray bar, and that's where  
24 they're at the dock. When you're at the dock, sometimes you're  
25 on shore power, and you can get shore power, and you have to  
26 unplug the shore power, and you've got to crank the generator,  
27 and these units, a lot of times, are either plugged into an UPS  
28 box or a power strip, right, like a surge protector, and, when  
29 you crank that generator, it trips it, and so they didn't  
30 realize that it had been tripped, and those units weren't on,  
31 but it tells me that it's not a problem with the units, because  
32 all three of them did it at the exact time and then came on at  
33 the exact same time, and so that gives you a hint that that's  
34 probably a power issue.

35  
36 You see that as you go through these, and so the big take-away,  
37 if you want to go back to slide 25, and the big take-away, for  
38 us, is we've still go farther to go. I think this was  
39 excellent, and we learned a lot from it, and we learned what we  
40 don't want, right, and NEMO and Tracker One probably are not  
41 going to be suitable for scientific purposes, for this fishery.

42  
43 Boat Command and Zen, they showed some promise. However, each  
44 one of them had one failure in each round of testing, right, and  
45 like the Zen had a failure in the very first round, and then  
46 Boat Command in this second round of testing, and so we want to  
47 look at them some more and make sure that's a fluke, right, that  
48 that happened to happen in the one-out-of-five boats, but, if



1 you had fifty boats, it still would have just been that one, and  
2 we need to see that. We need to have some assurance there.

3  
4 The other thing that I thought was worth highlighting, because  
5 we also have this other mandate that we have to think about in  
6 the interim, until we find a replacement, and that is that the  
7 Endangered Species Act, and the different litigation that the  
8 agency has been through, says that we have to at least maintain,  
9 or do better, than what we've been doing with our data  
10 collection for shrimp.

11  
12 If you look at the new cELBs, which is still your same 3G cELB  
13 that we've had on the boats for eleven years, the difference is  
14 NMFS has a thousand of them in inventory, and so they took one  
15 of those new ones off the shelf of their inventory and put it on  
16 the boat, but it's still the 3G ELB. It does pretty well, and  
17 so I think we have an interim stopgap that keeps us in  
18 compliance there.

19  
20 When you combine that with the fact that the industry has put  
21 boots on the ground to increase the return rate on the chips,  
22 we're doing okay, and it's not real-time data, but the data that  
23 you're getting is just as good, if not better, than it used to  
24 be, and so I think that's important to keep in mind.

25  
26 Having said that, the AP passed a motion, and the motion said  
27 that, at this time, based on the most recent NMFS cVMS testing,  
28 the Shrimp AP requests that the Tracker One and NEMO units not  
29 be included in the early adopter program. However, we left it  
30 open-ended, because we don't want to shut anybody out forever,  
31 and so we added another sentence, and it said that, if improved  
32 versions of those units are available at a later date, the  
33 Shrimp AP could consider them at that point. The Shrimp AP  
34 further requests that NMFS widely distribute the results of the  
35 NMFS cVMS testing directly to shrimp permit holders.

36  
37 This early adopter program is being funded with the \$800,000  
38 that the shrimp industry went to Congress and begged for,  
39 essentially, and it was sent down to NMFS. Now, a good portion  
40 of that \$800,000 was kept within NMFS to work on some things  
41 that they want to work on, and around \$300,000, or maybe a  
42 little less, once you take off some admin fees, is going to go  
43 to the fishermen, and my best guess at it was probably \$280,000.  
44 I couldn't get a definite answer, but the max would be \$350,000,  
45 and it's probably down around \$280,000, and so that's all we  
46 have to work with.

47  
48 Don't spend that money on devices that we know aren't going to

1 work, please, and so that's why we passed this motion, to make  
2 that very, very clear.

3  
4 The other thing that the AP talked about was -- The reason that  
5 we structured this motion this way, and said leave those off,  
6 instead of saying, no, we want you to go forward with X, Y, and  
7 Z is because we didn't want to eliminate any units that may come  
8 out of the woodwork that we don't know about yet that might, you  
9 know, work well for testing, and NMFS wrote that into their  
10 protocol, when they put this contract out for bid, and so that  
11 is written in there, that other units can come in and be  
12 considered. We don't want these two, in their current form, to  
13 be considered though, that NEMO and the Tracker One.

14  
15 That's what we have there, and one thing that the AP didn't talk  
16 about, but I just thought of just now, as I was listening to  
17 that presentation, is, as we move forward with that early  
18 adopter program, it's really another testing phase, essentially,  
19 and we're going to be getting more data in. Yes, it's great to  
20 get these units paid for and on the boats, but, to me, the big  
21 bang for the buck is the data you get that you can evaluate, so  
22 that we can figure out what units could really be the future for  
23 our industry, but we can't do that if we don't have cELB units  
24 as a baseline on the boats that we're putting the early adopter  
25 devices on, and so I just -- I want to plant that seed, that I  
26 hope that NMFS will think about that, to make sure that we have  
27 data that we can really evaluate, when we get it back.

28  
29 You have like a thousand of those units on the shelf, and maybe  
30 you can send some of those to the contractor who is going to be  
31 handling this, and you're going to have to program them, and  
32 they're not programmed, but put them on the boats, along with  
33 whatever you put on for the early adopter units, so we've got a  
34 baseline to compare to.

35  
36 I thought about that, and then the only other question that the  
37 AP had, and, really, and I'm the chairman of the AP, and I will  
38 be honest that I'm not sure the answer, after going through that  
39 meeting, and that page 25, the effort results, what is that a  
40 result of? Is that after you put the raw data from these units  
41 through the entire Dettloff algorithm, or through a portion of  
42 the Dettloff algorithm, or not through the Dettloff algorithm,  
43 but more just an Excel-type program, where you get the speed of  
44 the boat and determine what it's doing, and that I couldn't  
45 quite gather, and so hopefully we -- Because that was a big  
46 piece of this, especially with the extra points.

47  
48 We knew, going into this, that the OLE-type VMS units, that are

1 type approved right now, they ping more than every ten minutes,  
2 because they have to. That's how their protocols are written.  
3 They have to ping when they cross boundary lines, and they have  
4 to ping every time there's a power-up or power-down, and lots of  
5 different things, and we wanted to make sure that wasn't going  
6 to cause a problem with the algorithm, and so do we know --  
7 Those numbers, at they a full-blown run of the Dettloff  
8 algorithm, where you change the directory that you pull the data  
9 from in your computer code, and highlighted the whole algorithm,  
10 the whole computer code, and ran it, or did you just highlight  
11 part of it and run it, or what?

12

13 **CHAIRMAN SCHIEBLE:** Dr. Walter has his hand up.

14

15 **DR. WALTER:** My understanding is that that's the full Dettloff  
16 algorithm, and so it takes the data out if it's in a bay or  
17 estuary, and it assigns depth based on the vessel depth data  
18 file, et cetera, et cetera.

19

20 **MS. BOSARGE:** All right. Thanks, and maybe if we could, you  
21 know, talk to Kyle Dettloff, because, yesterday, at the AP, we  
22 were told that it was run with just a portion of it, and so  
23 that's where the confusion is, I guess, coming from on that.

24

25 I think that's pretty much it, and I think the key take-home is  
26 that, you know, at first, I think we were really rushing into  
27 this, with this replacement program, and I think we've slowed  
28 down and backed up and started to do some really thorough  
29 testing, and we're learning a lot, and I think, if we'll stay  
30 kind of at the pace that we're at, and not rush into anything,  
31 and let's get some more testing, and make sure this is going to  
32 work, and I think we might end up with a good result here, as  
33 long as we don't jump in too fast. We've got to make sure that  
34 it works before we put it out there.

35

36 Another thing for NMFS to think about is, in your early adopter  
37 program, and I think, maybe early next year, you're planning on  
38 taking those old cELBs off the boat, and starting to phase them  
39 out, and, I mean, based on this, it seems like it would be  
40 advantageous to leave them on there a little bit longer,  
41 especially even just as an interim stop-gap, to make sure that  
42 we've got good, solid data, until we get our for-sure  
43 replacement. That's all for that. Do you want me to go through  
44 the rest of the report right now, or do you want me to pause for  
45 a minute?

46

47 **CHAIRMAN SCHIEBLE:** Well, it looks like we have some questions  
48 for you about this particular topic, and we're going to go back

1 to Dr. Freeman for the action guide, to see where we're at as  
2 far as the framework action, and I think we need to address that  
3 a little bit, and then we can probably come back to you for the  
4 remainder of the report, but don't run away. Stick around.  
5 Thank you for that summary from the AP, Ms. Bosarge, and, also,  
6 it sounds like, you know, we've got three functioning units here  
7 that the AP agrees that worked fairly well in this test, versus  
8 what we've seen in prior testing, which is a positive result,  
9 and so that's fairly good, I think, considering what we've seen  
10 in the past, moving forward with this, and so would you agree  
11 with that, that at least the AP looks at three of these units as  
12 being fairly reliable?

13  
14 **MS. BOSARGE:** Yes, and, by the three, you mean the old cELBs and  
15 then the two potential replacement units? Yes, I think we do,  
16 and the one thing -- The only real reservation that we had,  
17 other than the two failures that we saw that we want to make  
18 sure were a fluke and not a recurring thing, and we do want to  
19 see the actual -- So the Zen data, as they mentioned, was  
20 emailed in, whereas, for the other units, and I guess the  
21 companies have some kind of portal, right, and NMFS was able to  
22 go to the portals for those companies and pull the data off the  
23 portal, and so it's much more of a transmission, right, rather  
24 than just an old-fashioned email in.

25  
26 The AP had some reservations about that, and they really want to  
27 see the capability of Zen to transmit this data, once you're at  
28 a full-scale program, right, with hundreds of boats, because  
29 emailing in -- That's not going to work, right, and it's got to  
30 be transmitted automatically, and so it's good that Zen was able  
31 to use the API, but we hope that, going forward, any data coming  
32 from the Zen is, at a minimum, at a portal level, where NMFS can  
33 pull it. The best-case scenario is all the vendors are actually  
34 pushing it to the API to NMFS, and so thanks.

35  
36 **CHAIRMAN SCHIEBLE:** Okay. Thank you, Ms. Bosarge. At this  
37 time, I will just go back over the motion regarding this that  
38 the Shrimp AP made, keeping in mind that the Shrimp AP did not  
39 have a quorum, but, since they're an advisory panel, this is  
40 mostly a suggestion for the council, this motion.

41  
42 It states that, at this time, based on the most recent NMFS cVMS  
43 testing, the Shrimp AP would request that the Tracker One and  
44 NEMO units not be included in the early adopter program. If  
45 improved versions of these units are available at a later date,  
46 the Shrimp AP could consider them at that point. The Shrimp AP  
47 further requests NMFS widely distribute the results of the NMFS  
48 cVMS testing directly to federal shrimp permit holders. I think

1 that second part there is something that we also need to  
2 probably discuss, maybe with Dr. Walter, going forward, and how  
3 that distribution would take place, but, for discussion's sake,  
4 around the table with this committee, does anybody have any  
5 questions, or statements, regarding this motion? Mr. Gill.

6  
7 **MR. BOB GILL:** Thank you, Mr. Chairman. I think, before we get  
8 into discussion on the motion, I would like to hear, and I don't  
9 think we've heard, the Science Center reaction to that motion,  
10 because this is all about gathering data for the science, and  
11 they're the ultimate arbiters of that, and I would like to hear  
12 what they have to say, pro or con, relative to that motion.  
13 Thank you.

14  
15 **CHAIRMAN SCHIEBLE:** Thank you, Mr. Gill. I guess, Dr. Walter,  
16 did you hear that request for a response to this motion from the  
17 Science Center?

18  
19 **DR. WALTER:** Yes, I did, and I will respond, as I did at the AP,  
20 that it's not our preference to exclude units, and, in  
21 particular, units that are used widely in other fisheries, and  
22 there may very well be a simple explanation for why some of them  
23 didn't work as well in the testing.

24  
25 What we normally do is set the specifications for what's needed,  
26 and so like set the VMS specifications, or, in the framework  
27 amendments, outline the specifications, and then vendors can  
28 meet them or not, and then that would be the normal process,  
29 rather than, right now, excluding vessels from the early  
30 adopter, or excluding units from the early adopter, approach,  
31 and so our preference was not to exclude two of those, but  
32 rather to say that that was still going to be a decision that a  
33 vessel owner could make, in consideration of these results, and  
34 then under advisement of the contractor who will be doing the  
35 work, and we'll also be coordinating between the vendors and the  
36 vessel owners for installations. Thanks.

37  
38 **CHAIRMAN SCHIEBLE:** Okay. Thank you, Dr. Walter, and so your  
39 preference would be to see all five of these units included in  
40 the early adopter program?

41  
42 **DR. WALTER:** Just that it not be excluded right now, that the  
43 council not pick the winners or losers right now, and I don't  
44 know that that's necessary to be done at this point. I think we  
45 still are going to learn more information as we embark on the  
46 early adopter approach.

47  
48 **CHAIRMAN SCHIEBLE:** I guess I don't know enough about this, but

1 what if the industry decided to choose some of these units, and  
2 they aren't reliable, after they choose them, and how would that  
3 work?

4  
5 **DR. WALTER:** Well, presumably, if they pick one, and it fails,  
6 there will be some -- There might be some warranty, in terms of,  
7 if it's going to be purchased on a volunteer basis, and so of  
8 this testing was actually provided to us at no charge, or at a  
9 reduced charge, by the vendor, and so they willingly  
10 participated in this, and that's one of the reason that I feel,  
11 in some cases, it might be a little unfair to say that the units  
12 were failures in this, when there might be an easy answer. If  
13 the units were purchased as part of the early adopter approach,  
14 and they failed due to a warranty issue, presumably that would  
15 be between the vendor and the purchaser, and, if there was still  
16 money available, I would imagine that the vessel owner could get  
17 a different unit, as part of the early adopter program, if funds  
18 were still available. Thanks.

19  
20 **CHAIRMAN SCHIEBLE:** Dr. Frazer.

21  
22 **DR. TOM FRAZER:** Thank you, Mr. Chair. I'm not on the  
23 committee, and I'm just trying to navigate what I heard the AP  
24 say and what I'm hearing the Science Center say, right, and so  
25 there are five units that were tested, and the AP is suggesting  
26 that probably three of them they would like to pursue, and the  
27 Science Center says, well, it may be too early to drop the other  
28 two out, but, if you're in the early adopter program, is the  
29 decision to which unit you use -- Is it up to the fishermen to  
30 make that? I don't know, and that's what I'm trying to figure  
31 out.

32  
33 **CHAIRMAN SCHIEBLE:** That's a good question. Dr. Walter, I  
34 believe that decision is up to the fishermen, correct, and they  
35 could pick from the choices that would be in the program?

36  
37 **DR. WALTER:** That's correct, yes. The fishermen can make that  
38 call.

39  
40 **DR. FRAZER:** All right. Thank you.

41  
42 **CHAIRMAN SCHIEBLE:** Mr. Diaz.

43  
44 **MR. DIAZ:** I think this might be for Dr. Walter too, and so  
45 Leann drove a pretty good point home when she was talking about  
46 the unit that failed five times and had to make five trips back  
47 to the dock, and, every time I pass a gas station, and I look up  
48 and see the price of diesel, and I really don't know how shrimp

1 fishermen stay in business. I don't, because, I mean, you're  
2 talking about people burning a hundred gallons a day.  
3  
4 In the early adopter program, Dr. Walter, if there is a unit  
5 failure, is there any reason why these fishermen would have to  
6 come in?  
7  
8 **DR. WALTER:** No, there's no reason -- This is entirely  
9 voluntary, and there be no reason that the vessel would need to  
10 come in. Thanks.  
11  
12 **CHAIRMAN SCHIEBLE:** Mr. Strelcheck.  
13  
14 **MR. STRELCHECK:** Well, and just an added point that, even if  
15 this was a fully-implemented program, these devices are cellular  
16 devices, and so we wouldn't even know if it failed at-sea until  
17 they came back into cell range, right, and, if they're in cell  
18 range, then we would know, because it's being monitored in real-  
19 time.  
20  
21 **CHAIRMAN SCHIEBLE:** Dr. Porch.  
22  
23 **DR. CLAY PORCH:** I would just add that the vendors will have to  
24 meet some reporting standards, and so it wouldn't be that you  
25 could pick any device that you want, that you think might be  
26 performing, and so one of them would be that it has to report in  
27 an appropriate format that we can accept in our system, or  
28 whichever system is set up.  
29  
30 **CHAIRMAN SCHIEBLE:** So compatibility with the API database,  
31 correct? Dr. Simmons.  
32  
33 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair, and so what  
34 are the current requirements for the fishery? Is that the  
35 national technical specifications that we have for the cellular  
36 VMS, satellite VMS, because there is no technical specs for this  
37 fishery currently.  
38  
39 **DR. PORCH:** I mean, right now -- I mean, originally that was --  
40 I think it was the OLE standards. Let me get back to you.  
41  
42 **EXECUTIVE DIRECTOR SIMMONS:** The reason that I ask is because,  
43 when the council funded the P-Sea WindPlot study, I had many  
44 vendors come to me and say what are the technical specifications  
45 for this fishery, and I think it's an important question that we  
46 need to get to the bottom of.  
47  
48 **CHAIRMAN SCHIEBLE:** Mr. Strelcheck.

1  
2 **MR. STRELCHECK:** I think we're going to have to come back to  
3 this, and have some internal conversations between now and Full  
4 Council, and so my understanding is the money was left to the  
5 Gulf States, and LGL is now a subcontractor for this, and, you  
6 know, we, as the government, can't sole-source, or we can, but  
7 we have to justify sole-sourcing, and I don't know if the  
8 agreement with LGL, or Gulf States, stipulates kind of  
9 requirements, or standards, that the units have to meet, right,  
10 and so I think that's a key consideration here.

11  
12 What I am concerned about, and I think what the industry is  
13 concerned about, is we don't want to put a bunch of units out on  
14 vessels that aren't going to work, or that don't meet our needs,  
15 and that's going to erode trust and confidence in the program,  
16 and I also don't want to push out a lot of units, during the  
17 early adopter program, that may not be approved then later by  
18 this council, right, and so making sure that, legally, we can do  
19 all of this with the contracting regulations I think is a big  
20 question for me, and so we need to get back to you, I think,  
21 during Full Council on that.

22  
23 **CHAIRMAN SCHIEBLE:** Okay. Thank you, Mr. Strelcheck. Do we  
24 have any further questions? Dr. Frazer.

25  
26 **DR. FRAZER:** Again, just following-up, because I'm trying to  
27 figure out what's going to happen here at Full Council, and  
28 listening to what Andy just said, and so, if you move into the  
29 second phase of this program, and there are five units out  
30 there, and so I just want to -- I am trying to navigate the  
31 expectations of the industry and the science, right, so that --  
32 I mean, NMFS will phase the program, and what the industry saw  
33 was concern, right, and they wanted to limit the number of  
34 units, but if the second phase is just an extension, or  
35 expansion, of the science, and the industry is not going to be  
36 held accountable, right, for failures and things like that, it  
37 seems to me like, if you're going to have X number of units, and  
38 let's say there's 500, we want to have a hundred of each of  
39 those units.

40  
41 I am feeling like there's going to be two sets of expectations,  
42 the industry saying I only want things that work, and the  
43 science guys are saying I'm not sure that we know which one is  
44 the best one, or what's going to work yet, and so we want to  
45 just have the full complement of things, and so do you hear what  
46 I'm saying, Andy? I just want to make sure that everybody is in  
47 agreement by the time we have this discussion at Full Council.

48



1 **CHAIRMAN SCHIEBLE:** Okay. Thank you, Dr. Frazer. Do we have  
2 any other comments? Dr. Simmons.

3  
4 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair, and so I  
5 guess, that being said, is it possible, for the second phase,  
6 the early adopter, to come back with more results to refine this  
7 a little bit better, because it seems to me -- I think we heard,  
8 at the AP meeting, only like fifty, to maybe a hundred, units  
9 might be able to be distributed, with the funding that's  
10 available, and so I think there's a lot of concern about those  
11 not working, and not getting approved later on, and then I feel  
12 like the money is wasted, and so is it possible to get more  
13 results before this is narrowed down through this program,  
14 adopter program?

15  
16 **CHAIRMAN SCHIEBLE:** That may be for Dr. Walter, and I see that  
17 you have your hand up.

18  
19 **DR. WALTER:** Yes, Chair. The early adopter program will  
20 certainly give us more results, and we're expecting to get a lot  
21 more data out of it, and so that's going to tell us a number of  
22 things, and one is it will be in more places, and hopefully more  
23 vessels. Two, we'll be able to address a couple of the issues  
24 that we saw even with some of the top-performing units, such as  
25 the power supply.

26  
27 In terms of -- You had asked about whether there are  
28 specifications, and I think the framework amendment has -- While  
29 it's still in draft form, it has a set of specifications that  
30 probably could be considered as guidelines for units. Since we  
31 won't have the rulemaking in place, and we need to embark upon  
32 the early adopter program, we won't have specifications for that  
33 fishery in place, but I think the guidelines are pretty clear,  
34 and they probably wouldn't change too much once that was  
35 actually formalized, and so maybe that's the information to pass  
36 to the contractor, in terms of these are the general guidelines  
37 for data transmission, integrity of the units, service, and  
38 ability for support, et cetera, that's already in the existing  
39 framework draft. Thanks.

40  
41 **CHAIRMAN SCHIEBLE:** Okay. Thank you, Dr. Walter. I think it  
42 sounds, to me, like, in this committee, it may be best to look  
43 at possibly holding off, at least on the first part of this  
44 suggested motion from the Shrimp AP, as far as exclusion or  
45 retention of the different units for the early adopter program,  
46 but, Dr. Walter, can you explain to me -- The second part of  
47 their motion is to widely distribute results of this testing to  
48 the permit holders, and is there a mechanism that's easy for

1 that to be done?

2  
3 **DR. WALTER:** We have a set of materials that are going to be  
4 going out, through a Fishery Bulletin, and then a web story, and  
5 I think the request, from the AP, was to provide a concise  
6 illustration of these results as part of that material.

7  
8 Since the AP was just last week, we haven't drafted that, but  
9 we're going to try to work on that, but I think it's going to  
10 take a little bit of time, and I want to at least get the  
11 announcement for the early adopter approach out as soon as  
12 possible, but you will have to bear with our communications team  
13 on how fast we can get this concise version of the results out  
14 to people, but, yes, we agree that it's important for the  
15 fishermen to know about this and then be able to make an  
16 informed decision. Thanks.

17  
18 **CHAIRMAN SCHIEBLE:** Thank you, Dr. Walter. I agree with you,  
19 and I think getting the results out, so that folks know before  
20 the early adopter program, and they can make their own choices  
21 then, and so would you need a motion from the council for this,  
22 or is this something that's going to take place regardless?

23  
24 **DR. WALTER:** This will take place regardless, and we're going to  
25 proceed with this. The motion could sort of direct people in  
26 one direction or another, but I don't know that it's necessary  
27 for us to embark upon this, the early adopter approach, and to  
28 start getting the units on vessels. Thanks.

29  
30 **CHAIRMAN SCHIEBLE:** Okay. Thank you, Dr. Walter. If there's no  
31 further questions regarding this specifically, or comments, I  
32 think I'm going to kick it back to Dr. Freeman to at least  
33 advise us, as a council, on the next steps and timing for the  
34 shrimp framework action. Dr. Freeman.

35  
36 **DR. FREEMAN:** Yes, sir. Thank you, and so just a reminder for  
37 the committee that there was a motion, at the April meeting,  
38 asking that the draft shrimp framework action not be brought  
39 back to the council until NMFS had completed this side-by-side  
40 testing.

41  
42 The council also passed a motion revising Alternatives 2 and 3  
43 in the document, and so I will note that the IPT needs to review  
44 those, and will likely do so after this council meeting, and so,  
45 as far as direction, if the committee, as well as Full Council,  
46 would like the IPT to explore the continued development of the  
47 draft framework action, beyond Chapters 1 and 2, we would need  
48 direction on that, or, if there are additional results, such as

1 the discussion about those from like the early adopter program,  
2 if folks would like for us to wait until that, any direction,  
3 like I said, in terms of development of the current draft  
4 framework action would be helpful for staff.

5  
6 **CHAIRMAN SCHIEBLE:** Okay. Thank you, Dr. Freeman. Do we have  
7 any comments regarding that within the committee? Mr.  
8 Strelcheck.

9  
10 **MR. STRELCHECK:** I still see, obviously, a lot of work ahead, in  
11 terms of the testing and the early adopter program, and that's  
12 going to continue to inform us as we go forward, and those will  
13 be important results that the center and others can bring back  
14 to us.

15  
16 I think, given where we're at though, it would be good to dust  
17 off the amendment and start working on it again, as that  
18 information develops and becomes available in 2024, and so I  
19 would recommend that we bring this back in January and begin  
20 discussions again on the amendment.

21  
22 **CHAIRMAN SCHIEBLE:** Okay. Thank you. I agree with you, and I  
23 think, you know, bringing it back, sooner than later, at least  
24 for the committee to look at and go through and see how each of  
25 those alternatives will mesh with the new systems that we've  
26 tested, versus what we had when the document was first drafted,  
27 will be beneficial.

28  
29 Also, a timeline, and I don't know if Dr. Simmons can better  
30 answer this maybe, but does that mesh with the early adopter  
31 program, to be able to bring it back in January, if that's being  
32 implemented at the same time? It doesn't matter?

33  
34 **EXECUTIVE DIRECTOR SIMMONS:** I don't know, and I can't recall  
35 what the timeline is on the early adopter program. Sorry.

36  
37 **CHAIRMAN SCHIEBLE:** Thank you. Okay. Well, there we go. I  
38 guess, if there's no other comments on that, I will go back to  
39 Dr. Freeman for the action guide and next steps.

40  
41 **DR. FREEMAN:** Yes, sir. For the next agenda item, the committee  
42 will be presented with any remaining AP recommendations that  
43 were not covered under other agenda items and determine if they  
44 wish to take any action on the AP's recommendations.

45  
46 **CHAIRMAN SCHIEBLE:** Ms. Bosarge, could you please give us the  
47 remaining items from the Shrimp AP meeting?

48

1           **REMAINING ITEMS FROM SUMMARY OF THE OCTOBER 19, 2023 SHRIMP**  
2                                   **ADVISORY PANEL MEETING**

3  
4  
5 **MS. BOSARGE:** Yes, sir. I will do my best, because we did cover  
6 some other things that the AP felt were very important, and I  
7 just wanted to thank Andy for his comments. I appreciate that,  
8 that you are thinking about the industry, and that trust  
9 element, and the buy-in, and making sure that we don't put  
10 things on the boat that are probably not going to work. We've  
11 got enough headwinds going against us right now, and I  
12 appreciate that.

13  
14 As far your tech specs, the ones that Dr. Walter referred to,  
15 that are the ones that I wrote, that he was talking about that  
16 might could be used for vendors that are in your document, I  
17 just will note that there is a requirement in there that those  
18 devices must attain and record at least 95 percent of the  
19 required ten-minute interval position fix data in a twenty-four  
20 period for each twenty-four-hour day of at-sea testing, and your  
21 NEMO and your Tracker One didn't meet that requirement, and so  
22 just -- I put it in there for a reason, because we didn't want  
23 to use things that don't work, and so just, I don't know, brush  
24 up, and see if you like it, see if you can find enough warm  
25 fuzzy, Andy, to not exclude something, but exclude something,  
26 and so all right, and let's move on with the committee report.

27  
28 Discussing a Collaborative Path Forward to Understanding the  
29 Inshore Shrimp Effort to Inform Sea Turtle Restoration Efforts  
30 in the Gulf of Mexico, I think I can sum that up that the AP was  
31 generally not supportive of participating in this project.

32  
33 The Update from BOEM on the Gulf Wind Energy, the two things  
34 that I think are important, and there is a motion there, and the  
35 AP was a little worried that, with the new proposed critical  
36 habitat for Rice's whale and the green sea turtle and the  
37 corals, lots of different things that are coming out on critical  
38 habitat, that, because those aren't actually in place yet, and  
39 they're just proposed rules, we wanted to make sure that NMFS is  
40 still going to have to have some consultation, moving forward,  
41 and we're thinking about that prior to any wind development  
42 actually occurring, because what we see, from the shrimp  
43 industry's perspective, as far as mammals and things like that,  
44 and interactions with endangered species, is, when the oil  
45 industry screws it up and kills some of them, we end up paying  
46 the price.

47  
48 You end up trying to find a way to make us have fewer

1 interactions to rebuild what they messed up, and, I mean, look  
2 at BP, and we're going through that right now in our industry,  
3 and so we don't want that to end up on our backs. If you think  
4 that there could be noise from these windmills that's going to  
5 interfere with these whales, we want you to put it out there to  
6 BOEM now, and be on the frontside of this, because, once the  
7 windmills go into place, it's just like the windmills that you -  
8 - You have an oil platform, at one point anyway, in the middle  
9 of the Flower Garden Sanctuary, because it was there before you  
10 designated it, and so you can't get rid of it at that point, and  
11 it's there, and so we want you to be thinking about that on the  
12 frontend.

13  
14 The other thing that the Shrimp AP brought up is that we're  
15 seeing some of these windfarms on the east coast that are out  
16 there, and, all of a sudden, they're no longer profitable.  
17 Interest rates have gone through the roof, and that changes the  
18 dynamics of the economics of these entities and their contracts  
19 from what they're going to get paid per kilowatt hour, or  
20 whatever it is, of this energy, and so there's a possibility now  
21 that these things can be sitting out there idle, because they're  
22 not profitable, but they're still out there taking up trawlable  
23 grounds, right, and so, in the oil industry, if you have an oil  
24 platform that is no longer producing oil for this country,  
25 energy for our people, then there's a requirement that says,  
26 after X number of years of it not producing energy anymore,  
27 you've got to get it out of there and give that bottom back to  
28 the other user groups in this country that are producing  
29 something for the nation, and that would be us, producing  
30 protein by shrimping those grounds, and so they don't have that  
31 in place for the wind energy yet.

32  
33 We're seeing that this is a real possibility, and we want to  
34 make sure that idle iron NTL goes into place in the Gulf of  
35 Mexico, right alongside the installation, and we don't want it  
36 after the fact, and we want to know, going into it, that you're  
37 going to get it back out of shrimp grounds if it's not producing  
38 anymore.

39  
40 You can see that all of this is kind of reflected in that motion  
41 there from the Shrimp AP to continue to go through this process  
42 with NMFS and make sure that we're on top of this, to minimize  
43 any adverse impacts on the shrimp industry.

44  
45 The next item on our agenda was the update on the reinitiation  
46 of the shrimp bi-op, due to sawfish and giant manta rays, and we  
47 had a lot of good conversation about this, and we really got  
48 into some details, and I thought there was some good questions

1 asked.

2  
3 Generally speaking, I would say that the AP was a little worried  
4 about there not being enough interaction with the fishermen in  
5 this process, with the fishing industry, and we want to make  
6 sure that we have a voice in this, that we're telling you what  
7 we see, and you tell us what you see, and we can groundtruth  
8 each other, right, and so we do want to make sure that we  
9 somehow have a larger voice in that and a seat at the table.

10  
11 All right, and so the next agenda item was the Endangered  
12 Species Act Listing and Critical Habitat Rule Update, and so, in  
13 this presentation, we actually -- It was sort of like four  
14 presentations in one, and so there's all these different  
15 critical habitat designations going on at the same time right  
16 now within NMFS, or recently close to each other, relatively  
17 close to each other, and a couple of them I want to point out.

18  
19 Let's do the Rice's whale first, and so -- Well, we'll start  
20 with the sea turtle, because that's the one right there, and the  
21 green sea turtle is on the board, and so let's start with that  
22 one.

23  
24 We did pass a motion, and the motion references a comment letter  
25 that was submitted by the Southern Shrimp Alliance, which is an  
26 industry trade group that represents all the Gulf states, as  
27 well as the South Atlantic states, that produce shrimp, and so  
28 they wrote a letter really having some reservations about the  
29 proposed critical habitat designation for the green sea turtle,  
30 and I will just -- You really should read the letter, okay, and  
31 it's very well written, and it's rather lengthy, and I won't do  
32 it justice here, but to give you some kind of idea about what  
33 our reservations are there.

34  
35 With the green sea turtle habitat designation, and so there's  
36 284 references to unpublished data in the biological report, and  
37 literally 100 percent of the sixteen citations for the stranding  
38 data in Table 3 of the biological report are for unpublished  
39 data. There are references, and reliance, on unpublished shrimp  
40 trawl bycatch, and so these are all unpublished data, and you  
41 would have to assume that that has not been subject to the same  
42 rigorous peer review standards that are in place for published  
43 data that have to go through that type of peer review.

44  
45 We are worried about the heavy reliance on unpublished data in  
46 this, and the other thing that really concerned us is this idea  
47 of these conservation values that are being placed, and they're  
48 not -- They're not quantitatively crafted, and it's more of a

1 qualitative justification, given at a high, medium, or low  
2 conservation value, and that is what dictates should be critical  
3 habitat or not, and so we have some reservations about that as  
4 well.

5  
6 All of these -- When you start bringing all of these things  
7 together, it undermines the confidence that the industry has in  
8 the reliability of the conclusions that are drawn in that  
9 proposed rule, and this can have implications for our industry  
10 later on, and this will not, in itself, cause us to have  
11 regulations. However, there will eventually be a biological  
12 review, and this will be part of it. It will come up, and there  
13 may be reasonable and prudent measures, which, i.e., more  
14 regulations on our fishery, in order to make sure that we're in  
15 compliance.

16  
17 We just want to see quantitative, hardcore data that is really  
18 justifying this, and not quite so much touchy-feely, and we want  
19 to see some numbers.

20  
21 The Rice's whale, the critical habitat for that, and so, right  
22 now, I think the proposed rule -- The depth contours that they  
23 want to use are a hundred meters through 400 meters, if I  
24 remember correctly, and is that right, Andy? Is that top line  
25 right, the 400? Okay.

26  
27 So our -- Again, this is going to reference -- This motion from  
28 the Shrimp AP references another letter that the Southern Shrimp  
29 Alliance wrote and submitted as public comment for this critical  
30 habitat designation, and I'm sure that Dr. Freeman, or Dr.  
31 Simmons, can get you all of these letters, if you would like to  
32 see it, and I won't do it justice, but I will try and quickly  
33 kind of highlight the things that we are concerned by in the  
34 shrimp industry.

35  
36 If you look at the actual observational data, and like I put my  
37 eyes on the whale kind of data, right, and not modeled, but I  
38 saw it, and so those data suggest that the critical habitat area  
39 should be much deeper than what you have it listed at right now,  
40 deeper than that hundred-meter isobath, and it should be -- It  
41 suggests that it should be closer to the 150-meter isobath.  
42 That is important because of this.

43  
44 If you look at your shrimp data, and your effort, that you have  
45 at your disposal from our ELBs, you will see there is  
46 significant shrimping effort, from that data at least, all the  
47 way out to about 120 meters, and so, if this whale is not really  
48 in this hundred meters, and you don't have any physical

1 observations of it being there, and we're modeling it to be  
2 there, then we are likely creating a problem between  
3 stakeholders that does not exist, that you will have to deal  
4 with, and regulate, when it's really not an issue. They really  
5 aren't overlapping. Do you see what I'm saying, and so it's  
6 important to get this cutoff right.

7  
8 There is one predictive model that is referenced in that  
9 proposed rule, in the data behind it, and that predictive model  
10 even points to the 200-meter isobath as being an important area  
11 that those whales occupy, and there's only one predictive model  
12 that is putting it shallower, and that is a yet-to-be-published  
13 paper, and so that's not a published model, a published paper,  
14 yet, and that's the one that says it might should go into that  
15 hundred-meter isobath, but you don't have hardcore eyes on the  
16 whale in that depth, and you have one predictive model that puts  
17 you closer to 200, and so the shrimp industry is asking, through  
18 the Southern Shrimp Alliance, what I thought was fairly  
19 conservative, and we only asked you to go out to the 120 meters,  
20 when, really, your data puts you at closer to 150 to 200.

21  
22 If you read further in the letter, we also give you some  
23 rationale for backing out that 400-meter isobath contour, back  
24 it up to about that 350, because what you're getting into there  
25 is your royal red grounds, and that's your royal red shrimpers.  
26 They shrimp in that deeper water, and, when I said that 120  
27 earlier, 120 meters, I guess that I should be specific, and I'm  
28 talking about brown, pink, and white, okay, and not royal reds.  
29 I'm talking about your penaeids, brown and pink and white,  
30 penaeid.

31  
32 Pass the letters along, if you can, so that they can read the  
33 full letter, but I think this is important for the council to  
34 think about, because it's going to land on your plate later. It  
35 probably will be better if we can make sure we get those lines  
36 where they really should be in the first place and be forward-  
37 thinking about it.

38  
39 All right, and the only other item under that agenda item -- So  
40 it's the listing of these five Caribbean corals as endangered  
41 species, under the Endangered Species Act, and it really caught  
42 all of us by surprise, because we had not heard about this year,  
43 and it's already final. It's in place, and it's been done, and  
44 I think you all heard about it for the first time at your August  
45 meeting, and so it got presented to us now, but it's already  
46 been implemented, and it's never been before the Shrimp AP, and,  
47 when I looked at the timeline, I think Protected Species has  
48 been working on that, off and on, since 2014, and I was on this



1 council from 2013 to 2022, and, for the life of me, I cannot  
2 remember it ever being presented, and it was a huge area down in  
3 the Keys that is being taken in as critical habitat.

4  
5 We didn't get much background on it, just looking at it, and it  
6 looks like there's probably a lot of modeling that was possibly  
7 involved in it, and we had some reservations about that, and we  
8 would like to see the data, and maybe even see the council write  
9 a letter to NMFS and say, hey, you know, I know you've already  
10 done this, but you didn't present it to us until the last hour  
11 here, and we didn't get any feedback from our APs, and it seems  
12 to be something they're concerned about, and so we're having  
13 hell in our industry right now.

14  
15 We're at a precipice. The shrimp prices have bottomed out,  
16 because the imports have finally gotten to the point where it's  
17 not just -- They're not just depressing our price anymore, but  
18 they have filled up all the freezers in this country, and  
19 there's not enough people to even go buy them, and so the demand  
20 is gone, and so we're doing good if we can find somebody that  
21 will unload the boat.

22  
23 About the only shrimp, brown, pink, and white, that there's  
24 still a little bit of a market for, that we can sell our shrimp,  
25 find somebody to buy them, is pink, and I'm not sure why that it  
26 is, and maybe because they don't raise them in ponds overseas,  
27 and I don't know, and that critical habitat designation for  
28 those corals -- That's down in our pink shrimp grounds, and  
29 we're worried that's going to come back to bite us, that somehow  
30 that's going to end up in regulations.

31  
32 We just want to see the science that it was based on and see,  
33 you know, how you came up with that, and why you didn't present  
34 it to us earlier, so we could give you feedback, if maybe it  
35 should have been tailored a little bit more, and so we hope the  
36 council will take that up with NMFS, and that's about the only  
37 thing we've got left going for us at this point. I think that's  
38 it, but let me make sure.

39  
40 **CHAIRMAN SCHIEBLE:** Thank you, Ms. Bosarge. I almost had to  
41 invoke the public comment buzzer.

42  
43 **MS. BOSARGE:** You're shutting me down?

44  
45 **CHAIRMAN SCHIEBLE:** We're getting close on time.

46  
47 **MS. BOSARGE:** Well, that's it. I'm at the end.

48

1 **CHAIRMAN SCHIEBLE:** Perfect timing, as usual. Thank you. The  
2 final item on the agenda is Other Business, and I will let Dr.  
3 Simmons kick that off, and then I believe that Dr. Walter has a  
4 couple of items to go through.

5  
6 **OTHER BUSINESS**  
7

8 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair, and so we may  
9 have to come back to this at Full Council too, but I will just  
10 put the request out there that the council sent a letter to Dr.  
11 Werner, after Evan Howell gave us a presentation, Dr. Howell  
12 gave us a presentation, regarding the climate resilience, the  
13 IRA funding, and I think there was some idea that the data  
14 acquisition, the data -- I think it's called the Essential Data  
15 Collection and Advanced Technologies portion, or pot, of  
16 funding, if that potentially could be used to help with  
17 advancing technologies in the shrimp fishery.

18  
19 We did send that letter, and we did talk about it, just briefly,  
20 at the Council Coordination Committee last week, and we were  
21 told that there is some regional spend plans that may be coming  
22 out, and we didn't know how that might fit in with this, but, if  
23 you had any updates for us, Andy or Clay, that would be great,  
24 on that letter.

25  
26 **DR. PORCH:** We've read the letter, and we're considering it.  
27 The bottom line is the spend plans have been pretty well  
28 developed, and so what we're looking at now is if there's any  
29 gaps, any funds available, and there's a lot of things in the  
30 queue and so, at this point, no decisions, no firm decisions,  
31 have been made, but it would fall in a long queue, and so I  
32 don't have any good insights of whether it could be funded or  
33 not through IRA.

34  
35 **EXECUTIVE DIRECTOR SIMMONS:** Just one quick follow-up. Thank  
36 you, and so the other thing that was discussed is the councils,  
37 the regional management councils, potentially updating their  
38 research and monitoring priorities to help with this effort, and  
39 is that futile at this point, that the spend plans are already  
40 pretty fully vetted and it's not useful for us to update those?  
41 We would be normally next year, under our five-year budgeting  
42 process, but this would be a more focused, I guess, effort, and  
43 I think that was briefly discussed at the national level, but it  
44 hadn't trickled down, I guess, to the regional level, if that's  
45 something they wanted us to do, but we can circle back at Full  
46 Council, and I will just put that out there. Thanks.

47  
48 **CHAIRMAN SCHIEBLE:** Okay. Thank you, Dr. Simmons. Mr. Gill.

1  
2 **MR. GILL:** Thank you, Mr. Chairman. Before it escapes us, Leann  
3 mentioned the possibility of the two letters regarding sea  
4 turtles and Rice's whale comments from SSA, and could we ask Dr.  
5 Freeman to provide those to council prior to, for consideration?  
6 At the AP, which I attended, I was impressed with the rationale  
7 that was given verbally as to those, but I would like to  
8 understand it better before we get into whether we follow those  
9 up with a council motion. Thank you.

10  
11 **CHAIRMAN SCHIEBLE:** So you would like those before we get to  
12 Full Council, or are you talking about before the January Shrimp  
13 Committee meeting?

14  
15 **MR. GILL:** Before Full Council, because that's where we're going  
16 to discuss what we're doing here in committee.

17  
18 **CHAIRMAN SCHIEBLE:** Yes, and I agree. I was just making sure  
19 that's what you meant. Dr. Freeman, is that possible? Did you  
20 hear what Mr. Gill asked for?

21  
22 **DR. FREEMAN:** Yes, sir, I did, and I sent a PDF version of those  
23 two letters to our admin staff earlier this morning, just in  
24 anticipation that a committee member may request that, and so I  
25 will verify with them that they can get that sent out before  
26 Full Council.

27  
28 **CHAIRMAN SCHIEBLE:** Thank you, Dr. Freeman. As usual, you're  
29 ahead of us. Mr. Strelcheck.

30  
31 **MR. STRELCHECK:** Well, I will just add -- I mean, I can't speak,  
32 obviously, for the council and what you want to do with regard  
33 to industry letters, but the agency has an obligation,  
34 obviously, and we've gone out, and we've solicited public input  
35 and comments, and so now we're reviewing that public input and  
36 comments on our rulemakings, and certainly we'll consider that  
37 as far as any sort of further development of the final rule,  
38 just like the council would do any sort of rulemaking as well.

39  
40 **CHAIRMAN SCHIEBLE:** Thank you, Mr. Strelcheck. I see Dr. Walter  
41 has his hand up, and I want to ask you a quick question before  
42 you speak, and so are you available Thursday? Are you going to  
43 be on the call during the Full Council period, where possibly  
44 you could give the presentation on the early adopter program, or  
45 is that something that Executive Director Simmons wants to do  
46 now? It's these last three agenda items, Tab D-6(a), 6(b), and  
47 6(c), and are we wanting to do those during Full Council? Are  
48 you available, Dr. Walter, or do you want to do that now?

1  
2 **DR. WALTER:** I would be available, and I think we could pretty  
3 much knock that out by saying that the handouts are available,  
4 and we don't even need a presentation. I do have one other very  
5 short comment to make.

6  
7 **CHAIRMAN SCHIEBLE:** Go ahead, please.

8  
9 **DR. WALTER:** So one of the things that we're working on is  
10 trying to find synergies between the turtle project, which is to  
11 implement effort monitoring in inshore waters, mostly in state  
12 waters, but, because most federally-permitted vessels are also  
13 state-permitted, those vessels may also be applicable to that,  
14 and that project has a substantial amount of funding available  
15 to it, and so, if there are synergies that could be made between  
16 the turtle project and the early adopter program, it could be  
17 very valuable, particularly because I think one of the AP's  
18 goals is trying to implement --

19  
20 To ensure that the new effort monitoring has the minimal  
21 economic impact on the fishery, and so, if they could be vessels  
22 to get effort monitoring units through the turtle program, maybe  
23 in a similar way as the early adopter program, and we're  
24 exploring that, and I know that the AP was not a fan of the  
25 turtle project, but the reality is that effort needs to be  
26 monitored, and it's an essential element of what allows the  
27 fishery to be authorized under the biological opinion, and so  
28 more data is actually better data to inform the process, and, if  
29 they can get free units, I think that's something that might be  
30 palatable. Anyway, more to come on that. Thanks.

31  
32 **CHAIRMAN SCHIEBLE:** Thank you, Dr. Walter. Do we have any other  
33 further comments, or questions, around the committee? Seeing  
34 none, Dr. Freeman, do you have anything further, before signing-  
35 off?

36  
37 **DR. FREEMAN:** That's all. Thank you, Mr. Chair.

38  
39 **CHAIRMAN SCHIEBLE:** I appreciate it. Back to you, Mr. Chair,  
40 and that concludes the Shrimp Management Committee.

41  
42 (Whereupon, the meeting adjourned on October 23, 2023.)

43  
44 - - -