

1 GULF OF MEXICO FISHERY MANAGEMENT COUNCIL

2
3 MEETING OF THE STANDING & SPECIAL REEF FISH, MACKEREL, SHRIMP,
4 SOCIOECONOMIC & ECOSYSTEM SCIENTIFIC AND STATISTICAL COMMITTEES

5
6 WEBINAR

7
8 MAY 3-4, 2021

9
10 **STANDING SSC VOTING MEMBERS**

- 11 Kai Lorenzen.....
- 12 Lee Anderson.....
- 13 Luiz Barbieri.....
- 14 Harry Blanchet.....
- 15 David Chagaris.....
- 16 Benny Gallaway.....
- 17 Bob Gill.....
- 18 Douglas Gregory.....
- 19 Walter Keithly.....
- 20 Robert Leaf.....
- 21 Camp Matens.....
- 22 James Nance.....
- 23 Will Patterson.....
- 24 Sean Powers.....
- 25 Ken Roberts.....
- 26 Steven Scyphers.....
- 27 Jim Tolan.....

28
29 **SPECIAL REEF FISH SSC VOTING MEMBERS**

- 30 Jason Adriance.....
- 31 Judson Curtis.....
- 32 John Mareska.....

33
34 **SPECIAL MACKEREL SSC VOTING MEMBERS**

- 35 Jason Adriance.....
- 36 John Mareska.....

37
38 **SPECIAL SHRIMP SSC VOTING MEMBERS**

- 39 Thomas Shirley.....

40
41 **SPECIAL SOCIOECONOMIC SSC VOTING MEMBERS**

- 42 Jack Isaacs.....
- 43 Andrew Ropicki.....

44
45 **SPECIAL ECOSYSTEM SSC VOTING MEMBERS**

- 46 Cam Ainsworth.....
- 47 Mandy Karnauskas.....
- 48 Paul Sammarco.....

1
2 **STAFF**
3 Assane Diagne.....Economist
4 John Froeschke.....Deputy Director
5 Jessica Matos.....Document Editor & Administrative Assistant
6 Ryan Rindone.....Lead Fishery Biologist/SEDAR Liaison
7 Bernadine Roy.....Office Manager
8 Carrie Simmons.....Executive Director

9
10 **OTHER PARTICIPANTS**

11 Juan Agar.....SEFSC
12 Leann Bosarge.....GMFMC
13 Shannon Cass-Calay.....SEFSC
14 Michael Drexler.....Ocean Conservancy
15 Alisha Gray.....NMFS
16 Akbar Marvasti.....SEFSC
17 Michelle Masi.....SEFSC
18 Julie Neer.....SEDAR
19 Skyler Sagarese.....SEFSC
20 Katie Siegfried.....SEFSC
21 Jessica Stephen.....NMFS
22 Mike Travis.....NMFS
23 Bob Zales.....Panama City, FL

24 - - -
25
26

TABLE OF CONTENTS

1
2
3 Table of Contents.....3
4
5 Table of Motions.....4
6
7 Introductions and Adoption of Agenda.....5
8
9 Approval of Verbatim Minutes and Meeting Summary: March 30-April
10 2, 2021 Webinar Meeting.....8
11
12 Scope of Work.....10
13
14 Selection of SSC Representative for the June 21-25, 2021 Gulf
15 Council Meeting.....10
16
17 Management Considerations for Using Interim Analyses.....10
18
19 Review of Gulf Red Grouper Updated Indices of Abundance.....18
20
21 Review of Gulf Penaeid Shrimp Working Groups.....38
22
23 Review of Gulf Royal Red Shrimp Index.....51
24
25 SEDAR 74 Participant Solicitation.....57
26
27 Joint Grouper-Tilefish and Red Snapper IFQ Review.....63
28
29 SEDAR 68 Participant Solicitation.....120
30
31 Allocation Review Guidelines.....115
32
33 Review of ABC Control Rule: Tier 1.....122
34 ABC Control Rule Scope of Work.....122
35 Presentation on a Tier 1 Alternative.....125
36 SSC Discussion.....169
37
38 Gulf Gray Triggerfish Age Validation Challenges and
39 Recommendations.....198
40
41 Public Comment.....218
42
43 Other Business.....220
44 SEDAR 68 Participant Solicitation.....220
45 Discussion of Council Facebook Page and Blog.....223
46
47 Adjournment.....225
48
49

TABLE OF MOTIONS

1
2
3
4
5
6
7
8
9

PAGE 113: Motion that the SSC reviewed the material with respect to the joint red snapper grouper tilefish IFQ and finds it acceptable for review by the AP panel and the council. The motion carried on page 115.

- - -

1 The Meeting of the Gulf of Mexico Fishery Management Council
2 Standing and Special Reef Fish, Special Mackerel, Special
3 Shrimp, Special Socioeconomic & Special Ecosystem Scientific and
4 Statistical Committees convened via webinar on Monday morning,
5 May 3, 2021, and was called to order by Acting Chairman Kai
6 Lorenzen.

7
8
9

INTRODUCTIONS AND ADOPTION OF AGENDA

10 **CHAIRMAN KAI LORENZEN:** Good morning. My name is Kai Lorenzen,
11 and I welcome all of you as the Acting Chair of the Scientific
12 and Statistical Committee of the Gulf of Mexico Fishery
13 Management Council. We appreciate your attendance on this
14 webinar and input into this meeting. Representing the council
15 is Leann Bosarge, and council staff in attendance are Ryan
16 Rindone and Jessica Matos.

17

18 Notice of this meeting was provided to the Federal Register,
19 sent via email to subscribers of the council's press release
20 email list, and was posted on the council's website.

21

22 This week's meeting will include the following topics: Adoption
23 of the Agenda; Approval of the March 30 to April 2, 2021 Meeting
24 Minutes; Scope of Work; Selection of SSC Representative for the
25 June 21 to 25, 2021 Council Meeting; Management Considerations
26 for Using Interim Analysis; Review of Gulf Red Grouper Updated
27 Indices of Abundance; Review of Gulf Penaeid Shrimp Working
28 Groups; Review of Gulf Royal Red Shrimp Index; SEDAR 74
29 Participant Solicitation; Joint Grouper-Tilefish and Red Snapper
30 IFQ Review; Allocation Review Guidelines; Review of ABC Control
31 Rule Tier 1; Gulf Gray Triggerfish Age Validation Challenges and
32 Recommendations; Public Comment; and Other Business.

33

34 One item originally noticed for this meeting has been withdrawn,
35 and that's the NMFS Policy Document Determination of Best
36 Scientific Information Available in the Southeast Region, and so
37 we will not be covering that at this meeting.

38

39 The webinar is open to the public and is being streamed live and
40 recorded. A summary of the meeting and verbatim minutes will be
41 produced and made available to the public via the council's
42 website.

43

44 For the purpose of voice identification and to ensure you are
45 able to mute and unmute your line, please identify yourself by
46 stating your full name when your name is called for attendance.
47 Once you have identified yourself, please re-mute your line. To
48 signal you wish to speak during the meeting, please use the

1 raise-your-hand function, and staff will display your name.
2 Please remember to identify yourself before speaking and to also
3 re-mute your line each time you finish speaking. Thank you.
4
5 **MS. JESSICA MATOS:** Lee Anderson.
6
7 **DR. LEE ANDERSON:** Lee Anderson.
8
9 **MS. MATOS:** Luiz Barbieri.
10
11 **DR. LUIZ BARBIERI:** Luiz Barbieri.
12
13 **MS. MATOS:** Harry Blanchet.
14
15 **MR. HARRY BLANCHET:** Harry Blanchet.
16
17 **MS. MATOS:** Dave Chagaris.
18
19 **DR. DAVID CHAGARIS:** David Chagaris.
20
21 **MS. MATOS:** Benny Gallaway.
22
23 **DR. BENNY GALLAWAY:** Benny Gallaway, here.
24
25 **MS. MATOS:** Bob Gill.
26
27 **MR. BOB GILL:** Bob Gill.
28
29 **MS. MATOS:** Doug Gregory.
30
31 **MR. DOUGLAS GREGORY:** Doug Gregory, here.
32
33 **MS. MATOS:** Walter Keithly.
34
35 **DR. WALTER KEITHLY:** Walter Keithly.
36
37 **MS. MATOS:** Robert Leaf. Kai Lorenzen.
38
39 **CHAIRMAN LORENZEN:** Kai Lorenzen.
40
41 **MS. MATOS:** Camp Matens.
42
43 **MR. CAMP MATENS:** Camp Matens, here.
44
45 **MS. MATOS:** Jim Nance.
46
47 **DR. JIM NANCE:** Jim Nance is here.
48

1 **MS. MATOS:** Will Patterson. Sean Powers. Ken Roberts.
2
3 **DR. KEN ROBERTS:** Ken Roberts is here.
4
5 **MS. MATOS:** There we go. Are you able to see anything yet, or
6 no?
7
8 **DR. ROBERTS:** No, I'm not able to see anything. I'm still
9 trying. Thank you.
10
11 **MS. MATOS:** Okay. Steven Scyphers.
12
13 **DR. STEVEN SCYPHERS:** Steven Scyphers.
14
15 **MS. MATOS:** Jim Tolan. Jason Adriance.
16
17 **MR. JASON ADRIANCE:** Jason Adriance.
18
19 **MS. MATOS:** Judd Curtis.
20
21 **DR. JUDSON CURTIS:** Judd Curtis.
22
23 **MS. MATOS:** John Mareska.
24
25 **MR. JOHN MARESKA:** John Mareska.
26
27 **MS. MATOS:** Kari Buck. Jack Isaacs.
28
29 **DR. JACK ISAACS:** This is Jack Isaacs.
30
31 **MS. MATOS:** Andrew Ropicki.
32
33 **DR. ANDREW ROPICKI:** Andrew Ropicki.
34
35 **MS. MATOS:** Peyton Cagle. Thomas Shirley.
36
37 **DR. THOMAS SHIRLEY:** Thomas Shirley here.
38
39 **MS. MATOS:** Thank you. Cam Ainsworth.
40
41 **DR. CAM AINSWORTH:** Cam Ainsworth, here.
42
43 **MS. MATOS:** Mandy Karnauskas.
44
45 **DR. MANDY KARNAUSKAS:** Mandy Karnauskas.
46
47 **MS. MATOS:** Paul Sammarco.
48

1 **DR. PAUL SAMMARCO:** Paul Sammarco, here.
2
3 **MS. MATOS:** Leann Bosarge.
4
5 **MS. LEANN BOSARGE:** Leann Bosarge is present.
6
7 **MS. MATOS:** Thank you. Okay. We're all good, Kai.
8
9 **CHAIRMAN LORENZEN:** Okay. Thank you. The first point of
10 business is the Adoption of the Agenda. Are there any comments,
11 questions, or additional items for the agenda?
12
13 **MR. RYAN RINDONE:** Under Other Business, I would like to solicit
14 the SSC for participants for the review workshop for the SEDAR
15 68 assessment of Southeastern U.S. scamp.
16
17 **CHAIRMAN LORENZEN:** Okay. Anything else? If not, we're looking
18 for a motion to adopt.
19
20 **MR. GILL:** Move adoption as modified, Mr. Chairman.
21
22 **DR. NANCE:** I will second that, Mr. Chairman.
23
24 **CHAIRMAN LORENZEN:** Okay. Any objections? Okay. The agenda is
25 adopted. Then Approval of Verbatim Minutes and Meeting Summary
26 for the March 30 through April 2, 2021 Webinar Meeting. Are
27 there any questions or comments?
28
29 **APPROVAL OF VERBATIM MINUTES AND MEETING SUMMARY FOR THE MARCH**
30 **30-APRIL 2, 2021 WEBINAR MEETING**
31
32 **DR. ROBERTS:** Mr. Chairman, I cannot raise my hand, and can I
33 have a moment with you, please?
34
35 **CHAIRMAN LORENZEN:** Yes, of course.
36
37 **DR. ROBERTS:** I noticed a difference between Ryan's summary,
38 which is excellent. The verbatim, we spent 450 pages of typed
39 work discussing motions, and the thing that I am troubled about
40 is in that whole paper, starting about page 300 and ending at
41 the end, when we voted on motions, there is no highlighting of
42 what motion it was that we were voting on.
43
44 I know the meaning of verbatim, and it's being typed, probably
45 by a word processor, or somebody listening on a microphone, but
46 I think it would be best if we could get the actual motion, like
47 Ryan has them in his summary, highlighted, actually inserted
48 into the verbatim minutes, because I read through the verbatim

1 minutes, and it easily was an hour-or-half or two that we spoke
2 about motions, and the motions probably went up on the screen,
3 but they were not actually inserted into the minutes, so you
4 would know what actual motion it was that you were voting on,
5 and so that's just a recommendation. Thank you.

6
7 **CHAIRMAN LORENZEN:** Thank you.

8
9 **MR. RINDONE:** Kai, we're talking about that. Give us just a
10 second here, okay?

11
12 **CHAIRMAN LORENZEN:** Yes. Doug, go ahead.

13
14 **MR. GREGORY:** I have noticed the same thing in previous
15 meetings, and I think what the problem is, it's that we're not
16 repeating the motion just before we vote on it. We're looking
17 at it on the screen, but nobody is reading the motion, and so,
18 if we start doing that, that would solve the problem that Ken is
19 talking about and that I have observed. That way, the minutes
20 would get the motion that we're voting on identified. Thank you
21 very much.

22
23 **CHAIRMAN LORENZEN:** Thank you, Doug. I also think, as long as
24 it's made clear that we're inserting the motion for clarity, and
25 it wasn't said in that way at the time, I think it would seem to
26 me that we should be able to insert that as an explanatory note,
27 but, Ryan, please chime in.

28
29 **MR. RINDONE:** Sure. Dr. Simmons actually said the same thing
30 that Mr. Gregory said, about reading the motion in, and so that
31 will just be something that we need to stay on top of, so that,
32 right before a vote is actually made on anything, or something
33 is adopted without objection, the Chair needs to read the motion
34 in first, and then that will show up right before any tabulation
35 of the vote.

36
37 **CHAIRMAN LORENZEN:** Okay. In the line of that, should we
38 approve the minutes as they are or inserting the motion after
39 the event, just for clarity?

40
41 **DR. ROBERTS:** I move acceptance.

42
43 **CHAIRMAN LORENZEN:** Thank you. Do we have a second?

44
45 **MR. GILL:** Seconded.

46
47 **CHAIRMAN LORENZEN:** Any objections to approving the minutes and
48 the summary? Hearing none, the minutes and the summary are

1 approved, and, next up, we have the Scope of Work. Ryan.

2
3 **SCOPE OF WORK**
4

5 **MR. RINDONE:** Thank you, Dr. Lorenzen. We'll go through that
6 step-by-step, before each of the agenda items, and so the first
7 thing that is up to bat is the management considerations, or,
8 actually, it's selection of the SSC representative for the June
9 21 to 25 council meeting that's going to be held in a hybrid
10 fashion in Key West.

11
12 The SSC will need to put forward a representative to talk about
13 all the fun things that you guys are going to discuss over the
14 next few days, and this person can attend virtually or in-person
15 in Key West, and so, Mr. Chair, if you would like to solicit the
16 membership.

17
18 **SELECTION OF SSC REPRESENTATIVE FOR THE JUNE 21-25, 2021 COUNCIL**
19 **MEETING**
20

21 **CHAIRMAN LORENZEN:** I will start by saying that I will
22 volunteer, unless there are other volunteers, but just step
23 forward, if anyone is interested in doing that SSC rep. Hearing
24 no volunteers --

25
26 **MR. RINDONE:** All right. We'll put you down. Maybe you can
27 talk Doug into riding his bike over and saying hello one day.

28
29 **CHAIRMAN LORENZEN:** Okay. The next item we have then is
30 Management Considerations for Using Interim Analyses, and that
31 goes back to Mr. Rindone.

32
33 **MANAGEMENT CONSIDERATIONS FOR USING INTERIM ANALYSES**
34

35 **MR. RINDONE:** Council staff will give you guys an overview of
36 the management considerations and uses for the interim analyses
37 tool, and this was developed by the Science Center to provide
38 interim catch advice in between assessments.

39
40 Red grouper is going to be used as an example here, because we
41 get an interim analysis from the Science Center annually for
42 that species, and the presentation is going to give you an
43 overview on where we currently are with Amendment 53 and just
44 show how we've used the interim analysis to update catch advice
45 for red grouper prior to that amendment. You guys should
46 provide feedback on staff's approach and for recommended
47 improvements and considerations for using the interim analysis
48 tool.

1
2 **CHAIRMAN LORENZEN:** Thank you, and so we're looking for the
3 presentation, and that's Dr. Simmons, right?
4

5 **MR. RINDONE:** Correct.
6

7 **EXECUTIVE DIRECTOR CARRIE SIMMONS:** Good morning, everyone.
8 Thank you, Mr. Chair. As Ryan mentioned, we put this together
9 just to kind of think about, holistically, how we may want to
10 use this tool moving forward.
11

12 In this case, we're going to use red grouper as an example,
13 because that's what we have currently, what the council is
14 working on on the agenda, and it's at the forefront of
15 everyone's mind, but what I would like folks to think about, and
16 try to help us with, is timing of these tools, and particularly
17 after we have a formal stock assessment that's been completed,
18 and the council may have not, perhaps, decided yet on the catch
19 advice, and what is the best way to use this tool, moving
20 forward, that we have available to us from the Science Center?
21

22 Perhaps, as I'm working on this, and we're thinking about our
23 schedule, which we also included in the briefing book agenda
24 items on the website, what is the goal for utilizing these
25 tools, moving forward, and when should we ask for catch advice
26 to be updated, versus perhaps just an update of the indices of
27 abundance, to perhaps just get a health check of the stock?
28 These are the kinds of things, I think, that would be useful for
29 both the council and the SSC and staff as we move forward, so
30 we're not just chasing our tails with these tools in the future.
31

32 Everyone probably remembers this, but, in October of 2019, SEDAR
33 61 was completed, and it was reviewed by the SSC and provided to
34 the council. At that time, there was still a great deal of
35 concern about red grouper and recruitment and the vulnerability
36 to red tide, and so the council passed the following motion for
37 Gulf red grouper. They asked that the Science Center conduct an
38 interim analysis of red grouper annually, and they wanted that
39 to start in 2020.
40

41 Dr. Skyler Sagarese is going to go through this in more detail,
42 but, just as an overview, the interim analysis uses a harvest
43 control rule, and, for red grouper, currently, the ABC from the
44 assessment that you recommended was the 4.9 million pounds
45 gutted weight, but you also recommended a range of ABCs that you
46 will see in a minute, with the corresponding different sector
47 allocations that the council is considering.
48

1 This ABC is in the MRIP-FES units, and, for this particular
2 analysis, the future catch projections assume the 2019 landings,
3 with the commercial ACL equal to the 3.16 million pounds gutted
4 weight, which is the CHTS units, and I know that seems weird,
5 because it's commercial there, but that is in the MRIP-CHTS
6 units for the commercial sector, and for the 2019 recreational
7 landings equal to the 2018 landings, in numbers of fish, that
8 were then converted to pounds, and that was from the SEDAR 61
9 assessment.

10
11 I know this slide is a little bit busy, but there's a couple
12 of things that I wanted to point out, and hopefully everyone can
13 see it on their computer, and just keep in mind that there were
14 a couple of big management changes, and I think we're even going
15 to talk about some of these later on in the agenda, with the IFQ
16 program, and it was implemented in 2010, with the commercial
17 sector. ACLs went into place in 2012, and that was big change
18 in the way that we manage both the recreational and the
19 commercial sector.

20
21 For the recreational sector, you see the highlighting in yellow.
22 In 2013, the recreational sector exceeded -- The landings
23 exceeded the ACL, and there was a payback measure put in place,
24 and, in 2014, that recreational sector was managed to the ACT
25 instead of the ACL, because of that payback, and then, in 2015,
26 there was an in-season closure for the recreational sector.

27
28 I think Dr. Sagarese is going to get into this some more, but
29 the commercial 2021 landings are through April of this year, and
30 the recreational landings are not available yet for red grouper
31 in 2020 or preliminary 2021. Since 2012, when the commercial
32 ACT has been put in place, it has not been reached, and the
33 recreational sector has been below the ACL since 2016.

34
35 What are some limitations, or perhaps a better way to word this
36 would be management considerations, of an interim analysis?
37 This assumes the council will implement the 4.9 million pounds
38 gutted weight ABC, and that's based on the current sector
39 allocations, which is the 76 commercial and 24 percent
40 recreational allocation. You can see that's Alternative 2, but
41 that's not the council's current preferred alternative. The
42 council's current preferred alternative is Alternative 3.

43
44 The reason I went through the landings is the recreational and
45 the commercial ACL have not been reached in recent history, and
46 I question whether we should be using the ABC of 4.9 million
47 pounds currently for that catch advice or if there's some other
48 method the Science Center and the SSC thinks that we should be

1 using for this interim catch advice, if we're actually going to
2 change the ABC for this species.

3
4 You will get to this in the next presentation, but, with the
5 reduced size from the bottom longline survey, you will see that
6 the 2020 catch advice indicates that the ABC could be increased
7 by about one million pounds, and that should be gutted weight,
8 from the 4.9 million pounds gutted weight, but that's not based
9 on the council's current preferred alternative, because you have
10 to decide on the sector allocations, and then the Science Center
11 is running that through the stock assessment, to get the
12 corresponding OFLs and ABCs.

13
14 Essentially, you would have to do this four more times, to keep
15 this updated and for us to consider this in the current
16 amendment, and so, until the council decides on sector
17 allocations and the corresponding catch advice, the OFLs, ABCs,
18 and ACLs from SEDAR 61 should not be used to modify this catch
19 advice, in our opinion.

20
21 Instead, we think this interim analysis could be used as a
22 health check, and the Science Center has indicated that they
23 could provide updated indices of abundance annually without
24 consideration of modification of the actual ABC and catch
25 advice, and so future interim analysis, after the council
26 decides on this, could be updated and then give the council the
27 opportunity, after the SSC reviews it, to change the catch
28 advice, if warranted.

29
30 We are considering, perhaps, other ways to try to streamline
31 this process other than a framework action, and we're looking at
32 what other councils may be doing to try to move this through the
33 process a little faster, but we think, after the council makes
34 its decision, then this tool should be used to modify the catch
35 advice. With that, I'll stop there and take questions, or maybe
36 we want to talk about the schedule. Thank you.

37
38 **CHAIRMAN LORENZEN:** Okay. I think are there any questions
39 directly on this presentation, or comments? Mr. Gill.

40
41 **MR. GILL:** Thank you, Mr. Chairman. I guess I have a comment,
42 and that is, if the end result of these considerations are a
43 bifurcation of the use of interim analysis, my suggestion is
44 that you don't call both of them "interim analysis" and that we
45 have different names, depending on what their usage is.
46 Otherwise, the confusion factor will be much higher than it
47 ought to be. Thank you.

48

1 **CHAIRMAN LORENZEN:** Thank you. Dr. Sammarco.

2
3 **DR. SAMMARCO:** Thank you, Mr. Chair. I agree with this
4 excellent presentation and the data which have been presented in
5 it. I think it's very good, and it's very sort of sobering, and
6 I was wondering, while listening to it, why would the catch
7 limits -- Why would the catch not be at the catch limits?

8
9 This fishery, it's a pretty popular fishery, and people are
10 pretty good at catching what they want to catch in there, and I
11 wonder whether if one of the mechanisms by which this could
12 happen is if the population has gotten to a level, to a low
13 enough level, where the fish actually behave in such a way that
14 they're more difficult to catch at these densities.

15
16 You can try and try and try to drive that catch up, but you hit
17 your own ceiling before you hit the catch limits, and so I don't
18 really know, and I'm not a grouper expert, and it's just
19 population biology, and so I do agree with the reanalyzing and
20 taking another look at the statistics in analyzing this
21 particular fishery, and congratulations to the presenter. Thank
22 you very much.

23
24 **CHAIRMAN LORENZEN:** Thank you, Paul. Dr. Cass-Calay.

25
26 **DR. SHANNON CALAY:** Thank you, Chair. I wanted to remind the
27 group that, for red grouper, there is a particular confusion,
28 because the council has not yet determined their preferred
29 advice, and so our interim assessment approach, as written, does
30 require the acceptance of the management advice from the SSC and
31 the action of the council, and so that's why, in this particular
32 case, because there is no preferred allocation determined from
33 the council, we can do little more than give you kind of an
34 updated health check, but it is the Science Center's position
35 that, if we have an assessment with accepted management advice,
36 it is preferable to be able to adjust that catch advice based on
37 the behavior of the recent indices of abundance.

38
39 It is the Science Center's position that one way to provide more
40 current, and more numerous, management advice is to use this
41 interim assessment tool, and so we do hope that this case of red
42 grouper, which is complicated by the fact that the allocation
43 had not been determined by the council, does not become the
44 norm.

45
46 **CHAIRMAN LORENZEN:** Thank you. Mr. Gregory.

47
48 **MR. GREGORY:** I agree that this does present a conundrum. Maybe

1 we shouldn't get an annual interim analysis when the council is
2 in the middle of considering changes to management, and we could
3 avoid this particular type of issue.

4
5 Now, I went it and looked at the table that Carrie and staff put
6 together and presented, and, if you ignore those years that had
7 the unusual ABC, from the I think SEDAR 42 that they later
8 discovered an error in it, if you ignore those years, and you
9 look at the commercial harvest, and I say commercial because we
10 only have one recreational year that we can look at the large
11 ABC, and that shows the 75 percent harvest, and recreational.
12 Prior to that, it was like 90 percent, or 95 percent, harvest,
13 and so there's a decline.

14
15 On the commercial side, say from 2010 to 2015, you average that,
16 and they caught 84 percent of their allocation. From 2019 to
17 2020, they caught 73 percent, and so there is, on average, a 10
18 percent decline, and it is a decline.

19
20 Now, inversely, in 2010, with commercial landings only through
21 April, or March, the first quarter of the year, the commercial
22 landings are half of what they were in the previous three years,
23 and so, if that's any indication for this year, the commercial
24 harvest is going to increase dramatically from the previous
25 three or four years, and so that adds to my confusion about
26 this.

27
28 I don't really have a strong feeling which way to go, but we
29 can't always punt on an interim analysis because the council
30 hasn't made a decision on management from the previous
31 recommendations, and so we definitely have a challenge here.
32 Thank you very much.

33
34 **CHAIRMAN LORENZEN:** Thank you, Doug. I think, looking at this,
35 we're getting into the details, and I think, if we want -- I
36 think, if we are going there, we should perhaps see the
37 presentations about the updated indices of abundance before we
38 visit that topic, and so I would say comments and questions to
39 do specifically with the situation we have here, where, because
40 the allocation review hasn't been completed, we can't quite
41 produce the management advice that we should, whereas questions
42 more specifically about the situation of the stock I think maybe
43 we should ask later. Dr. Chagaris and Dr. Ropicki, I don't know
44 whether you're looking to comment specifically on the issue with
45 the interim assessment here or the actual assessment, if you
46 like.

47
48 **DR. CHAGARIS:** Thank you. I just have a general comment, and I

1 think it's the right approach to use the interim analysis as
2 sort of a health check, as you suggested, especially for red
3 grouper, but we may want to think about that being the default
4 for other species, because, with the exception where you
5 actually use it as a harvest control rule, only in cases where
6 we know the index is proportional to the stock and that it's
7 responsive and is a good indicator of future stock conditions,
8 and so, I mean, I think we might want to think about this more
9 broadly and how it could apply to other species as well. Thank
10 you.

11
12 **CHAIRMAN LORENZEN:** Thank you. Andrew.

13
14 **DR. ROPICKI:** I just had a kind of general comment as well. On
15 Slide 7, you mentioned using this interim analysis as a health
16 check, and I think that's a good idea, but I also think we're
17 missing a piece of data that's out there that could be helpful
18 as a health check, and that's what is going on in the IFQ
19 allocation market for red grouper, because, last time around,
20 when we had that big decline in catch levels, and it looked like
21 the stock was in trouble, the allocation and landings market had
22 information available, if we had just been monitoring it in real
23 time.

24
25 Basically, what happened was you had a big divergence in those
26 two prices. The allocation price dropped substantially, while
27 the dockside price stayed high, and so it kind of indicated that
28 there was still demand for red grouper dockside, but the low
29 allocation price said the cost of catching it went way up for
30 those fishermen, and so some means of monitoring that
31 relationship can provide a very easy, and hopefully pain-free,
32 health check as well.

33
34 **CHAIRMAN LORENZEN:** Thank you. Shannon.

35
36 **DR. CALAY:** Thank you, Chair. I wanted to remind the group that
37 the intention of the interim assessment is to update the
38 management advice once an assessment has been accepted, and that
39 implies also that the managers have determined what the
40 allocations will be, and the kind of conundrum we find ourselves
41 in now is that it's being used as an exploration tool. It's
42 being used to test the different allocations and the different
43 assumptions about the indices of abundance, and, right now, the
44 Science Center doesn't have the automation, or the capacity, to
45 use the tool in that fashion.

46
47 It is our intention to use this tool once the management has
48 been determined, and we are able to hand off this tool to

1 council staff and the council, if they do want to use it to
2 explore, but that automation really has not been completed yet.

3
4 **CHAIRMAN LORENZEN:** Thank you. Harry.

5
6 **MR. BLANCHET:** This goes back to I believe it was Bob's point
7 that we've got one tool, and two different applications, that
8 don't really fit, and, to Shannon's point, if you're taking this
9 tool and trying to apply it to management, but you have no
10 guidance, in terms of where to go, you're wasting an awful lot
11 of valuable analyst time, but the council wants these interim
12 reports.

13
14 My suggestion is that the kind of -- If we don't have management
15 advice to frame the analyses, then we probably should not be
16 using that same exact title for both what is essentially a
17 health report, and I would prefer to call it an indices report,
18 rather than "health", and a management report, and so I think
19 something that provides that, that this is an interim analysis,
20 and so this is not a full assessment in any way, but it has two
21 purposes, and it is either A or it is A plus B, so that, if you
22 have the management, then, obviously, you would need to
23 incorporate the indices of abundance and any other variables,
24 such as what Dr. Ropicki pointed out, that might be indicative
25 of the health of the stock.

26
27 I think just something to split them at the title, so that, when
28 the council member picks it up, they know what to expect,
29 whether they're going to be looking at catch advice or whether
30 they're going to be looking at this is what is going on with the
31 stock.

32
33 **CHAIRMAN LORENZEN:** Thank you, Harry. It seems to me, given the
34 back-and-forth we've had, that using that analysis as a health
35 check and using it to actually modify management advice are
36 quite similar, in terms of the onus they place on the Science
37 Center to provide that advice, and, indeed, it seems that we
38 have to consider how much is the general health advice worth to
39 the council, versus more analyst time that could be spent on
40 assessments, and, of course, these are quite substantial
41 undertakings, and I understand, and they may be eventually be
42 more automated, as I understand it, but, right now, that is not
43 the case.

44
45 I'm wondering, seeing no further hands, Dr. Simmons, and there
46 certainly is useful feedback here, and it seems we can't take it
47 much further at this stage, and so, unless there is anything
48 additional now, I suggest we move to -- Are we reviewing the

1 interim analysis schedule next?

2
3 **EXECUTIVE DIRECTOR SIMMONS:** Mr. Chair, I suggest that maybe Dr.
4 Sagarese give her presentation, and then we could circle back.

5
6 **CHAIRMAN LORENZEN:** Okay. That sounds good.

7
8 **REVIEW OF GULF RED GROUPER UPDATED INDICES OF ABUNDANCE**

9
10 **DR. SKYLER SAGARESE:** Thanks, everyone. Just a caveat, and I'm
11 kind of having my first COVID two-shot brain, and so I'm hoping
12 what I'm talking about makes some sense, but, if anything seems
13 unclear, just please ask me to repeat, or just feel free to ask
14 some questions.

15
16 Today, we're going to give you an update. Back, I think it was
17 the end of 2020, we were asked to update the interim analysis
18 for red grouper, because it's been one of the species that we
19 looked at in the last few years pretty consistently, and so we
20 did that interim analysis at the time, and then, as we'll talk
21 about later on, in 2020, there were concerns with sampling and
22 COVID, and so we went back and redid the interim analysis using
23 another index, but I think red grouper is a good example.

24
25 I think it kind of highlights how this process could potentially
26 be used, and I do -- How can I say this? I do worry that this
27 is a poor -- As Shannon mentioned, this really is not going to
28 be the normal.

29
30 I think because the red grouper -- Because of the issues in the
31 allocation, as soon as we have an ABC that's been approved by
32 the SSC, it's very easy to do this analysis, and so now it's
33 just a matter of we've got all these iterations, and a final
34 allocation hasn't been set yet, and so we've got too many
35 iterations at this point, but, ultimately, the goal really is to
36 get this nicely coupled with what comes out of the assessment,
37 and then, every year, we would be able to update the catch, and
38 so that's kind of where we're going.

39
40 The first red grouper interim was conducted back in 2018, and,
41 since then, we've been able to conduct the interim analyses each
42 year. As a reminder, and it seems like ages ago, but SEDAR 61
43 was finished in I think mid-2019. The terminal year for that
44 assessment was 2017, and, if we remember too, with red grouper,
45 the 2018 was the year where there was a pretty severe red tide.
46 At the time, we weren't quite sure how to treat it, and so, for
47 the projections at a least, we assumed that the 2005 event was
48 as severe as the 2018 event.

1
2 We ran multiple projection scenarios for that assessment,
3 showing those different assumptions, and one of the strengths of
4 potentially using this as a health check, as has been mentioned,
5 is that, when we did the follow-up interim in 2019, when we've
6 compared the expected index with what the assessment predicted
7 for that index, for the bottom longline survey, we actually saw
8 pretty good agreement, in terms of that assumption that we made,
9 and so I believe we all felt pretty comfortable with that
10 decision, and we went with that the 2018 red tide was as bad as
11 the 2005, and so that's just something to consider.

12
13 We're a couple years past now from the terminal year, and there
14 has been a lot more going on with the environment, and I'm glad
15 to hear that there seems to be some positive discussions lately
16 of some recruits.

17
18 Basically, just plotting what Carrie showed in her presentation,
19 if we look at -- This plot is just showing the left-hand side is
20 commercial, and the right is the recreational, and so the thick
21 black line at the top are the quotas that have been set, and the
22 dashed lines are just the realized landings, and so the landings
23 estimates, and these are million pounds gutted weight.

24
25 On the bottom, it's just showing the percent of the quota that's
26 been landed. The red line shows when there were closures, and
27 then the one thing to -- Well, there's a couple of things to
28 note in this figure. First of all, the commercial landings were
29 only available through April 29, and so I went to the IFQ
30 database last week to update those, and so those are as final as
31 we currently have, and it's about almost 40 percent of the quota
32 landed for 2021.

33
34 For recreational, it's a bit more complicated. The data that
35 were on the SERO website ended in -- They were only available
36 through June of 2020, and so the 2020 recreational landings, I
37 believe, just got released by MRIP either last week or the week
38 before that, and I know, at SEFSC, they're in the process of
39 doing their weight estimation and providing the ACL files for
40 the CHTS and FES to SERO, and so that data hopefully will be
41 getting released fairly soon, but, unfortunately, we didn't have
42 it for this presentation.

43
44 Just for context, 2021, obviously, it's not a full year, and the
45 2020 recreational we're still missing, and then the other change
46 to note is that, in 2019, the emergency ACL went into place, and
47 that 2019 ACL was based on the landings from 2017, and so we've
48 gotten much closer to the quotas, but you see in that 2018 --

1 That was with the older quota, and that was set based on SEDAR
2 42, which was much higher than the emergency one.

3
4 Yes, there's been some years where the fisheries are not hitting
5 their quotas, and so there has been some cause for concern, and,
6 again, we had that red tide in 2018, and, again, that really
7 wasn't -- We didn't have the data to incorporate that in the
8 assessment, and so there's still some potential issues going on
9 behind why the fishery has been unable to get their quotas, but
10 it sounds like things might be changing, and so that's good. At
11 least the assessment had predicted a recruitment event, I
12 believe in 2013, and so it seems like that's starting to show up
13 now.

14
15 For the purpose of this presentation, we're going to show the
16 bottom longline survey index, and so the reason why we don't
17 have any other indices to show is the groundfish that was used
18 in the stock assessment was not conducted in the summer of last
19 year, because of COVID and other reasons, and so we don't have
20 that updated. The FWRI repetitive time drop survey that we had
21 entered into the stock assessment for red grouper is no longer
22 active, and then the combined video survey is an aggregation of
23 the three different labs, and so Pascagoula, Panama City, and
24 FWRI, and those video surveys -- It takes some time to read the
25 videos and then process the data and then develop the index, and
26 so we don't have those indices, and so, at this point, the only
27 index we're going to show is the bottom longline survey,

28
29 Normally, what we do is we would have a representative index
30 that we've talked about in the past, and that was the bottom
31 longline survey for red grouper, where we would have an index
32 that we can update each year fairly easily, and then we have
33 essentially the expected index of abundance that's predicted
34 from the stock assessment. In this figure, it's the blue, and
35 so that's essentially the forecasted index of abundance that the
36 assessment saw, given the historical model and then the
37 assumptions we made in our projections.

38
39 What we want to do is where we look at where the assessment
40 thought the stock would be and then where we actually see the
41 index, and so the red line is what we initially produced, and
42 the red line was using the bottom longline survey just normally,
43 using the entire spatial area, using all the data that we had,
44 and that's what's been used in the past, but, when we did that
45 analysis, and we saw this big uptick relative to the last year
46 of 2019, there was some concern, because, when you looked in --

47
48 If you look back in the documentation, if you look back at Adam

1 Pollack's paper, where he describes the development of the
2 index, the bottom longline survey did not cover the entire
3 spatial range in that year of 2020, and so they actually stopped
4 a little bit beyond Tampa, and so we were concerned that,
5 because the survey didn't go further north, and it didn't hit a
6 lot of those areas where they generally have zero landings, zero
7 catches of red grouper, that it was artificially high, and so
8 that 2020 value is artificially high, because of the incomplete
9 spatial coverage.

10
11 In addition to the potential of COVID, with that 2020 value,
12 there were also weather and other issues behind why that survey
13 didn't cover the full range of the area, and so what we did was
14 we went back, and Adam developed an index of abundance, using
15 that spatial area that had been covered in 2020, and restricting
16 all of the years to that same spatial area, so that we had an
17 apples-to-apples comparison, so we could see what that 2020
18 value would have been compared to the other years, and that, in
19 this figure, is the green line.

20
21 When you reduce the spatial area so that it's consistently been
22 collected across all these years, then what we saw was we saw
23 that 2020 was similar to 2019, and it wasn't -- We didn't see
24 that big jump, and so that kind of was support for the concerns
25 that we had initially voiced in the first interim analysis
26 report that we put out using the full index.

27
28 The one thing that I wanted to note is that, in this figure, all
29 of these indices that we're showing, they have been normalized
30 to a mean of one so that it's easier to visualize the
31 differences, but the actual values of the observed and
32 forecasted indices are in Table 1 of the interim reports.

33
34 Just further digging into that 2020, and so the initial concern
35 was that the observed index was higher than it should have been,
36 and, on the right, you're looking at the spatial coverage for
37 2020, and so the red grouper -- The red dots indicate where they
38 were caught, and then it looks the blue crosses are areas that
39 were sampled during the survey, and what you can see is that,
40 basically, north of Tampa was not covered in 2020, whereas, in
41 all the other years, you can see that, for the most part, the
42 survey has extended all the way out to the Panhandle. That was
43 the reason behind basically using a full index and then using
44 the spatially-reduced index.

45
46 What we've done then, as Carrie had mentioned, we've conducted
47 an interim analysis using -- At the time, it's the SSC-
48 recommended ABC value that came out of SEDAR 61, and that was

1 assuming 76 percent commercial and 24 percent recreational
2 allocation in the projections, but, again, this analysis can be
3 run on any one of those ABC values, and what we do is we compare
4 the observed and the forecasted index of abundance, and we
5 account for -- This beta is a function of a scalar that allows,
6 or adjusts, the responsiveness of the catch advice that comes
7 out of the harvest control rule and the standard error of the
8 index.

9
10 Beta is equal to the scalar times the standard error, and the
11 intent of this analysis was to change the ABC every other year,
12 and I think part of the reason for that was that stakeholders
13 would not want highly variable changes from year to year. They
14 would prefer more stability.

15
16 What we're showing now, again, this is using the 4.9 million-
17 pound gutted weight ABC that came out of SEDAR 61, and that ABC
18 is also based on the 2018 red tide equivalent to 2005, and what
19 we're showing now is the effect of that beta parameter, and so
20 the scalar -- We test values ranging from one to nine, and what
21 we see is that, when you plot this -- This is just a plot of the
22 time series of the projected catch advice, what would have been
23 set if we had used this approach in the past, and then different
24 colors -- Red indicates a beta of one, and purple is a beta of
25 nine, and so what you can see, from these figures, is that, the
26 smaller the beta, the more that this catch advice would track
27 your index of abundance, because you see much more variability,
28 in contrast to, the higher the beta, and so a beta of nine, you
29 see that it doesn't diverge very much from the baseline ABC that
30 it used in that value.

31
32 Those decisions had initially been set when the first interim
33 analysis have been reviewed, and what we end up seeing in this
34 case -- This table is showing the catch advice for the reduced
35 area index, and using the same choices in the past, the beta of
36 one, what this interim would have shown is that the ABC could be
37 raised to about 5.9 million pounds, over the current ABC, which
38 is 4.9 million pounds.

39
40 The one thing to consider, and I think the concerns --
41 Ultimately, the choice of beta really drives -- It's really
42 driven by how much your index of abundance -- How representative
43 you think it is, and so, for example, in this case, where there
44 were some concerns over that spatial representation, it's
45 possible that that choice of beta would maybe want to be
46 reevaluated, and maybe, because of the concerns over that
47 relative jump that we had initially saw, maybe this is something
48 where you would want to say, you know what, for this time

1 around, here are the reasons why we want to choose a different
2 beta, because we're concerned about that sort of change, and so
3 that's one thing that could be used in the future, is to kind of
4 look at how some of these factors are interacting and how that
5 could drive some of the decisions that we actually haven't come
6 across in the past.

7
8 This figure, this slide, we're just showing -- Really, the
9 reason for this interim was, when we first did this, using the
10 full index, and using that 2020 value that was higher than 2019,
11 what we ended up seeing was that, in those cases, the ABC, using
12 the beta of one, the increase would have been up to about 6.5
13 million pounds, but, again, we highly caution that value,
14 because of that 2020 index of abundance value.

15
16 It's a smaller spatial coverage, and there's concern that it was
17 artificially high from missing some of the stations, and so, as
18 we put that information out there, we also went back and decided
19 to try to remove the effect of that spatial area influence, and
20 we did that, and we still see a fairly high increase in the ABC
21 that could be provided, and so we just wanted to caution that,
22 that, unfortunately, 2020 seemed like a very abnormal year, and
23 this is likely not the only stock where this will be an issue.

24
25 That is all I really had for that. Ongoing work, the interims
26 are still working on getting the tools to develop the MSEs, to
27 help us look into potentially other harvest control rules, or
28 other decisions, other combinations of the -- For example, the
29 beta values, or other types of harvest controls that are
30 applied, maybe for other species, and, in the future, we'll
31 continue to update these interim analyses for red grouper, and
32 hopefully -- Ultimately, these will be used to adjust the ABC
33 advice, and that's hopefully where we're going, and that's all I
34 have. I'm happy to take any questions.

35
36 **CHAIRMAN LORENZEN:** Thank you. Are there questions? Doug.

37
38 **MR. GREGORY:** Thank you. That was a good presentation. On
39 Slide 3, I have a request that a change be made. When you look
40 at the landings, the top part, I think it's misleading to
41 include the 2021 point for commercial, since it's only a partial
42 year, and it's misleading to include 2020 and 2021 for
43 recreational. I mean, the landings are going down, but those
44 partial year points are quite misleading, in my opinion. Thank
45 you. Otherwise, I think everything looks great, as far as the
46 analysis.

47
48 **DR. SAGARESE:** Thanks for that, Doug. I mean, that's definitely

1 doable. I just included everything I had up to that point, to
2 kind of highlight and try to caveat, with red text and stars, to
3 kind of indicate that, but we could definitely only show the
4 final estimates. I just think the problem we get there is
5 requests for, well, why don't you show what you have, but we can
6 certainly just keep it to final estimates.

7
8 **MR. GREGORY:** Well, yes, because the image is comparing the
9 dotted line with the solid line. I mean, that's the visual we
10 have. Thank you.

11
12 **CHAIRMAN LORENZEN:** Thank you, Doug. Harry.

13
14 **MR. BLANCHET:** To the same point, if you remove that last point
15 in that line, but then put a single dot at the terminal data
16 point, which is the incomplete year, that separates it from
17 being part of the trend, but it does provide the same
18 information, something like that, and I was just trying to --
19 The same as Doug, but I was trying to say here it is, but it's
20 not the same.

21
22 **DR. SAGARESE:** Thank you very much for that input. We will --
23 Certainly we can either indicate it with a different point or
24 just remove it altogether, because that's certainly not the
25 biggest thing we want people to take away, is the incomplete
26 years.

27
28 **CHAIRMAN LORENZEN:** Luiz.

29
30 **DR. BARBIERI:** Thanks, Kai, and it might be better to have Dr.
31 Simmons go ahead of me, if she has something specific to this
32 presentation. I don't really have a question for Skyler, and I
33 really enjoyed the presentation, and thank you, Skyler, and I
34 think it helped us understand, and I was going to make a comment
35 relative to this topic as it ties to the previous discussion,
36 based on Dr. Simmons' presentation and the questions the council
37 has used for the interim analysis, and so, if she has something
38 related to this, I think it makes sense for her to go ahead of
39 me.

40
41 **CHAIRMAN LORENZEN:** Okay.

42
43 **EXECUTIVE DIRECTOR SIMMONS:** Go ahead, Dr. Barbieri. That's
44 okay.

45
46 **CHAIRMAN LORENZEN:** Dr. Simmons, I think --

47
48 **EXECUTIVE DIRECTOR SIMMONS:** Okay. Thank you, Mr. Chair. I

1 guess, Skyler, you're suggesting, it sounds like, perhaps when
2 we are ready to look at making changes to catch advice again,
3 that we take another hard look at the betas, it seems like, for
4 this species, and is that something that you think we should do,
5 especially when the landings aren't reaching the ABC?
6

7 **DR. SAGARESE:** I think it's certainly something to consider, and
8 I would leave that to the SSC's expertise though, to consider
9 how -- Essentially, your choice of the beta just would come down
10 to how much trust you have in that index of abundance, and that,
11 if you see a high increase in your index, are you comfortable
12 that that's -- Would you want to potentially buffer for that in
13 some way?
14

15 I think that it's -- I feel like, with these types of analyses,
16 any of those choices could be on the table, but I think, by what
17 we did with this analysis, by focusing on the reduced spatial
18 area, to get an apples-to-apples comparison, I think that kind
19 of gets us away from having to reevaluate the betas, perhaps,
20 and so that's certainly something that I think could be
21 considered down the road, but, again, it really is a mix of how
22 much you trust that index, what kind of stability, how stable
23 would you want the landings, because, as I show in that figure,
24 the higher beta tends to keep a bit more similarity from year to
25 year with your catch advice, as opposed to the lower betas kind
26 of lead to much more variability, and so you might have some
27 good years, but, alternatively, you might have some lower years.
28

29 **EXECUTIVE DIRECTOR SIMMONS:** Thank you.
30

31 **CHAIRMAN LORENZEN:** Thank you. Dr. Patterson.
32

33 **DR. PATTERSON:** Thanks. The only thing that kind of concerns me
34 about these approaches is that the analysis is done to predict
35 what the ABC should be, and it seems to me that really what we
36 should be doing here is trying to predict what the overfishing
37 limit should be, using some type of interim analysis tool, and,
38 sure, the beta can be adjusted, and even the way it's computed
39 can be adjusted, so that you are basically reducing, based on
40 that proportion, what the ABC estimate would be, relative to the
41 previous estimate and then scaled to whatever the index is
42 doing, but, as Skyler mentioned, that just adds variability to
43 the system, and it doesn't really allow the SSC to make any type
44 of inference, and then advice, about what we perceive to be
45 scientific uncertainty.
46

47 All it does is create more noise in the output, and the thing
48 that concerns me most here is that, in recent years, the ACL for

1 this stock has dropped substantially, and we see, for the years
2 of complete data, when that drop occurred in the quota, it went
3 from 30 to 40 percent of the quota being landed to about 80
4 percent, and so the fishery still isn't taking -- In the years
5 where the most recent data occur, the fishery still wasn't
6 landing the full allocation, and that's after a pretty drastic,
7 like 70 percent, cut in what the quota was, the ACL.

8
9 It just seems to me that we should be talking about here,
10 really, is trying to predict the OFL, and then the SSC, based on
11 scientific uncertainty, could use that information to then set
12 the ABC accordingly, or use some modification of the control
13 rule to do that, in an objective way, and then warn the council
14 that, while this is the advice that comes from the procedure put
15 in place, you still have this issue of the fishery not landing
16 the allocation and some concern about whether the assessment is
17 fully capturing stock dynamics, because we're, obviously,
18 overpredicting what the catch would likely be.

19
20 Getting back to Andrew Ropicki's comment earlier, there could be
21 socioeconomic issues that could be driving -- The what are we
22 missing component, I think, is missing from this, and it could
23 be socioeconomic, or it could be other issues related to what's
24 going on in the ecosystem at-large, outside of just the dynamics
25 of red grouper, but, anyway, it just seems, to me, that we
26 should really be talking about OFL, instead of ABC, here.

27
28 **CHAIRMAN LORENZEN:** Thank you, Will. Bob.

29
30 **MR. GILL:** Thank you, Mr. Chairman. Thank you, Skyler, for the
31 presentation. I have two questions, one on Slide 3. What are
32 the units of recreational landings on Slide 3?

33
34 **DR. SAGARESE:** The same as the Y-axis on the left. They're
35 million pounds gutted weight, and so both of them are in million
36 pounds gutted weight.

37
38 **MR. GILL:** I was referring to CHTS.

39
40 **DR. SAGARESE:** Yes, CHTS, what's currently used for monitoring.

41
42 **MR. GILL:** Okay. Thank you. The second question is relative to
43 Slide 5. How was the northernmost point in the 2020 survey
44 treated, as an outlier, so that, as you indicated, the line was
45 roughly Tampa Bay south, or was that point up there by Cedar Key
46 actually utilized?

47
48 **DR. SAGARESE:** I would have to go back into the paper to see the

1 exact latitude where Adam subset the data. One second, and I
2 can do that. All the data were limited to those south of 28.5
3 degrees North.

4
5 **MR. GILL:** It's hard to see from here, but that sounds like the
6 northernmost catch point, or thereabouts.

7
8 **DR. SAGARESE:** Yes, and so it looks like -- I believe that one
9 zero spot looks to be the 29, and so 28.5 is about halfway,
10 about, and so that would be -- I'm not quite sure where that
11 corresponds to, and it's a little north of, I guess, maybe
12 Tarpon Springs.

13
14 **MR. GILL:** Okay. All right. Thank you.

15
16 **CHAIRMAN LORENZEN:** Thank you, Bob. Luiz.

17
18 **DR. BARBIERI:** Thank you, Kai. Going back to how this ties, I
19 think, into Dr. Simmons' previous presentation on this topic of
20 the use of the interim analysis during this time when the
21 council still hasn't made a decision regarding the allocation,
22 and actually approval of what they consider would be the catch
23 levels that they want to see, to me, this ties into the
24 appropriateness of the tool for the job at hand here.

25
26 I am drawing from memory here, but my recollection is that, back
27 then, a few years back, the council asked for this annual
28 interim analysis, really kind of sort of as a health check.
29 Because there were concerns about the condition of the stock and
30 the impacts of red tides, they wanted to stay on top of this, to
31 kind of keep their finger on the pulse of the stock, and then,
32 if needed, adjust.

33
34 If something additional happened to impact the stock, or the
35 stock condition got worse, they would adjust the catch advice
36 accordingly, and so, now, the Center is in the situation of
37 providing the interim analysis, which kind of sort of provides a
38 health check, but it also updates the catch advice when we can't
39 use the catch advice yet, and so, agreeing with what Bob Gill
40 mentioned earlier, perhaps we can just adjust this request to
41 the Center, and I don't know, and I would have to hear from
42 Shannon and other Center people, whether it will be more or less
43 work for them to simply provide the council, annually, I guess,
44 with a review of the indices of abundance, so the council can
45 have an idea, with advice from the SSC, on how the council -- I
46 mean, how the stock is doing.

47
48 If this is going to be really a health check, it could,

1 actually, integrate in that same process, what Andrew Ropicki
2 brought up, which would be some review of the commercial IFQ
3 program, so that we have more context for interpreting the
4 landings information.

5
6 I don't think that this here hurts anything, but it creates this
7 kind of sort of conundrum, because the catch advice is being
8 updated, and we can't use it, and I wonder if we call this
9 something different, and, instead of conducting a full interim
10 analysis, they just provide an update on the indices and the
11 landings information and the health check can be completed.
12 Thank you.

13
14 **CHAIRMAN LORENZEN:** Thank you, Luiz, and I guess Shannon has
15 some answers for you.

16
17 **DR. CALAY:** I mean, I tend to agree with that, Luiz. We could
18 certainly provide updated fishery-independent indices, and we
19 have invested in the automation of the fishery-independent
20 indices, and we could provide what landings information are
21 available, and that might be of interest to the SSC, to
22 determine if a stock warrants additional intention.

23
24 **CHAIRMAN LORENZEN:** Right. Shannon, would you be able to sort
25 of give us some idea of what sort of workload is involved in
26 producing the regularly-updated indices of abundance, versus the
27 full interim analysis, versus sort of an operational assessment,
28 because I think that's one of the things we and the council
29 should be thinking of.

30
31 **DR. CALAY:** Sure. Kai, maybe I will hand this one off to Katie,
32 because I think she is probably more knowledgeable about the
33 time it's taking the staff to conduct various components, if
34 she's prepared to speak.

35
36 **CHAIRMAN LORENZEN:** Thank you. Katie.

37
38 **DR. KATIE SIEGFRIED:** Thanks, Shannon. I'm actually pretty
39 excited about some of these suggestions to work with the
40 economists and other social scientists, and we do have something
41 going on in the Center where we want to start collaborating more
42 between assessment scientists and the social scientists, and
43 just so you know that that's going to get underway here with our
44 strategic planning.

45
46 As for the time it takes to conduct these various analyses, Adam
47 Pollack has automated, and his team have automated, those
48 indices of abundance, and it doesn't take long to get those

1 going, once the datasets are complete, and it's a matter of days
2 to complete those runs, and we can update the reports.

3
4 The interim analysis depends on which index is used, and let me
5 know if I'm not answering your question directly enough, Kai,
6 but the video indices take longer to analyze than those
7 automated indices, and so it can be a couple of months,
8 depending on how long Kevin Thompson at FWRI has in his
9 schedule, and he's very tasked, as I'm sure Luiz can attest to,
10 and so that could take a month or two to get that index to us,
11 depending on his workload, but the actual interim runs, like
12 what Sky just showed, are a very short turnaround time, and it
13 takes longer to write the report and get the presentation
14 together.

15
16 An operational assessment, we're still trying to figure out how
17 streamlined that can be. It depends on how many working groups
18 there are, the topical working groups, and we're hoping it's
19 somewhere between six months to a year, at the most, and it
20 depends on, again, the timing and the topical working groups.

21
22 **CHAIRMAN LORENZEN:** I think that is useful, and so it's
23 interesting that, once things are automated, I guess you're
24 suggesting that the indices, the updating of the indices, with
25 the possible exception of video indices, and the interim
26 analyses can be done quite quickly, much more quickly than the
27 operational assessments, for sure.

28
29 I also note though that we are spending a lot of time discussing
30 the ins and outs of the indices and the interim analysis, and so
31 I guess, if that remains a major topic with every time the
32 indices and the analyses are presented, of course, that may add
33 time and going back to assumptions and so on. Thanks very much,
34 Katie, and I see Doug Gregory.

35
36 **MR. GREGORY:** Thank you, Kai. Katie answered, I guess, my
37 thought about incorporating the socioeconomic stuff and
38 explaining landings trends, but none of that explains the
39 fishery-independent index. It stands alone. Both information
40 is helpful, because we're interpreting the index based on
41 looking at the landings trends relative to ACLs, and so it's
42 good to know that, well, did the implementation of IFQs change
43 the behavior of the commercial fishery and did the 2010 movement
44 of longlines out to a specific area change that, because the
45 longline fishery is the primary gear used to catch red grouper,
46 and commercial catches about 80 percent of the total ACL, or
47 ABC.

48

1 It's good to know what other things, regulatory and economic,
2 might be influencing landings trends, so that we don't do a
3 knee-jerk reaction on something, but the index stands alone, and
4 so, to me, the real question is for us to revisit the beta at
5 some point, because I don't fully understand that.

6
7 To me, it's an arbitrary decision, and I'm leaning towards let's
8 pick the middle beta, the averages, the projection from the last
9 assessment, along with the index, because we know, as
10 scientists, in doing field work, there is a lot of variability
11 in our catches, particularly relative to what commercial
12 fishermen or a high-liner recreational fisherman can do, and so
13 maybe we shouldn't be following the index that closely. Thank
14 you very much.

15
16 **CHAIRMAN LORENZEN:** Thank you, Doug. Will.

17
18 **DR. PATTERSON:** Could whoever has control put up page 4, please?
19 In looking at this figure at the bottom here, where you have the
20 SEDAR 61 forecast and then the interim update full area and
21 interim update reduced area, and so I know the intent here is to
22 try to focus on whether the reduced area, in the last year, was
23 sufficient to capture the trend in the data, but, as I look at
24 this, when you look at the assessment result, or projection, and
25 then what we see from the different time periods, or across
26 time, with the full area in particular, the first thing I would
27 question here, as far as scientific uncertainty, is does the
28 interim analysis line capture the trend that we see from the
29 assessment, and the answer is yes. When one goes up, the other
30 goes up.

31
32 The second is can you accurately predict the assessment result
33 from this analysis, which is using one survey, or one piece of
34 information, and the answer is, no, you can't. Oftentimes,
35 they're going in the same direction, but the magnitude is quite
36 a bit different, and, as part of that, trying to think about
37 scientific uncertainty here, when you look at the years 2014 to
38 2020, the fact that the uncertainty in the index is not being
39 carried forward here into this interim analysis I think is
40 really important, because, if you look at the variance around
41 the estimates from the various surveys, it can be quite large.

42
43 From 2014 to 2020, I doubt any of those years are statistically
44 significantly different in the analysis, but, in the last year
45 here, when you go from 2019 to 2020, and you have that uptick,
46 that is what is driving this, because we're trying to predict
47 ABC in this analysis, and that's what will be driving this
48 potential increase in the ABC that was coming from the SSC.

1
2 I think we just have to be careful here. One, what we're
3 actually predicting here, and should it be ABC or OFL, and the
4 second this is, you know, we're just not even capturing the
5 uncertainty in the information that's advising this fit, and so
6 we're pretending that we have perfect knowledge of the survey,
7 or the perfect ability to predict the survey results, and we
8 don't. There's quite a bit of uncertainty just due to process
9 error, and potentially some measurement error, in that estimate.

10
11 **CHAIRMAN LORENZEN:** Thank you, Will. Shannon.

12
13 **DR. CALAY:** Thank you, Kai. Will, we suspect you're correct.
14 We've had similar conversations at the Science Center, and we do
15 think that this analysis could continue to be improved, and we
16 do recommend doing some MSE work on it to further develop it,
17 and so we are listening to your criticisms, and we do plan to
18 continue to explore this analysis.

19
20 **CHAIRMAN LORENZEN:** Thanks, Shannon. Paul.

21
22 **DR. SAMMARCO:** Thank you, Mr. Chair. Could we please go back to
23 Slide Number 3? If you look at both the commercial and
24 recreational, your gutted weights, this species started showing
25 problems in about 2015 or so, and we have a precipitous drop in
26 landings, in gutted weight, from that time to present, and,
27 also, if you look at your quota, it's going in the opposite
28 direction, but I was wondering if there is some way, since we
29 somehow here seem to have missed the boat, is there some way to
30 incorporate a measurement, in doing one's predictions, to
31 incorporate a measure of slope, and intensity of slope, with a
32 limit on that that says red flag, this needs to be reviewed a
33 little bit more heavily.

34
35 It's sort of like having an eighteen-wheeler going down a hill
36 that loses its brakes, and suddenly the brakes click on, because
37 there are other physical things for this, with actually
38 elevators, believe it or not, but, also, there are physical
39 oceanography models that use this, and other models as well. I
40 was just curious, because it might be a heads-up, a way to get a
41 heads-up, a little earlier on, before these things become more
42 difficult to deal with. Thank you very much.

43
44 **CHAIRMAN LORENZEN:** Thank you, Paul. Luiz.

45
46 **DR. BARBIERI:** Thank you, Kai. Kind of trying to go back to the
47 bottom line of this discussion that integrates these two
48 presentations, perhaps we can make a recommendation to the

1 council that they update their request to go from getting that
2 interim analysis to getting this updated indices, so that it can
3 actually provide them with information on trends, and, yes,
4 there is error that we know that exist with these types of
5 information and analysis, but at least they get some idea of how
6 the trends are, and we can revisit the request for an interim
7 analysis after the council actually makes this decision on the
8 sector allocation and how they want to proceed with the catch
9 advice.

10
11 The thing is, and I think -- I guess I can understand the
12 conundrum that the council, and perhaps the Center, is finding
13 itself in here, and it's producing an interim analysis, because
14 it was requested that it be put on the schedule, and that gets
15 presented to us, and it might generate expectations for people
16 that, given an interim analysis, like what was conducted, the
17 catch advice is going to change, when, in reality, the council
18 is not ready to make that change just yet, and so perhaps just
19 proceed with this, in terms of our suggestion, or
20 recommendation, to the council.

21
22 **CHAIRMAN LORENZEN:** Thank you, Luiz. Carrie.

23
24 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair. I guess, if
25 the SSC as a body thinks that's a good approach, perhaps staff
26 could work on that schedule and kind of parse that out a little
27 bit better for the various species and bring that back to the
28 SSC and the council and then be more cognizant, when we're
29 asking the Science Center for this type of information, whether
30 we're asking just for updated indices of abundance for the SSC
31 and council to take a look at or if we're perhaps ready to
32 actually make changes to catch advice.

33
34 **CHAIRMAN LORENZEN:** Yes, that makes sense. Doug.

35
36 **MR. GREGORY:** Thank you. I understand the discussion here, but,
37 in the technical sense, the council can set an ACL lower than
38 the ABC, and so we could go forward with this and recommend
39 whatever increase, based on the beta we decide on, and the
40 council doesn't have to do it. The only restriction the council
41 has is they cannot exceed any ABC we present, and so the council
42 can move forward with status quo and thank us for our advice and
43 just move forward and ignore the advice until the next index,
44 next year, and see if the landings are increasing as
45 dramatically as they appear in 2021.

46
47 Of course, 2021 could be an anomaly, as a result of the
48 pandemic, and so like increased travel is an anomaly over last

1 year, and so we could do it, and it wouldn't disrupt the council
2 at all, and it doesn't force them to change their ABC or ACLs.
3 Thank you.

4
5 **CHAIRMAN LORENZEN:** Thank you, Doug. My understanding is we
6 haven't been asked to provide an updated ABC or ACL, and that's
7 because of the -- Because the allocation review hasn't been
8 completed.

9
10 **MR. GREGORY:** Well, I just assumed that, when we're given an
11 assessment, we're expected to do this. Now, I know that we've
12 been asked by council staff, and I don't know if that was a
13 council request, and the request by the council staff is
14 reasonable and logical, but I don't know if that was an actual
15 council request. If so, they could have asked NMFS not to do
16 the interim assessment. Anyway, it's not a big deal, but we can
17 go either way.

18
19 **CHAIRMAN LORENZEN:** Maybe, Ryan, you can go back to the scope of
20 work here.

21
22 **MR. RINDONE:** Sure. We can do that, if you want to pull the
23 scope of work up, Jess. Just, while she's doing that, just for
24 everyone's edification, when the council had initially requested
25 the annual interim analysis for red grouper, it was to keep a
26 finger on the pulse of the stock, post-SEDAR 61, to try to see
27 just how the stock recovered in the wake of the 2018 red tide
28 event.

29
30 I'm sure some of you will recall, and a little history lesson
31 for those who perhaps don't remember, but, after the 2005 red
32 tide event, which we had estimated probably knocked out about 30
33 to 35 percent of the red grouper stock, 2006 was the best
34 recruitment event on record, and then, after the 2014 red tide
35 event, which also took a wallop on the stock, there was another
36 pulse in recruitment, and not near the magnitude, but still, and
37 so red grouper, despite these subsequent recruitment pulses,
38 seems to have quite the susceptibility to red tide, and
39 qualitatively, perhaps, more so than some other species that the
40 council is responsible for managing.

41
42 Just to try to keep a bead on what's going on with the stock,
43 that was why these interim analyses were requested annually, and
44 it wasn't with the impetus that the council is going to try to
45 change the catch limits, and so this is the scope of work for
46 this particular item.

47
48 Dr. Sagarese has done a good job putting this information in

1 front of you guys, and it's just to help inform you about the
2 condition of the stock, which, again, is in keeping with the
3 memo that the council sent to the Science Center with the
4 initial request, and so you guys can evaluate this information
5 and provide any relevant feedback for management consideration
6 and for any future use of the interim analyses for red grouper.
7 This annual request still stands, and so you guys will still get
8 these every year for red grouper, until the council calls it
9 off, but your input, of course, is of great value.

10
11 **CHAIRMAN LORENZEN:** Thank you, Ryan. Carrie.

12
13 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair. I was just
14 going to reiterate, I think, what you said already, and that is
15 that the current catch advice that is produced in both documents
16 that Dr. Sagarese presented is based on the sector allocation
17 that's currently on the books, and so the council is looking at
18 a different preferred alternative, and so I don't know that we
19 want to make recommendations on different catch advice right
20 now, until they make that decision, which is why I think we're
21 requesting that we wait on this, and that's why we're bringing
22 this to the SSC and the council, for their consideration of this
23 approach.

24
25 **CHAIRMAN LORENZEN:** Yes. Thank you, and that's what I
26 understood, and so it seems to me that we have plenty of
27 feedback here that we will summarize, but we are not really
28 expected to go beyond that. There's a long list of hands coming
29 up. Okay. Let's see. Luiz.

30
31 **DR. BARBIERI:** Kai, I will make it brief, and it's basically to
32 reiterate what I said before, and you just said as well, that,
33 basically, the SSC doesn't really disagree with this approach of
34 looking at the interim analysis as a, quote, unquote, health
35 check, and not necessarily use it, at the moment, for changes in
36 catch advice, because the council hasn't completed some of its
37 allocation analysis, as yet, or decisions as yet, and so the
38 council is not ready to make that change. Thank you.

39
40 **CHAIRMAN LORENZEN:** Thank you. Harry.

41
42 **MR. BLANCHET:** This is perhaps in a broader context, but one of
43 the issues that I have with the interim analysis is that you
44 have defined an index of abundance that characterizes what goes
45 on in the stock, as best it can, and, often, we have several
46 other indices of abundance, which may represent what's going on
47 with different aspects of the stock or with parts of the
48 fishery.

1
2 If we're talking about something that is a report on the health
3 of the stock, to me, I think more than a single index of
4 abundance is important, but, if we're talking about an interim
5 analysis, then we do have to maintain a single -- As the Center
6 as built, and so I think the multiple indices of abundance gives
7 some representation of different aspects of the stock, as well
8 as, like Will pointed out, some of the uncertainty about where
9 that stock is going that you may not see when you look at a
10 single index. Thank you.

11
12 **CHAIRMAN LORENZEN:** To your point, Harry, in addition to
13 multiple indices of abundance, yes, that health check could also
14 include economic information and so on, and so it could be
15 developed, as the Science Center has suggested, into a broader
16 health check than we're getting strictly from what we would be
17 getting for the interim analysis. Leann.

18
19 **MS. BOSARGE:** Thank you, Mr. Chairman. Just two comments.
20 Well, a comment and a question. Generally speaking, I would say
21 that the council had hoped to use these interim assessments to
22 actually produce catch advice in between our regularly-
23 scheduled, full-blown, let's call them, stock assessments.

24
25 Now, I completely understand all the rationale and everything
26 that's been talked about with red grouper, and this is kind of
27 an outlier situation that we had not expected, and so I'm not
28 trying to ask anybody to produce catch advice in this situation,
29 but I did hear a lot of commentary about it being a health
30 check, generally speaking, and these sorts of things, and so I
31 did want to kind of circle back and give that feedback from the
32 council, that we do actually want to use these for catch advice.

33
34 I think that was a lot of the impetus behind the Science Center
35 developing these, is because the council kept fussing about the
36 timing of assessments, and we don't get enough assessments, and
37 we like to fuss about things like that, and so the Science
38 Center came up with this approach to give the council more
39 timely catch advice in between the larger, more in-depth
40 assessments, and so that's just one comment.

41
42 Then the question that I had, and I guess it's for Skyler, and
43 so the catch advice that you were showing, is it in CHTS units
44 or FES units? I only ask because I know that you have that one
45 page, and I think Bob Gill asked what units that was in, and you
46 said it was in CHTS, and so is the catch advice, that five or
47 six-million-pound quota, or ABC, is that CHTS or FES?

48

1 **DR. SAGARESE:** Thanks, Leann, for that question, and so the
2 Slide 3, when I show the quotas, that was the only CHTS
3 information, because that's currently how red grouper are
4 managed, but all the results that we show for the interim are
5 from the stock assessment, and, since we used the FES data in
6 the assessment, any catch advice derived from the stock
7 assessment, the OFL and the ABCs, are all in units of FES.

8

9 **MS. BOSARGE:** Thank you.

10

11 **CHAIRMAN LORENZEN:** Thank you, Leann and Sky. Shannon.

12

13 **DR. CALAY:** I did want to comment on what Leann Bosarge said. I
14 mean, that is certainly the reason why we chose to develop an
15 interim approach, was to give more timely and more frequent
16 management advice. It is one of the underpinnings of our
17 ability to give more timely and more frequent advice, because
18 the operational and research track assessment are simply,
19 currently, still too time consuming.

20

21 We do hear the criticisms, the constructive criticisms, of the
22 SSC, and we will look back at the feedback we've received and
23 see what we can do, through the MSE process, to improve the
24 approach, but I did want to give that plug, that this is
25 something that the council requested and supports, and it's
26 certainly something that the Science Center would like to see
27 remain in our toolbox, but perhaps with some feedback and some
28 improvements to be made.

29

30 **CHAIRMAN LORENZEN:** Thank you, Shannon, and that was my
31 understanding, and I think, when we bring this discussion back
32 to the council, I think that would also give the council,
33 obviously, the opportunity to re-emphasize their intent with the
34 interim analysis as a health check or catch advice. Bob.

35

36 **MR. GILL:** Thank you, Mr. Chairman. Leann brings up a good
37 point, and that is, in this age of different currencies roaming
38 around, I would suggest that, when a presentation is made, that
39 it uses a common currency and that currency be identified, and I
40 understand that landings are in one, and the advice is in
41 another, but trying to have comparisons between one and other on
42 the fly, frankly, just adds to confusion and misperception, and
43 so my recommendation is a common currency in any presentation
44 and have that identified at the outset. Thank you.

45

46 **CHAIRMAN LORENZEN:** Thank you. Doug.

47

48 **MR. GREGORY:** Thank you. To Bob's point, I stumbled into this

1 looking at king mackerel and historical landings, and you have
2 to use CHTS units historically, because the ABCs were calculated
3 in those units, and you can't convert an ABC from CHTS to FES
4 without rerunning the assessment with FES data, and that is
5 impractical, or it doesn't work, and so we're stuck looking at
6 historical landings relative to ACLs, and we have to use CHTS,
7 and that's why we just can't convert everything to FES, because
8 historical ABCs cannot be converted. Thank you.

9
10 **CHAIRMAN LORENZEN:** Thank you, Doug. It seems we've reached the
11 point where we are ready to more or less close the subject, but
12 there's one more -- Will. After that, Carrie, you had a brief
13 presentation about the interim analysis schedule plan, and is
14 that correct?

15
16 **EXECUTIVE DIRECTOR SIMMONS:** Yes, and thank you, Mr. Chair. We
17 do, and I would be happy to talk about that, or we could bring
18 something back to you at the next meeting, whatever you prefer.

19
20 **CHAIRMAN LORENZEN:** Okay. Let me take Will as the last
21 discussion point here, and then I would suggest that we do look
22 at your schedule, and then we break, and then we come back to
23 talk about the shrimp issues. Will.

24
25 **DR. PATTERSON:** Thanks, Kai. I will be brief. Whether this is
26 being used as a health check or this approach would be utilized
27 to actually base catch advice, and so, if it's the ABC, then the
28 SSC would have to sign-off on that, because we're the ones who
29 actually estimate the ABC.

30
31 In that case, whether the council is looking at this for a
32 health check or using this to inform ABC in the interim between
33 two assessments, whether it's five years or however many years
34 between assessments, basically, what we would be asking is do we
35 have new information, in this case based on this one index,
36 which would suggest the stock is performing differently than the
37 values projected since the last assessment.

38
39 When you have fluctuations, from year to year, that could be
40 plus or minus 50 percent, but the variance is greater than that,
41 we would have no information to actually change course and say,
42 within the scope of uncertainty, that the stock has performed
43 differently, in a positive, or even a negative, direction from
44 before, and so that's my sort of hang-up with all of these
45 approaches, is that we're taking an index value, but we're not
46 actually taking its variance, and whether we would then change
47 our previous advice, even projected out multiple years, which we
48 don't like to do, would our catch advice, in the form of ABC,

1 change, based on this new information, and I just think, without
2 actually having the variance in that information, then it would
3 be tough to sign-off on it.

4
5 **CHAIRMAN LORENZEN:** Thanks, Will. Okay. Let's move to Dr.
6 Simmons on the schedule.

7
8 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair. Jess, could
9 you pull up the interim analysis schedule? I guess, based on
10 the discussion, what we would do is try to perhaps flesh this
11 out a little bit further, after we get a stock assessment and
12 when we're working on perhaps the sector allocation decision and
13 the corresponding catch advice, and see what we may be doing for
14 these other species until that's implemented, in the near-term,
15 and try to come up with a way to differentiate that on this
16 schedule that makes sense, to make it more clear when the
17 council is requesting an interim analysis with corresponding
18 catch advice, versus perhaps just updated indices of abundance
19 and any information that's available on socioeconomic
20 considerations.

21
22 **CHAIRMAN LORENZEN:** Okay. That sounds good to me. Any
23 questions or comments? Hearing none, and seeing no hands, I
24 would suggest that we take a break now, and so we have a
25 fifteen-minute break scheduled, and I would say we'll come back
26 at ten minutes after eleven, Eastern, and so then the next topic
27 will be review of the penaeid shrimp working groups. Thank you.

28
29 (Whereupon, a brief recess was taken.)

30
31 **CHAIRMAN LORENZEN:** Our next agenda item is Review of the Gulf
32 Penaeid Shrimp Working Groups, and, Ryan, if you want to just
33 briefly take us through the scope of work.

34
35 **REVIEW OF GULF PENAID SHRIMP WORKING GROUPS**

36
37 **MR. RINDONE:** The SSC will be presented with an update on the
38 NMFS shrimp working groups, and they're tasked with evaluating
39 various shrimp data processing and estimation methods for things
40 like life history and environmental data and fishing effort and
41 the SEAMAP trawl indices of abundance, catch data and
42 estimation, and bycatch. You guys should consider the
43 presentation and ask questions. It doesn't require any formal
44 SSC action, but your input is appreciated.

45
46 **CHAIRMAN LORENZEN:** Thank you, Ryan, and the presentation is by
47 Dr. Michelle Masi. Michelle.

1 **DR. MICHELLE MASI:** Thank you, Mr. Chair, and good morning,
2 everyone. I'm Michelle Masi from the Southeast Fisheries
3 Science Center, and I just want to take a moment to note that,
4 like Skyler, I received my second COVID this weekend, and so I'm
5 dealing with some lingering side effects, and so please just
6 bear with me if I need to take a moment to catch my breath or
7 anything.

8
9 In this presentation, I'm going to show you some of the exciting
10 updates from the five technical shrimp working groups, and, as a
11 reminder, these working groups began in late 2020, in an effort
12 to better understand some of the data inputs and estimation
13 procedures for the three penaeid shrimp stock assessment models
14 and other related shrimp analyses at the Science Center.

15
16 The first working group to update you on is the Shrimp Fishery
17 Effort Estimation Working Group, and this one is pretty easy,
18 because it's currently on hold, as we're waiting for the final
19 council decision on a new shrimp effort data collection method
20 to replace the existing ELBs. Then, once a new shrimp effort
21 program is established, and the data begins transmitting back to
22 us at the Center, then this working group will convene.

23
24 The second working group is the SEAMAP Shrimp Indices Working
25 Group, and this working group has recently concluded, and we're
26 currently wrapping up the final working group report, and there
27 were four primary objectives for this working group, which are
28 listed for you here, and the first was to review the history of
29 the SEAMAP survey, as well as the current shrimp abundance
30 indices, including the methodology, data exclusions, and survey
31 area utilized.

32
33 The second was to verify if the SEAMAP survey is operating along
34 similar spatial and temporal scales as the fishery, and third is
35 to explore alternative methods for deriving the indices of
36 abundance for shrimp, using the SEAMAP data, and the fourth is
37 to determine if the SEAMAP survey is a representative index of
38 abundance for these penaeid stocks, and, if so, to provide best
39 practice and research recommendations for moving forward.

40
41 To summarize some of the key points that the working group
42 documented on the history of the SEAMAP survey, the first is
43 that this FIN bottom trawl survey has been conducted annually
44 since 1972, but all surveys were unified under the SEAMAP
45 umbrella in 1987.

46
47 Since 1987, the SEAMAP survey gear and trawl configurations have
48 remained largely unchanged, and we're using the data from the

1 SEAMAP summer and fall survey to derive the FIN indices of
2 abundance in the brown, pink, and white shrimp stock assessment
3 models.

4
5 In reference to the current methods, data exclusions, and survey
6 area utilized, from 1987 to 2007, the spatial coverage of SEAMAP
7 was Brownsville, Texas to Mobile Bay, Alabama, or Stat Zones 11
8 to 21, and that is shown in the bottom figure there, in green.
9 There were some minor modifications to the survey that occurred
10 in 2008, moving forward, where the time-of-day stratification
11 was dropped from the survey. All trawls are now conducted for
12 thirty minutes, in order to reduce sea turtle mortality, and the
13 survey became a true random stratified sampling design.

14
15 Also, in 2008, thanks to new funding, SEAMAP began sampling
16 along the West Florida Shelf, and so, from 2008 onwards, SEAMAP
17 now surveys Stat Zones 2 through 21, as is shown in the figure
18 there, and so, again, in some of these minor modifications to
19 the survey design, the working group documented that the
20 catchability of shrimp may have actually changed in 2008.

21
22 Although there were some minor modifications to the survey in
23 2008, the SEAMAP survey has used a consistent trawl gear and
24 trawl configuration since 1987, and that includes a 12.8-meter
25 semi-balloon shrimp trawl with 12.8-meter headrope and wooden
26 doors, consistent trawling speeds of 2.5 to three knots, and no
27 TED or BRD is being used or has been used.

28
29 The relative abundance of brown, white, and pink shrimp is
30 derived using a delta lognormal model, or DLN, and the data
31 included in each species-specific DLN model is summarized for
32 you here, and so, for brown shrimp, the data for 1987 to 2008 is
33 including Stat Zones 11 to 21, and then, in 2009 forward, Stat
34 Zones 8 through 10 are included as well, and that's just because
35 remember that, in 2008 forward, SEAMAP began sampling along the
36 West Florida Shelf, and so you can see that there were some
37 areas off the Panhandle there, in the distribution map of brown,
38 that got picked up in the later years.

39
40 For white shrimp, since 1987, the stat zones included in the
41 indices have been, and still are, Stat Zones 11 to 21, and
42 that's just based on the spatial distribution of the stock.
43 However, the index is limited to depths of less than twenty-five
44 fathoms, as there are just little to no white shrimp observed
45 beyond that depth.

46
47 For pink shrimp, since SEAMAP wasn't sampling along the West
48 Florida Shelf until after 2008, and even then it wasn't actually

1 completing sampling the West Florida Shelf down to the Dry
2 Tortugas until 2010, the working group recommended that the
3 delta lognormal model be limited to the data from the years 2010
4 to present, and it was also recommended that the delta lognormal
5 model only use Stat Zones 2 through 11 for pink, as these are
6 the stat zones encompassing the primary spatial distribution of
7 pink shrimp in the Gulf of Mexico.

8
9 The second objective of the SEAMAP Indices Working Group was to
10 assess the spatial and temporal overlap of the survey and the
11 fishery, to ensure that the SEAMAP indices are representative of
12 the fishery, and so, to do this, we used the electronic logbook
13 data, and, in this figure, I am showing ELB tow start locations,
14 and, essentially, this is the area fished by the Gulf shrimp
15 fishery for the summer between the years of 2009 to 2018.

16
17 Then overlaid on top of that is the SEAMAP trawl start locations
18 for the summer survey for the same years, and so what you're
19 seeing in the figure is, where the two colors line up, the color
20 appears the darkest green, and, overall, the survey does align
21 pretty well with where the fishery is operating in most areas of
22 the Gulf.

23
24 There are some minor divergences that exist along the West
25 Florida Shelf, where you can see the SEAMAP survey expands a
26 little more westward than the fishery is operating, and, also,
27 that SEAMAP is unable to trawl as far inland as the inshore
28 fishery does, and so, along Louisiana inshore waters, you see a
29 little overlap between the two, but SEAMAP is still capturing
30 the extent of the adult white and brown shrimp population off of
31 Louisiana and Texas, and so the working group deemed that the
32 indices are reliable in tracking changes in abundance at the
33 population level.

34
35 This figure is identical to the last, except, here, I'm showing
36 the overlap between the SEAMAP fall survey and the ELB data in
37 the fall, and, again, the figure is just indicating that,
38 overall, the survey is doing a good job of operating along the
39 same spatial and temporal scales as the fishery.

40
41 The third objective of the SEAMAP Shrimp Indices Working Group
42 was to explore alternative methods for deriving the relative
43 indices of abundance for brown, white, and pink shrimp, and so
44 the first alternative model that was assessed by the working
45 group was VAST, and, if you're unfamiliar, VAST stands for
46 vector autoregressive spatiotemporal model, and it's quite a
47 mouthful, and so I'm going to stick with VAST, as most of you
48 are probably familiar with that acronym anyway.

1
2 What VAST does is it allows us to predict variations in species
3 abundance across space, time, and categories, and then it
4 predicts the total abundance across spatial domain, and so some
5 advantages of using VAST models include improved prediction
6 ability for data-poor areas, the ability to weight abundance by
7 abundance by area, and the ability to estimate range shifts, and
8 results from the exploration so far have shown really no
9 significant deviations from the delta lognormal modeling
10 approach. Remember DLN is what is currently used to derive the
11 shrimp abundance indices.

12
13 On this slide, I'm showing the preliminary VAST model
14 predictions in the top figure, and so, in the figure, the
15 current SEAMAP model, the DLN model, is shown in purple, and
16 VAST, the non-spatial version of VAST, is shown in green, and
17 it's agreeing pretty well with the DLN method, and then the VAST
18 S-T, or VAST spatial temporal model, is shown by the yellow
19 line, and, overall, the figure shows there is a pretty good
20 comparison between the standardized indices developed with VAST
21 and the delta lognormal model.

22
23 The VAST spatial and temporal model is showing a little less
24 precision in the early and later years, but noting, of course,
25 that the model development is still in the early phase, and the
26 bottom figure is just showing the coefficient of variation among
27 models, with the non-spatial VAST model having a much higher CV
28 than both the DLN and the spatial VAST models, and, again, the
29 research is ongoing to better understand these different nuances
30 among the different modeling approaches.

31
32 The second alternative modeling approach explored by the
33 SEAMAP Working Group is empirical dynamic modeling, or EDM, and
34 EDM is an equation-free inference tool that allows the model
35 predictions to be based on non-linear dynamics, and so for,
36 example, things like food availability, that we know can drive
37 abundance, but are often incompletely observed in reality, and
38 so, with empirical dynamic modeling, these non-linear dynamics
39 can be extracted from previous points in the time series itself,
40 using time lags of the observables, things that we can measure,
41 like catch per unit effort or temperature.

42
43 There is a long list of advantages to using empirical dynamic
44 modeling for shrimp, in my opinion, and the first advantage that
45 I will talk about is that it allows us to track annual changes
46 in stock dynamics using just one data source, the SEAMAP index,
47 and this could potentially be much more efficient for monitoring
48 shrimp, given that it's an annual crop, especially given the

1 current technical concerns among the stock assessment models.

2
3 Another advantage of EDM is that EDM can readily incorporate
4 environmental drivers, and so, for example, temperature, and so,
5 therefore using empirical dynamic modeling, with correlated
6 environmental predictors, would allow us to achieve an
7 ecosystem-based fisheries management approach for shrimp, and
8 that's pretty exciting, given that we know that shrimp are a
9 bottom-up driven species.

10
11 In addition, EDM provides the National Marine Fisheries Service
12 with the ability to forecast one year into the future, therefore
13 allowing us to provide managers and stakeholders with more
14 timely information about stock status, and recall that the
15 annual shrimp stock assessment outputs are based on information
16 at a two-year lag, and that's for an annual crop, and so, by the
17 time I'm presenting that information at council meetings, those
18 shrimp individuals are mostly gone from the system, and so EDM
19 could potentially shorten that time lag, through its ability to
20 robustly forecast one year into the future.

21
22 For example, instead of coming to this year's council meeting to
23 report on 2019 terminal year data with the stock assessment
24 models, I could come with predictions of 2020, and potentially
25 preliminary predictions of 2021, depending on when we got the
26 SEAMAP data. Another thing is that those forecasts could have
27 associated uncertainty bounds around the point estimates, and
28 so, again, this is something that was not capable with the
29 historic configurations of the Stock Synthesis models, which
30 provided only deterministic point estimates of the current
31 biomass and fishing mortality for the three penaeid stocks.

32
33 Another great advantage of empirical dynamic modeling, which is
34 the last one that I'm going to list today, but not the last
35 advantage by far, is that we can use this new cutting-edge
36 spatial hierarchical EDM approach to explore stock dynamics over
37 space and time, and so one question that I had, in particular,
38 is why have we historically attempted to use a Gulf-wide stock
39 assessment model to track stock dynamics for penaeid shrimp when
40 we know that their population dynamics will likely vary, and
41 potentially dramatically vary, across small spatial and temporal
42 scales?

43
44 With this hierarchical empirical dynamic modeling, we can begin
45 to explore these biological and ecological divergences across
46 small spatial scales, in order to determine if we should instead
47 be using a spatially-explicit stock assessment model for these
48 shrimp stocks, moving forward.

1
2 That brings me to the final objective of the SEAMAP Shrimp
3 Indices Working Group, which was to determine if the SEAMAP
4 survey is a representative index of abundance for the three
5 penaeid shrimp stocks, and the good news is that all the working
6 groups participants agree that it is.

7
8 Concluding this working group, working group participants
9 established some best practice and research recommendations, and
10 a few of them are highlighted for you here, and so, for now,
11 working group participants agree that we should use a split DLN
12 index for brown and white shrimp, in order to account for the
13 possible change in catchability that occurred with the minor
14 sampling design changes in 2008.

15
16 Also, that we continue to limit the white shrimp index to less
17 than twenty-five fathoms, given that they're not found beyond
18 that depth, and, for pink shrimp, to just use the years 2010
19 onward, and, through some simulation testing in the next stock
20 assessment model review workshop, to assess whether we could
21 just use the summer survey instead of the fall, as the fall
22 actually doesn't start fully sampling along the West Florida
23 Shelf until 2014.

24
25 For research recommendations, the working group recommended that
26 the National Marine Fisheries Service continue to explore the
27 catchability issue and the indices, both pre and post-2008
28 survey changes, and that's just to see if we can continue to use
29 the full index, instead of having to use the split index, and
30 also to continue exploring the development of the empirical
31 dynamic models and VAST alternative modeling approaches.

32
33 Now to update you on the third of the five shrimp data and
34 estimation working groups, the Shrimp Life History and
35 Environmental Data Working Group, and so there are three
36 primarily objectives for this working group, which, for
37 Objectives 1 and 2, were to collate inshore state survey and in
38 situ environmental data, and then, for Objective 3, we plan to
39 retain the environmental data for future stock assessment model
40 improvements, but we are presently using the state survey data
41 to attempt to update the life history parameter inputs in the
42 three shrimp stock assessment models.

43
44 The reason for initiating this working group is that the current
45 life history inputs in the shrimp models are based on studies
46 from the 1970s, and there is really not much more current
47 information out there in the literature, and so we're hoping the
48 outputs from this working group will allow us to update those

1 stock assessment parameter inputs.
2
3 Then, simultaneously, for Objective 3, we're evaluating the
4 spatial and temporal distributions of the three penaeid shrimp
5 stocks, in an effort to better represent changes in catchability
6 over space and time.
7
8 For Objectives 1 and 2, we have already received inshore survey
9 and in situ environmental data from our four Gulf state partners
10 listed here, and I really just want to take a moment to
11 acknowledge those state reps, who not only volunteered their
12 time to attend the working group meetings so far, but have also
13 been really great about answering any questions that I've had
14 about the datasets that they've provided and doing so promptly,
15 and it's been super helpful, and so I sincerely appreciate those
16 folks, and thank you very much.
17
18 As an update on Objective 3, for the Life History and
19 Environmental Data Working Group, I am currently developing
20 length frequency distributions with the state survey data, and
21 so, in the figure here, as an example, I am showing Florida pink
22 shrimp survey data, where here I'm plotting the length frequency
23 of pink shrimp for all Florida bays sampled in 2019 across all
24 twelve months.
25
26 The intention is to use these length frequency distributions to
27 identify and then track modal progression from month to month.
28 In other words, if there's a peak in that October distribution,
29 for example at ten millimeters, and that peak then shifts to say
30 fifteen millimeters in November, that would be a modal
31 progression and something that could be used in a length
32 frequency analysis to estimate the von Bertalanffy growth
33 parameters that are used in the stock assessment models.
34
35 Now, whether we can successfully do this or not has yet to be
36 determined, and this workgroup was mostly developed as a data-
37 mining group, in order to try and update those life history
38 parameter inputs, as I mentioned.
39
40 Finally, to understand any spatial and temporal deviations in
41 catchability for Objective 3, I am also plotting these
42 distributions by bay and across years, to try to identify
43 changes over smaller spatial and temporal scales, and, since I
44 developed this presentation, about a month ago, I have actually
45 worked through all four state survey datasets, in order to
46 develop the length frequencies for each state, and, last week, I
47 also derived the mode of the density functions, both monthly and
48 the mean mode across all years sampled for each state, and so

1 the next phase will be the length frequency analysis.

2
3 I can tell you, at least on an annual average scale, it's
4 looking like this will be a successful venture, and, not only
5 that, but I've learned a lot about penaeid shrimp recruitment
6 timing, which, based on the state survey data, actually deviates
7 slightly from what is found in the literature, and I think that,
8 most of all, really highlights the importance of working with
9 our state partners and colleagues to expand our knowledgebase,
10 and also our data limitations at the Center, whenever it's
11 possible. This working group has really been quite useful for
12 me so far, as I begin thinking about future stock assessment
13 model improvements.

14
15 The fourth working group to update you on is the Shrimp Catch
16 Estimation Working Group, and this one was led by Dr. Dave
17 Gloeckner at the Center. This working group has actually
18 concluded, and the final working group report should be included
19 in the meeting materials for you today.

20
21 There were four objectives for this working group, and those are
22 to, one, revisit the value stream mapping process for shrimp
23 data, and, if you're unfamiliar, the value stream mapping is
24 just an outline of the data processing at the Center for trip
25 ticket and Gulf shrimp data.

26
27 The second objective was to work with the Office of Science and
28 Technology to alter the due date for the Fisheries of the U.S.
29 publication. The third objective was to update the commission
30 participants about the need for more timely shrimp landings
31 information, and the fourth was to hold a data workshop to
32 assess the best source of landings information for use in
33 management.

34
35 As I mentioned, all objectives for this working group happened,
36 and you can refer to the final working group report for specific
37 details, but, to summarize here, the working group met in
38 September of 2020 to discuss shrimp data collection processes at
39 the Center, and, at the time, the working group deemed that port
40 agent data collection is actually duplicative to the mandatory
41 state trip ticket data collection, and so, therefore, the
42 working group concluded that the trip tickets are the most
43 complete source of landings data for shrimp.

44
45 Now, although trip tickets are the most complete source of
46 landings data, there are still remaining quality and timeliness
47 issues with this data source, and so the primary timeliness
48 issue is that data is often received at a three-month lag for

1 shrimp, and the primary quality issues are that the vessel ID
2 and the shrimp size fields are not being consistently recorded.
3 Both of these fields are needed to adequately meet shrimp
4 reporting requirements.

5
6 We think that these data quality and timeliness issues could be
7 improved by adding Gulf shrimp dealers to the Gulf and South
8 Atlantic dealer permit, which would require weekly reporting.

9
10 As a path toward making improvements, the Shrimp Catch
11 Estimation Working Group, led by Dr. Gloeckner, presented the
12 timeliness and quality issues at the Gulf States Data Management
13 meeting in September of last year, and, at the time, the Gulf
14 state reps agreed to work with us to reduce the tag lag from
15 three months down to two months, or to work with us to develop
16 estimation methods for any incomplete data.

17
18 Getting to the future, with Dr. Gloeckner taking us there, based
19 on my picture there, all shrimp assessments and analytical
20 outputs will be based on state trip ticket data, moving forward,
21 and the National Marine Fisheries Service will continue to
22 improve data quality and timeliness issues, as they continue to
23 improve the shrimp data estimation and collection programs at
24 the Center.

25
26 The fifth and final working group to update you all is the
27 Shrimp Bycatch Estimation Working Group, and this working group
28 has two primary objectives, and so the first is to review the
29 draft report from the 2017 workshop, to evaluate data inputs and
30 methods for estimating reef fish bycatch in the Gulf shrimp
31 fishery, and the second is to develop best practice guidance,
32 documenting, and justifying any revisions to the previous
33 working group's recommendations and conclusions, as needed.

34
35 Regarding Objective 1 to review the draft bycatch estimation
36 report, the working group has made use of the expertise of the
37 working group participants, during several two-hour webinars,
38 and they have successfully accomplished reviewing the bycatch
39 estimation data inputs and methods from that 2017 workshop
40 report.

41
42 The working group participants generally agreed that both the
43 current bycatch model and data inputs need to be more fully
44 evaluated, and so, therefore, the larger working group split
45 into smaller, more focused sub-working groups, which include a
46 model evaluation sub-working group, led by Dr. Xinsheng at the
47 Center, and a data input sub-working group that I am co-leading.
48 These sub-working groups intend to report back to the whole

1 working group periodically.

2
3 Some key findings by the Bycatch Estimation Working Group so far
4 include that the quality of catch data may vary by species, and
5 so, for example, with gray triggerfish, the data shows that
6 observers have been recording these as finfish, rather than to
7 the species level, and that, of course, is problematic for
8 bycatch estimation.

9
10 Another documented concern is that it may be more practical to
11 divide the full observer time series of data into two to three
12 distinct periods, so that these time periods could be treated
13 differently in the bycatch estimation model. Also, the working
14 group participants have generally agreed that the SEAMAP data
15 should only be used for the time period where observer coverage
16 is lacking. The reason for excluding the SEAMAP data in the
17 more recent years is to reduce any potential bias with the years
18 where there is more observer coverage.

19
20 Also, the bycatch model appears to be sensitive to some priors,
21 and working group participants felt that this may be a result of
22 the model trying to estimate too many parameters for rare and
23 data-poor species. More recently, the bycatch model sub-working
24 group determined that the bycatch model needs to go through a
25 more detailed technical review than what the current sub-working
26 group has the ability to do, and the data sub-working group has
27 completed a thorough investigation of all data inputs and
28 assumptions into the bycatch model, and we're now evaluating
29 whether it's actually appropriate to estimate bycatch using
30 catch information from the observer program and shrimp effort
31 estimates coming from the fishery.

32
33 In reference to the second objective, overall, the Shrimp
34 Bycatch Estimation Working Group is progressing, though slowly,
35 towards the second objective, which is to develop best practice
36 guidance for shrimp bycatch estimation. However, the sub-
37 working group leads have informed Center leadership of the need
38 for a dedicated bycatch analyst to help progress this effort
39 more effectively, but, until someone is brought on, the sub-
40 working groups will continue to make progress, as time permits,
41 and then update the whole working group periodically.

42
43 That was a lot to update you on, and hopefully you all found it
44 as exciting as I did, and I just want to thank you all sincerely
45 for listening to these exciting updates, and, also, I want to
46 say a special thanks to everyone who is involved in these shrimp
47 working groups. They have been extremely informative, and
48 definitely highly productive, and so, with that, I open the

1 floor to any questions or discussion.

2
3 **CHAIRMAN LORENZEN:** Thank you, Michelle, for that tour du force,
4 and it's great to see so much collaborative review and so much
5 innovation in the shrimp area. Are there comments or questions
6 to Michelle? Jim.

7
8 **DR. NANCE:** Thank you. Michelle, I appreciate the presentation,
9 and I appreciate being able to be on some of those working
10 groups, and I really feel very comfortable with what's being
11 done for the SEAMAP, and I feel like it's a great index for the
12 estimation of shrimp abundance and things, and I appreciate
13 being able to sit there and listen to how it's being done, and I
14 think it's a very good start there.

15
16 Also, I hope we can get, with the shrimp catch, getting to where
17 we're able to get that catch data in a more timely manner. You
18 know, that two-year timeframe certainly needs to be updated, so
19 we can get a better indication of what the shrimp catch is, but
20 I appreciate being on those working groups, and thanks for the
21 presentation.

22
23 **DR. MASI:** Thank you, Dr. Nance. Yes, I agree.

24
25 **CHAIRMAN LORENZEN:** Any other questions or feedback? Leann.

26
27 **MS. BOSARGE:** Thank you, Mr. Chairman. First, a kudos to Dr.
28 Masi, and you've done a great job with all those working groups
29 and populating them and logistically getting everybody on the
30 same page and pointed in the same direction and spearheading
31 some discussion, and I think it's been great.

32
33 I think there's an amazing transfer of knowledge that is
34 happening, in addition to the other objectives that you
35 mentioned for each of the shrimp working groups, and I mentioned
36 this during the Shrimp AP meeting, but this is actually probably
37 the more appropriate venue to mention it, and so I will just
38 mention it again, Michelle, but I'm hoping that, when you get a
39 little closer to wrapping up, at least four of the five working
40 groups, that maybe we could have a presentation where all the
41 different workgroups are able to participate and listen in to
42 the findings of each of the individual ones, more of a holistic,
43 thirty-thousand-foot view, for the participants that may have
44 been on some workgroups, but not on others, because, as you
45 know, each of these different workgroups is dealing with
46 something that really is interconnected, in some fashion or
47 another, with another workgroup, and so it all sort of comes
48 together.

1
2 I hope that you'll be able to make time to have that larger
3 meeting, and I don't think it will be completely overwhelmingly,
4 from a participant level, because a lot of the participants do
5 overlap between the workgroups, and so I just hope that you can
6 do that, and I think it would be great. Thanks.
7
8 **DR. MASI:** Just to respond to Ms. Bosarge, she did mention that
9 at the Shrimp AP, and I am planning to do that, and so thank you
10 again for mentioning it here.
11
12 **CHAIRMAN LORENZEN:** Thank you both. Cam.
13
14 **DR. AINSWORTH:** Michelle, I'm sorry if you've already explained
15 this, but what is the best -- I would like to learn more about
16 the bycatch model, and is there a technical publication that you
17 can direct me to?
18
19 **DR. MASI:** Yes, and I don't know if there's anything available
20 to the public, but I might be able to share something with you
21 after I speak with my supervisor, and so let me get back to you
22 personally on that one.
23
24 **DR. AINSWORTH:** Thanks.
25
26 **CHAIRMAN LORENZEN:** Thank you. Harry.
27
28 **MR. BLANCHET:** Thank you, Mr. Chairman. I had a question about
29 the -- So you made a point about suggesting that the Gulf shrimp
30 dealers might be added to a Gulf and South Atlantic weekly
31 reporting permit, and my concern, from the state perspective, is
32 that we then end up with dealers that are double, or in some
33 cases triple, reporting catch, and I am not sure -- I have
34 certainly seen a reluctance, among some of the dealers, to give
35 both -- To do that kind of effort, and so I would like to see
36 what is the real benefit, in terms of adding them to that permit
37 system, versus the issues with adding them to that permit
38 system, just because of that double-reporting type of a thing,
39 adding confusion to the system.
40
41 **DR. MASI:** Thank you, Mr. Blanchet, and so I just want to
42 comment that, of course, we wouldn't be able to do that with any
43 council action, and, also, I think, from what I am hearing, the
44 benefit would just be that we would get that information more
45 timeline, and I think a lot, or most, of the species are
46 reported weekly, whereas shrimp is a monthly reporting
47 requirement, and so being under that Gulf and South Atlantic
48 permit would just require that weekly reporting.

1
2 I think that's sort of the benefit. Given that we are actually
3 reporting on shrimp on each year, having the data coming in more
4 timely would be really beneficial, but, also, being able to ping
5 people, when they don't provide the information that we need for
6 reporting, like the things that I mentioned, would be something
7 that would be able to be handled with a dealer permit in place.
8

9 **MR. BLANCHET:** I am concerned about the data quality versus the
10 timeliness, because there's always a tradeoff, and it seems like
11 there's more of a tradeoff here than normal.
12

13 **DR. MASI:** Yes, I appreciate that concern, and it's something
14 that we'll definitely discuss internally, but, again, there's no
15 decision being made here today on that.
16

17 **CHAIRMAN LORENZEN:** Thank you. Any other questions or comments
18 on this? If not, I suggest we move on to the royal red index,
19 and so we're staying with the shrimp topic.
20

21 **REVIEW OF GULF ROYAL RED SHRIMP INDEX**

22
23 **DR. MASI:** Thanks, and so now I'm going to be presenting the
24 2019 royal red shrimp index-based assessment. This figure shows
25 the trend in royal red landings by year since 1962, and, in this
26 figure, the confidential years are excluded, and so recall that
27 an ACL for royal red was established in 2011, and that's at
28 337,000 pounds of tails, and that corresponds to the year in the
29 time series with the highest level of landings on record, which
30 is shown here as 1994, with the landings in recent years
31 approximating the annual landings that we saw in the earlier
32 part of this time series.
33

34 Just to try to give you a little bit more information, given
35 that confidentiality issue, this figure is showing the same
36 royal red landings trend as the previous slide, but, here, the
37 confidential years are shown as the mean landings over the span
38 of confidential years for those two different periods, and the
39 legend there shows what those periods are, but, just to explain,
40 it's the mean landings over 2002 to 2004, and the mean landings
41 between 2013 to 2019 are those essentially flat horizontal lines
42 there.
43

44 We are just trying to come up with a more effective way to show
45 this trend, but it is difficult, given that it's a small
46 fishery, and we run into data confidentiality issues in the
47 recent years, and that's the end of this presentation, and so I
48 will open the floor to any questions.

1
2 **CHAIRMAN LORENZEN:** Thank you. That was quick. Are there
3 questions or comments? Bob.
4

5 **MR. GILL:** Thank you, Mr. Chairman. As Michelle and others
6 know, I have issues with this presentation, and my basic issue
7 is that it provides very little information, and not enough, for
8 example, for a discussion, much less a decision, and I do
9 understand that we're not here for decision-making on royal reds
10 today, but the previous version of the briefing book document
11 showed from 1994 to present, and I would argue that that's
12 potentially even misleading, which is perhaps the reason it went
13 back to 1962 in the current version, but, nevertheless, you can
14 see, from the slides we saw, that, from 1994 down, there's a
15 pretty consistent downward trend in royal red landings.
16

17 There are those who would conclude from that that, uh-oh, the
18 stock is in trouble here, and we can't catch the shrimp, and we
19 haven't hit the ACL for a long time, and we've got a shrimp
20 stock problem, and, well, I would argue that, number one, given
21 what's presented, we know nothing about stock status, and,
22 therefore, we know -- We can draw no conclusions about ABC, or
23 ACL, and I guess that's where this is headed, in terms of the
24 council, and what's missing is the context.
25

26 It's the other factors that are driving those landings, and, in
27 this case, in my mind, a major portion of that is socioeconomic,
28 and there is no information that we have in this presentation
29 relative to that, and, yet, that is vital to understanding what
30 we're seeing, and there's a number of things that could be
31 utilized, and I don't need to get into those, but I think a one-
32 sided, one-dimensional presentation such as this is not helpful,
33 and it allows -- No, it drives people to misunderstanding what's
34 going on.
35

36 I would suggest that, if this presentation is intended to go to
37 the council at their June meeting, that it be provided with the
38 contextual elements that help the council understand what's
39 going on with this fishery, so that any discussions relative to
40 ACL can be given some basis, which is not currently present.
41

42 I would argue, as it stands, that the ACL cannot be derived from
43 this, on any basis at all, and so I think we're missing a whole
44 lot here, and I frankly am quite surprised, coming from the
45 Science Center, but, without that context, what we're seeing is
46 not helpful. Thank you.
47

48 **CHAIRMAN LORENZEN:** Thank you, Bob. Paul.

1
2 **DR. SAMMARCO:** Thank you for that presentation. It was very
3 interesting, and I would echo some of the points that Dr. Gill
4 has brought up, and they're very good, and I guess a couple of
5 things. The ACL, basically how is it set? Is it simply set by
6 the largest limit, the largest catch, identified for that period
7 of time, sort of a convenient thing, because I'm not sure that
8 that's the way to go for that, and, obviously, the population
9 has a high variability, or at least the catch does.

10
11 It seems to me that it's very interesting data, but there
12 appears to be a lot more analysis that needs to be done on it,
13 and maybe that ACL needs to be revised, particularly for today,
14 but I guess the primary question is how was it arrived at, if
15 you know, back in the day? Thank you.

16
17 **DR. MASI:** If I can just respond really quickly, before Shannon
18 or Katie go, I just want to say that, first of all, recall that
19 the only information that we have, besides landings, from this
20 fishery is from ELB data, and we have ELBs on only about a third
21 of the vessels, and so the number of ELBs that we have on
22 vessels that were fishing just royal red are going to be pretty
23 limited, and probably, most likely, not very representative of
24 the actual effort for this fishery.

25
26 We run into a lot of data confidentiality issues, given the fact
27 that is a small fishery, and you can see that I had to exclude
28 some of the years, and so, when we start to think about the
29 socioeconomic data, and providing information like that, you're
30 going to run into those similar issues, and so those are just
31 some things that I would suggest keeping in mind as we talk
32 about providing more information on the fishery.

33
34 To answer the question, yes, the ACL was set on just the highest
35 level of landings over the time series, given just a lack of
36 data for this fishery.

37
38 **CHAIRMAN LORENZEN:** Thank you. Shannon.

39
40 **DR. CALAY:** Thanks, Kai. I am going to defer to Katie.

41
42 **CHAIRMAN LORENZEN:** Katie.

43
44 **DR. SIEGFRIED:** Thanks, Kai, and thanks, Shannon. I appreciate
45 your comments, Bob and Paul, about the presentation that you
46 received. I did talk with you, Bob, a little bit offline about
47 some of these concerns, so that the Center could address them,
48 when time permits and when staffing permits.

1
2 One of the things I wanted to make clear, with what we provided
3 here, is we were trying to adhere to the scope of work, which
4 specifically requests what Michelle showed, which is comparing
5 the royal red index to the ACL, and we weren't tasked with
6 anything else, and we would need to set up a time to work with
7 the sociologists and economists to address questions, given we
8 knew what the questions were, and so, with a fishery where the
9 highest catch is the metric for the ACL, what other things would
10 we be tasked to look at, and then would we have the staff to do
11 this?

12
13 I mean, as you see, Michelle has already presented on four
14 species of shrimp, and we can't have one analyst in charge of
15 all things shrimp, and so, if we can get a better handle on what
16 the council wants the SSC to review, then we would be able to
17 let you know if we could prepare those data and those analyses
18 and by what time. Thanks.

19
20 **CHAIRMAN LORENZEN:** Thank you. Mike.

21
22 **DR. MIKE TRAVIS:** I wanted to add a little bit more into what
23 Michelle said earlier about the difficulties that we're likely
24 going to run into in trying to provide the additional
25 information that Bob and others are looking for.

26
27 It's not that we wouldn't want to provide that information, but,
28 again, we're going to run into small number confidentiality
29 issues quite a bit in this case. In addition to what Michelle
30 said, keep in mind that the ELB sampling program is not
31 stratified in any way to specifically target the royal red
32 component of the fishery. Similarly, when we do our economic
33 surveys for the shrimp fishery, we do not stratify specifically
34 for the royal red shrimp fishery.

35
36 Even if we did that, based on those vessels that have
37 endorsements, I don't think that that would help matters at all,
38 because we typically have more than 300 vessels that have
39 endorsements, but, in any given year, you've got six or fewer
40 vessels in the fishery, and so you still may miss them, and, in
41 our case, with the economic surveys, we're generally only
42 sampling 20 or 25 percent of the permitted vessels in any given
43 year, and so I don't want to say that we can't provide anything,
44 but I think what we may be able to provide is going to be very
45 constrained, because of small numbers and the sampling.

46
47 **CHAIRMAN LORENZEN:** Thank you. Are there more comments? I will
48 say that I sort of share Mr. Gill's concern about using this for

1 the ACL setting, but I also can't see a good way forward for
2 that at the moment, and any bright ideas are welcome. Paul.

3
4 **DR. SAMMARCO:** Thank you, Mr. Chair. Just a brief comment, sort
5 of to tag on. It should be evident, partially, from the
6 landings, the comparative landings, of the royal versus the more
7 shallow-water shrimp, that these populations are probably
8 smaller than those on the shelf. If so, they may be more
9 sensitive to take, to catch, and I was just wondering whether
10 they are treated in such a way in the analyses or by the
11 institution. Thank you.

12
13 **CHAIRMAN LORENZEN:** Thank you. Leann.

14
15 **MS. BOSARGE:** Thank you, Mr. Chairman. I think there might
16 could be a few pieces of information that could be pulled
17 together fairly easily, without a whole lot of staff time, that
18 could be helpful in understanding these graphs a little bit
19 better, and so Dr. Travis went over some of the difficulties in
20 trying to pull out these numbers on royal reds.

21
22 However, we should be able to see the permits that are landing
23 royal reds each year. I mean, you have royal red landings, and
24 you should be able to at least come up, I would think, with the
25 number of boats that landed them that year. Now, what the whole
26 universe is, well, that's harder to say, but, if you can at
27 least track that, well, we have two boats that landed royal red
28 that year, and we had seven that landed the other year, that may
29 help explain some of your fluctuations, because this is a very
30 small fishery, and a small number of participants.

31
32 Then the other thing is just simply tracking -- As we know,
33 imports are a big deal in the shrimp industry, and, depending on
34 the species and what period in time you're looking at, it can
35 most definitely drive some of the trends that you see in the
36 shrimp fishery, and the same goes for royal reds.

37
38 I'm sure everybody has seen the Argentine red shrimp. Well,
39 that's essentially the competition for our domestic wild-caught
40 royal reds, and so I just, briefly, went on Google and looked up
41 some prices, and I saw the Argentine shrimp at about \$13 a
42 pounds and the domestic shrimp at \$24 a pound, and, of course,
43 the different sizes, and so there can be discrepancy in the
44 prices, which can drive consumers to pick one over the other,
45 right, which can drive the fishery to prosecute that fishery
46 harder or not as hard in a given year, right?

47
48 I think that we need to maybe just follow some of those prices

1 that can generally be found online, and not any huge data-mining
2 effort, but just track something across time, to give a little
3 more perspective, because, as Bob said, there are a lot of
4 socioeconomic factors that drive this fishery, more so than
5 others. Thank you.

6
7 **CHAIRMAN LORENZEN:** Okay. Well, it seems that, unless there are
8 -- Mike.

9
10 **DR. TRAVIS:** I just wanted to comment back on what Leann said,
11 because we had thought about that as well. Again, one of the
12 problems with the import data is that, unfortunately, we cannot
13 -- We don't have the ability to look specifically at the red
14 shrimp coming out of Argentina in our important data, which is,
15 presumably, the species that is competing most directly with
16 royal reds in the Southeast, and so I wish we had that ability,
17 but, unless I'm not aware of something, it's just not broken
18 down to that specific species.

19
20 **CHAIRMAN LORENZEN:** Thank you, Mike. Well, what I suggest is we
21 will summarize this feedback, with respect to the royal red
22 index and its use for ACL setting. Unless there are further
23 comments, I think we can leave this subject, and my suggestion
24 is to have the lunch break now, as scheduled, and then do the
25 last item for this morning, the participant solicitation for
26 SEDAR 74, right after the lunchbreak, and the reason is,
27 although it's a relatively short item, I think we should have
28 time to have a little bit of discussion there, because it's a
29 very important assessment, clearly, and so, unless there are any
30 objections, I would say we should recess for lunch and come back
31 at 1:00 p.m. Eastern. Thank you.

32
33 (Whereupon, the meeting recessed for lunch on May 3, 2021.)

34
35 - - -

36
37 May 3, 2021

38
39 MONDAY AFTERNOON SESSION

40
41 - - -

42
43 The Meeting of the Gulf of Mexico Fishery Management Council
44 Standing and Special Reef Fish, Special Mackerel, Special
45 Shrimp, Special Socioeconomic & Special Ecosystem Scientific and
46 Statistical Committees reconvened via webinar on Monday
47 afternoon, May 3, 2021, and was called to order by Acting
48 Chairman Kai Lorenzen.

1
2 **CHAIRMAN LORENZEN:** Good afternoon. Let's get going, and so our
3 next topic is the solicitation of volunteers for SEDAR 74, and
4 so that's the red snapper research track assessment, and I
5 wanted to preface that, briefly, because what this is, of course
6 is, I guess, the first research track assessment for red snapper
7 in the Gulf, but also it's where integration of the Great Red
8 Snapper Count information and all the other information we have
9 previously used in assessments is meant to happen.

10
11 Reflecting on the discussions we've had about that topic over
12 the last few weeks, it seems to me that it would be good to --
13 As we assemble the assessment development team here, and the
14 members for workshops, to think about having a representative
15 group, in terms of the diversity of views that were expressed
16 over the last few weeks, but, also, thinking about the fact that
17 this will require some innovation, in terms of the assessment
18 modeling and the use of that information, and I think, also, it
19 would be good to have representation from people, particularly
20 on the assessment development team, who are assessment modelers
21 and not necessarily experts on red snapper, and so that's just
22 some broad thoughts about this.

23
24 With that, shall we have -- I see some hands up already, and so
25 maybe we can have those, Benny and Jason's comments, and then I
26 will pass it over to you, Ryan, to get into the meat, and does
27 that make sense?

28
29 **MR. RINDONE:** If that's your pleasure.

30
31 **CHAIRMAN LORENZEN:** Okay. Benny.

32
33 **SEDAR 74 PARTICIPANT SOLICITATION**

34
35 **DR. GALLAWAY:** My request was honored, and I've been unmuted,
36 but I do volunteer for the data workshop panel. Thanks.

37
38 **CHAIRMAN LORENZEN:** Okay. Jason, is that also volunteering?

39
40 **MR. ADRIANCE:** Yes, Mr. Chair. That was volunteering for the
41 data workshop.

42
43 **CHAIRMAN LORENZEN:** Okay. So we have two volunteers already for
44 the data workshop, but I will pass it back to Ryan to go through
45 the motions, but it's not only the data workshop, but it's the
46 ADT as well that we're looking at, right?

47
48 **MR. RINDONE:** That's correct. The assessment development team

1 is kind of like the sheepdog for this assessment process, and so
2 the ADT would be a part of the assessment from now all the way
3 through the end of the review workshop, and they would oversee
4 the development and make a lot of the decisions that are
5 necessary along the way to move the assessment process forward.

6
7 The data workshop panel, as many of you are familiar, evaluates
8 all the data that are considered for the assessment, prior to
9 them being incorporated into the model, and, like Dr. Lorenzen
10 had stated, there's a lot of new stuff coming out for our most
11 data-rich species, including the Great Red Snapper Count, and we
12 have the data that Dr. Gallaway's group is working on for
13 Louisiana that are pending, and many other things that are being
14 considered for this assessment, like the state survey
15 information for the recreational data collection for the private
16 vessels for red snapper.

17
18 The data workshop is going to be a big lift, and it's going to
19 be really interesting to see how all these data can integrate
20 into the model. Jess, do we have the memo with the schedule and
21 all that? There we go.

22
23 We do get a fair number of appointees here, and the Assessment
24 Development Team will be composed of five people, and, again,
25 this is -- The Assessment Development Team is the biggest time
26 commitment, because you're expected to be involved throughout
27 the research track process, which carries through 2023. The
28 data workshop panel will be comprised of the Assessment
29 Development Team, and, again they're participants in all of it,
30 plus the fifteen participants that will be comprised of SSC
31 members, AP members, state data folks, other academics, et
32 cetera.

33
34 When you're thinking about for which you're going to volun-told
35 yourself, keep that all in mind, and the data workshop, right
36 now, is scheduled to be in person in New Orleans from November
37 1st through the 5th, and appointees to the data workshop panel
38 will have their travel and meals and whatnot covered by SEDAR.
39 Mr. Chair.

40
41 **CHAIRMAN LORENZEN:** Thank you, Ryan. So we're looking for, I
42 guess, volunteers for both, right, the ADT and the data workshop
43 panel?

44
45 **MR. RINDONE:** That's correct.

46
47 **CHAIRMAN LORENZEN:** So let's start with the ADT, and so that's
48 the big commitment, the biggest of many big commitments, here.

1 Luiz, is that a volunteering?
2
3 **DR. BARBIERI:** Yes, Mr. Chairman. I am volunteering to
4 participate in the ADT.
5
6 **CHAIRMAN LORENZEN:** Thank you. We need at least four more.
7 Will Patterson.
8
9 **DR. PATTERSON:** There is your second volunteer.
10
11 **CHAIRMAN LORENZEN:** Great. Jim Nance.
12
13 **DR. NANCE:** Yes, sir.
14
15 **CHAIRMAN LORENZEN:** Are you volunteering?
16
17 **DR. NANCE:** Yes.
18
19 **CHAIRMAN LORENZEN:** Thank you, as is Dave Chagaris, I presume.
20
21 **DR. CHAGARIS:** That is correct, yes.
22
23 **CHAIRMAN LORENZEN:** Great. That would be good. I will also
24 volunteer myself.
25
26 **MR. RINDONE:** Mr. Chair, if there is anyone else that would wish
27 to volunteer, and I know sometimes people's logistics make
28 things difficult for them to continue to participate, and this
29 is a multiyear commitment here, and so, if there's anyone else
30 that would like to volunteer, please don't be shy.
31
32 **CHAIRMAN LORENZEN:** Yes, please, and I guess what you're saying,
33 Ryan, is, even if you can't volunteer right now, send us a note,
34 and we'll add you to the list?
35
36 **MR. RINDONE:** Yes, just because sometimes -- Again, this is
37 2021, not quite halfway through 2021, and we expect this to
38 carry through 2023, and so, in the event that someone is no
39 longer able to participate, it would be -- The council would
40 certainly appreciate having an additional name or two held in
41 reserve, if someone needs to step back.
42
43 **CHAIRMAN LORENZEN:** Correct.
44
45 **DR. GALLAWAY:** I volunteer as a reserve for the ADT.
46
47 **CHAIRMAN LORENZEN:** Great. Thank you. Okay. I guess then we
48 can move to the data workshop, and I know you already had a very

1 long list of potential volunteers for the data workshop, and,
2 given the -- How many volunteers are we looking for for the data
3 workshop?
4

5 **MR. RINDONE:** Ultimately, the council SEDAR process will
6 determine the makeup of the portion of the SSC, the AP, and
7 other data providers, but we have fifteen slots that will be
8 funded by SEDAR for travel and per diem, and this is -- Again,
9 this is in addition to the ADT, and so, if you're on the ADT,
10 then you don't need to also be on the data workshop panel, and
11 you're kind of already included.
12

13 **CHAIRMAN LORENZEN:** Okay.
14

15 **MR. RINDONE:** I have Dr. Gallaway down on the data workshop
16 panel, and so I will keep you there for now, Benny, and then I
17 also have Jason Adriance on the data panel, for their previous
18 saying that they would volunteer, and so, as many other SSC
19 members as want to volunteer, please feel free to do so, and the
20 council will ultimately populate that list.
21

22 **CHAIRMAN LORENZEN:** Okay, and so we will interpret shows of
23 hands now as volunteering for the data panel, and, Will,
24 obviously, assuming that you will be on the ADT, you will
25 already be on the data panel.
26

27 **DR. PATTERSON:** Right, and I was just going to say that the ADT,
28 as the volunteers came in for this, is pretty Florida-centric,
29 and I'm not sure that matters at all, but it may matter to the
30 council, and I don't know, and I think it would be important to
31 have Sean or myself, or Judd, potentially, be part of the ADT,
32 just because I think there are going to be questions about the
33 Great Red Snapper Count methodology and data that come up
34 throughout the process on the ADT, but, if somebody else wants
35 to step up to the ADT, I would be happy just to do the data
36 workshop, but, anyway, that's my two-cents there.
37

38 **CHAIRMAN LORENZEN:** Thanks, Will, and, yes, again, I think, if
39 there are more volunteers for the ADT, please step forward,
40 either now or send Ryan an email, and then the council will
41 eventually populate that ADT. Okay. We have Judd. You're
42 volunteering for the data workshop or the ADT?
43

44 **DR. CURTIS:** Thanks, Mr. Chair. Based on Will's comments, I'll
45 put my name in the ring for a reserve member for the ADT, if it
46 comes down to that, and then certainly for the data workshop, if
47 not.
48

1 **CHAIRMAN LORENZEN:** Great. Thank you. Steven.
2
3 **DR. SCYPHERS:** I was going to volunteer for the data workshop,
4 but I'm happy to help wherever I fit best.
5
6 **CHAIRMAN LORENZEN:** Great. Thank you. We still have relatively
7 few data workshop volunteers here, and so, if anyone else feels
8 so moved, let us know.
9
10 **MR. RINDONE:** Mr. Chair, one thing I wanted to add, just
11 pointing to some things that are on the schedule, and so the
12 data workshop is November 1st through 5th, but there are some data
13 deadlines that SSC members and some people who are likely
14 listening in will probably need to be made aware of, primarily
15 that the deadline for unprocessed data, like length and age
16 data, for the data workshop, is September 30, and the deadline
17 for the recreational and commercial harvest data, like from MRIP
18 and TIP, et cetera, is October 15, with all preliminary data
19 products due to the analysts by October 29, and so just dates to
20 make sure that folks have written down.
21
22 **CHAIRMAN LORENZEN:** Great. Thanks for that reminder, Ryan. Any
23 more volunteers for the data workshop now, or, if not, send --
24 John.
25
26 **MR. MARESKA:** I will volunteer for the data workshop.
27
28 **CHAIRMAN LORENZEN:** Great. Thank you. Okay. I guess, if there
29 are more -- Doug.
30
31 **MR. GREGORY:** Thank you. I'm not volunteering, but I do have a
32 question that doesn't have to be answered today, but that is I'm
33 familiar with the basic assessment workshop and the data being
34 contributing, the length and weight and all that stuff, and
35 catches and indices, and how is the Great Red Snapper Count data
36 going to be presented?
37
38 Clearly, the assessment needs to look at more of the actual data
39 than what we've seen to-date, and that may be a tall order to
40 answer today, but it would be nice to get some feedback on how
41 that's going to be integrated into the data workshop. Thank
42 you.
43
44 **CHAIRMAN LORENZEN:** Thanks, Doug. I don't know if anyone, maybe
45 from the Science Center, has a response for that, and I agree
46 that it's maybe a tall order to do that in the context of the
47 recruitment of participants here, but, if there is anybody that
48 can illuminate that question.

1
2 **MR. RINDONE:** I can help a little bit, Mr. Chair.

3
4 **CHAIRMAN LORENZEN:** Okay. Thank you.

5
6 **MR. RINDONE:** As many of you are aware, when you're generating
7 your information that you're going to submit to the SEDAR
8 process, you generate working documents, and these tend to be
9 subject specific, such as age frequency and reproduction and
10 movement, for the serranids, and hermaphroditism, things like
11 that.

12
13 The same will be true for the data for the Great Red Snapper
14 Count, and those data will -- As they are worked up in more
15 detail, ahead of their individual publications and manuscripts
16 and whatnot, they will be submitted as working documents, just
17 like all the rest of the data that are submitted to the SEDAR
18 process, for SEDAR 74.

19
20 The finalized Great Red Snapper Count report will also be
21 submitted as a reference document, since, at that point, that
22 document will have been published, and further revision to it is
23 not likely expected after its June publishing date, but all of
24 the other data that went into the project, by region, et cetera,
25 by all the different principal investigators, we fully expect
26 there to be a lot of publication work coming out of that, and so
27 that stuff would be expected to be submitted as working
28 documents.

29
30 **MR. GREGORY:** Thank you.

31
32 **CHAIRMAN LORENZEN:** Thank you. Okay. I suggest, if there are
33 further volunteers for the data workshop, get in touch with Ryan
34 directly, and I think then that completes this agenda item, and
35 we can move on to the grouper-tilefish and red snapper IFQ
36 review.

37
38 **MR. RINDONE:** Mr. Chair, we have one more hand.

39
40 **CHAIRMAN LORENZEN:** Sorry. Leann.

41
42 **MS. BOSARGE:** Thank you, Mr. Chairman. I was just wondering,
43 and I guess this will be for Ryan or Dr. Simmons, and so we just
44 populated the SSC members that will be part of the various
45 workgroup meetings during this assessment process, and when will
46 we also populate the fishermen that usually participate in the
47 assessment process and are at most of these meetings as well?
48

1 Since this is a research track, it's a little different schedule
2 than what we're used to, and have we already made those
3 appointments, or are we in the process? I just want to make
4 sure that the fishermen are included in all the steps that they
5 normally are included in, which, it's my understanding, it's
6 usually the meetings that our SSC reps would attend for this
7 particular SEDAR.

8
9 **MR. RINDONE:** Hi, Ms. Bosarge. We'll go through the same
10 process that we always do for appointing everyone to these
11 workshops, which, of course, does include the fishermen, and we
12 tend to look to our advisory panel members and the other members
13 of the SEDAR Technical Committee, which the list of those
14 individuals is on the council's website, for we'll call it
15 inspiration for people to ask to participate, and some people
16 won't be able to, and so usually we have a pretty lengthy list
17 that we work through with the Executive Director, Dr. Simmons,
18 and with the Chair, Dr. Fraser, and recommendations for people
19 come from other fishermen, from staff that work with these
20 folks, and we'll have a very solid list, I'm certain, to put
21 together of folks to recommend that are actively engaged in the
22 fishery, in different sectors and capacities.

23
24 **MS. BOSARGE:** Thank you.

25
26 **CHAIRMAN LORENZEN:** Okay. I guess then we are ready to move to
27 the IFQ review.

28 29 **JOINT GROUPER-TILEFISH AND RED SNAPPER IFQ REVIEW**

30
31 **DR. ASSANE DIAGNE:** Thank you, and good afternoon, all. We are
32 going to present a joint review of the red snapper and grouper-
33 tilefish IFQ programs that we have here in the Gulf, and, for
34 our presentation today, you will have four presenters, and it is
35 a combination of council staff, myself, and SERO staff, Alisha
36 Gray and Mike Travis, and also Science Center staff, Akbar
37 Marvasti. We will let Alisha, Ms. Gray, start us off, and then
38 we will all play our part when the time comes.

39
40 This is a pretty lengthy presentation, and so, SSC members, if
41 you have questions, feel free to raise your hand or stop the
42 presenter and ask your question as we go. If you have remaining
43 questions at the end, we will also address those. Thank you.
44 Ms. Gray, if you would like to start.

45
46 **MS. ALISHA GRAY:** All right. Thank you, Assane. I'm Alisha
47 Gray with SERO, and I'm going to walk us through roughly the
48 first half of this presentation, and so let's dive right in.

1
2 The NMFS guidance for conducting reviews of catch share programs
3 was published in April of 2017, and it requires that we review
4 programs within the first five years and then every five to
5 seven years thereafter. The review goal is to evaluate progress
6 in meeting the goals and objectives of those programs, and it
7 requires that specific elements of the program be analyzed.

8
9 The two individual fishing quota programs that we have in the
10 Gulf are the red snapper IFQ, which was established in 2007, and
11 the grouper-tilefish IFQ, which was established three years
12 later in 2010. Both of those programs have already gone through
13 their initial review, and we're currently doing a second, and
14 now joint, review for both of them, and this review covers the
15 time period of 2012 through 2018.

16
17 With the SSC and through those reviews, we identified program
18 goals and objectives, and we're including both goals and
19 objectives for both of those programs in this review, and those
20 goals were to rationalize effort, eliminate derby fishing,
21 reduce overcapacity of the fishing fleet to achieve and maintain
22 optimum yield, and then, through those, the anticipated benefits
23 were expected to be to increase market stability, eliminate
24 season or quota closures, increase flexibility for fishing and
25 improve safety-at-sea, as well as profitability for the
26 commercial fishermen, to reduce discards and create cost-
27 effective and enforceable management, and then, finally, to
28 balance social, economic, and biologic aspects.

29
30 I am going to give you a little bit of background on the IFQ
31 program, to give us the foundation before we dive into the data,
32 and so the most basic principle to understand with the IFQ is
33 how we divvy up the quota across the participants, and so there
34 are the shares, and that is a percentage of the commercial
35 quota, and all of those shares sum to 100 percent, and those are
36 divided per share category.

37
38 Those shares will then equate out to annual pounds, and that's
39 what is distributed to shareholders, and that's done at the
40 beginning of the year, and based on the share percentages that
41 are held within each of those accounts and on the quota. At the
42 beginning of the year, those pounds are distributed and is what
43 is used to harvest species, and those allocation which are not
44 used will then expire at the end of the year.

45
46 This gives us a nice graphical example of how this works, and
47 so, again, a share is a percentage, and each year there is a
48 quota, and, when you multiply that quota by the share percent,

1 you get the actual pounds that that equates to, and so, for
2 instance, if an account holds 1 percent of shares, and the quota
3 was set at three million pounds that year, then the equivalent
4 allocation would be 30,000 pounds.

5
6 If, following a stock assessment, that quota is reduced to, in
7 this example, one million pounds, then that same 1 percent of
8 shares would then equate out to only 10,000 pounds of shares,
9 and so this is important to know.

10
11 I mentioned that these shares are relevant to the different
12 share categories, and, across these two programs, we have six
13 share categories. There is the red snapper IFQ, which has just
14 the singular red snapper share category, and then grouper-
15 tilefish is made up of multiple species across five different
16 share categories, and those include the red grouper, gag,
17 deepwater grouper, tilefish, and other shallow-water grouper
18 share categories. As you can see, the bottom three share
19 categories include multiple species.

20
21 Because this review includes 2012, I included the species that
22 have since been removed, and they were removed in 2012, but,
23 following, from here on out, we'll only be focusing on the ones
24 that are still in the share categories.

25
26 Within the grouper-tilefish IFQ, we have flexibility and
27 multiuse measures in place, and these are important, because it
28 helps reduce discards in a program that has lots of co-existing
29 species.

30
31 The first is the multiuse, and that is for red grouper and gag,
32 and so, on quota release, a percentage of the gag or red grouper
33 allocation is converted to multiuse, and that multiuse
34 allocation can be used to land either gag or red grouper, and
35 the way that we determine how much allocation is going to be
36 proportioned out to the primary allocation, as opposed to the
37 multiuse, is based on a percentage that we get out of a formula
38 that uses the ACL and the quotas of the two species.

39
40 This helps us kind of visualize that concept, and so, at the
41 top, you see the formula that was derived by the SSC in 2013,
42 and the structure of this formula was created so that,
43 regardless of how the multiuse allocation are used, neither the
44 gag nor the red grouper ACLs will be exceeded, and so, in this
45 specific example, gag being the secondary species, that
46 difference between the ACL and the commercial quota is divided
47 by the primary species, and then, of course, multiplied by 100,
48 and that gives us our percentage of how we will portion out

1 multiuse from primary allocation.

2
3 To point out the graphic we have below, red grouper shares, the
4 100 percent, is going to be converted to allocation based on the
5 quota, and then, using that formula, we're going to create the
6 two different primary allocation and then the multiuse
7 allocation, and, again, that goes for gag as well.

8
9 Another flexibility measure that we have, the example here is
10 scamp, and it is primarily a shallow-water grouper, and that, in
11 certain instances, can be landed as a deepwater grouper, or
12 using the allocation of deepwater grouper, and, in the reverse,
13 speckled hind and warsaw grouper, those are primarily deepwater
14 grouper, but, in certain instances, they can be landed using
15 shallow-water grouper allocation.

16
17 For these flexibilities, as well as the multiuse, the
18 opportunity to use these flexibilities exists when the primary
19 allocation has been exhausted within that account, and so, once
20 all the primary allocation is exhausted, then the opportunity to
21 use these measures takes place, and this is controlled by the
22 system automatically and is done at the time of landing.

23
24 The first type of account that we have in the IFQ program is a
25 shareholder account, and so these are each account that are held
26 by unique entities or a combination of entities, and these
27 accounts may hold shares and/or allocation, and they can also
28 transfer shares and allocation, and these shares may also be
29 associated with multiple vessel accounts, if they are associated
30 with a permit, or multiple permits, and, in order to obtain
31 these accounts, the participant must be a U.S. citizen or
32 permanent resident alien.

33
34 The second type of account, which, again, is a sub-account of
35 the shareholder account, are the vessel accounts, and so these
36 accounts are related to a specific shareholder account, and the
37 vessel permit name must match the names on the shareholder
38 account exactly, in order for them to link, and the vessel
39 account is what is used to land IFQ allocation. In order to do
40 the landings, sufficient allocation must be in the vessel
41 account prior to landing.

42
43 The final, and third, account in the IFQ program is the dealer
44 account. These accounts must always be associated with a
45 federal dealer permit, and these accounts are used to complete
46 landing transactions, as well as collect and submit cost
47 recovery fees, which are collected from fishermen, and, to be
48 very clear, these accounts do not hold shares or allocation.

1
2 An important concept to know is that each shareholder account is
3 held by a unique set of entities, and the first example is that
4 an account may be held by a single individual or multiple
5 individuals, and so an example here would be that John holds his
6 own account, or John and Jane together hold an account.

7
8 The second example is that a single business, or multiple
9 businesses, can also be named as an account holder, and so, for
10 example, John LLC could be one account, and then a separate
11 account could be John LLC and Jane LLC, and then the final
12 combination that we sometimes do see is a combination of
13 individuals and businesses, and so it could be John and John LLC
14 hold an account together, and so these entities can be related
15 across more than one account, and, when we collect -- When
16 businesses open an account, we always collect down to the entity
17 level as well, and this is important to know, because each of
18 these accounts are seen as separate accounts, regardless of how
19 much relatedness exists between them.

20
21 Once a participant has an account within the system, in order to
22 go fishing, the way that they will do is they must first declare
23 a fishing trip, prior to leaving, and they will do so via their
24 VMS unit or via the VMS call service, and then, three to twenty-
25 four hours in advance of landing, they must submit a landing
26 notification, and that is done via their VMS unit, again, the
27 IFQ website, or the SERO call service, which is 24/7.

28
29 Then, once they notify their intent of landing, they must then
30 land at an approved location, and that location must be approved
31 ahead of time, and then they can offload with an IFQ dealer
32 between the hours of 6:00 a.m. and 6:00 p.m., and a dealer then
33 must complete an IFQ landing transaction, either on the day of
34 offload or within ninety-six hours of notification. Once that
35 transaction is complete, the allocation will be deducted from
36 the vessel account.

37
38 Now we're going to start talking about the review, and this is
39 our first element, the data collection and reporting. The IFQ
40 program uses an online electronic system through which all of
41 the participants can report, and some of -- The website is used
42 to complete transactions, including allocation and share
43 transfers, landing notifications and transactions, the
44 registration of new landing locations, and it's also where
45 participants can view and pay cost recovery fees.

46
47 While going through this review, we were working to identify
48 data gaps and areas of improvement, and one specifically that

1 was identified was in our collection of shares and allocation
2 prices.

3
4 To begin, we collect -- At each share transfer, we collect the
5 price, and it's reported by the transferer, and that was a
6 mandatory reporting as of 2010, and so that encompasses the
7 entire timeframe of this review, and, using an established
8 methodology that was approved by the SSC, we identify which of
9 those prices are within an expected range and what we will then
10 consider a valid share price.

11
12 There is a number of reasons that we see some prices that are
13 reported that we consider valid or not, and some of those
14 reasons could be that there are sometimes misreporting, and so,
15 for instance, a price per pound value is given, instead of a
16 total value, or a decimal was misplaced, and then, also,
17 sometimes we see that package deal values are provided, and so,
18 for instance, when shares are being sold along with a permit,
19 and then we get these values that are outside of the expected
20 range.

21
22 Here, I am giving a proportion of the prices that we receive and
23 how many of those we consider valid, and you can see that
24 there's a lot of fluctuation throughout the years, and I am
25 breaking it down by share category, and so, red grouper,
26 interestingly, seems to do the best, but, overall, there's lots
27 of fluctuation that goes between 30 and 70 percent, and so this
28 is definitely an area that we see for improvement, and,
29 possibly, we could do some more outreach to emphasize the
30 importance of this data, and so it's an area that we're hoping
31 that, with some time, we'll see improvement.

32
33 One of the things that we had done was, in 2013, to try to tease
34 apart some of the reasons that we're seeing for these different
35 price reporting, was we implemented that transfer reasons be
36 incorporated into the share transfer process, and then that
37 share transfer reason was mandated in 2015, and we'll talk about
38 that shortly.

39
40 That was broken down by share category, and now I'm showing the
41 percentage of share prices that are valid that we see across the
42 program, and so you can see, across the program, that we're
43 seeing a pretty similar story, with grouper-tilefish being maybe
44 slightly higher than what we're seeing in red snapper, but that
45 they're hovering in the 50 to 60 percent range, and you can also
46 see that, just in general, there are a higher number of share
47 transfers and valid share prices that we're seeing in grouper-
48 tilefish, but that, of course, is because there are five share

1 categories, as opposed to just the singular red snapper.
2
3 Like I mentioned, to try to get at some of that room for
4 improvement that we were hoping to work on, we incorporated the
5 share transfer reasons into our transfer process, and some of
6 the most frequently reported reasons that we were seeing was
7 primarily sale to another shareholder, which we were expecting,
8 but then it was followed by no comment, and so this wasn't
9 helping with our valid share price reporting, and so, again,
10 this is another area for improvement.
11
12 Then, following, the third most frequently reported transfer
13 reason was transfer to a related account, and this is a concept
14 that I want to touch upon really briefly, because it's going to
15 become a recurring theme, and so we are aware that a lot of our
16 accounts have a relatedness across other accounts.
17
18 This could be that they have entities in common, or it could be
19 that businesses are cooperating, or it could be familial
20 relations, but, even here, we're seeing that there is a
21 relatedness that is happening between the accounts, and this is
22 a data point that is very difficult to get at, because it's not
23 data that we collect explicitly, and so it's something that is a
24 very manual process, to identify how much relatedness is
25 occurring between the accounts, and it's something that changes
26 every year, and so, while I don't have any specific numbers or
27 data to present here today, unfortunately, it's something that
28 we're hoping to continue to investigate and analyze, and
29 possibly even incorporate some data in for the document, in time
30 for the council meeting, but I wanted to bring that up, because
31 it's going to start showing up in some of the trends that we see
32 in the future slides.
33
34 That was the grouper-tilefish that I was showing you, and now
35 we're looking at red snapper specific and the reasons that we're
36 seeing for these share transfers, and this paints the same
37 story. The most commonly selected transfer reason is sale to
38 another shareholder, followed by no comment, and the third most
39 frequent is transfer to a related account.
40
41 We went through share transfers and transfer prices, and now
42 we're going to go over allocation transfers, and we did a very
43 similar process to identify allocation prices that we considered
44 valid, and we want to point out here that there does seem to be
45 an improving trend in the prices that we're getting, which is
46 great to see, but it still is lower than we would like to see,
47 and it's actually a bit lower than what we were seeing with
48 share transfer prices, and so, here, you can see there is some

1 fluctuation, but it goes between 25 and, at best with red
2 grouper, like 55 percent.

3
4 I also want to mention that these allocation transfers are
5 between accounts, and these are not allocation transfers from
6 the shareholder account to the vessel account, for instance.

7
8 That was the share categories broken down, and then, here again,
9 we're going to look at them program-by-program, and you can just
10 see, right off the bat, that there are just much more allocation
11 transfers, as we would expect, but, again, here you can see that
12 around like 40 to 50 percent of the prices are only those that
13 we would consider within a valid range, and so, while we have
14 room for improvement here, I do want to make a mention that, as
15 of December 2020, and so very recently, we actually made
16 allocation price reporting mandatory, and so hopefully that will
17 also show some improvement, as a result of that.

18
19 Now to go into grouper-tilefish allocation transfer reasons,
20 this was also incorporated in 2013 and then mandated in 2015,
21 just as the share transfers were, and, here, unlike the share
22 transfers, you can see that the most reported transfer reasons
23 for allocation was no comment, and so this is an area where we
24 definitely could see some improvement, and we're not getting a
25 whole lot of data here. This could be a hesitancy to report,
26 and so maybe some more outreach would be helpful here.

27
28 Following no comment, again, similar to the share transfer,
29 transfer reasons was sale to another shareholder and transfer to
30 a related account.

31
32 Then, here in the red snapper program, you can see, again, the
33 same sort of story, with no comment being the most frequently
34 reported, and then, again, the sale to another shareholder and
35 transfer to a related account.

36
37 Now we're going to move into eligibility and participation, and
38 so really look at the IFQ activity that we're seeing, and so
39 people who wish to participate in the IFQ program must contact
40 IFQ staff to obtain an account. For the first five years, a
41 commercial reef fish permit was required to obtain a shareholder
42 account.

43
44 The dealer accounts, however, require a federal dealer permit,
45 and still require that federal dealer permit, in order to obtain
46 a dealer account. However, for a shareholder account, after
47 those first five years of each program, public participation was
48 opened up, and then those accounts could be opened up by

1 submitting an application with all of the relevant information
2 completed, and that includes name, address, birthdate,
3 citizenship, and such. To be clear, in order to land, a permit
4 is still required.

5
6 Now we're going to dive into the data that we get out of the
7 program and then some of the trends that we're seeing, and so,
8 to start, I broke down the accounts with shares and whether they
9 were small, medium, or large, and, here, you can see that the
10 majority of our accounts are considered small accounts, and that
11 means is that they hold less than 0.05 percent of the shares, or
12 within each account, and this makes sense, and is in line with
13 what we saw previous to the IFQ program, because, at the
14 beginning of the IFQ, the shares were distributed based on
15 landing history.

16
17 One trend that you can also see here is that there has been a
18 decreasing number of accounts that hold shares across all share
19 categories, and that typically occurs in the small accounts, and
20 that could be due to attrition, and it also could be that they
21 were moving over into the medium-sized bin.

22
23 While that was all share categories, now we're looking at the
24 program-by-program, and, here again, you can see that there are
25 almost double the number of accounts in the grouper-tilefish, as
26 opposed to the red snapper program, and this is just a result of
27 there just being much more share categories in the grouper-
28 tilefish program.

29
30 One analysis I did was to actually compare how many shares each
31 account was holding and how many of them held multiple share
32 categories, and so, here, you can see that the majority of
33 accounts hold three to five different types of shares, and that
34 could be any combination of share categories, and, typically, an
35 account that holds -- Sorry. The fewest number of accounts that
36 hold only one share category was always the lowest percentage,
37 but, interestingly, we are seeing a trend that it's been
38 increasing in time, and so this is a trend that we want to keep
39 an eye on and continue to look at.

40
41 Part of the benefit of these accounts having multiple share
42 categories was, as I mentioned before, a lot of the species co-
43 exist, and so that can help with discarding.

44
45 While that last analysis -- I wasn't able to incorporate red
46 snapper into it, unfortunately, in time for this meeting, but I
47 do want to point out that the grouper-tilefish and red snapper
48 programs have a very high degree of overlap, and, not only is it

1 a high degree, but it's been a growing overlap, and so, here,
2 you can see that, in 2012, it started at 77 percent of vessels
3 that were landing grouper-tilefish were also landing red
4 snapper, and that has increased to almost 90 percent.

5
6 Here, we're looking at accounts with shares by permit status,
7 and so these are all the share categories broken down, and you
8 can see that the accounts that hold shares primarily also hold a
9 permit, but we are seeing, over the course of time, that there
10 does seem to be a declining amount of accounts with shares that
11 are holding a permit, and, across all of the share categories,
12 we're seeing a roughly 70 to 30 percent split.

13
14 Earlier, I mentioned that we have data that's suggesting that
15 there is a relatedness, and we have done some preliminary
16 analysis that suggested there is a high degree of relatedness
17 between these accounts, and so I want to point that back out,
18 that, while this does look like there is a disconnect of
19 accounts with a permit and accounts with shares, that there is a
20 lot of relatedness happening that can also help explain some of
21 this, and so we're aware that, a lot of times, the shares are
22 being separated from the account with the working vessel, and so
23 this could be to separate assets, to remove those shares from
24 that working vessel, or it could also be that an individual or
25 businesses that hold multiple accounts are consolidating all of
26 the shares into one account that may or may not hold a permit.

27
28 Here, we're looking at the grouper-tilefish program to the red
29 snapper program, and you can see that they are pretty similar
30 across the programs, and, again, it's a roughly 70/30 split.

31
32 We looked at shares, and now accounts with allocation, and so
33 these numbers are higher, and so these are any accounts that
34 either received allocation via shares or transferred allocation
35 into the account, and so they touched allocation at some point
36 in time, and I wanted to look specifically at how many accounts
37 received at least a portion of their allocation via shares, and,
38 here, you can see that the majority of accounts that held
39 allocation received at least some of that allocation, via
40 shares, but, again, there does seem to be a declining rate, and,
41 over time, there seems to be accounts that are receiving their
42 allocation from other sources, which would just be by
43 transferring it in, but I want to remind us, again, that, as
44 much as the story of the separation of the shares from the
45 working vessel, that would also play out here.

46
47 As the shares are being moved away from the working vessel, that
48 means, inherently, that the allocation will have to start moving

1 across more and more accounts, and then it will make that trend
2 very similarly play out here.

3
4 Again, we're looking at program-by-program, and, here, you can
5 see that there's a little bit of a difference here, where, just
6 in general, grouper-tilefish has far more accounts than red
7 snapper, again, because there's just much more share categories,
8 but it also looks like grouper-tilefish -- There's a higher
9 number of accounts receiving their allocation through shares,
10 whereas red snapper is closer to 60 percent, which has been
11 fairly consistent across that timeframe.

12
13 Now we're looking at the dealers in each of the programs, and so
14 here, in grouper-tilefish, you can see the total number of
15 dealers, and I broke them down by small, medium, and large,
16 depending on how much of the landings they report, and you can
17 see that there has been a very slow and gradual increase over
18 time, and a lot of that increase occurs in the small bin, and
19 what we are seeing, and also what we're hearing from the
20 industry, is that a lot of fishermen and participants are
21 becoming their own dealer, and so that plays out with that
22 trend.

23
24 Here it is for the red snapper program, and it's a very similar
25 story, where there's a slight increase in the number of dealers
26 that we're seeing, and that is happening in the small bin, and
27 so, again, participants are becoming their own dealer is a
28 common reason for this trend.

29
30 Now we've talked about the number of share transfers and some of
31 the prices that we're seeing, and so now we're going to talk
32 about the volume of shares by permit status, and so here you can
33 see that the amount of shares being transferred does still tend
34 to be highest with accounts that also hold a permit, and, across
35 the share categories, you can see that there is a roughly 80/20
36 split, with the exception of deepwater grouper, which is closer
37 to 70/30, and then red snapper, which is also 70/30.

38
39 Here, we're seeing landings by share status, and so, again, a
40 similar sort of trend, where, in 2012, you can see that the
41 majority of landings were being done by accounts with shares,
42 but there has been a declining proportion of accounts with
43 shares that were doing the landings, and so this one is a little
44 bit more pronounced, where now we're seeing a 50/50 split of the
45 accounts landing that have or do not have shares, and this goes
46 back, like all the other trends that we've been seeing, where
47 there is some relatedness happening, where the shares are being
48 split from the working vessel, and so the 50/50 split is pretty

1 consistent across all the share categories.

2
3 After that, I wanted to look at quota utilization across the
4 share categories, and something I want to point out is that
5 there are some share categories, like deepwater grouper and red
6 snapper, where a lot of the quota is being landed, and then
7 there are some other share categories, like red grouper, gag,
8 and tilefish, where there is lots of fluctuation across the
9 years, and, typically, that fluctuation is a response to a
10 change in the quota, or sometimes catchability rates, and it can
11 also be fishing behavior and market and stock status changes,
12 and so there's a lot of things that can be going on that can
13 affect how much of the quota is being landed.

14
15 One thing that I want to point out, specifically, is that, in
16 2016, red grouper had a very large increase in quota, and,
17 before that time point, a lot of the red grouper quota was being
18 landed, but, starting in 2016, with that quota increase, the red
19 grouper quota went down that was being landed, and that's going
20 to have an effect that we're going to see shortly, and just to
21 note that the text that is in red designates that there was an
22 in-season increase in the quota.

23
24 You can also see here that red snapper, interestingly, had lots
25 of in-season changes, and those would specifically be increases,
26 and, regardless of whether there was an increase, and whether it
27 was towards the end of the year or not, they still were able to
28 land most of the quota.

29
30 This is a comparison, again, between the programs, and, like I
31 alluded to earlier, the red grouper -- That quota is quite a bit
32 larger than the quota for the other share categories, and, with
33 the increase in 2016, and then the declining utilization, we are
34 seeing the trend of the grouper-tilefish quota being landed less
35 and less, and, again, that was lowered in 2019, and so these
36 values become very different, but, here, you can see that the
37 red snapper is always nearly landed, and then the grouper-
38 tilefish is a little less so, particularly during those years
39 when the red grouper quota was particularly high.

40
41 That is some of the activity that we're seeing in allocation and
42 shares, but I want to make a note that, within our system, we
43 have some ownership caps, and so, for instance, we have the
44 share cap, and that is for each category, where it's a maximum
45 percentage of shares that can be held by any entity or account,
46 and then, in the grouper-tilefish IFQ program, there is also an
47 allocation cap that is across all categories.

48

1 The total amount of pounds that can be held at one point in time
2 corresponds to the allocation equal to all share caps combined,
3 and the reason we don't see this in the red snapper IFQ was
4 simply because the red snapper was implemented before this was a
5 requirement.

6
7 Now let's dig into some price data, and so, here, I'm giving the
8 number of share transfers, and these are total share transfer
9 numbers, and these are not just the ones that we considered
10 valid or not, and then the average prices that we were seeing,
11 and these average prices do -- They only include the valid
12 prices, and they are inflation adjusted with 2018 as the base
13 year. Here, you can see that there is some fluctuation that
14 tends to be in response to quota changes and catchability, and
15 you can see that red snapper typically is the highest.

16
17 Now, I can show you allocation and ex-vessel prices. Again,
18 these are average annual prices that are inflation adjusted,
19 with 2018 as the base year, and you can see the allocation price
20 is always lower than the ex-vessel, and, as that margin becomes
21 tighter, it will therefore become tighter for the fishermen, and
22 so you can see that that is especially true in red snapper.

23
24 We looked at share transfers and the amount of those occurring,
25 and, here, I wanted to point out allocation transfers, and so
26 you can see that, for intuitive reasons, there's a lot more
27 allocation transfers occurring, but I want to really point out
28 that the percentage of quota, and so the amount of allocation
29 being transferred, exceeds the quota, and so that means that
30 these allocation are being transferred multiple times before
31 being landed, and it's just something to see, that there's a lot
32 of movement happening within the program for allocation.

33
34 Now we're moving into discards in the program, and so, here, you
35 can see we did just gag, red grouper, and red snapper, and we
36 identify, or we estimate, discard ratios by gear, because that
37 seems to have the greatest effect, and, depending on the
38 species, vertical line tends to have the lower discard ratio, as
39 opposed to longline, but I want to caution, however, that these
40 data are obtained from the reef fish observer program, and so
41 this is a reef-fish-wide survey, and so it may not be totally
42 reflective of IFQ specifically, and I also want to caution that
43 sometimes the sample sizes are low, and so that's something to
44 keep in mind when looking at these.

45
46 Then here are some of the discard reasons that are given for
47 some of the IFQ species, and so, here, you can see that there
48 are some species, like gag, where not legal size and other

1 regulations are reported pretty evenly, and other regulations --
2 In terms of IFQ species, they may likely refer to a lack of
3 allocation, and so gag is pretty evenly split. Red grouper, and
4 scamp, on the other hand, they tend to have not legal size, and
5 it's the most commonly reported reason for discards, and then
6 there are other species, like speckled hind, where it's the
7 reverse, where other regulations, which, again, could refer to
8 lack of allocation, is the most commonly reported discard
9 reason.

10
11 Then I want to also caution that, again, this is a supplemental
12 discard logbook, and so that is a reef-fish-wide survey, and
13 this is not IFQ specific.

14
15 Now we're going to point out the multiuse for red grouper and
16 gag, and so, in the upper table, you can see that's the
17 proportion that was designated as multiuse for gag and red
18 grouper, and you can see, in 2012 through 2014, there was no red
19 grouper multiuse, and that was because gag was under a
20 rebuilding plan, and then, in the table below, we broke out how
21 much of that multiuse was used to land each of the species, and,
22 in both instances of red grouper and gag multiuse, gag was the
23 most commonly landed species, using both multiuse allocation,
24 and that makes sense, because the red grouper allocation was
25 much higher than gag, and so it was mostly used to land gag, in
26 both instances.

27
28 We also reviewed monitoring and enforcement, and, here, I am
29 giving the number of IFQ cases that enforcement handled and how
30 many of those resulted in seizures of grouper-tilefish or red
31 snapper species, and, as you can see, very few of the cases
32 resulted in seizures, and they have been declining over time,
33 and so to the point that, in 2017 and 2018, there were actually
34 zero seizures, and then, as of June 2019, the Southeast Region
35 summary settlement schedule added penalties for grouper-tilefish
36 and red snapper IFQ-specific violations, and so that was an
37 improvement in streamlining the enforcement of the programs, and
38 that was an improvement that we were happy to see.

39
40 Then the final thing that I'm going to touch upon today is our
41 cost recovery fees that we receive, and so, here, I have the
42 aggregated expenses of 2010 to 2018, but a similar trend is seen
43 across the years, and the bulk of the cost recovery fees are
44 used for management of the program, and so labor, and that you
45 can see in purple, and then enforcement was the second-most used
46 for the cost recovery fees, and that you can see in the bright
47 blue.

48

1 Then I want to also mention that, in 2019 and 2020, a good chunk
2 of the fees that were submitted and collected were then used to
3 modernize the IFQ system, and this was a very exciting
4 modernization of the website, because it allowed us to push
5 ourselves over onto a cloud-based system, so that we have fewer
6 outages, due to the hurricanes, and it allowed us to improve
7 some of our flexibilities, and so, for instance, we can report
8 landings with prices, and it also allowed us to incorporate a
9 new loan program module, so that we can -- For the loan program
10 that we've established and connect accounts to those that hold
11 loans.

12
13 That I all I'm going to cover today, and I believe we're going
14 to move into the economics of it, and I believe that Mike Travis
15 is going to take us through that.

16
17 **DR. DIAGNE:** Before Mike starts, just to ask whether SSC members
18 have questions for Ms. Grey.

19
20 **CHAIRMAN LORENZEN:** Bob.

21
22 **MR. GILL:** Thank you, Mr. Chairman. Alisha, thank you for the
23 presentation, and the data is rather overwhelming, but, on Slide
24 46, could you tell us what percentage of the expenses are
25 covered by the 3 percent?

26
27 **MS. GRAY:** Thank you, Mr. Gill. This is just a percentage of
28 how we use that 3 percent, and it's a breakdown of how it's
29 used, and could you perhaps rephrase that for me, or repeat
30 that, and maybe I can understand how exactly you want me to
31 answer it?

32
33 **MR. GILL:** Well, the 3 percent is the max that can be charged
34 for the management of the program, and the assumption is that,
35 at this stage, it does not cover all the costs of the program,
36 and so my question is directed at understanding a little better
37 how much of the cost of the program does the 3 percent actually
38 cover.

39
40 **MS. GRAY:** Okay. Thank you. I actually failed to mention, and
41 so thank you for bringing this up, that the cost recovery does
42 fully fund the IFQ program, including that we had the ability to
43 modernize the system, using those funds.

44
45 **MR. GILL:** You blanked out there for a moment, and so I missed
46 most of that response, if you could repeat it.

47
48 **MS. GRAY:** Sorry. The cost recovery does in fact fully fund the

1 IFQ program, including the labor, law enforcement, printing,
2 supplies, and communication, and so it fully funds the program,
3 and it also allowed us to modernize the system, and so I was
4 saying that it's fully funding the program, yes.

5

6 **CHAIRMAN LORENZEN:** Thank you. Jim.

7

8 **DR. NANCE:** Thank you, Mr. Chairman. Thanks for the
9 presentation. I've got just a quick question. On Slide 15, and
10 others, but I see, in the percent of valid share prices, there
11 is a large decrease in 2018, and several other slides, and 2018
12 seems to be an outlier, and can you explain what's happening
13 there?

14

15 **MS. GRAY:** Thank you, Dr. Nance. I actually did notice that as
16 well, and I looked into it, and the percentage of valid share
17 prices did recover in 2019 and 2020, and they were in a much
18 more expected range, and so 2018 did seem to be an interesting
19 downturn during that specific year, and I believe some of that
20 might be 2017, at the end of the year, was a very active
21 hurricane season, and that was Irma and Harvey, and we did, in
22 general, just have fewer share transfers in 2018, and so it
23 could also be a little bit of a sample size, which could be just
24 a reflection of the active hurricane season the year before.

25

26 **DR. NANCE:** Okay. Thank you.

27

28 **CHAIRMAN LORENZEN:** Walter.

29

30 **DR. KEITHLY:** Thank you for the presentation. It's a very
31 ambitious amount of work that you've conducted, and it was
32 raised this morning that these prices, share prices and
33 allocation prices, contain some very valuable information, and
34 you've done some work to try to only include the valid prices in
35 your analysis, which I appreciate, because you have a lot of, as
36 you said in the text, just transfers, and, in I believe it was
37 2013, you started giving seven categories or whatever of reasons
38 for the transfers.

39

40 What you're interested in, on the prices, is just those that are
41 conducted at an arms-length-type transfer price, and so, if you
42 have gifts and some of those others, like no comment, which is
43 oftentimes, at least on the shareholders, trying to avoid
44 capital gains taxes, I would think, or some of them at least,
45 and I don't know how prevalent that is, but have you looked at
46 the prices just on the transfers from one shareholder to another
47 shareholder? You may still have to do some trimming there, but
48 it seems that would be the only valid category, where you had

1 actual, potentially, arms-length transfers, of all the
2 categories that I saw. Thank you.

3
4 **MS. GRAY:** Thank you for that, Dr. Keithly. I might defer to
5 some of our economists, to see if they have some specific
6 comments to that point.

7
8 **DR. DIAGNE:** I will take a stab, and hopefully Mike or someone
9 else will jump in, and that's a good point that Dr. Keithly is
10 raising here, but, at the end of the day, even a transfer from
11 one account to another account would not fully capture the fact
12 that -- Let's say I could have an account, under my name, and
13 then be part owner of an account that was established in the
14 name of a corporation or an LLC, and we can have transfers.

15
16 Under what you are suggesting, that would be from one account to
17 a different shareholder, because the two entities, or persons,
18 if you would, would be different in name, but I would be part
19 owner of the other one, and so that's an interesting avenue that
20 we should explore in the future, but this is one of the
21 challenges, really, of the program, to have a handle on the
22 transactions.

23
24 You can think about it, I guess, as anything short of granting
25 the agency the right of first refusal on these transactions
26 would be lacking, when it comes to collecting the prices for
27 these, and maybe Mike or somebody else would like to add to
28 that.

29
30 **DR. KEITHLY:** Just as a follow-up, if you don't mind, Mr.
31 Chairman, it's been years since I've worked on these transfers,
32 and, when we were doing I guess the red snapper IFQ, and I can't
33 remember the -- Or, in the analysis that I did, at the time,
34 there were a couple of brokerage firms, and one of them sent me
35 a large amount of data on the prices, the share price transfers,
36 or the prices of shares that were transferred, as well as the
37 allocation, and have you attempted to compare this data to what
38 some brokers may have?

39
40 Again, I bring this up only because I do consider this to be,
41 potentially, a very useful piece of information in the future,
42 in terms of looking at the status of the stocks and all, based
43 on the fact that, as described this morning, if dockside prices
44 are going -- If dockside price is staying the same, yet the
45 share, or allocation, prices are falling, that tells you that,
46 potentially, if costs are staying the same, fuel costs and so
47 forth, that tells you that there may be a declining catch per
48 unit of effort. Thank you.

1
2 **DR. DIAGNE:** About the suggestion of the data held by brokerage
3 organizations, if I could call it that, those typically are
4 fairly limited, in terms of the sample size, at least if we
5 consider the time interval that we are looking at for this
6 review, but we are going to continue to look at other sources of
7 information, to get a better handle on prices, because that's
8 really one of our, I guess, major challenges, when it comes to
9 the program, the two programs, the IFQs. Thanks.

10
11 **CHAIRMAN LORENZEN:** Thank you. Will, you're next, but I'm
12 wondering though -- Are you -- Is your comment related to this,
13 or is it separate, because it seems to me that maybe the next
14 hands up are still related to the points that Walter Keithly
15 brought up.

16
17 **DR. PATTERSON:** It's totally unrelated.

18
19 **CHAIRMAN LORENZEN:** So I will keep you in mind then, if there
20 are direct follow-ups from here, and, Jessica and Andrew and
21 Mike, feel free to go first. Jessica.

22
23 **DR. JESSICA STEPHEN:** I just wanted to comment too, along those
24 lines of looking at the accounts. We did some preliminary
25 analysis, looking at sort of the related accounts, which is kind
26 of getting at the arms-length thing, and we did notice that, a
27 lot of times, transfer to a related account was selected as a
28 reason, yet there was no visible relation between those
29 accounts, either by entities, even thinking all the way down to
30 who owns a corporation, and so we still have that work to
31 complete for the review, looking more into the related accounts,
32 and that might hope to add some more information to this as
33 well.

34
35 One of the things we also had, in the past, is we used to get
36 some information from industry members as well, and I actually
37 haven't gotten those in a couple of years, but, when we were
38 getting it, it was coming in really close to what our average
39 prices were, by the time we were done with those outlier
40 techniques, and Mike Travis might have a little bit more to add
41 to this.

42
43 **DR. TRAVIS:** I do, and so Walter is quite correct that we really
44 want to be looking at prices in what the literature reviews to
45 as arms-length transactions, and, theoretically, it's clear, and
46 it's discussed in the literature, in a number of papers.

47
48 However, attempting to determine what is an arms-length

1 transaction, in practice, is not quite as easy as one might
2 hope, because, thinking back to the example that Assane gave,
3 you can have one particular individual being involved in two
4 accounts, and so those accounts would be related, but they're
5 still, potentially, distinct businesses, and that person may not
6 have a major ownership share in both of them, or even one of
7 them, and so, just because they're related, or the term I like
8 to use is "affiliated", that may not mean it's not an arms-
9 length transaction.

10
11 I think that we need to do more research into looking at the
12 percentage of ownership, or the control of ownership, between
13 these entities to determine which ones are actually affiliated
14 and which ones are not, or I should say maybe strongly
15 affiliated, to the point where, if they're strongly affiliated,
16 it would not be an arms-length transfer, but, if they're not
17 strongly affiliated, it could be, and so you're actually going
18 to have a transfer of shares for money, or annual allocation for
19 money, in those cases. It's going to require a lot of data
20 digging, I think, before we can get a better handle on this.

21
22 **CHAIRMAN LORENZEN:** Thanks. Andrew, and then we'll get back to
23 Will.

24
25 **DR. ROPICKI:** Mine was kind of unrelated, and so Will can go
26 first.

27
28 **CHAIRMAN LORENZEN:** Okay. Thanks, Andrew. Will.

29
30 **DR. PATTERSON:** Thanks for the presentation, and it's really
31 interesting information. As more on the biology side of things,
32 we hear information about the IFQ fisheries and how they
33 operate, but I think this is a really great synopsis of a lot of
34 information. Some of it I couldn't follow as well as I would
35 like, and there were some tables that maybe could have been
36 figures, but, you know, that's just, I guess, personal
37 preference.

38
39 I am curious about the tables on Slide 24. The way this is
40 broken out by small, medium, and large, they're pretty broad
41 ranges for each of these categories, and, I mean, the small
42 ones, obviously, are quite small, less than 0.05 percent, but
43 the large accounts, if this is greater than or equal to 1.5
44 percent, could be up to -- I think the highest was maybe 14
45 percent was the max for an individual shareholder, I think for
46 tilefish, if I remember correctly, but, even for red snapper,
47 the max is like 6 percent.

48

1 I'm curious if you have a distribution, and so let's just take
2 deepwater grouper for 2018, and there were 344 shareholders. If
3 you have a distribution that has, across the X-axis, the
4 percentage is -- If you have it broken out here by 0.05 percent,
5 and so you would have 200 categories along the X-axis, and then,
6 along the Y-axis, the number of individuals, and it seems like
7 we're missing some information here.

8
9 Given the percentages that an individual can actually have, as
10 far as the total quota, for a lot of these, if the large
11 shareholders had the full amount, then that's over 100 percent
12 of the total quota, and so I'm just curious how concentrated the
13 fishery is, as far as the shares among the shareholders, and
14 then, also, how that has changed across time. Then, lastly, do
15 you see the percentage of folks that are toward that upper bound
16 -- Has that percentage changed among folks who have a license to
17 fish?

18
19 I think, for red snapper, the breakdown was 70 percent have a
20 reef fish license, and 30 percent do not. If, over time, you
21 have seen that dynamic shift, where more folks that have that 30
22 percent are actually investing in the marketplace, so that their
23 holdings are toward that 6 percent maximum, and so, anyway, lots
24 of -- I guess that's three main questions that I asked, and I
25 can break them apart one-by-one if you would like, but I'm
26 curious if you have that information.

27
28 **MS. GRAY:** Thank you. The reason that these ranges seem very
29 wide is because we were consolidating all of the share
30 categories together, and that was just a way to do so, because,
31 like you said, there is a very different share cap for each of
32 the different share categories, and so, in order to define them
33 all, this is how it played out the best.

34
35 In terms of consolidation of shares, I believe you said, we do
36 have, in each share category, one or two, but mostly just one,
37 person that has reached that share cap, but, otherwise -- Am I -
38 - You mentioned a couple of questions, and so I think I've
39 addressed at least two of them.

40
41 **DR. PATTERSON:** The first one was, and you answered that, the
42 least common denominator, and this is the easiest way to put it
43 all together in one set of tables. The second one was do you
44 have -- Could you present distributions for each of these six
45 IFQ fisheries that actually show what the breakdown is, as far
46 as the percentage of shares, by participants?

47
48 Really, the idea is like how much of the fishery, for each of

1 these is held -- I am going to make this as easy as I can, and
2 so, in 2018, there were eighteen shareholders in the deepwater
3 grouper fishery that are the large category. What percentage of
4 the fishery did those eighteen shareholders actually control?
5

6 **MS. GRAY:** That isn't something that we've really looked at. We
7 do have a table in the annual report that could look at that,
8 but it's something that we would have to kind of look into, and
9 something that I can work out with you.

10
11 **DR. PATTERSON:** Okay. Then the second question is I'm curious,
12 like over time, have you seen the concentration -- Like, maybe
13 in 2012, for deepwater grouper, those fourteen folks that are in
14 the large category, they only had, among them, like 20 percent
15 of the fishery, but then you get to 2018, and the number grows
16 to eighteen, but it's actually now 50 or 60 percent, and like do
17 you see that kind of consolidation, and so the high-liners are
18 purchasing more shares and controlling more of the fishery that
19 way?
20

21 **MS. GRAY:** Again, I believe we have a table in the annual report
22 that I would have to go look at, and I don't know it right off
23 the top of my head, but I think Jessica or Assane might
24 hopefully be able to speak to this a little bit more.
25

26 **DR. STEPHEN:** Alisha, I do have that for red snapper, and I can
27 pull it up for grouper-tilefish next, but, if you look at red
28 snapper, where we have the large shareholders, seventeen to
29 nineteen of them, and, in general, they held around -- It was
30 just under 50 percent of all the shares in the program, and is
31 that what you were looking for?
32

33 **DR. PATTERSON:** Yes, and that 50 percent -- From 2012 to 2018,
34 was that pretty consistent? Was there much shift in that?
35

36 **DR. STEPHEN:** No, there wasn't much shift, and so, in red
37 snapper, they started off at 37, but, within that very first
38 year, it jumped up to kind of 46 percent, and then it has
39 differed between 46 to 49 percent for red snapper, and, if you
40 give me a moment, I can probably pull grouper-tilefish too, if
41 you're interested.
42

43 **DR. PATTERSON:** Okay. So, when you say the first year, that's
44 back in the mid-2000s, was when it first went into place?
45

46 **DR. STEPHEN:** Yes, and it was 2007 for red snapper and 2010 for
47 grouper-tilefish.
48

1 **DR. PATTERSON:** Okay, and then like the last question then was,
2 of those folks, for red snapper, that seventeen to nineteen, are
3 those generally the same fishers across time, or are you
4 swapping out individuals and some of them have a license to
5 harvest and others don't?
6

7 **DR. STEPHEN:** I'm going a little bit on memory here, but most of
8 the red snapper guys are the same over time, and there are,
9 occasionally, ones that come in and out, and we've had one or
10 two, I think, major shareholders come out of the fishery, and
11 that allowed someone else, probably, to move up towards that
12 mark.
13

14 Then I do have -- The grouper-tilefish, I have it by different
15 share categories, and so one thing to keep in mind with the
16 large shareholders in the different grouper-tilefish categories
17 is it does differ, and so deepwater grouper, for example, was
18 anywhere between 40 to 57 percent, whereas, for gag, the large
19 numbers were really more between 6 to 23 percent, and so of that
20 is, I think, what you were talking about, how we had to kind of
21 simplify small, medium, and large across all share categories
22 that you get those differences, particularly with where the
23 share caps are in those two different share categories.
24

25 Typically, what we've seen, in most of them, is that there's
26 been slight increases, potentially, in the percentage of all
27 shares held by the large share categories over time, and we
28 could create the graph, or show you those two, in our annual
29 reports, and they are listed in each report, the detailed
30 information.
31

32 **DR. PATTERSON:** Okay. Great. Thanks.
33

34 **CHAIRMAN LORENZEN:** Assane, was that to the same topic?
35

36 **DR. DIAGNE:** Yes, Mr. Chair. Just very quickly, at the core of
37 Dr. Patterson's questions, or, actually, one of the questions is
38 the issue of market concentration in the share market and then,
39 secondarily, in the allocation market, and we can continue also
40 to think about concentration in the landings market.
41

42 Mike Travis is going to speak to that issue and use, I believe,
43 concentration indices and talk about things of that nature, and
44 so I just wanted to say that market concentration in the share
45 market, as well as in the other markets, has been looked at by
46 the team, and probably Mike would like to answer that. Thank
47 you.
48

1 **CHAIRMAN LORENZEN:** Mike, on that topic?
2

3 **DR. TRAVIS:** Well, yes, and I will be talking about that
4 shortly, but I wanted to offer another option that I have looked
5 at in response to Will's comments, and so what Alisha has done
6 here is looked at definitions of small, medium, and large within
7 each share category, and it's also in terms of percentages.
8

9 I have done some work, and this is coming from an economist,
10 where, if you are wanting to look at entities that are small,
11 medium, and large within the IFQ programs in total, then what
12 you do is you convert those shares into value estimates, based
13 on the average share prices, and then you get total values of
14 their shares by entity, and then you can look at the
15 distribution and see which entities look to be large, medium,
16 and small, based on -- There's an assortment of distributional
17 analyses that you can do. Personally, I think that that's a
18 more accurate representation of entity size, in terms of share
19 ownership.
20

21 **CHAIRMAN LORENZEN:** Thank you. Will, does that answer your
22 questions?
23

24 **DR. PATTERSON:** Yes, and I guess I jumped the gun, and I look
25 forward to what Mike presents. From just what he said there, it
26 seems like it's still categorical, instead of continuous, as far
27 as the percentage of shares, and so, anyway, I look forward to
28 hearing about it.
29

30 **CHAIRMAN LORENZEN:** Great. Andrew.
31

32 **DR. ROPICKI:** I guess I kind of have a two-part question.
33 First, did I hear correctly about the fisheries finance program,
34 and does it cover Gulf of Mexico IFQ purchases?
35

36 **MS. GRAY:** Yes, we have the loan program now, which can be used
37 to purchase any IFQ structures or shares or permits, and it's
38 through the NOAA Finance Office.
39

40 **DR. ROPICKI:** Okay. I would just say one other thing, and the
41 NOAA website still only lists the Northwest halibut and
42 sablefish and Alaskan crab fisheries as eligible online, but is
43 there any chance, at some point, that the data on loan usage for
44 IFQ share purchases and things like that might be made public,
45 in an aggregated format, because I think there's valuable
46 information.
47

48 **MS. GRAY:** Thank you. It is listed on our website specifically,

1 but I can definitely send you some more information, and it is
2 something that is public, but we've only completed one loan thus
3 far, and so it's still really new.

4
5 **CHAIRMAN LORENZEN:** Thank you. Seeing no other hands, let's
6 move on to the economics part.

7
8 **DR. TRAVIS:** I am going to talk about three topics, and the
9 first topic I want to talk about is the potential effect of IFQ
10 programs on ex-vessel prices, or, actually, even broader than
11 that, catch share programs on ex-vessel prices.

12
13 The theoretical literature has been around for a while that
14 suggests that catch shares are expected to lead to an increase
15 in ex-vessel price, holding all other things constant, but
16 recent evidence, based on three studies, is rather mixed, in
17 terms of whether that expectation will hold, and so the first
18 study, which was done by Walter Keithly, who is on the SSC, was
19 done for the grouper-tilefish program.

20
21 His results indicated that the grouper-tilefish IFQ program did
22 not affect the ex-vessel prices of Gulf grouper species, likely
23 because the race to fish, as we call it, and the related
24 shortened seasons really did not exist, for the most part, for
25 grouper species prior to implementation of the program.

26
27 However, he also found that ex-vessel prices have been more
28 stable for grouper species since the program was implemented,
29 compared to before the program's implementation, and that's
30 probably because the landings have been more evenly distributed
31 over time within the year, and so you're avoiding that market
32 glut situation.

33
34 Contrary-wise, a group of academics and NMFS economists, and I
35 will refer to this as the Birkenbach study, found that the red
36 snapper IFQ program caused a statistically significant increase
37 in the ex-vessel price of red snapper. Now, they also found
38 that the magnitude of that increase was likely mitigated because
39 of the shift to ten-day monthly mini-seasons in the years just
40 prior to the program's implementation.

41
42 They also concluded that part of the ex-vessel price is probably
43 due to the 30 percent reduction in the commercial quota that was
44 implemented the same year as the program, and so now, like
45 Keithly, the Birkenbach study also found that the grouper-
46 tilefish IFQ program did not cause a statistically-significant
47 increase in the ex-vessel price for any grouper-tilefish
48 species. In fact, it found that the program caused a slight

1 decrease in the price of red grouper, ex-vessel price.

2
3 They also admitted that their findings may be confounded by the
4 effects from the oil spill, and this has been a common theme for
5 a lot of the grouper-tilefish research, because the grouper-
6 tilefish program was implemented January 1, 2010, and then the
7 oil spill kicked in on April 20 and lasted for several weeks,
8 but here's what they found in a little bit more detail.

9
10 For four of the five grouper-tilefish species, there was an
11 additional price increase following implementation of the
12 program, but then there was a sharp reversal in prices after the
13 oil spill began, and, based on some other research that was
14 done, this was probably a response by consumers who had concerns
15 over seafood contamination following the oil spill.

16
17 The Birkenbach study actually went beyond red snapper and
18 grouper-tilefish and was a study across all U.S. catch share
19 programs, and they found three primary general findings across
20 all U.S. catch share programs. Now, I'm not saying that these
21 findings are true in every case, but I'm just saying that they
22 apply most of the time, and so the first general finding was
23 that species that experienced an ex-vessel price increase were
24 generally found to supply higher-value fresh product to markets
25 that discouraged market gluts, and so, in those cases, the catch
26 share program ended, or at least slowed, the race to fish, in
27 those particular cases.

28
29 Second, for species that experienced an ex-vessel price
30 decrease, the economic benefits from the catch share program
31 accrued in the form of improvements in technical efficiency, in
32 other words cost reductions, as the season length increased,
33 and, third, for species that experienced basically no change in
34 ex-vessel price, those were found to supply frozen or canned
35 product markets, and so the timing of within-season landings
36 apparently did not influence ex-vessel prices.

37
38 The third study was conducted by Frank Asche this past year, and
39 he came up with six key findings, and so, similar to a study
40 that I will talk more about later by Glen Mitchell in 2016,
41 Frank determined that there is not a specific market for
42 domestic red snapper, or rather the market is for all snapper
43 species and product.

44
45 Second, the red snapper IFQ program did not lead to a shift in
46 demand between snapper species or product. Third, the higher
47 demand for red snapper that was noticed post-implementation of
48 the program was caused by an increase in the total demand for

1 all snapper species and products.

2
3 Fourth, fresh and frozen imports, which are thought to be almost
4 entirely red snapper, are good substitutes for domestic red
5 snapper, but other domestic snappers are not found to be good
6 substitutes for domestic red snapper.

7
8 Fifth, the demand for red snapper became less price sensitive,
9 or more inelastic, after the IFQ program was implemented, and
10 then, lastly, the red snapper IFQ program increased the red
11 snapper ex-vessel price, and it also caused the ex-vessel price
12 to be more stable across the year, and so the take-home messages
13 are that the red snapper IFQ program did lead to an increase in
14 ex-vessel price, but the grouper-tilefish program did not.
15 However, both programs led to more stable prices within the
16 year.

17
18 The second issue I'm going to talk about is market concentration
19 and market power, and so, when we look at market concentration,
20 the Herfindahl-Hirschman Index, or what I will call the HHI for
21 short, is the most common metric that economists use to look at
22 market concentration, and it is specifically used and
23 recommended by the U.S. Department of Justice and the Federal
24 Trade Commission, and its use has been approved in multiple
25 court decisions.

26
27 We look at market concentration because concentration and
28 competition are inversely related, and so, in other words, what
29 we expect is that, as market concentration increases,
30 competition will decline.

31
32 Now, the most key concept in these types of analyses is what we
33 call market power. Market power is the ability of a firm, or
34 firms, to increase prices above and restrict output, or
35 production, below competitive levels, and, when a firm, or
36 firms, have the ability to do that, that leads to losses in
37 economic efficiency, and so, of course, economists don't like
38 that.

39
40 Now, in terms of the markets that we looked at, we looked at the
41 markets for landings, and we looked at the markets for quota
42 shares and the markets for annual allocation, and, in these
43 analyses, one of the most critical decisions is to establish the
44 boundaries of the market, because previous research has shown
45 that your results are going to vary, and sometimes
46 significantly, depending on how you define the boundary of the
47 market.

48

1 Now, it's most important here to -- In quota share and annual
2 allocation, it's not quite so difficult, but, in the landings
3 markets, it is difficult to determine the proper market
4 boundary, and that is generally because it's difficult to
5 determine which other products are considered good substitutes
6 by consumers, and then, even after you do, you have to have data
7 on those other good substitutes, and so this gets us into not
8 just fish species, and not even just seafood, but potentially
9 other protein sources, and, often, we have difficulty getting
10 good, detailed data on other protein sources.

11
12 The Justice Department, and the Federal Trade Commission, have
13 provided guidance on how to use and interpret the HHI. If you
14 get an HHI that is above 2,500, that is considered a highly-
15 concentrated market, and so these are the markets where we have
16 the greatest concerns with market power being exercised and
17 anti-competitive behavior.

18
19 If the HHI is between 1,500 and 2,500, the market is considered
20 moderately concentrated, and so you might have some concerns
21 with market power being exercised, and maybe some anti-
22 competitive behavior. If the HHI is below 1,500, that's an
23 unconcentrated market, and, generally, we would not have any
24 concerns with market power being exercised, and the markets
25 would be considered competitive.

26
27 Specifically, in our situation, the research has found that it's
28 preferable to estimate the HHI at, and Alisha already referred
29 to this term, at the lowest known entity level, rather than the
30 IFQ account level, because the -- If you do it at the lowest
31 known entity level, that will account for an entity's ownership
32 across multiple IFQ accounts, and we have a number of entities
33 that have ownership interest across multiple IFQ accounts, and
34 so, if you were to measure the HHI at the IFQ account level,
35 that would systematically underestimate market concentration and
36 overestimate competition in the market.

37
38 Now, specifically for the landing markets, you can estimate HHI
39 based on landings, or production, or revenue, and previous
40 research has indicated that it is best, or most appropriate, to
41 estimate the HHI based on revenue rather than production.

42
43 What have we found, in terms of market power determinations?
44 Mitchell's analysis found that grouper-tilefish allocation, and
45 the grouper-tilefish and red snapper share caps, do not limit
46 landings. That shouldn't be overly surprising, because there
47 are not caps on landings.

48

1 Some of the U.S. catch share programs do place caps on landings,
2 and, as a result, what we found is that some entities possess
3 market share in the landing markets that are above, and
4 sometimes well above, the caps. We also found that the grouper-
5 tilefish allocation cap does not constrain market concentration,
6 and it really has no functional use, as far as we can ascertain.

7
8 Second, Mitchell and the NMFS economists found no evidence of
9 market power in any of the landings, shares, or annual
10 allocation markets in any of the share categories, as well as
11 for all IFQ species and all reef fish species combined in the
12 landings markets, and so what this means is that, at the lowest
13 known entity level, the HHIs were all less than 1,500.

14
15 However, Mitchell, and I agree with him, concluded that the HHIs
16 should be estimated at the affiliated entity level, as that most
17 closely approximates the unit of independent economic control
18 that is most suitable for market power analysis, and we say this
19 not just because it's our conclusion, but that's been the
20 conclusion in other similar analyses.

21
22 Affiliation exists when one business controls, or has the power
23 to control, another, and so the problem with estimates at the
24 lowest-known entity level is that they do not account for
25 affiliation between entities, and, therefore, they underestimate
26 market concentration and overestimate competition. We need to
27 do more research into the data that we have to look at this, and
28 we have started down that path, but we're just not quite there
29 yet.

30
31 Mitchell also pointed out that our current estimates do not
32 account for vertical integration, and vertical integration, one
33 example of it, is where dealers and processors may also own, or
34 control, shares and own harvesting operations, and so, in
35 response to that criticism, NMFS recently began collecting
36 ownership percentage data for dealers, to further investigate
37 the issue. Again, we haven't been collecting it that long, and
38 so we don't have the results yet.

39
40 The bottom line is that HHIs and market concentration that we
41 currently estimate are likely underestimates of actual market
42 concentration, and so, although we concluded that there doesn't
43 appear to be any market power being exercised in any of these
44 markets, we need to exercise some caution in that conclusion,
45 until we look at the affiliation and the vertical integration
46 issues.

47
48 The last topic that I'm going to discuss is measuring inequality

1 of distributions, and so the Gini coefficient is the most common
2 metric that we use to look at inequality in distribution, and
3 the range of the Gini coefficient is between zero and one, or
4 zero percent and 100 percent, where zero indicates perfect
5 equality, and so, when we have perfect equality, that means all
6 entities have the same amount for whatever it is that you're
7 measuring, and one indicates maximum inequality, and so, in that
8 case, one entity would possess the entire amount of whatever it
9 is you're measuring.

10
11 Now, somewhat unfortunately, there are no thresholds to
12 determine whether a particular distribution is too unequal,
13 similar to the thresholds that the Department of Justice and the
14 FTC have established for the HHI, and so, often we evaluate the
15 Gini coefficient and the distribution relative to other
16 comparable distributions.

17
18 First, we looked at the Gini coefficients for shares, and the
19 distribution of shares at the lowest known entity level is
20 highly unequal in every share category, ranging from 0.78 to
21 0.9. Second, the Gini coefficients for shares were mostly
22 stable between 2012 and 2018, in both share categories.
23 However, the coefficients for red snapper and shallow-water
24 grouper decreased by about 4.3 percent and 3.5 percent,
25 respectively, during this time, and so those two distributions
26 became slightly more equal during that time period.

27
28 In general, the distribution of shares are the most unequal in
29 the deepwater grouper-tilefish and red snapper share categories,
30 followed by red grouper, and then they are the least unequal for
31 gag and shallow-water grouper.

32
33 Then we look at the Gini coefficients for landings and revenue,
34 and so, for landings and revenue across all grouper-tilefish
35 species combined, the Gini coefficient at the vessel level, and
36 you can only look at this at the vessel level, increased by
37 about 7 percent from 2012 to 2018, and so, although the
38 distribution of landings and revenue in the grouper-tilefish IFQ
39 program was already highly unequal at the vessel level, it has
40 become even more so during this time period. In addition, most
41 of this change was due to the distribution of red grouper, and
42 particularly gag grouper landings, becoming more unequal after
43 2012.

44
45 When we looked at Gini coefficients at the lowest known entity
46 level, they are about the same for both landings and revenue
47 within each share category, with tilefish being the exception,
48 and this actually relates to some research that was done by Jeff

1 Pulver and Jessica Stephen, and so I want to give that a plug,
2 because I think it's an important piece of research.

3
4 What we found is that the Gini coefficient for tilefish revenue
5 is noticeably higher than the Gini coefficient for tilefish
6 landings, and that is because some entities are better at
7 targeting fish that command a higher ex-vessel price, either due
8 to the species, such as golden tilefish gets noticeably higher
9 prices than blueline tilefish, or size, and so those entities
10 end up controlling a higher percentage of the tilefish revenue
11 than the amount of the tilefish landings that they control.

12
13 In addition, the Gini coefficients for revenue are higher at the
14 lowest known entity level compared to the vessel level in each
15 share category, and that result is expected, because multiple
16 vessels can be, and are, owned by a single entity.

17
18 This is where we get into our comparative analysis, and so two
19 colleagues of mine, Ayeisha Brinson and Eric Thunberg, did an
20 analysis, and they looked at Gini coefficients across all U.S.
21 programs, and they looked at more than that, but this is what is
22 important here, and so they looked at Gini coefficients for the
23 distribution of revenues at the vessel level across all U.S.
24 catch share programs, and there are five main findings relevant
25 to the Gulf IFQ programs.

26
27 Number one, the effects of implementing the red snapper and
28 grouper-tilefish IFQ programs did not differ significantly from
29 the effects seen in most other catch share programs. Number
30 two, the most striking result is how unequal the revenue
31 distributions across vessels were prior to implementation of the
32 red snapper and grouper-tilefish IFQ programs relative to other
33 U.S. catch share fisheries.

34
35 Third, the Gini coefficient averaged only 0.45 at the time of
36 implementation in other U.S. catch share fisheries, and we
37 ranged anywhere from 0.25 to 0.62, depending on the program, and
38 so the Gini coefficient in the red snapper and grouper-tilefish
39 programs were anywhere from 58 percent to 84 percent higher upon
40 implementation, compared to the other U.S. catch share
41 fisheries, indicating the distributions of revenues across
42 vessels in the red snapper and grouper-tilefish fisheries were
43 much more unequal at the time of implementation.

44
45 Because the red snapper and grouper-tilefish IFQ programs
46 effects were not significantly different from most other
47 programs, the revenue distributions at the vessel level are
48 still much more unequal in the red snapper and grouper-tilefish

1 IFQ programs compared to other U.S. catch share programs.
2
3 The take-home message there is the inequality in these
4 distributions existed at the time the programs were implemented,
5 and they are not primarily caused by any effects that occurred
6 after the programs were implemented, and that is it for me, and
7 I'm happy to take questions.
8
9 **CHAIRMAN LORENZEN:** Okay. Any questions on this part? Andrew.
10
11 **DR. ROPICKI:** Just quickly, the Gini coefficients being higher
12 prior to IFQ implementation, was red snapper the 84 percent
13 higher, and grouper-tilefish the -- Well, was red snapper the 84
14 percent, is my question.
15
16 **DR. TRAVIS:** That's a good question, Andrew. I would have to go
17 back and look, because it depended on -- With grouper-tilefish,
18 because it's composed of multiple share categories, and even
19 more species, I would have to go back and check, and I don't
20 want to necessarily say that the 84 percent was for red snapper,
21 though I understand why you would ask that and think that.
22
23 **DR. ROPICKI:** I was thinking Class 1 and Class 2, and we kind of
24 already had a system that was --
25
26 **DR. TRAVIS:** Yes, and so your very educated guess -- I would say
27 it's probably on target, but I would need to go back and verify
28 it.
29
30 **DR. ROPICKI:** Then just one other quick one, and is the Asche
31 2020 study available? Is that a published paper? I just
32 haven't seen it.
33
34 **DR. TRAVIS:** That report -- We had hoped for Frank to provide
35 that to the SSC, and, unfortunately, one of the hurricanes
36 prevented it in one case, and then Frank became ill the next
37 time, and so it exists. It has, unfortunately, not been
38 presented to the SSC at this time, and I will also say there's a
39 lot of additional information in Frank's report that has
40 management implications, beyond what I have covered here, but
41 that paper can be shared, as far as I know, and so, if you need
42 a copy, I'm sure we can get one, and it looks like Juan wants to
43 speak to that, and so I will be quiet.
44
45 **DR. ROPICKI:** Okay. Thanks.
46
47 **CHAIRMAN LORENZEN:** Juan, if it's to that point, go ahead.
48

1 **DR. JUAN AGAR:** We're happy to share that paper, and it will
2 probably get revised slightly. Frank is working on a revised
3 version for peer-reviewed publication. Give us another few
4 months, and we'll provide you with something that's a bit more
5 polished.

6
7 **CHAIRMAN LORENZEN:** Thank you. Mandy.

8
9 **DR. KARNAUSKAS:** Thanks, Chair. Thank you to the presenters for
10 this really thorough presentation. I found it really
11 interesting, and I've learned a lot from this work today. I am
12 trying to interpret some of the information you presented, in
13 light of comments and concerns that we've heard in the course of
14 some of our field work in the past few years, and one of the
15 things we've heard from fishermen is that getting access to
16 quota has become increasingly difficult, and I'm not quite sure
17 what forces are driving this, and we have also heard some
18 concerns about some communities as a whole seeing reduction in
19 ownership of shares and that, once shares are lost in a
20 community, it's very difficult getting them back.

21
22 I recall listening to some comments that the ownership of shares
23 is sort of central to the cultural identify of fishing
24 communities, and there was some concern that loss of shares was
25 having negative social and economic impacts on these
26 communities, and so, along these lines, I had two questions.

27
28 Firstly, I'm curious if you have looked at how the trade markets
29 are working, how open the trade market actually is, and I'm
30 curious why there's this perception that access to quota is
31 challenging, and does this have to do with some of the issues
32 like the underestimates of affiliation in the vertical
33 integration, or are there other factors?

34
35 Then my second question is I'm curious whether there's been any
36 analysis of sort of how geographically the quota has been
37 shifted, and so are there areas that have historically had large
38 working waterfronts, and are you seeing the quotas being sort of
39 exported out of the areas? Thanks.

40
41 **DR. TRAVIS:** I will go ahead and try to tackle some of that, and
42 this is me speaking on my own behalf. My sense is that even --
43 Well, let's see. I don't want to get too far ahead of ourselves
44 here, but, after we make adjustments to the analyses to control
45 for affiliation, which I think is the bigger issue, but also
46 vertical integration, I don't know that the HHIs would increase
47 to the point where we would have highly concentrated markets.

48

1 Possibly moderately concentrated, but it's -- I know this sounds
2 like a fine line here, but, to me, it's not a market
3 concentration issue. The issue here is distribution, and
4 distribution, to me, is what's driving all of these concerns
5 that you talked about, and, now, you also talked about the
6 geographic, or spatial, distribution aspect of this, which I did
7 not look at.

8
9 I know it has been looked at in the past, using social network
10 analysis, and I don't believe that particular analysis was
11 updated for this review, but it was done for the grouper-
12 tilefish review, and that would be another way to look at some
13 of the concerns that you raised, and I think I'm forgetting
14 another part of your comment, and so I apologize for not
15 responding to whatever it is I'm forgetting, but I think Jessica
16 wants to jump in too, and so maybe she'll remember.

17
18 **DR. STEPHEN:** Mandy, I can help answer some of this too, and I
19 do have then a question back to you, if you felt that this was
20 more a comment coming from red snapper or grouper-tilefish
21 fishermen, but we did have work that did show that there is
22 quite a large amount of movement of transactions, at least with
23 allocation, and I think also the same was true of shares.

24
25 One of our problems, in looking at the geographic distribution,
26 is the way that our permits system has recorded addresses over
27 time, and so, in the past, they overwrote addresses, and so I
28 particularly one annual report I was doing where it looked like
29 a huge shift in shares went from Florida to Texas, or the other
30 way around, and it turned out that it was the same shareholder,
31 but he just moved his location, what state he was residing in,
32 and, when I went to look back in time, it looked like it had
33 always been in the new state.

34
35 Since then, I think somewhere around 2015 or so, we updated the
36 permits system so that we can track every time an address
37 changes, but we haven't really looked at geographical
38 distribution since that point in time, although that is
39 something we can go back and look at, if needed.

40
41 **CHAIRMAN LORENZEN:** Thank you. Andrew.

42
43 **DR. ROPICKI:** I just wanted to ask Mandy, and, with what she's
44 heard, is it mostly share or allocation that they're having
45 trouble locating, or both, and I was just really curious about
46 that.

47
48 **DR. KARNAUSKAS:** I can answer Jessica's question, and I don't

1 have all the details, but we had done some workshops with
2 snapper grouper fisheries in different communities on the West
3 Florida -- Well, throughout Florida, really, and so, again, we
4 didn't delve into details, but these are just some of the
5 comments that I remember hearing, but, in general, they would
6 reflect the perspectives of snapper and grouper fishermen in
7 Florida. To Andrew's point, I really can't remember, and I
8 would have to go back and check whether it's the shares or the
9 allocation, if I even have that information.

10
11 **CHAIRMAN LORENZEN:** Okay. Thank you. It seems that, unless
12 there are -- There are no more hands up, and I think we still
13 have safety-at-sea and fishing capacity to go through, and so I
14 would suggest we go back to the -- Emily.

15
16 **MS. EMILY MUEHLSTEIN:** I'm sorry to jump in, but I just wanted
17 to address this question from my perspective as the Public
18 Information Officer for the Gulf Council. I do spend a lot of
19 time speaking with the fishermen, and sort of some of the
20 reasons that I'm hearing, and I would just remind you that this
21 is anecdotal, and I don't have any studies to back it up, but it
22 is what I'm hearing, and so, as far as buying the shares
23 themselves and why they're not accessible, it's because they're
24 an amazing investment, and, once you own them, there's not a lot
25 of reason to get rid of them.

26
27 They are continuously producing, what is it, like a 10 percent
28 return on your investment a year, I think a lot of those
29 fishermen that own it -- There's not any impetus to get rid of
30 it, and so I would say that that might be one of the reasons
31 that you're not seeing any turnover in actual ownership of the
32 shares.

33
34 When it comes to the allocation and ownership of that, or the
35 leasing, as I guess the fishermen would refer to it as, there's
36 a lot of situations where, at this point, the fish house owners
37 are the ones that hold the shares, and they will only give
38 allocation to those that fish exclusively for them, and so there
39 are sort of these networks that have developed where, if you are
40 an owner of the shares, you can control who you sell or lease
41 your allocation out to.

42
43 I think that's also one of the issues, and I think there's a lot
44 of independent fishermen that don't want to be beholden to one
45 dealer, and I think that that sort of creates a supply and
46 demand sort of problem, at some point, and so I just wanted to
47 chime in and let you guys know that that's what I am hearing
48 directly from the fishermen as to why these things are

1 happening.

2

3 **CHAIRMAN LORENZEN:** Thank you. Mike.

4

5 **DR. TRAVIS:** I just wanted to follow-up a little bit on Emily's
6 observations, and I'm not sure if Alisha -- She may have pointed
7 to this, or at least alluded to it, in her presentation, but the
8 kinds of issues, with regard to access -- Because there is two
9 different types of access issues.

10

11 One is people aren't willing to sell, and so it's not on the
12 market, and it's not available. The other issue is the price,
13 where people are concerned about getting access, because they
14 think the price is too high, and that's because, if they pay
15 that amount, they're not going to make any money, and, in fact,
16 they could lose money, and so, if you go back, and I don't
17 remember which slide it's on, but I know that Alisha showed
18 that, in most cases, the ex-vessel price is way above the
19 allocation price, with the notable exception of red snapper.

20

21 I know her data goes through 2018, but I think, if we go another
22 year or two to now, I believe that that difference between the
23 red snapper allocation price and the red snapper ex-vessel price
24 has continued to shrink, and, as that happens, the fishermen who
25 are buying and harvesting -- It becomes less and less profitable
26 for them to buy the red snapper, to buy the red snapper
27 allocation.

28

29 In effect, what you're doing is, at some point, you're going to
30 give them an incentive to discard, rather than buy the
31 allocation, and that leads to a whole host of other issues, but
32 that difference between the allocation and the ex-vessel price
33 is really important with respect to access, in terms of
34 affordability.

35

36 **CHAIRMAN LORENZEN:** Thanks, Mike. Okay. Should we go back to
37 the presentation on safety and fishing capacity?

38

39 **DR. AKBAR MARVASTI:** Good afternoon, everyone. This is Akbar
40 Marvasti, and I'm ready for the presentation, if you bring up my
41 slides on safety-at-sea. Thank you for the opportunity to allow
42 me to present the result of four of my studies in the last few
43 years on safety of commercial fishing, primarily in the Gulf of
44 Mexico, except one other study, the fourth one.

45

46 First, to begin, just to point out the significance of safety,
47 or lack of safety, in commercial fisheries of the United States,
48 on average, the number of fatalities per 100,000 full-time

1 equivalent workers is more than eighty in the fisheries,
2 whereas, in the rest of the economy, it's 3.3 percent, and so
3 it's hugely different.

4
5 What I would like to do, in the next few minutes, is present the
6 results of four studies, as I mentioned. First, I would like to
7 point out a few different types of regulations, government
8 regulations, that have some sort of bearing on safety-at-sea.

9
10 Obviously, as most people know, the Magnuson-Stevens Act has, as
11 one of its objectives, one of quite a few, as safety, and, also,
12 we have learned, over time, that quotas and fishing seasons are
13 often associated with an increase in risk-taking behavior,
14 taking trips under poor weather conditions, when especially
15 there are short fishing seasons, causing that is called fishing
16 derbies.

17
18 On the other hand, another government regulation, management
19 tool, that we have is IFQ, and IFQ has done the opposite, by
20 eliminating fishing seasons and allowing fishermen to choose the
21 timing of their trips. There are a couple of other government
22 regulations, or activities, such as the observer program, that
23 also has some bearing on safety-at-sea, as well as commercial
24 fishing vessel safety examination certificates, which are
25 provided by the U.S. Coast Guard. This research, however, this
26 chain of research that I'm going to discuss, concentrates on the
27 IFQ programs.

28
29 The first study uses basically time series analysis, examining
30 the effect of red snapper as well as the grouper-tilefish
31 fisheries. Each of the studies involved lots of model building
32 and analysis of the data and discussing mostly the results of
33 the study.

34
35 In this case, the presence of the red snapper program, the IFQ
36 program, has reduced the number of fatalities in the fishery by
37 1.25 per 100,000, while the grouper-tilefish IFQ program has
38 reduced the number of fatalities significantly more, seven per
39 100,000. By the way, prior to the IFQ programs, the number of
40 fatalities per 100,000 FTEs was nineteen.

41
42 What we observed was that the expansion of IFQ programs in these
43 multispecies fisheries has increased safety a lot more than the
44 IFQ program in the red snapper fishery alone, and so our
45 observation, or the result of the data analysis, showed that
46 fishermen are more careful about making their decision to take a
47 trip, taking into account the wind speed, which is a factor that
48 captures the weather condition, than they had done prior to the

1 IFQ program, because they didn't have to worry about the season
2 ending or worry about the situation with the quota. Also, we
3 observed that, in the fatality equation itself, the weather
4 conditions, the wind speed, played a less significant role.

5
6 I followed this up with another study to examine the robustness
7 of this finding, and this study uses panel data. In the panel
8 data, I have two groups of fisheries, and one is the red snapper
9 and grouper-tilefish fisheries, which is known as the treatment
10 group, fisheries that are subject to the IFQ program, and then
11 the control group is the shrimp fishery, and so the objective is
12 to check the robustness of the finding based on this natural
13 experiment design that the difference-in-difference approach
14 offers.

15
16 Now, I am aware that the control group could be argued whether
17 it's the best, and it has some pluses and minuses, and some have
18 suggested that the red snapper and grouper-tilefish fisheries
19 from the South Atlantic is a better control group, and that
20 might be the case in terms of similarity of the fisheries,
21 similarity of the gears.

22
23 However, the bodies of water, in general, are more similar in
24 the Gulf, even though the shrimp fishermen may not exactly do
25 fishing in the same area as the red snapper and grouper-tilefish
26 fishermen would, but another reason that I have not chosen the
27 red snapper and grouper-tilefish in the South Atlantic was that
28 the number of incidents, fatalities and injuries, given that
29 those fisheries in the South Atlantic are significantly smaller,
30 were too few to allow a robust analysis. I am considering
31 revisiting that, because of advice to resubmit from a journal,
32 and so I need to respond to that.

33
34 The finding here was basically confirming the finding from the
35 time series analysis, only pointing out more that there was
36 actually, apparently, a trend, and that's the objective of this
37 method, the difference-in-difference versus the time series
38 data, because the time series data misses when there is a trend
39 in all fisheries as a whole, and, actually, this is referred to
40 as sometimes the missing variable situation, and that is there
41 could be a general trend in the indices, and, if the model
42 doesn't capture that, we may be convinced, or arrive at the
43 finding, that indeed the IFQ has caused that, where another
44 variable may have influenced that.

45
46 The difference-in-difference approach controls for the general
47 trend in the fisheries, but the results find that still the IFQ
48 programs have been effective in reducing injuries. However, the

1 red snapper itself, in 2007, was not really as effective, and
2 the results were somewhat mixed, but the results were far more
3 robust with the introduction of the grouper-tilefish IFQ
4 programs.

5
6 I thought, to point out the importance of safety issues at-sea,
7 that I would present the results of one of my studies on the
8 value of the statistical life and the value of statistical
9 injuries. Now, these are concepts that may not be commonly
10 understood, and so I would like to very briefly explain them.

11
12 To explain them, I will give you a couple of examples. If one
13 uses what is called the product market situation, where you see
14 some commodities that are likely to improve our safety, and we
15 can look at the willingness to pay of consumers to pay for them.
16 For example, airbags, which is a more current situation,
17 relatively, to say seatbelts. Imagine if they would require,
18 and that is the automotive manufacturing companies, for
19 consumers to pay additional money, and say \$500 or \$1,000, for
20 airbags. Now, our willingness to pay this additional money for
21 an automobile to have airbags will reflect the value that we
22 place on added safety, or reduction in the risk, of say fatality
23 or injuries.

24
25 Government institutions typically perform this, and they have
26 been doing that for a long time, government organizations like
27 EPA or the Bureau of Labor Statistics, and so it's a common
28 practice for them to estimate the value of a statistical life.

29
30 To give you another example, when we purchase homes, and there
31 are models that we call them the hedonic prices, and so our
32 willingness to pay for a house in a neighborhood or in parts of
33 the city or the country with better weather conditions, or
34 better air, I should say, or even, for that matter, noise
35 pollution, would reflect the value that we are placing on our
36 health, safety, or quiet. For example, houses that are across
37 from the airport, you would expect them to have a lower value.

38
39 Here, however, we are looking at not product market, but the
40 labor market. In the labor market, we have a concept of theory
41 of compensating differentials, and that is we look at different
42 kinds of jobs, and it may have occurred to you that, in jobs
43 such as construction, some of which is going on these days
44 outside of my apartment, and you may have heard some noises, and
45 I apologize for that, and I don't have control over that, and
46 so, in the construction and mining industries, the pay is higher
47 than most other industries for a similar type of work.

48

1 This is a reflection of additional risk that workers in those
2 industries are undertaking in order to perform their tasks, and
3 so they need to be compensated, and so, using these basic
4 concepts, through modeling, I have estimated the value of a
5 statistical life, so to speak, for fisheries in the Gulf of
6 Mexico, and this was for shrimp, but I am just pointing out how
7 large these losses are, and so that is \$9.7 million, as opposed
8 to the value of a statistical injury, which is \$0.7 million.

9
10 Moving on to the fourth study, that raises the issue of, if the
11 safety-at-sea is a cultural issue, is a behavioral issue,
12 whether fishermen underestimate the risk associated with their
13 activities, and, actually, the FAO, a couple of decades ago, had
14 made a statement that the acceptance of high risk of loss of
15 life and injuries, as a part of commercial fishing culture, is
16 an obstacle to improving safety-at-sea.

17
18 Is it a behavioral issue? Data in the Gulf of Mexico for risk
19 perception does not exist, but I was fortunate to find survey
20 results for the Maine lobster fishery, the American lobster
21 fishery, and so I have used that data to do some analysis of
22 risk perception and adjustments to the actual level of job-
23 related physical risk.

24
25 There are a few concepts, like risk perception and attitude
26 towards risk, and there are some who argue, as I mentioned
27 earlier, that fishermen may be actually risk lovers, and there
28 is some attraction that may exist among some fishermen, drawing
29 them to this type of business, and that is linked to the next
30 concept, known as job sorting, and that is individuals sometimes
31 would select their occupations based on their preferences
32 towards different matters, in this context, towards risk.

33
34 Now, whether or not that is the case, the issue is, when they
35 learn about the actual incidents occurring, how quickly they
36 would respond, and accurately, towards the actual riskiness in
37 their business, and how much learning occurs? How quickly do
38 they adapt their perception of riskiness to the actual risk?

39
40 This is being tested here in this study, and some argue that
41 actually cognitive ability and risk perception are correlated,
42 and they give some examples. For example, people who have low
43 cognitive abilities, and this is an area of psychology more,
44 tend to smoke more, commit crime, and drink alcohol excessively,
45 and so, accordingly, they argue that it's an issue here with
46 fishermen and that that explains a higher rate of injuries.

47
48 Another concept is risk normalization, and do fishermen get used

1 to the high risk of their occupation, commercial fishing, and is
2 that the reason that they typically underestimate the risk of
3 commercial fishing? To give you an example, people who choose
4 to live in areas of California that are prone to fires, and this
5 happens year after year, or they live in coastal areas where
6 there are mudslides, and, even if the disastrous conditions
7 happen, they continue rebuilding those houses.

8
9 Lastly, I have looked at the actual risk and the money tradeoff
10 with the reduction in risk, because there is a tradeoff, right?
11 If commercial fishermen go out there fishing, they receive an
12 added income, but they are exposing themselves to risk, and how
13 is that assessment different between the actual risk versus
14 perceived risk?

15
16 The results, to wrap up, I did not find any evidence supporting
17 a relationship between risk perception and cognitive abilities,
18 and that was good news. The variable used for examining that,
19 and that's the only one that was available in the survey
20 analysis, was education, basically, and so, basically, lower-
21 educated fishermen were not necessarily more prone to having
22 accidents.

23
24 Also, captains actually do adjust. They adjust to the actual
25 rate of injuries over time, and so the adjustment does occur.
26 However, the learning was non-linear, and that is the adjustment
27 to the increase in actual riskiness was higher initially, and
28 the level of risk going up, the actual number of injuries going
29 up, they slowed down in their adjustments.

30
31 Also, the relationship was such that those who actually believe
32 in the survey, those who believe that their business is rather
33 safe, they tended not to adjust much, really, to the actual
34 numbers, and they were stubborn in believing that it still is
35 safe, and those that believe the level of risk is fairly high
36 adjusted, and they were more cautious.

37
38 Normalization, the test of normalization, did not confirm that
39 fishermen are using normalization as a coping mechanism to their
40 riskiness of the business, and, finally, the value of reductions
41 in perceived risk is estimated at about \$87,000, and the
42 reduction in actual risk was nearly double, at \$143,000.

43
44 The summary is that, yes, indeed, IFQ programs have been
45 demonstrated to improve safety-at-sea, and that is enhancing the
46 welfare of the fishermen and the value of the statistical life
47 and injuries, and so this is an important matter, in terms of
48 the market value of these losses, and, importantly, because of

1 the multispecies nature of these fisheries, the reef fish
2 fisheries, the more IFQ programs we have in these fisheries, the
3 safety effect is enhanced, and, also, risk perception and safety
4 are relevant, and the results of this study that I have done
5 shows that risk perception influences their behavior, but they
6 do adapt to the new data, at least most of them do. Thank you.
7 Any questions?

8
9 **CHAIRMAN LORENZEN:** Thank you. Are there any questions on the
10 safety-at-sea? Paul.

11
12 **DR. SAMMARCO:** Thank you, Mr. Chair. Firstly, I would like to
13 congratulate the speaker on a really fascinating talk and one
14 that really needs to be aired, information that really needs to
15 be aired, and so thank you for that, and that is very
16 encouraging information.

17
18 A lot of us sitting -- I was going to say sitting around the
19 table, but what table, and a lot of us sitting around the
20 country have spent a lot of time at-sea and can relate to a lot
21 of the issues that you're talking about. A couple of points
22 that I would like to say in passing.

23
24 For your data that you mentioned that it was difficult to
25 analyze, because of the low frequency of the data that you have,
26 it probably is analyzable if you use a Poisson distribution,
27 which is designed to handle -- You would have to use a
28 transformation on the data, but it's designed to handle rare
29 data, where you have a lot of ones and twos and a lot of zeroes,
30 and so that's just a heads-up there.

31
32 A point of information, and this just comes from things that I
33 picked up over the past few years, and that is risk, and there
34 is some data now that show that risk is genetically based, in a
35 lot of people, that their wish to engage in risky things is
36 genetically based, and there's a gene for it, and so there you
37 are.

38
39 Really, risk, while at-sea, particularly with this program, is -
40 - The program is great, and it really comes down to the skipper
41 and one other probably, maybe the cruise leader, say in my case,
42 or the mate, the number-two person, but, generally, it's not so
43 much up to the crew as up to the -- Except for following the
44 rules, but the decisions made as to whether a cruise is going to
45 be cancelled or postponed or aborted or whatever really lays in
46 the skipper's hands, or maybe the mate's hands, and sometimes
47 they want to go in, and sometimes they don't. It's kind of
48 interesting, but those are just some points in passing, but

1 thank you for a very interesting talk.

2
3 **DR. MARVASTI:** Paul, thank you very much for your comments. I
4 appreciate that. Yes, the Poisson distribution method -- I will
5 follow-up on that, and I have not gone back to that paper to
6 revise it, and, incidentally, two variables that existed in the
7 dataset for risk perception, age and experience, showed that the
8 risk perception actually goes up, and that is they appreciate
9 risk more, the older the captains are, and also experience. The
10 more experienced they are, the more they appreciate the
11 riskiness of the business.

12
13 Furthermore, kinship, and, when they have relatives onboard,
14 they apparently get a higher value for riskiness of the
15 business, rather than when they did not have their relatives
16 onboard. As far as the gene is concerned, no, data, and, since
17 I don't have data -- However, I acknowledge that those whose
18 perceived risk was very low were not convinced, even when the
19 data came out of how risky the business is, and still they did
20 not adjust their risk perception.

21
22 **CHAIRMAN LORENZEN:** Thank you. I would like to suggest that we
23 do a short break now, before we go into the rest of this
24 presentation, until 3:45, if that works, and so just over ten
25 minutes. Thank you.

26
27 (Whereupon, a brief recess was taken.)

28
29 **CHAIRMAN LORENZEN:** Okay. Welcome back. I suggest that we
30 proceed with the remainder of the IFQ review presentation and
31 then entertain any questions that are remaining on any parts of
32 the presentation, including the safety-at-sea that we just
33 discussed.

34
35 **DR. DIAGNE:** Thank you, and I will present the remaining slides
36 in our joint review. I will start first by talking about
37 operational changes, and, by that, we mean the performance of
38 programs.

39
40 We have included, in the presentation, just for reference,
41 definitions for fishing capacity, capacity utilization, excess
42 capacity, and overcapacity, just so that we can refer back to
43 it, if needed.

44
45 When it comes to operational changes, you may recall that
46 Doctors Parmeter and Agar had an opportunity to present their
47 study on fleet dynamics in the Gulf of Mexico, and one of the
48 things that the SSC did request, at the time, was to have the

1 paper when it is available. You will realize that we have
2 included it in the appendix of the review draft of the article
3 that they have written, and that article is under review.

4
5 You recall that they did offer two model arrangements, and they
6 looked at a red snapper IFQ model only, and they also looked at
7 a combined model, Gulf reef fish IFQ model, to be able to look
8 at the performance of the entire reef fish fishery.

9
10 For the red snapper IFQ model, just to remind us of the results,
11 their study did suggest that technical efficiency increased by 6
12 percent post-IFQ and that excess capacity and overcapacity are
13 still high in the fishery. Their results also showed that about
14 20 percent of the vertical line fleet, if operating at full
15 efficiency, could harvest the entirety of red snapper quota,
16 and, here, we can point out that this result is consistent with
17 the result of a previous study that was conducted by Solis and
18 Agar and other authors, which also found that, at the time,
19 about 20 percent of the red snapper fleet could have harvested
20 the entirety of the quota.

21
22 The combined model, or the Gulf reef fish IFQ model, the results
23 from that model suggested that technical efficiency improved by
24 5 percent post-IFQ, and evidence of excess capacity was also
25 found.

26
27 For the combined model, the estimation of overcapacity was
28 challenging, because the fleet did not harvest all of the quota,
29 and, early on, during the previous parts of the presentation, it
30 was mentioned that the red grouper quota was increased
31 significantly in the past, and so, after that, the fleet was not
32 able to harvest the entirety of the quota, but, however, an
33 estimate that was provided would show that about 57 percent of
34 the Gulf reef fish IFQ fleet, assuming that they operate at full
35 efficiency, could have harvested the entirety of the quota.

36
37 Now we will just look at some of the conclusions that are
38 offered by this review. By and large, we can conclude that the
39 IFQ programs, the red snapper program as well as the grouper-
40 tilefish program, have been relatively successful in meeting
41 their objectives.

42
43 One of the challenges would be the fact that the initial
44 objectives for both of the programs did not specify quantified
45 benchmarks and targets. For example, when we say, "improve
46 safety-at-sea" or "reduce overcapacity", there are really no
47 quantifiable benchmarks against which we would say, okay, we
48 have been successful, yes or no, and so, to the extent that

1 progress has been made in those directions for the objectives,
2 we can conclude that the programs have been relatively
3 successful in meeting their objectives.

4
5 This has been discussed during the previous portion of this
6 presentation at length, and the collection of prices, share as
7 well as allocation prices, although it has improved since
8 essentially adding those transfer reasons as options for the
9 participants to select, but this continues to be one of the
10 challenges, an area in which, in the future we expect that more
11 tools will be available to collect better information here.

12
13 When it comes to operational changes and participation,
14 overcapacity has declined a bit, and capacity utilization has
15 increased, and the technical efficiency of the fleet has
16 increased. Consolidation and efficiency gains within the bottom
17 longline and the vertical longline sectors, we've seen that, but
18 further consolidation is possible, because fishing capacity
19 remains relatively large, when you compare it to the available
20 quota.

21
22 When it comes to share and allocation caps, the distribution of
23 shares and landings by share category have not changed a lot
24 since the establishment of the IFQ program. Something that Dr.
25 Travis discussed with us is market power does not exist in any
26 of the markets that were looked at, be it the market for shares,
27 the landings, or the market for annual allocation. On top of
28 that, existing share and allocation caps that we have are not
29 constraining landings.

30
31 Looking at prices, share prices and allocation prices and ex-
32 vessel prices, the analysis of share and allocation prices have
33 been, I guess, limited, if we can say that, by the missing data,
34 and this takes us back to the challenges that we have when it
35 comes to collecting the price information.

36
37 The conclusions that we have, and which were discussed earlier,
38 would be that the red snapper IFQ program appears to have
39 increased the ex-vessel price for red snapper. We cannot say
40 the same thing for the grouper-tilefish program. The program
41 does not appear to have had an appreciable effect on ex-vessel
42 prices, when it comes to Gulf groupers.

43
44 We could also point out the fact that the flexibility that these
45 programs have afforded to the fishermen have improved the
46 profitability of fishing operations, because operating costs
47 have been reduced, and, therefore, that would impact,
48 positively, net revenues.

1
2 Looking at catch and sustainability, these programs have
3 provided year-round fishing opportunities to participating
4 fishermen for all of the species included in the IFQ programs.
5 The gag and red grouper multiuse shares are not really
6 effective, considering all of the, quote, unquote, difficulties
7 that they bring, in terms of just programming and adding that to
8 the system, and so it would be a plus if the multiuse shares
9 were to be eliminated, and the programs could be streamlined.

10
11 When it comes to discards, the primary reason for discarding IFQ
12 species is primarily due to minimum legal size and other
13 regulations, and, on top of that, would be, of course, the lack
14 of allocation to land the IFQ species in question.

15
16 To conclude, some observations, I guess, on what Dr. Marvasti
17 presented to us, the IFQ programs have improved the safety-at-
18 sea of participating fishermen, and there have been significant
19 decreases in the number of fatalities, as has been suggested by
20 the results of his study. At the core of it, these programs
21 have allowed fishermen to select more favorable weather
22 conditions to plan fishing trips.

23
24 Ms. Gray did talk about administration and cost recovery, and,
25 during this review period, the collected cost recovery fees have
26 fully funded the IFQ program, and this includes enforcement
27 activities, salaries and benefits of the staff working on the
28 program, as well as the improvement and modernization of the IFQ
29 system, the online platform. I believe that is the last slide
30 in our presentation, and so thank you very much, and we'll take
31 questions, either directed at me or to the group of presenters.

32
33 **CHAIRMAN LORENZEN:** Thank you, Assane and all the presenters,
34 for that very comprehensive review. Before we open the floor to
35 questions and comments, just a quick reminder that our scope of
36 work for this topic is to discuss and review the information
37 presented and provide feedback, as warranted, and to provide any
38 recommendations that SSC members would like to provide, and so I
39 will open the floor. Dr. Keithly.

40
41 **DR. KEITHLY:** Just in terms of where this goes now, Assane, am I
42 correct that this is now going to be taken to the AP, the Reef
43 Fish AP, and then to the council?

44
45 **DR. DIAGNE:** Yes, Dr. Keithly. Our next step will be to give a
46 presentation to the IFQ AP.

47
48 **DR. KEITHLY:** The reason that I ask that is there are still some

1 things that bother me, and it may all be 100 percent valid, but
2 that you had a large influence on price with the introduction of
3 the red snapper IFQ, but you did not with the grouper IFQ, and I
4 remember, when I did some of that work, I argued that you really
5 never had a derby, with respect to the grouper fishery, and, as
6 I recall, and, again, it's been a number of years, you had some
7 possible with grouper, but no large-scale derbies like you did
8 with red snapper.

9
10 Therefore, I wasn't surprised that you see a large price
11 influence from the red snapper IFQ but not the grouper IFQ, yet,
12 when you look at the safety-at-sea issue, the study that said
13 that the fatality rate dropped -- I don't have the numbers, but
14 much greater, sevenfold greater, in the grouper fishery than in
15 the red snapper fishery, and it just seems counterintuitive that
16 you would have that large effect if in fact you did not really
17 have any derby, or large-scale derby, and maybe I should put it
18 that way, in the grouper fishery.

19
20 I would like to see what the fishermen input is, in terms of
21 whether there was a significant derby effect with grouper, in
22 the grouper fishery, and so that's my main comment about this,
23 and I do have one or two other questions, if the Chair would
24 give me a minute or so, ones that I wrote down while I was
25 reviewing the report last night and then as we were going over
26 it today. Mr. Chairman, may I ask another question?

27
28 **CHAIRMAN LORENZEN:** Yes, you may.

29
30 **DR. KEITHLY:** Thank you, and this goes back to Alisha. You
31 showed that the allocation transfers were far in excess of 100
32 percent for red snapper and so forth, and is there a way to kind
33 of look to see how much of the allocation transfers were -- This
34 may not make sense, because I haven't figured out how to word
35 it, but were actually used in the harvesting of the fish, rather
36 than me buying it and then selling the allocation to somebody
37 else and then re-selling it for a third time, and is there a way
38 to kind of cut through the middle part of that chain and just
39 look at the initial seller of the allocation and then the person
40 who used it to harvest the red snapper?

41
42 **CHAIRMAN LORENZEN:** Any responses to Walter's question?

43
44 **DR. DIAGNE:** About first the derby, definitely, definitely, we
45 are not suggesting that the derby condition that existed in red
46 snapper was the same as what we saw for the grouper and tilefish
47 fisheries. I mean, in the red snapper, we know that we had
48 those mini-seasons, I guess ten, or nine, days at the time, et

1 cetera, and so there is nothing that we have that compares to
2 that.

3
4 We have, in the objectives of the grouper and tilefish IFQ
5 program, and I believe what was said there was to be, I guess,
6 proactive and to prevent derby conditions from developing in the
7 future, and so that, perhaps, is something to keep in mind, and,
8 as far as the safety-at-sea, and maybe Akbar would like to add
9 to this, but it would make sense that, once you implement a
10 second IFQ program, meaning the grouper and tilefish program,
11 then you have a multispecies group, including red snapper, and
12 the red snapper program did not stop because we implemented the
13 grouper and tilefish IFQ, right, and, given the overlap that we
14 have between the two fisheries, and I have forgotten the
15 statistic, and I think Alisha showed a table to discuss that,
16 and so the same folks catch red snapper and also prosecute the
17 grouper and tilefish, and so it would make sense, at least I
18 think, intuitively, that the combined effect of safety-at-sea
19 should be greater the more programs you implement, especially if
20 you add a multispecies program on top of the red snapper one.
21 That is just my perspective though, and so I will stop here, and
22 if someone else would like to add to this.

23
24 **DR. STEPHEN:** I can help answer some of the other questions
25 about the allocation transfers, and so one thing to keep in mind
26 is, within the system we're at, we don't serialize the
27 allocation transfers, and so it's very hard, Walter, to kind of
28 do what you were talking about, of figuring out if what they
29 transferred in they immediately used to harvest or then
30 transferred out, because it kind of all goes into one big kind
31 of bucket, or pool, if you remember some of our presentations in
32 previous years.

33
34 Just to kind of give you the scope of this too, I just pulled up
35 say red snapper in 2016, and, out of the six-hundred-and-some
36 accounts, we had 406 that have allocation transferred into them,
37 and so there's a high percentage of accounts that are at least
38 getting some allocation transferred in, which makes it a little
39 bit difficult also to tease that out.

40
41 **DR. KEITHLY:** Okay. I was just wondering, because I remember
42 somebody gave a presentation some time ago, and I know it was in
43 excess of 100 percent, and it made sense, after I thought about
44 it, but it just would be nice to tease out how much of the
45 allocation transfers were actually used for catching the fish.
46 Thank you.

47
48 **CHAIRMAN LORENZEN:** Dr. Marvasti, was that also on Walter

1 Keithly's question? In which case, I will let you go first,
2 before we get to Jack Isaacs.

3
4 **DR. MARVASTI:** Thank you. Yes, and I was just going to comment
5 on derby fishing in the grouper and tilefish fisheries, and the
6 data for occupational injuries, which comes primarily from the
7 U.S. Coast Guard, and a variation of that also come from the
8 CDC, but the fishery type is kind of aggregated into grouper-
9 tilefish, its entire group, and you cannot sort it out by
10 species necessarily, and I would suggest that looking at quota,
11 percentage of quota, that is filled is a good indication of
12 possibility of derby fishing pressure on going out there to land
13 the fish before the quota is exhausted. The question to raise
14 is whether or not the quota is binding, basically, like it is
15 for red snapper, typically.

16
17 **CHAIRMAN LORENZEN:** Okay. Thank you. Let's move on Jack
18 Isaacs.

19
20 **DR. ISAACS:** I really enjoyed reading through this, and it was
21 quite an education. I loved the information on the
22 participation in the different fisheries, and that was
23 fascinating. One thing I noticed was the different values for
24 the maximum catch shares in the different programs, and how did
25 those values come about?

26
27 **MS. GRAY:** I can speak to that, briefly. The historical
28 landings, and where the distribution was of those before the IFQ
29 programs, was how they were originally set.

30
31 **DR. ISAACS:** Thank you. I was just curious.

32
33 **CHAIRMAN LORENZEN:** Thank you. Ken Roberts.

34
35 **DR. ROBERTS:** Assane, I have a question for you. One of the
36 findings of this presentation was improved profitability, and
37 the question I've got is it looks like the study period was
38 eight years, and I can't recall exactly how long the duration of
39 the study period was, but is there any information that tells us
40 whether the improved profitability occurred near-term, after the
41 implementation of the IFQ program for red snapper, and then it's
42 just been on a plateau of no change, or has it occurred more
43 recently towards the end of the time period? I am interested in
44 the time series of the thing, if you can help me out any. Thank
45 you, Assane.

46
47 **DR. DIAGNE:** Thank you, Dr. Roberts. The observations for this
48 would cover the study period, which is, for this review in

1 particular, covers from 2012 to 2018. In the previous reviews,
2 let's say if I take red snapper as an example, we did look at
3 that also, and, over there, the study period was the inception
4 of the program until 2011, and we also, if I recall, for the
5 first review, did find that the profitability improved post-
6 implementation of the IFQ for that review period, and so the
7 conclusion that we are offering here is only applicable for the
8 2012 to 2018 time series, which is the period that we looked at.

9
10 **DR. ROBERTS:** Okay. In response then, so we had some initial --
11 From that point, through 2011 or 2012, the next study period, we
12 gained even more improvement in profitability?

13
14 **DR. DIAGNE:** Yes, and so, essentially, the profitability
15 improved over time, because it's not only potentially on the
16 revenue side, but on the ability to reduce the costs, if you
17 would, the cost reduction measures.

18
19 **DR. ROBERTS:** Great. Thank you, Assane. I appreciate it.

20
21 **DR. DIAGNE:** Thank you.

22
23 **CHAIRMAN LORENZEN:** Okay. Anything else on the IFQ review,
24 questions or comments or recommendations? Walter.

25
26 **DR. KEITHLY:** Thank you, Mr. Chairman. Just one more question,
27 and it's quick, and I think probably Juan Agar, and I saw that
28 he was on, may be able to answer it, and it's based on something
29 that Mike Travis said with respect to some of the indices that
30 we looked at, but we showed -- Results showed an increased
31 efficiency post-IFQ for red snapper, and did, by chance, anybody
32 look at whether efficiency was increasing in that fishery even
33 before the IFQ was implemented? Thank you.

34
35 **CHAIRMAN LORENZEN:** Mike, is that in response?

36
37 **DR. TRAVIS:** Walter, just to clarify your question, are you
38 basically asking whether efficiency improved during the time
39 when we had the ten-day mini-seasons each month and the Class 1
40 and Class 2 license system? Is that what you're asking?

41
42 **DR. KEITHLY:** Mike, I did not really have a time period in mind,
43 but, you know, we always look at things pre and post-IFQ, and
44 it's something you brought up, and I can't remember what it was,
45 but it got me to thinking if we ever looked to see if there's
46 been a change in whatever factor we're looking at, even before
47 the IFQ is implemented.

1 We attribute all these changes in efficiency and all to the IFQ,
2 but maybe we had -- I don't know why it would be the case, but
3 you might have had an increase in efficiency even before the IFQ
4 was implemented for some other reason, and it could be the ten-
5 day seasons or the Class 1 and Class 2 vessels or whatever.
6 Thank you.

7
8 **DR. DIAGNE:** If I may, Mr. Chair, for the capacity study that
9 was presented to the SSC, Walter, if you recall, the pre-IFQ
10 period, I think, covered from 2002 until 2006, because red
11 snapper was implemented in 2007, and, comparing those two, it
12 showed the improvement in efficiency, and so are you suggesting
13 that, in future studies, that people go even further back, to
14 look at essentially what happened?

15
16 **DR. KEITHLY:** Assane, I'm not sure if I'm suggesting anything,
17 but it's something that triggered me, in terms of thinking that
18 we always -- On all of these studies, it's pre and post-IFQ, and
19 we attribute all this change, be it efficiency in prices or be
20 it in safety-at-sea, to the IFQ itself, when possibly you've
21 been having improved safety-at-sea for fifty years, and it's
22 just ongoing after the IFQ, or prices or efficiency, and so it's
23 not that I'm really suggesting it, but I just was wondering if
24 anybody has looked at any of those factors.

25
26 **DR. MARVASTI:** In terms of the safety, the difference-in-
27 difference approach that I used in the follow-up study to the
28 initial time series data analysis would actually take that into
29 account. It would take into account a trend in the fishery as a
30 whole as well as pre versus post-IFQ, and so I will be happy to
31 share that paper with Assane, who can forward that to you.

32
33 Also, I have a paper under review that examines the fleet size
34 and issues of before and after IFQ, in terms of the fisheries
35 structure, that might be of interest, and I will also share that
36 with Assane.

37
38 **DR. KEITHLY:** Thank you. I would like to see them.

39
40 **CHAIRMAN LORENZEN:** Okay. Anything else? I believe the two
41 hands up are still from the last topic, right?

42
43 **DR. TRAVIS:** No, actually mine was not, but --

44
45 **CHAIRMAN LORENZEN:** Okay. Please go ahead.

46
47 **DR. TRAVIS:** I understand why Walter is asking the question, and
48 I think I'm going to have to defer to Juan Agar on that

1 particular issue, but I understand why he's asking it, because,
2 in one of the analyses that I worked on, with the price effects,
3 we definitely did determine that the effect of the red snapper
4 IFQ was mitigated by the fact that we had already shifted to the
5 ten-day mini-seasons per month, and so, in other words, if you
6 had not had that change before the IFQ program, the effect of
7 the IFQ would have been much greater, if we had not already
8 shifted to the ten-day mini-seasons. In terms of the technical
9 efficiency capacity, I cannot speak to that, because I have not
10 worked on that specific issue.

11

12 **CHAIRMAN LORENZEN:** Thanks, Mike. Paul.

13

14 **DR. SAMMARCO:** Thank you, Mr. Chair. I just sent a message
15 across through the chat system for the speaker, and it's just
16 giving some details about analysis of low-frequency Poisson data
17 and how to transform it so that you can deal with it
18 statistically, and I've also given a reference of a chapter in a
19 book which covers this particular thing, and so it's not talked
20 about a lot, and there's some controversy about the way to
21 handle it, but it's basically a Box Cox transformation and the
22 square root, but, in any event, whoever is handling the chat
23 system has it, and so for your information. Thank you very
24 much.

25

26 **CHAIRMAN LORENZEN:** Thank you. Okay. Well, it seems we've come
27 to the end of this topic, and I'm not seeing any more hands.

28

29 **DR. DIAGNE:** Mr. Chair, before we leave the topic, if the SSC
30 would consider, I guess, passing a motion, or approving a
31 motion, with regard to the review, to give an indication to the
32 council as to what it is that you think of the work presented to
33 the body.

34

35 **DR. MARVASTI:** I would like to add a note. Thank you, Paul. I
36 am familiar with the Cox Box method, but I appreciate the
37 reference that you have shared with the Chair, and I would like
38 to see that. Thank you.

39

40 **DR. SAMMARCO:** You're welcome.

41

42 **CHAIRMAN LORENZEN:** Okay. Does anyone feel moved to offer a
43 motion? Walter.

44

45 **DR. KEITHLY:** Thank you, Mr. Chairman. **I will make a motion,**
46 **and you can wordsmith it any way you want, but I'm going to keep**
47 **it simple. The SSC reviewed the material with respect to the**
48 **joint red snapper and grouper-tilefish IFQ report and finds it**

1 acceptable for review by the AP panel and the Gulf of Mexico
2 Council.
3
4 **CHAIRMAN LORENZEN:** Okay. Is there a second?
5
6 **MR. GILL:** Second, Mr. Chairman.
7
8 **CHAIRMAN LORENZEN:** Okay. It's seconded by Bob Gill. Is there
9 discussion? Ken.
10
11 **DR. ROBERTS:** My comments are that we ought to support this, I
12 think, and it's an important omnibus piece of material, and
13 that's the only caution that I have, is that might be some parts
14 of it that are stronger than another, but I think, for the way
15 it's worded, that it's being offered for review past the SSC
16 committee, I think that's a fair statement. Thank you.
17
18 **CHAIRMAN LORENZEN:** Thank you. Any other discussion? Seeing no
19 hands and hearing no discussion -- Will.
20
21 **DR. PATTERSON:** I just don't understand what this actually would
22 mean for the council, that we find it acceptable for review by
23 the AP panel and the council. I mean, I guess that Walter
24 offered the motion, and so maybe the question goes to him, as to
25 what the intention here is about that, the way that's phrased.
26
27 **DR. KEITHLY:** Thank you, Will, and I'll be glad to answer that.
28 Again, I find the report, overall, a solid piece of research,
29 and I do have concerns with parts of it, and, as Ken brought up,
30 I find some parts stronger than other parts, and I am not
31 willing to say it's the best information available or anything,
32 but I think all my statement is trying to imply is that we
33 reviewed it, and we find it acceptable. We do not reject it
34 outright, and we find that it's acceptable to pass on to the
35 next group for their consideration.
36
37 **DR. PATTERSON:** Okay. Thanks. So that's kind of a lukewarm
38 endorsement, which is what I read in the text, and I just wanted
39 to make sure that's what you intended.
40
41 **DR. KEITHLY:** Yes, that is what I intended.
42
43 **CHAIRMAN LORENZEN:** I guess we were not required to make a
44 motion on this, and I think Assane asked that we do provide
45 something, in addition to all the comments that will be
46 summarized, and so I guess that's the genesis of this motion.
47 **If there are no further hands up, I guess the question is, is**
48 **there any objection to this motion? Hearing none, the motion**

1 carries with no opposition.
2

3 **DR. NANCE:** Mr. Chairman, did we want to read the motion first,
4 before we did that?
5

6 **CHAIRMAN LORENZEN:** Yes, you are correct. I'm sorry. I should
7 have done that. The motion is the SSC reviewed the material
8 with respect to the joint red snapper and grouper-tilefish IFQ
9 and finds it acceptable for review by the AP panel and the
10 council. Let me ask again whether there is any objection to
11 this motion. Hearing none, the motion carries with no
12 objection. Thank you.
13

14 Now we have about thirty minutes left in the day, and my sense
15 is -- So the next issue is the allocation review guidelines, and
16 that was given one-and-a-half hours, and my sense is that we
17 don't have enough time to really give that the attention it
18 deserves, and so my proposal would be that we actually tackle
19 this first thing tomorrow morning and use the remaining time to
20 take care of the Other Business, which is the recruitment of a
21 SEDAR 68 review panel member, just because we only virtually
22 have a half-hour left today, and I don't think we'll be using
23 all the time allocated to the ABC Control Rule tomorrow, and so
24 my proposal would be to take care of Other Business, but,
25 Assane, if you see that differently, let me know.
26

27 **DR. DIAGNE:** Yes, Mr. Chair, and I just wanted to say that, when
28 we budgeted the time, perhaps we were a little overambitious for
29 this agenda item, just to be safe, and what I have for the SSC
30 is a very quick update on where we are when it comes to the
31 allocation review, and the thirty minutes would be plenty for us
32 to cover that, and so, if possible, we could proceed and just
33 have me provide that to the SSC.
34

35 **CHAIRMAN LORENZEN:** Okay. If that's the case, then let's go
36 ahead.
37

38 ALLOCATION REVIEW GUIDELINES 39

40 **DR. DIAGNE:** All right. Thank you. For this short
41 presentation, we would just like to update the SSC and keep you
42 informed. You recall that, I believe it was last year, that we
43 spoke to you about allocation review procedures.
44

45 When we discuss the allocation review guideline procedures and
46 policies, I typically like to start with these two definitions,
47 because, oftentimes, we combine these two things in one set,
48 but, at this stage now, we are considering these separate steps,

1 and the first one is the allocation review, and that is simply
2 determining whether starting an amendment, an FMP amendment, to
3 look at allocation options is warranted, and so the allocation
4 review is, if you would, the preliminary step, the first look.
5 Then, depending on the conclusions reached, there is an
6 evaluation of allocation options, and that is done, typically,
7 in an FMP amendment.

8
9 As you recall, the council has selected time-based trigger as
10 our primary trigger, and the council also elected to use its own
11 public comment process as the secondary trigger. These
12 suggested triggers, even though they are the core of our
13 allocation review policy, will not prevent the council from
14 initiating allocation reviews and amendments whenever the
15 council sees the need for it, and, in fact, we have initiated
16 additional allocation reviews/amendments without waiting for the
17 schedule, as directed by the policy.

18
19 In terms of the allocations that we have in the Gulf, we have a
20 variety of allocations, again. There is commercial versus
21 recreational allocation, within the recreational, the for-hire
22 and private angling, between different zones and gear types,
23 between different councils, and, in this case, between us and
24 the South Atlantic, and, finally, between different states of
25 the Gulf of Mexico, thanks to, for example, Reef Fish Amendment
26 50, which allocated between the states.

27
28 These are essentially the dates that we are looking at, and this
29 is just for background material, and this was presented to the
30 SSC in the past, and, according to this schedule, the very first
31 allocation review would be in April of 2023 and then,
32 essentially, it would be staggered, and, every year, we would
33 have something to review, going forward.

34
35 I did mention that the council doesn't need to wait for the
36 schedule planned by the policy to review allocations, and, in
37 fact, we now have several actions that are looking at potential
38 reallocation. In the red grouper, we have Reef Fish Amendment
39 53, and it is looking at the recreational and commercial
40 allocations. For the red snapper, it will look at recreational
41 and commercial, as well as the for-hire and private angling
42 component allocation, and this would be Reef Fish Amendment 52.

43
44 CMP Amendment 32 for the Gulf cobia is going to consider
45 potential changes to allocations between the zones, and, in
46 general, because of, I guess, the recalibration and the changes,
47 or the move, from CHTS to the FES, we should expect that several
48 of our amendments, or documents, that would address the

1 conversions and the recreational data would also have an
2 allocation component.

3
4 What we have been considering is an allocation review in tiers,
5 and we will have two tiers. The first tier would be for the
6 allocations that were established to facilitate the grouper and
7 tilefish IFQ quota distribution, and this would include the
8 commercial and recreational allocation for shallow-water
9 grouper, deepwater grouper, and tilefish, and Ms. Gray did talk
10 to us about the species that were included, and I think I
11 repeated those in the next slide. The tier, the second tier,
12 would consider all remaining allocations.

13
14 These are the species that would be included in the aggregate,
15 and the allocations that we have in the books for commercial and
16 recreational for the shallow-water grouper aggregate are 77
17 percent commercial and 23 recreational. For the deepwater
18 grouper aggregate, 96.4 percent goes to the commercial sector,
19 and about 3.6, I guess the difference, to the recreational
20 sector. For tilefish, essentially, the entirety, 99.7 percent
21 to the commercial and just a sliver of a difference to the
22 recreational sector.

23
24 For this Tier 1 allocation review, for those species aggregates,
25 essentially, the allocation review could be limited to four
26 things. Number one is a discussion of the Reef Fish FMP
27 objectives, and the next is changes in the ACLs and quota, and
28 number three is looking at recreational and commercial landings,
29 historically, and looking at the trends, and, finally, looking
30 at the quota utilization rates by sector.

31
32 With these four elements, the council could have enough
33 information to decide, or determine, whether the next steps is
34 warranted, and, by next steps, we mean the initiation of an FMP
35 amendment to consider reallocation. For the Tier 1, this is
36 pretty simple, by virtue of the nature of those allocations.

37
38 For the Tier 2, meaning all the remaining allocations, those
39 would be, potentially, more controversial and would require more
40 resources and time to complete, and we can foresee challenges,
41 due to data unavailability, to be able to conduct all of the
42 analyses that we would want.

43
44 Here, we could take an approach that would specify a pre-
45 determined list of analysis and evaluation to complete, but that
46 may be too prescriptive, and that perhaps may take away some of
47 the flexibility that the council has.

48

1 An alternative approach could be, on a case-by-case basis, to
2 set the review criteria for each particular allocation, and,
3 essentially, the criteria would be specified in the terms of
4 reference for each review, and so, prior to each review, we
5 would draft the terms of reference, and, in that, in
6 consultation with the council of course, we would include the
7 criteria and evaluation that the council would require at the
8 time.

9
10 Before I conclude, essentially, we have an allocation review
11 workgroup, which is scheduled to meet by the end of the month, I
12 believe around the 25th of this month, of May, and we, as a
13 group, will take up the issue of looking at the more
14 controversial, quote, unquote, or involved allocation reviews
15 for the second tier, but we just wanted to keep the SSC
16 informed, so that, next time we come with the products from the
17 allocation review workgroup, you will have some background
18 information already as to the genesis of this. Thank you, Mr.
19 Chair. That's all I have, and I will try to answer questions,
20 if the group has any.

21
22 **CHAIRMAN LORENZEN:** Thank you, Assane. That was quick indeed,
23 and so any questions or suggestions on this material? Dr.
24 Roberts.

25
26 **DR. ROBERTS:** Thank you, Mr. Chairman. Assane, this is way off
27 the scale, probably, but it's on my mind about, if you have an
28 ACL, let's call it of a million pounds, and the allocation is 80
29 percent to some group and 20 percent to another, and then, the
30 next stock assessment, the ACL can go up to 1.5 million pounds,
31 and could you have a separate allocation for that additional
32 500,000 pounds? What I mean is you won't upset the original
33 80/20 that people have invested and gotten accustomed to, but
34 could you have a separate allocation for the additional 500,000
35 pounds and then work it all into a season?

36
37 **DR. DIAGNE:** Well, I guess that this is a hypothetical example,
38 but it seems to me that the council, within a plan amendment,
39 can determine how it sees the apportionment of the resources,
40 but that would have to be done within a plan amendment and
41 looking at a reasonable range of options, et cetera.

42
43 **DR. ROBERTS:** Thank you so much. I appreciate it, Assane.

44
45 **DR. DIAGNE:** Thank you.

46
47 **CHAIRMAN LORENZEN:** Any more questions or comments? Will.

48

1 **DR. PATTERSON:** Thanks, Kai. Assane has not really presented
2 anything here for us to review, as far as the science goes, but
3 I just think we have to be really careful, as a body, when
4 talking about allocation reviews or the potential for
5 reallocation,
6

7 These issues have come before the SSC a couple of times in
8 recent years, and it appears, based on what Assane has talked
9 about here and what the council has talked about recently, that
10 there will be future reviews of current allocations, and the
11 council, potentially, will be looking to change some of the
12 allocations among sectors for given species, and I just think
13 that things that are put before the SSC need to be science
14 based, and we need to -- You know, if our opinion is asked of
15 things, it should be asked about the scientific basis for how
16 decisions are being made and not to in any way attempt to gain
17 our endorsement about an allocation decision.
18

19 I think we have to be pretty guarded here that we comment on
20 science and not policy, or management, per se, or politics, in
21 particular, of these reallocation types of decisions, but,
22 instead, that we restrict our comments and our reviews to things
23 that are really the science going into helping the council make
24 informed decisions about what the implications of certain
25 decisions might be, but not necessarily commenting on the
26 decision itself.
27

28 **DR. DIAGNE:** Mr. Chair, again, to point out that allocation
29 reviews do not determine shifts in allocation. They don't.
30 This is just the preliminary look as to whether the council will
31 consider developing an amendment where it will make,
32 potentially, changes to the allocation, if warranted, and this
33 is just the first step, and the only reason why this is coming
34 before, I guess, the SSC, the body, is that, in the process of
35 the allocation reviews, a series of criteria may be considered
36 to help the council make that determination.
37

38 For example, we talked earlier about, I guess, a very short and
39 simple set of criteria, including quota utilization rates and
40 trends in historical landings, et cetera, and it could be that
41 someone would have suggested a different criteria and say, well,
42 maybe you should also look at X, or Y, or Z, and that is all
43 that we are after, but nothing else, and, again, you have to
44 separate the allocation review from the evaluation of
45 reallocation options, which is where the council makes that
46 determination.
47

48 **CHAIRMAN LORENZEN:** Okay. Any other questions or comments?

1 Seeing no further hands, thank you, Assane. I think we have
2 covered this topic as well, and so we have about fifteen minutes
3 left, and I'm wondering -- Ryan, do you want to go ahead and
4 deal with SEDAR 68, since we have a bit of time left?
5

6 **SEDAR 68 PARTICIPANT SOLICITATION**

7

8 **MR. RINDONE:** For the review workshop for the SEDAR 68 research
9 track of scamp is going to be held in Charleston from August 31
10 to September 3, and each cooperator is responsible for putting
11 up some members of their SSC for the review workshop, and so,
12 for the Gulf, we're looking for one chair and one review
13 panelist from the SSC, and, if you have participated in the data
14 or assessment stages, then you cannot also be a reviewer during
15 the review workshop, but, if you participated in say the stock
16 ID portion, that would be all right, I think.
17

18 Also, members of the assessment development team, who are
19 Doctors Jim Tolan, Will Patterson, and Sean Powers, cannot also
20 be reviewers, and so volunteers, please.
21

22 **CHAIRMAN LORENZEN:** Katie, I presume this is a comment, and I
23 don't think you can volunteer for this.
24

25 **DR. SIEGFRIED:** I think it's virtual, Ryan. I was working with
26 Julie to get the letters to the CIEs, knowing that it would be
27 virtual, and we made our schedule as such.
28

29 **MR. RINDONE:** I stand corrected then. It will be virtual.
30

31 **CHAIRMAN LORENZEN:** Okay. We are looking for virtual
32 volunteers.
33

34 **MR. RINDONE:** Not all at once, folks.
35

36 **CHAIRMAN LORENZEN:** Ryan, do you have any incentives?
37

38 **MR. RINDONE:** Luiz will send you lots of guava pastries, and Kai
39 will give you advice about German cars.
40

41 **CHAIRMAN LORENZEN:** I am the technical chair of the assessment,
42 and so I guess I'm excluded, even though I don't seem to be part
43 of anything either.
44

45 **MR. RINDONE:** Kai, I think, in that respect, in the past, we
46 have allowed an attendee from the assessment portion to be the
47 chair of the review workshop, since it's primarily the duty of
48 the chair to guide the review process, so that it follows the

1 terms of reference, et cetera, into work with the review
2 panelists to compile the review workshop report, but, typically,
3 the chair isn't the one that's making the decisions about what's
4 actually happening at the review workshop. They just guide that
5 process, and I think Luiz has done this a couple of times for
6 us, and he may be able to speak a little bit to that experience,
7 if you're interested in that.

8
9 **CHAIRMAN LORENZEN:** Well, let's see if Dr. Barbieri is about to
10 volunteer as the chair, in which case that would be preferable.

11
12 **DR. BARBIERI:** Well, I'm not sure just yet, but thank you for
13 the thought, both of you, but my question is -- Ryan, I am being
14 a little lazy here, and I didn't pull up the red snapper SEDAR
15 74 schedule, but, since I volunteered to be on that ADT, I'm
16 wondering if there is any overlap here, just because of
17 workloads, and you gave us the impression that being on that ADT
18 is pretty time intensive.

19
20 **MR. RINDONE:** You mean for SEDAR 74?

21
22 **DR. BARBIERI:** Yes, for SEDAR 74, right.

23
24 **MR. RINDONE:** There's going to be a data scoping call for the
25 data workshop on August 2, and there's going to be a webinar,
26 more than likely, to discuss the Great Red Snapper Count data
27 the week of September 20, and so I would think that there's a
28 window there for you, since this is at the end of August, and
29 you should be able to participate, based on what I'm looking at
30 for the SEDAR 74 project schedule.

31
32 **DR. BARBIERI:** Sounds good. Thank you. In that case, I will
33 volunteer to serve on the review panel. Kai, you know, because
34 of other things that we are involved in, that there is like an
35 intense period coming up in the late summer and early fall, as
36 far as completion of that NAS study and things that will ensue
37 as a result of that, and so I'm not going to step up to the
38 plate and serve as chair, mainly because, serving as chair, you
39 end up with the responsibility, which is not overwhelming, but
40 it takes some time, to actually put together the review report.

41
42 **CHAIRMAN LORENZEN:** Correct, yes. It's also the start of term
43 for me, and so I have -- I would really love someone else to
44 step up for the chair. I guess, if we can't do anything right
45 now, I guess we might revisit this topic tomorrow, and so I
46 would urge everyone to sleep on it and see if they can't fit in
47 a little review workshop chairing at that time of the year.

48

1 **MR. RINDONE:** Sure. We can revisit tomorrow.

2
3 **CHAIRMAN LORENZEN:** It seems we're not getting any more
4 volunteers right now, and so let's revisit it tomorrow. Thank
5 you, Ryan. I think that closes our agenda for today, unless
6 there is anything else, in which case we shall recess and meet
7 again at 9:00 a.m. tomorrow morning, and thanks to all, all the
8 presenters in particular, and the SSC members and the council
9 staff.

10
11 (Whereupon, the meeting recessed on May 3, 2021.)

12
13 - - -

14
15 May 4, 2021

16
17 TUESDAY MORNING SESSION

18
19 - - -

20
21 The Meeting of the Gulf of Mexico Fishery Management Council
22 Standing and Special Reef Fish, Special Mackerel, Special
23 Shrimp, Special Socioeconomic & Special Ecosystem Scientific and
24 Statistical Committees reconvened via webinar on Tuesday
25 morning, May 4, 2021, and was called to order by Acting Chairman
26 Kai Lorenzen.

27
28 **CHAIRMAN LORENZEN:** Good morning, everyone, and welcome to the
29 second day of our SSC meeting. We will try to avoid the
30 scenario that is being suggested here in the picture today. We
31 have a day of unstructured time, which I guess is always a
32 little dangerous, but we will navigate that as efficiently and
33 effectively as possible.

34
35 Our topic for today is a revision of the council's ABC Control
36 Rule, and specifically Tier 1, and I will hand it over to Ryan,
37 to start with, to remind us of the scope of work for this item,
38 and then I will talk a little bit more about the materials and
39 the general schedule of what we're doing today, and so, Ryan,
40 over to you.

41
42 **REVIEW OF ABC CONTROL RULE: TIER 1**
43 **SCOPE OF WORK**

44
45 **MR. RINDONE:** Good morning, everybody. We have been talking
46 about making revisions to the ABC Control Rule for -- Well, some
47 would say since the last one was put in place, and so this is
48 the first real swing at trying to take a crack at this, and we

1 were going to have a separate working group of SSC members that
2 were going to work on this and then present something to the
3 group as a whole, and, at a previous meeting, I think Mr.
4 Gregory had suggested that why don't we just take a swing at
5 Tier 1 first, since it's the one we use the most, and so that's
6 what we're going to try and do here.

7
8 Since all of you, ultimately, have to sign-off on it, we'll just
9 do it all together, and so you guys are going to review a
10 presentation that the Science Center has put together on an
11 alternative approach to the current control rule, and this is --
12 This approach that they're going to show you has a lot of
13 similarities to what's being proposed in other regions as well,
14 and having some parity between regions certainly creates
15 efficiency.

16
17 For those that aren't that aware, our ABC Control Rule is
18 responsible for characterizing scientific uncertainty, and it's
19 what helps the SSC to establish the difference between the OFL
20 and the ABC. The current control rule has been around since
21 2011, but there's been some room for improvement.

22
23 Specifically, the current control rule sometimes doesn't result
24 in buffers between the OFL and the ABC that do a good job of
25 fully characterizing the scientific uncertainty inherent in the
26 assessment, and sometimes that uncertainty in the assessment
27 doesn't always translate apples-to-apples into the projections.

28
29 You guys are going to review these presentations and the
30 background materials and focus on Tier 1 here and make revisions
31 and recommendations, as appropriate, and, ultimately, any
32 modifications to the control rule will have to be incorporated
33 into a plan amendment and approved by the council. Mr. Chair.

34
35 **CHAIRMAN LORENZEN:** Thank you, Ryan, and I want to add to that
36 one thing. The ABC Control Rule does two things, really. It
37 characterizes the uncertainty, and it incorporates the council's
38 sort of risk policy, or risk tolerance, in decision-making, and
39 so it really has a science component and a policy component, if
40 you like, and we will come back to that.

41
42 I wanted to briefly review the item under a here, which is the
43 ABC Control Rule Scope of Work, the old version, which is
44 basically what we've put together for the -- That's the first
45 one in the materials for today, and, as you can see, this is
46 something we put together when we thought there was going to be
47 a working group, and we have decided not to do that, for the
48 reason, as Ryan explained, that, when we do have a working

1 group, usually we do everything twice. We do it in the working
2 group, and then we take it to the full SSC, and people will want
3 to discuss everything again, and so we've decided to give it a
4 shot and just do it in the whole SSC.

5
6 What I want to draw your attention to here is the overall
7 schedule, because what we had outlined here is -- This was a
8 three-webinar schedule to revise the ABC Control Rule, and, at
9 the first webinar, we had planned a review of the existing
10 control rule and rules used in other regions, and basically a
11 proposed control rule developed by the Science Center, and that
12 is basically what we're going through today.

13
14 So we have an outline proposal from the Science Center, and not
15 for a single control rule, but for a set of options, if you
16 like, and so we will go through that, and we will then have
17 another probably two meetings in the SSC about this control
18 rule, and so we will look to make some decisions today and then
19 ask for further analyses that will inform subsequent meetings
20 about the control rule.

21
22 Also, in this process, at some stage, we have to bring this to
23 the council, and the way I would envision that, at the moment,
24 is that we will deal with the SSC's perspective today, and at a
25 forthcoming meeting, following some further analysis, and then
26 we will take probably several options for the control rule, with
27 different essentially risk policies embedded in them to the
28 council, to get their feedback on basically what they want to do
29 about the risk policy element of this, and then we will finalize
30 the control rule, and so just remember that this is part of a
31 multistage process in the SSC that will also involve the council
32 at some stage.

33
34 With that, going back to the materials that we have for today,
35 we have a presentation by Dr. Cass-Calay about their alternative
36 for Tier 1, and, as Ryan pointed out, we are looking to focus on
37 Tier 1 at this stage, which is the most frequently used tier for
38 us.

39
40 Associated with that presentation, there is a large amount of
41 background material that you can see in the meeting materials,
42 and most of those are older presentations and documents, and so
43 we will not be going through those in detail, and they are
44 provided as background, and then there is a second brief
45 presentation that I put together to provide a bit of a bigger-
46 picture perspective on what we are trying to achieve here with
47 the ABC Control Rule revision, and I put that together partly to
48 help us in our subsequent discussion and partly with a view to -

1 - Knowing that I will have to take this to the council in a few
2 weeks and explain what we're doing, and so it's sort of looking
3 to add that element of explanation into the deliberations that
4 we have here.

5
6 My suggestion is that we will go through Shannon's presentation
7 and ask any questions specifically related to that presentation,
8 and then I will then follow that up with my brief presentation,
9 and, again, entertain brief questions, and then we will start
10 the actual discussion.

11
12 There is also -- Shannon has prepared further materials that we
13 can go through, and, essentially, those are spreadsheets that
14 allow us to explore certain options, and I think we will
15 discuss, after my presentation, whether we want to make some --
16 Have some general discussions first or look at those tools
17 first, and we'll decide that when we get to that stage.

18
19 Unless there are questions or comments at the moment about the
20 general outline of things, and I will give you a few moments, we
21 will move on to Dr. Cass-Calay's presentation about the Tier 1
22 alternative.

23
24 **PRESENTATION ON TIER 1 ALTERNATIVE**

25
26 **DR. CALAY:** Thank you very much, Dr. Lorenzen. Some of you,
27 these slides will be quite familiar, but, for others of you,
28 they might be new, and so I thought that I would go ahead and
29 introduce these concepts, quickly. This is a presentation that
30 was prepared by Clay Porch and myself and has been presented to
31 this SSC previously, and now I have added some content as well.

32
33 Essentially, the ABC Control Rule -- I wanted to briefly
34 describe the roles and responsibilities and some of the lingo,
35 and so we have an overfishing limit, which is defined as the
36 catch that is expected when fishing at MFMT, which, in most
37 cases in our FMPs, is F SPR 30, and so it is that catch that
38 corresponds with a 50 percent chance of exceeding the OFL, as
39 determined by a stock assessment.

40
41 The buffer between OFL and ABC is intended to reflect the
42 scientific uncertainty, and so it is reduced from OFL by an
43 amount that accounts for scientific uncertainty. Therefore, it
44 is a catch, again, with less than a 50 percent probability of
45 exceeding the true overfishing limit.

46
47 There are other buffers that the council has the prerogative to
48 set, and they are the annual catch limit, which is the level of

1 catch that invokes accountability measures, such as fishing
2 closures or other management regulations, and there is the
3 annual catch target, which is the catch reduced below ACL to
4 account for management uncertainty or, in some cases, to achieve
5 optimal yield.

6
7 The ABC Control Rule is simply a procedure which is agreed upon
8 by the SSC and adopted in a fishery management plan for setting
9 the ABC for a stock, or a stock complex, as a function of the
10 scientific uncertainty, and any other scientific uncertainty.
11 Each council does establish its own ABC Control Rule based on
12 the science advice from its SSC.

13
14 The SSC must recommend an ABC Control Rule to the council, and
15 the SSC may recommend an ABC that differs -- Okay. This is a
16 key point. The SSC does not have to follow the ABC Control
17 Rule, but, if it differs, it must explain why, and it must
18 provide some narrative justification, and, in some cases, an ABC
19 can be a data-limited process, and it can also involve complex
20 drivers based on measured stock biomass, measured uncertainty,
21 forecasts of environmental effects, and even, in some cases,
22 results from, for example, PSA analyses have been included in
23 the creation of ABC control rules.

24
25 The actual ABC control rules vary by council, and some rules --
26 Some councils have adapted one framework for all of their FMPs,
27 while others have a different framework for each FMP that might
28 be created by a council. Most councils have attempted, to
29 various degrees, to set the ABCs below OFL in a way that
30 reflects the scientific uncertainty, but how they've actually
31 gone ahead to do that varies a great deal between the councils.

32
33 This is just an example of the Western Pacific Fishery
34 Management Council's control rule, which could now be obsolete,
35 because these things do change, and the points that I want to
36 make about this, really, are that they have a tiered control
37 rule, much like the Gulf, South Atlantic, and the Caribbean, and
38 the top tier is essentially expected to be stocks where they
39 have the best data richness, and then the tiers, as they reduce,
40 are for less and less well-known results, so to speak, higher
41 uncertainty.

42
43 This is Tier 1 of the existing Gulf of Mexico ABC Control Rule,
44 and so, in our case, Tier 1, the conditions for us is that there
45 is a stock assessment estimate which produces MSY reference
46 points and a PDF of OFL. The choice of the P*, in the current
47 rule, is based on the level of uncertainty considered in a risk
48 determination table, and we sometimes call that the tiers and

1 dimensions table.

2
3 That tiers and dimensions table includes elements such as the
4 level of assessment and the use of MSY proxies, for example F
5 SOR 30, and it contains a type of characterization of the
6 scientific uncertainty, but it's pretty much limited to whether
7 the uncertainty has been fully integrated within a stock
8 assessment, has been characterized by sensitivity runs, or
9 whether it has not been addressed. I will remind you that, in
10 the case of all Gulf assessments, we do not really ever fully
11 integrate the scientific uncertainty.

12
13 We also examine the severity of retrospective patterns and apply
14 a larger buffer if those patterns are severe, and we look at the
15 use of environmental covariates.

16
17 The OFL is the yield that is produced when fishing at F SPR 30,
18 generally, or the maximum fishing mortality threshold, and the
19 ABC is simply the yield at the P* percentile from that
20 projection of, in the case of stocks that are not overfished, F
21 SPR 30, or the maximum fishing mortality threshold, or, in the
22 cases of overfished stocks, we often apply the P* percentile to
23 F rebuild, although that does vary, to some extent, from
24 assessment to assessment.

25
26 This is the tiers and dimensions table that I spoke of, and I
27 think most of you are quite familiar with it, and so this is
28 actually how we have gone about characterizing P*, and the point
29 to make here is that this is the only lever we really apply, in
30 the Gulf, to the uncertainty, because the PDF that comes out of
31 the stock assessment itself is relatively narrow, as many of you
32 have noted, and I will explain some of the reasons for that in
33 subsequent slides.

34
35 Now I will describe, briefly, the Science Center's proposal for
36 Tier 1, and, first, I will discuss some of the reasons why the
37 Science Center is proposing this ABC control rule, and one
38 reason is that the Southeast Fisheries Science Center serves
39 three different fishery management councils, and each one of
40 those fishery management councils has a variety of FMPs, and we
41 are attempting, to the extent that we can, to create some
42 harmonized practices, so that, when we do conduct a stock
43 assessment, they are more similar, or at least as similar as
44 possible, when we create management advice for the three
45 councils. Right now, each council uses quite a different
46 control rule, and so that's one reason.

47
48 The other reason, you will understand more later, as I'm showing

1 you examples, but the other reason is to avoid situations where
2 we have to create specific rebuild scenarios that may differ,
3 depending on the council's direction, and so it may be that the
4 council wants us to explore numerous rebuilding scenarios that
5 rebuild to different targets over different periods of time, and
6 a simplified control rule would essentially alleviate us of that
7 responsibility, while assuring that the stock could rebuild
8 within the specified amount of time, within an appropriate
9 rebuilding period.

10
11 That being said, ABC control rules, in general, should have
12 these properties, we believe, and so fishing mortality, the MFMT
13 -- That fishing mortality should decrease as the stock size
14 declines, and so you should not -- Basically, you'll see what
15 I'm talking about, but we should apply a lower fishing mortality
16 as the stock size approaches zero.

17
18 It would behoove us to consider imposing a B critical value that
19 reduces the F to zero at some level of depletion, and this would
20 prevent stocks from reaching a level below which reproduction
21 limitations could become severe. It is certainly the Science
22 Center's strong recommendation to divorce the concepts of P^* and
23 σ , P^* being the risk of overfishing, which typically is a
24 prerogative of the council, and σ , which is the width of the
25 PDF on OFL, or, essentially, the scientific uncertainty, and the
26 Center recommends that the SSC focus on characterizing the
27 scientific uncertainty, which I may call σ during this
28 presentation.

29
30 The Science Center also continues to recommend that we impose a
31 tiered system, where, as the data quantity or quality decline,
32 the σ increases, therefore assuring ourselves that, as the
33 data quality declines, larger buffers would occur between OFL
34 and ABC in the lower tiers.

35
36 This is a picture of kind of what this general guidance looks
37 like, with the exception that I have not illustrated this
38 particular example of that B critical value, but the ABC control
39 rule should consider reducing that fishing mortality as the
40 stock declines towards the origin of the plot, and so, in this
41 case, I'm showing an example based on our previous
42 parameterization of the minimum stock size threshold, or MSST,
43 which was, essentially, for most stocks, the minimum stock size
44 threshold was one minus M, or the natural mortality rate, times
45 the biomass at MSY.

46
47 That black dotted line, vertical, is the biomass at MSY in this
48 example, and the red-dashed line is the MSST in this example,

1 and that small buffer is the one minus M, which prevents
2 triggering it over a rebuilding plan, if the stock is just
3 experiencing natural variability, say in recruitment, for
4 example, or natural mortality, and so this ramping feature down
5 to the origin is essentially what I am describing when I say
6 that the fishing mortality rate should decrease as the stock
7 size declines.

8
9 This also occurs in our current control rule when we put a
10 rebuilding plan in place, and so everything in this pink region
11 here, on the left side of this plot, is, in this example,
12 considered overfished status and would require an F rebuild, a
13 rebuilding plan, and so we do something like this already.

14
15 Now we have actually introduced a new definition of MSST, which
16 is most frequently used in our FMPs, which is that the minimum
17 stock size threshold, or the level of biomass that triggers a
18 rebuilding plan, has often been set at 50 percent of the BMSY,
19 and a stock is not considered overfished now until you are less
20 than MSST, and so this is what the shape of the new ABC control
21 rule might look like, where you essentially fish at F 30 percent
22 SPR, or MFMT, until you get to MSST, which triggers a rebuild
23 plan, and then you fish at a lower F, essentially, as the stock
24 size declines.

25
26 Now, the tricky bit about this control rule is that it can
27 require large reductions in F and catch and relatively long
28 rebuilding plans compared to the previous guidance, because
29 you're not essentially acting on -- You're not acting to reduce
30 fishing mortality until the stock is less than 50 percent of
31 BMSY.

32
33 Here is what the new guidance from the Science Center might look
34 like, and so I have shown two examples here. To reduce the
35 likelihood of long or harsh rebuilding plans, the SSC could
36 consider reducing F whenever you're below BMSY, and so,
37 basically, the control rule would be apply F, and it's very hard
38 to say all these acronyms, but apply F at, for example, SPR 30
39 until you get below BMSY, and then you're already starting to
40 reduce the F, until you get to some B critical level, here drawn
41 at 100, biomass equals 100, at which point the fishing mortality
42 would be set to zero, to prevent the stock from declining to
43 such a level where reproduction is inhibited.

44
45 A second example, which is also a little bit closer to what
46 you're doing now, is to retain fishing at MFMT until you get to
47 the minimum stock size threshold at 50 percent of BMSY,
48 typically, and then ramp down to zero, F equals zero, at B

1 critical. Those are essentially the two control rule examples
2 that I will be showing you in the spreadsheets, with a number
3 of, essentially, decision points that you can evaluate.

4
5 A little bit more general guidance, and so the determination of
6 ABC should be based, when possible, on the probability, and I am
7 going to read this, that a catch equal to the stock's ABC would
8 result in overfishing with a P^* probability, and so that is not
9 actually very well written, and so I will just clarify that OFL,
10 again, should be the catch that corresponds to a 50 percent
11 probability of overfishing.

12
13 Then there should be some buffer, which we have typically called
14 P^* , although this particular figure has been interpreted
15 differently in different councils, but, in the Gulf Council, we
16 most typically reduce -- We actually create the buffers between
17 OFL and ABC by determining P^* , through our tiers and dimensions
18 table, and then applying that P^* value, which corresponds to a
19 lower risk of overfishing, say 40 percent probability of
20 overfishing, and we apply that directly to that PDF, which is
21 created from the projection of F SPR 30, for example, to create
22 that buffer between OFL and ABC.

23
24 Now, the problem with this approach is, and many of you know
25 this very well, is that the width of the PDF, as derived from
26 our stock assessments, is a gross underestimate of the true
27 scientific uncertainty, and so that creates very narrow buffers
28 between OFL and ABC, even if you apply a much larger P^* , and the
29 buffers are quite small, and I will just let you know that the
30 sigma that are coming out of our typical stock assessments are
31 close to 0.1, which is quite low.

32
33 The reason for that is, typically, that we are creating a number
34 of fixed parameters in the stock assessment, and we're not
35 drawing from a prior with a distribution, for example, and we're
36 considering only one model, and so we're not looking at the
37 variability that occurs when you make different assumptions
38 about, for example, data inputs or model structure.

39
40 **DR. ANDERSON:** Shannon, can I make a comment? I think the P^* ,
41 as indicated in this deal, is the distance between 50 and 40,
42 and isn't normally the P^* would be the 40 percent and not the
43 difference between 50 and 40?

44
45 **DR. CALAY:** Yes, and, I mean, I think that's correct. I think
46 we would typically call P^* that value that is derived from our
47 tiers and dimensions table, and so you're correct, and the thing
48 I'm trying to show here, I guess poorly, is that we use that to

1 create the buffer, which we assume to reflect scientific
2 uncertainty, and, in fact, that buffer is an underestimate of
3 the true scientific uncertainty.

4
5 Yes, we could call this -- In this particular case, if you use
6 the tiers and dimensions table, and P^* was 0.4, then, yes, 0.4
7 would be the probability of overfishing, and you could put P^*
8 here, and this thing that I have indicated, this bracket with
9 the P^* to the right, we could call that, instead, something like
10 a buffer to account for scientific uncertainty. I think it's
11 clear, but I'm happy to take another stab at it, if folks still
12 are desiring more information. Okay.

13
14 Here's Clay's favorite Donald Rumsfeld quote about how we know
15 certain unknowns, but there are also unknown unknowns, and the
16 ones that we don't know we don't know, and it's the latter
17 category that tend to be difficult, and so it's just getting to
18 the point, really, that we only -- We only use a very small
19 fraction of the total scientific uncertainty in our stock
20 assessment approach, and it really comes only from inverting the
21 Hessian matrix, which is very much like bootstrapping.

22
23 Typically, when we bootstrapped stock assessments across the
24 estimated parameters, we got CVs of about 0.1 also, and so
25 inverting the Hessian matrix is what we do now, and it also
26 produces CVs of about 0.1.

27
28 Our current practice is to estimate the variance of the PDF as
29 part of the stock assessment approach, and it results, as we've
30 seen, in various small buffers.

31
32 Another approach, which we are proposing to follow, is that you
33 estimate the variance external to the assessment process, and so
34 you either borrow it from another stock assessment that has more
35 fully characterized uncertainty, and call that kind of a sigma
36 min value, minimum level of scientific uncertainty, or the
37 approach that we're recommending, for now at least, is to
38 compute sigma min from comparisons of estimates from many past
39 assessments, and this is best shown by Ralston et al. in 2011
40 for a variety of Pacific species.

41
42 Here is an example, and it's a meta-analytical analysis of
43 assessment uncertainty, and, on the left-hand side, you see an
44 example from Pacific whiting, where they have looked at all of
45 the previous stock assessments of Pacific whiting, over time,
46 and he's looked at their spawning stock biomass trajectories.

47
48 Now, what he has chosen to do is to examine the uncertainty by

1 calculating the log-scale deviation from the mean biomass
2 estimate from all historical assessments, and he actually did
3 this for seventeen Pacific stocks, and, when he did this for the
4 seventeen Pacific stocks, he created a distribution that looks
5 like the plot on the right, and that's the aggregate
6 distribution of all the log deviations pooled from seventeen
7 different stocks, and he has fit their normal distribution, and
8 the fit to that is a sigma value of 0.36, and that's where he is
9 getting the sigma min of 0.36 from seventeen Pacific data-rich
10 stock assessments.

11
12 What this results in is an actual relationship that is defined,
13 where, if you know sigma, and you know P^* , you can calculate the
14 buffer between OFL and ABC, and so what's plotted here on the Y-
15 axis is the fraction ABC over OFL, and so, if you look, for
16 example, at a P^* of 50 percent, you note that, at any sigma
17 level, no matter what you specify as sigma -- If you set P^* at
18 50 percent, OFL equals ABC, and there is essentially no
19 significant uncertainty at a P^* of 50, but, if you reduce P^*
20 down, then you do see that the buffers here get larger between
21 ABC and OFL as you increase sigma.

22
23 On the top line are Tier 1 stock assessments, and those are
24 thought to be data-rich stock assessments, and the sigma for
25 those is 0.36, like I showed you on the previous slide.

26
27 What the Ralston paper proposes is that, as your data quality
28 declines, you would impose larger buffers, and so Tier 2, in
29 this case, are data-moderate stock assessments, and they produce
30 larger buffers, and so that's middle line with the open squares,
31 and then the bottom line, with the open circles, is for data-
32 poor stock assessments, and they are Tier 3, essentially, of
33 that control rule, and then you see the buffers are
34 substantially larger, and, at 25 percent, for example, P^* , or a
35 probability of overfishing of 25 percent, ABC would be a little
36 bit less than 40 percent of OFL for a data-poor stock.

37
38 Actually, the control rule, and I'm only showing you Tier 1
39 today, but we are -- Essentially, this is part of a tiered
40 approach, where, as we move down into data-moderate and then
41 data-limited stock assessments, we would propose to do very much
42 this same thing, where we increase the width of the sigma min
43 that would be applied to those stock assessments.

44
45 All right, and so I'm not going to spend a lot of time on this
46 slide, but this is what our strawman proposal looks like in
47 words, and, essentially, Tier 1 would have a condition for use,
48 and it's based on a full stage structured, and so either length

1 or age-structured stock assessment, where we have reliable time
2 series on catch, length or age composition data, and indices of
3 abundance, and the assessment does provide estimates of MSST,
4 MFMT, and a PDF on OFL.

5
6 This happens to be from the U.S. Caribbean, and so you will note
7 here, for example, that the MFMT, or maximum fishing mortality
8 threshold, in the Caribbean is also set for FMSY, or its proxy,
9 just like it is in the Gulf, and the minimum stock size
10 threshold in the Caribbean is set at 75 percent of BMSY, or its
11 proxy, and so, in the Gulf of Mexico, this is actually 0.5, or
12 50 percent of BMSY, and that is fine, if the SSC and the council
13 do prefer to retain that. We're not necessarily suggesting, in
14 this particular presentation, that you must change that.

15
16 There is nothing much different here until you get down to the
17 ABC, and now we're employing a ramp, and so, basically, we are -
18 - I will walk you through the steps, but, in the first step, ABC
19 is going to be equal now to some quantity, D, times X*, where
20 this X* now is the yield that is produced at the percentile
21 which is now defined by the PDF on OFL, which corresponds to the
22 sigma min now from the assessment, and the P* as determined by
23 the council, and so we're separating these two concepts, where
24 now P* is the probability of overfishing, and it's a risk
25 determination, and it's specified by the council, with some
26 guidance from this SSC, and from the Science Center, that they
27 should not choose values that are -- They certainly should not
28 choose 0.5, because that would basically assume no scientific
29 uncertainty.

30
31 The width of that PDF is now determined by sigma min, and so,
32 for example, we could use 0.36, which is the data-rich sigma min
33 determined from the Ralston approach, until such a time as we
34 have a specific sigma min which is determined from Southeast
35 stock assessments.

36
37 Now this D is the ramping feature, and so it's basically a
38 piece-wise process, where, if you're above BMSY, then you're
39 essentially -- You could, theoretically, apply a scalar. Now,
40 this scalar was put in to protect us in the event that the
41 council selected a P* of 0.5, because then the SSC could respond
42 by setting that scalar less than one, to create a buffer, but
43 it's not necessary if the council does not select a P* of 0.5,
44 and so let's assume, for the time being, that the scalar is set
45 to one.

46
47 Now D is simply one, when B is above BMSY. When B is below
48 BMSY, you apply this ramping feature, where the F would be

1 reduced by essentially a linear interpolation down to the
2 origin, and so, as the biomass decreases towards the origin, the
3 fishing mortality that you apply is also decreased, and so
4 that's what creates the ramp.

5
6 This is a demonstration of what these two approaches look like,
7 these two ramping features that we're going to discuss in more
8 detail when I show the spreadsheets, and this one is created a
9 with a P^* of 0.4 and a sigma value of 0.36, which, again,
10 corresponds to the data-rich stock assessments from the Pacific
11 analysis from Ralston, and so, here, you will see now that there
12 is a buffer applied, even when you are above BMSY, and you're
13 essentially using a buffer of about 10 percent between ABC and
14 OFL, and that is corresponding just to the sigma, and that's the
15 Ralston approach, right, and that's applying P^* and sigma alone.

16
17 Now, these two ramping features in blue is when you begin the
18 ramp whenever a stock is less than BMSY, and so you're actually
19 reducing fishing mortality as the stock size reduces, starting
20 from BMSY, and then you're actually applying an F of zero when
21 the stock is below a B critical value, and, in this case, the B
22 critical is 10 percent of BMSY, is what I have applied here.

23
24 The orange line is actually more similar to your current control
25 rule, which is where you don't actually start that ramp-down in
26 F until a stock is below MSST, but you still, when you get to
27 that B critical value, assume F equals zero.

28
29 As soon as Kai is ready to have this discussion, I will walk
30 through some examples in a spreadsheet, which I have given to
31 Ryan to post, and it's actually Version 3 of this spreadsheet
32 now, and it contains a few new bells and whistles, and we'll
33 also look at three different examples of how the ABC control
34 rule functions for recently-assessed stocks, and so I've chosen
35 three, and they are one stock that is currently considered above
36 BMSY, and that's vermilion snapper, one which is above MSST, but
37 below BMSY, king mackerel, and one that is current overfished,
38 below MSST, and that is greater amberjack, and so that is what
39 we will discuss as soon as Kai is ready to see these examples.
40 That's it, and so are there any questions about this
41 presentation?

42
43 **CHAIRMAN LORENZEN:** We'll wait for hands to come up, but, also,
44 Shannon, it may be, since we're arrived at this point -- I think
45 a lot of your examples are about the ramping feature, right, in
46 a sense, or that's a central part of it, and maybe you should go
47 through that, after the general questions about this
48 presentation, and then I will do mine later, just because we

1 seem to be at the spot where this is a natural follow-on, but,
2 yes, let's entertain general questions first, and so we have
3 Will Patterson.

4
5 **DR. PATTERSON:** Thanks, Kai. I actually have three different
6 question, or issues, to talk about, and so I don't know if I
7 could be allowed to work through all of those, and the back-and-
8 forth, or take one and then put me back at the end of the line,
9 but I will just start, and you can cut me off whenever you feel
10 like, Kai.

11
12 The first comment I have is that the ramping feature makes a lot
13 of sense, to me, for MFMT and the issue of the stock being below
14 BMSY, versus being below MSST. However, that really is an OFL
15 issue and not an ABC issue, and so, if we would combine that
16 into the ABC control rule, then it really becomes an OFL and an
17 ABC control rule, and that doesn't adjust the ABC, and it simply
18 sets the OFL on that ramp.

19
20 As far as the issue, and I'm on Slide 8 in Shannon's
21 presentation, but the second thing that I just wanted to point
22 out here is Shannon talked about this proposed Tier 1 control
23 rule would be divorcing P^* and σ , but, really, what it would
24 be doing is divorcing σ from the assessment, and so it
25 wouldn't be σ derived from the assessment, and it would be
26 σ based on a meta-analysis of seventeen west coast stocks
27 that Ralston et al. produced until such time as there was a
28 similar analysis done, and there has been some analysis done on
29 this, and we've seen it in recent years, for Gulf stocks.

30
31 Really, I think what it would end up being is Ralston would give
32 us sort of the ballpark of estimates they derived from their
33 stock assessments, through 2008 or 2009, whenever the time
34 series was for the paper, and then we would say, okay, this is
35 the range, and so, if we applied this approach that's being
36 discussed here as a proposal, then we would -- It would simply
37 be saying, okay, this is the range of potential σ , and the
38 council picks a fixed P^* , which we tell them is the probability
39 of overfishing, but it's not, and it's simply a multiplier to
40 multiply by a σ that we pulled out of this range that was
41 produced elsewhere from other assessments, because we feel like
42 the buffer between OFL and ABC is inadequate to fully capture
43 scientific uncertainty.

44
45 I don't see how this new proposal is any less arbitrary than
46 what we currently have, and it simply, again, puts this patina
47 of science on setting a buffer between the OFL and ABC that
48 perhaps we would feel more comfortable with, as the SSC.

1
2 I think, in the end, what it comes down to is we use this term
3 "uncertainty" to apply to different things, and, generally, what
4 we're applying it to is precision, or imprecision, in the
5 assessment-derived OFL, but then we're also using it to talk
6 about bias, and is this -- Is the OFL underestimated, or is it
7 overestimated, and what are we missing, as far as stock
8 dynamics, when, really, what we should be talking about is the
9 process error, the natural variability in the population, so
10 that the productivity estimates fluctuate over time.

11
12 Then the measurement error, and so things like the ageing error
13 matrix, or did we actually estimate fecundity correctly, and
14 then the modeling error, and, for modeling error, it takes so
15 much time and effort to produce one of these really expansive,
16 highly-parameterized, integrated assessment models that it's
17 just not feasible, and it's not likely to be feasible, to
18 produce several different iterations of stock assessment models,
19 or use a different platform.

20
21 For example, with scamp, you have the South Atlantic and the
22 Gulf doing assessments, and perhaps both assessments could be
23 run in BAM, versus SS. You know, talking to Kyle Shertzer in
24 Beaufort, he says they've actually done a little bit of that,
25 and the results are quite similar, and it makes sense. The
26 basic framework, or approach, is similar in the integrated
27 assessment platforms, although, obviously, there are some
28 different knobs and things in SS and different assumptions in
29 BAM, but, anyway, you get the point that we're not really
30 addressing modeling error effectively, and so we're kind of
31 lumping back into this universal statement about uncertainty.

32
33 I think what this new approach is trying to do is maintain the
34 P^* , telling the council, okay, you just set one risk value,
35 which isn't really a risk value, and it's simply the probability
36 of overfishing, but it's the probability of overfishing
37 conditioned on the assessment and the sigma, and we get to set
38 the sigma, and so, instead of creating an arbitrary buffer when
39 we depart from the current control rule, by saying, well, we
40 don't really feel like this is enough, and so let's double it,
41 or let's use F 75 percent of FMSY to set it, or whatever we do,
42 in different circumstances, to increase that buffer, and this is
43 trading one set of arbitrary decisions -- Not arbitrary
44 decisions, but an arbitrary approach to try to satisfy our
45 inclination about uncertainty with another.

46
47 I guarantee that we're going to spend -- If we went down this
48 road, we would spend quite a bit of time developing a matrix of

1 what the sigma could be for a given assessment, whether we
2 thought the data were great, whether we thought uncertainty was
3 fully captured, et cetera, but then, the first time we put this
4 in play, and we got a buffer that was narrower than we thought,
5 we would say, okay, well, we're not going to use it, and we're
6 going to go somewhere else.

7
8 I just think this is too close, too similar, to what we have
9 now, and it's simply trading one set of decisions to scale this
10 for another set of decisions to scale this, when, in the end,
11 why -- I still haven't seen anything yet, as far as this idea
12 about thresholds and targets, I have not seen anything yet
13 produced that makes more sense to me than the Restrepo et al.
14 1998 simulation paper that shows how, in that case, what they
15 called FOY, versus FMSY, are related.

16
17 Instead of calling it FOY, we could call it FABC, and the MSY --
18 Obviously, the FMSY produces OFL, and the beauty of that
19 approach is that, as the stock is above, or approaches, BMSY,
20 then the two -- The yield streams, the yield estimates, that
21 come out of the FMSY versus the FOY, which is equal to 75
22 percent of F, the F rate, at MSY equals the F at OY, and the
23 long-term yield streams are 98 percent.

24
25 The OY -- When the stock is at the OY, the OY is 98 percent of
26 the MSY when the stock is at BMSY, and there's a dynamic, right?
27 As the stock improves, those values get closer and closer
28 together. As the stock gets above the BMSY value, those get
29 closer and closer together, and it would eliminate one of the
30 biggest issues that we have in fisheries, especially reef fish
31 fisheries in the Gulf of Mexico, is that we put these buffers
32 in, and then we get this ramping up of fishing and then having
33 to fish the stock back down.

34
35 You know, we get these really weird projection yield streams
36 that are reflective of the way we set buffers, and, anyway, I am
37 kind of rambling on here, but I just think we're trading one set
38 of -- It's really the same approach, in the end, in my view.
39 It's simply -- We're just turning one knob differently than we
40 did last time, and so we're basically trading the knobs here.

41
42 **CHAIRMAN LORENZEN:** Okay. Thanks, Will. That was a question
43 that sounded more like a comment.

44
45 **DR. PATTERSON:** Yes. Sorry.

46
47 **CHAIRMAN LORENZEN:** But there are a lot of things that we should
48 revisit in what you outlined, and I would like to do that after

1 the next bit of presentation, when we launch more into a general
2 discussion, and so, if that's okay with the others who are on
3 the list here, and mostly, at the moment, I think we're looking
4 for questions on this presentation, and then we would turn to
5 the bigger questions that Will raised, and I'm sure that others
6 will raise as well. Thank you. Cam.

7
8 **DR. AINSWORTH:** Well, I mean, I have a question about this
9 methodology, and I don't know if you want to wait until
10 afterwards to discuss this, but let me say it, because I'll be
11 quick.

12
13 First of all, I'm concerned that all of the studies in Ralston's
14 meta-analysis would presumably suffer from a similar inability
15 to accurately fit the OFL distribution, and so I'm not clear how
16 this rectifies the problem of having too narrow distribution
17 from the stock assessment models. That's my first question.

18
19 Secondly, the ramping threshold, I think, probably should
20 account for stock biology, because highly-variable stocks -- I
21 mean, is it really necessary to implement a reduced F on a
22 highly-variable stock, regardless of its stock size, and so,
23 anyway, that's all I wanted to say.

24
25 **CHAIRMAN LORENZEN:** Thank you. Shannon, do you want to respond
26 to the question about the Ralston method?

27
28 **DR. CALAY:** Sure. Basically, what he's done is calculate the
29 deviations in the mean -- So he's calculated the mean SSB,
30 spawning stock biomass, trajectory across all historical
31 assessments of seventeen stocks, by species, and he is
32 calculating log-scale deviations from the spawning stock biomass
33 mean, and so, in that sense, he's actually creating a PDF of
34 your estimate of spawning stock biomass as a proxy for the OFL,
35 and that is where he gets -- When you look across all seventeen
36 of their frequently-assessed stocks which are considered to be
37 data rich, he gets that sigma of that PDF of 0.36.

38
39 That's how he's doing it, and I believe that the paper is
40 included in the SSC materials, and so that is the answer to the
41 Ralston question, and I don't know if you wanted me to respond
42 to anything else right now, and I'm trying to keep track of the
43 questions as they arise.

44
45 **CHAIRMAN LORENZEN:** I thought the other thing was more of a
46 comment, and I think the Ralston question was a direct question,
47 and is that right, Cam?

48

1 **DR. AINSWORTH:** My other question was whether the ramping
2 threshold needs to account for stock biology, but, if you want
3 to move on, that's fine.

4
5 **CHAIRMAN LORENZEN:** Okay. Yes, I think that's more of a
6 discussion point that we should come back to again, and thank
7 you, Cam and Shannon. Sean.

8
9 **DR. POWERS:** Thanks, Shannon, for the presentation, and I
10 appreciate the effort, because, obviously, what we want to try
11 to do is remove some of the subjectivity that we had in setting
12 ABC previously.

13
14 The issue that Will raised, I do want to turn one of those into
15 a question. Can we estimate, or look at, sigma for the Gulf?
16 Is there sufficient studies done, or would a new meta-analysis
17 need to be done for the Gulf?

18
19 **DR. CALAY:** So we would need a new -- We would need a complete
20 meta-analysis for the Gulf. We have looked at some key species,
21 from time to time, and found similar sigma, but we haven't
22 created any new analyses since the meeting several years ago,
23 and not even the most recent one, and so it is our intention to
24 do a Ralston-style approach that would inform sigma min for
25 stocks that are frequently assessed in the Southeast region.

26
27 However, that is not done yet, and that would take some time,
28 and so the Center's proposal was, until that time when we do
29 have a Southeast-specific analysis, we would employ the Ralston
30 sigma min as a proxy, or some value that the SSC considers more
31 plausible. In the case of the Caribbean, they did not feel that
32 their assessments were as high -- Well, they felt the data
33 limitations were stronger in the Caribbean than they are in the
34 Pacific, and so they chose, even in Tier 1, to use a sigma min
35 of 0.5, which is larger than the Ralston guidance.

36
37 **DR. POWERS:** Okay, and so, until that meta-analysis is done for
38 the Gulf, then we're still left with subjectivity for that
39 value.

40
41 **DR. CALAY:** You are.

42
43 **CHAIRMAN LORENZEN:** Thank you. Doug.

44
45 **MR. GREGORY:** Thank you, and thanks, Shannon. This is a long
46 time coming, and I had a couple of comments and a question, and
47 I will only briefly go on a soapbox about we will never define
48 uncertainty, or measure it, anywhere close to what it really is,

1 and I think the National Standard Guidelines have sent us on a
2 wild goose-chase with that concept.

3
4 The other thing is the ramping of MFMT is totally different from
5 the P* conundrum we've been dealing with, and the ramping was
6 not necessary, as you said, when we were using one minus M for
7 the MSST, but, at 50 percent of the biomass, we do need to be
8 reducing the fishing mortality rate whenever the biomass gets
9 below MSY.

10
11 I will just reiterate basic theory, and that is, at MSY, the
12 virgin population has been reduced by half, the biomass. At 50
13 percent of BMSY, the virgin biomass has been reduced by 75
14 percent, and so, at 50 percent MSST, we're in trouble already,
15 and the saving grace of this collection of concepts of
16 overfishing and overfished is that the -- By being held to the
17 overfishing standard, the fishery should never drive a fishery
18 down to MSST, the way it is now, but some environmental
19 catastrophe could, and so that's the projection.

20
21 I like the ramp from BMSY going down to some B critical, and you
22 chose, as an example, 10 percent, and the North Pacific Council
23 does something similar, and, to address something that Will
24 said, the North Pacific Council ramps both OFL and ABC, and I
25 don't quite -- They use a similar type of calculation that you
26 do, and I'm sure you're familiar with it, but they apply that
27 scalar to some average, and the OFL is the arithmetic average,
28 and the ABC is a harmonic average, and so I thought that was
29 kind of intriguing. I think we ought to look at that as we
30 adopt this ramping thing. We're going in the right direction
31 there, I'm sure.

32
33 Relative to uncertainty, another thing the North Pacific Council
34 did, at one time, or does do, is they take the sigma from the
35 stock assessment, and then they add more variance based on the
36 index that's used for the stock assessment, I guess the primary
37 index, or it could be a combination of indices, because the
38 survey is an index of the population, historically and present,
39 and so that might be a good indication of the uncertainty in the
40 population, and so adding those kind of sigma might be a
41 fruitful approach.

42
43 Then I've got a question, or two questions. On Slide 17, you
44 mentioned -- You've got a scalar, and you've got D equals the
45 scalar times the formula that is similar to what the North
46 Pacific has, but what is that scalar? Is the scalar -- It's not
47 D, and the scalar becomes D if you're at BMSY, which means the
48 scalar is probably one, but I am confused by that, and I don't

1 know what the word "scalar" represents. Again, this example is
2 scaling ABC and not OFL, or MFMT, as the graph suggests, and so
3 there seems to be some confusion there.

4
5 Then it seemed like we need to define what is an acceptable
6 buffer, because everybody is worried about the buffer, but the
7 buffer is the end result of the process, and I think, if you
8 look at some of the other councils, they have similar buffers
9 that we do, and so do we start with that? Do we say we want a
10 buffer that's at least 10 percent, or at least 15 percent, below
11 OFL? If we do that, that's arbitrary, and it kind of defeats
12 the whole complicated, formulaic process of P* and uncertainty,
13 because, if we define an acceptable buffer, we can just apply
14 that to everything and simplify it.

15
16 I bring this up because we've talked about the Ralston method
17 for a decade now, and I keep pointing to Slide 16, and we've
18 been using a P* of 0.35 or 0.4, or 0.3 to 0.4, and, at 0.35 to
19 0.4, the buffer is about 10 percent, or 12 percent. At 0.3,
20 it's about probably 16 or 17 percent, and so, from the Center's
21 preference for the Ralston approach, 20 to 10 percent seems to
22 be an acceptable range, and I'm inferring that.

23
24 That's all my comments and suggestions. I'm glad we're doing
25 this, and it is going to take some time. Thank you, Shannon.
26 That was a good presentation.

27
28 **CHAIRMAN LORENZEN:** Thank you, Doug. Luiz.

29
30 **DR. BARBIERI:** Thank you, Kai, but I'm going to wait, because
31 what I really want to do is have more discussion of some of
32 these points, and so I think I'll wait until later, until we
33 have the additional components here.

34
35 **CHAIRMAN LORENZEN:** Okay. Thank you. Lee.

36
37 **DR. ANDERSON:** I'm tempted to wait too, but I would just like to
38 say that I agree wholeheartedly with Will. You're just changing
39 one thing, and Doug's point was the same thing. You can select
40 the 10 percent, and that's just doing it the other way. I
41 guess, no matter what we do, we're going to have some
42 arbitrariness, and I know there's a line in some law somewhere
43 that says you can't be arbitrary or capricious. Well, I think
44 we're going to end up being arbitrary no matter what we do, and
45 we won't be capricious, because we're going to be spending a lot
46 of time thinking about it and arguing about what the value of
47 the fee should be. I might come back in later. Thank you.

48

1 **CHAIRMAN LORENZEN:** Thank you, Lee. I'm not seeing any other
2 hands, and so I would actually suggest that I will go back and I
3 might do my little presentation, because I think, based on the
4 comments we had from Will and Doug and Lee, they were sort of
5 quite fundamental questions about the approach to characterizing
6 uncertainty, and so I think we should perhaps talk about that
7 before we get into the more detailed look at different ramps and
8 so on, and I think we should deal with the big-picture questions
9 first. Paul, do you have a question on this presentation,
10 before we move on?

11
12 **DR. SAMMARCO:** Thank you, Mr. Chair. Just a very brief comment
13 and a note to Shannon. Shannon, thank you very much for this
14 presentation. This is a very complex issue that you're talking
15 about, and that everyone has been talking about, but it needs to
16 be talked about.

17
18 Anything that will sharpen the edge of this knife, to make it a
19 little better, and a little bit more effective, I think helps
20 everyone, and so it may be perfect, and it may not be perfect,
21 and it maybe needs to be looked at a little bit more deeply, but
22 thank you very much for delving into it and presenting this to
23 us and providing more food for thought and more hands-on work.
24 Thank you.

25
26 **CHAIRMAN LORENZEN:** Dave, is that a question to Shannon's
27 presentation?

28
29 **DR. CHAGARIS:** Yes, I do have a question for Shannon, and excuse
30 me if it's maybe not the best place, but I don't see where it
31 might come up later, and so my question is actually going back
32 to the stock assessments, and I'm just curious what you guys
33 have attempted there with the Gulf assessments.

34
35 You say you invert the Hessian, and that generates the PDF, but,
36 if you look at what they're doing at the Beaufort Lab with the
37 BAM model, they have some other approaches, the MCBE analysis,
38 that seems to be able to reflect more of the uncertainty, at
39 least in a few of the key parameters, and I am just -- It seems
40 like we've kind of moved past that, and I'm just wondering if
41 that's all been fully explored, and is there potential to
42 resolve that issue at the assessment phase?

43
44 **DR. CALAY:** Dave, thanks. That's an excellent question, and
45 that is something that we have a working group on right now, and
46 Katie Siegfried can answer that question, since she is leading
47 that effort.

48

1 **DR. SIEGFRIED:** Thanks, Dave, for that question. Since I've
2 been on with the Gulf group, and I came from the Beaufort Lab, I
3 do have that perspective, and I've been working with Nathan
4 Vaughn and a whole working group, trying to develop some of
5 those uncertainty analyses for the SS models.

6
7 One of the things -- The place we're starting is with
8 forecasting, and what we're trying to do either develop the MCBE
9 approach, like what Beaufort does, or a multivariate normal
10 approach on the different parameters, which is what the ICCAT
11 group does, and pull all of those uncertainties out and then use
12 them as we project, and that sounds real simple, but I'm sure,
13 as you all know, that's -- We have to go through it individually
14 and determine how to do that for parameters and then work that
15 into the assessments as we go.

16
17 We have gag going now, and we have scamp going now, and we're
18 not sure that we're going to get these uncertainty analyses
19 completed in their totality by the end of those assessments, but
20 we do want to start reflecting more uncertainty through to the
21 end for our projections.

22
23 I do think that Lissa might be reaching out to you, Dave, about
24 some of the red tide stuff, and I know that Skyler and Francesca
25 have been working together on the uncertainties in their models
26 that are sort of proceeding in parallel, and so we are on it,
27 and we would like to talk to the panels and ADTs about this as
28 we continue to develop the uncertainty analysis.

29
30 **DR. CHAGARIS:** Thank you, Katie and Shannon.

31
32 **CHAIRMAN LORENZEN:** Thank you. Okay. Let me go ahead, and this
33 is really about -- What I am looking at here is not the ramping,
34 but it's the P* and uncertainty question.

35
36 Basically, the problem that we're looking at here is that the
37 ABC Control Rule is used to set ABC at a defined level of risk
38 of overfishing and based on scientific uncertainty, or the
39 sigma, and the council's risk policy, which is really what is in
40 the P*.

41
42 Most assessments underestimate scientific uncertainty, or the
43 sigma, and, therefore, the true risk of overfishing at a given
44 ABC is higher than implied by our application of the ABC Control
45 Rule, quite generally, and the purpose of the revision, really,
46 is to better characterize the true scientific uncertainty and
47 the risk of overfishing.

1 For example, here is the overfishing limit and the PDF of the
2 OFL, as it comes out of the assessment model, with a relatively
3 sort of narrow sigma, and we know that the true uncertainty is
4 typically a lot larger, and we usually don't know what the true
5 uncertainty is, but what we do know is that it's a lot larger
6 than what we're getting out of the assessment model, generally.

7
8 Then we have the Ralston method, which, basically, is a meta-
9 analysis-based approximation of the true uncertainty in
10 assessments, and, because, as was discussed, it was using
11 Pacific coast assessments in that meta-analysis, we believe it
12 reflects uncertainty in relatively data-rich assessments, and,
13 typically, the uncertainty that we will see in Gulf assessments
14 should be a little wider than that, but certainly the Ralston
15 meta-analysis should give us a closer approximation to the true
16 uncertainty than what we're getting out of our assessment
17 models, in general.

18
19 I am converting all of those probability density functions into
20 the cumulative probability of overfishing, and so that's what
21 looks like, and, I will hone-in on the central part here, and so
22 what I'm showing you in the next slide is just that central part
23 here, and so we have the probability of overfishing, as it comes
24 out of the assessment, the red dotted line, and what might be
25 the true uncertainty, that generally we don't know, and the
26 Ralston method, which is the black dashed line.

27
28 What we do is we go into our ABC control rule, the dimensions
29 table, and so say, out of that table, based on the
30 characteristics of the assessment, we derive a P^* of 0.41, and,
31 so basically, what we're looking at is a 41 percent probability
32 of overfishing, nominally, and we apply that to the assessment-
33 derived probability curve here, and so that's how we get the
34 ABC. In this case, that's where our ABC would fall.

35
36 Now, because we're actually basing this ABC on an application of
37 our risk policy to a sigma that underestimates the true
38 uncertainty, it also means that the de facto uncertainty that we
39 have at this level of ABC is a lot higher than our nominal level
40 of uncertainty.

41
42 Basically, if we go up there, you can see the de facto risk
43 would be what is implied by the actual uncertainty that we don't
44 fully know at that level of catch, and so, in this case, for
45 example, what we think of as a 41 percent level of risk of
46 overfishing would turn out to be actually a 47 percent risk of
47 overfishing.

48

1 What the new ABC Control Rule would do, as proposed, and this is
2 not thinking about the ramping feature, but we're looking at a
3 situation now where we have a stock that is not overfished, and
4 so we're just applying the F at the maximum fishing mortality
5 threshold to the population for the OFL and then applying a risk
6 policy to set the ABC, and then you can see that, basically now,
7 we have two things here.

8
9 We have the ABC that was set using our previous control rule,
10 and the true probability of overfishing here would be equivalent
11 to a P^* of 0.47, whereas, if we applied the intended P^* of 0.41
12 to the true uncertainty, or the uncertainty implied by the
13 Ralston method, we end up with a substantially lower ABC,
14 because we're switching from our underestimated uncertainty to a
15 more realistic estimate of uncertainty.

16
17 There are several options here, and, obviously, this does not
18 consider options that are not directly on the table at the
19 moment, and, basically, what this is look at it is what does our
20 current ABC control rule do, and so, if we keep it as it is,
21 basically, the consequence of that is that, because the
22 uncertainty estimate that we're using is unrealistically low,
23 the risk level is actually greater than was formerly assumed.

24
25 We could transition to the proposed new ABC control rule with
26 the Ralston sigma as the sigma min and keep the current formal
27 risk policy in place, and so that would be what on the previous
28 slide is the ABC you end up with to the left-most ABC, and so,
29 basically, what that would mean is that the ABCs would be
30 approximately correct, certainly more correct for the intended
31 risk level, than our ABCs are at the moment, but it will also,
32 almost inevitably, mean that we will get lower ABCs out of that
33 control rule than we're getting out of our current control rule,
34 and so we would have better science involved, and we would have
35 a more realistic estimate of uncertainty, and a reduced risk,
36 but the consequence is that the ABCs for a lot of stocks would
37 end up being lower.

38
39 Also, one could transition to the new ABC control rule with that
40 Ralston sigma as the minimum characterization of uncertainty,
41 but use what is the current de facto risk policy and sort of
42 basically make that formal, in which case what we would end up
43 with is a better characterization of uncertainty, but, because
44 we're accepting higher risk levels than we have before,
45 formally, but no de facto, and sorry if this is confusing, we
46 would not see a big change in management, and so we would end up
47 with similar ABCs, but we would acknowledge that actually the
48 risk level at which we are setting those ABCs is higher than we

1 thought.

2
3 Then Number 4 is that, of course, one can modify that risk
4 policy, either during the transition or later, and so there are
5 many sort of intermediate solutions, and, also, there are the
6 features that I haven't discussed here to do with the ramping
7 that also effectively applies modifications to the effective
8 risk policy as the stock declines.

9
10 Also, of course, there are options that are not mentioned here,
11 because I was looking specifically at our current control rule
12 versus the new proposal that Shannon presented, but there are,
13 obviously, options that are completely different, and I think
14 Will, Lee, and Doug alluded to that.

15
16 One could set the buffer and sort of divorce that more from the
17 direct use of the uncertainty, but it seems to me that, really,
18 the first question we should tackle in our deliberations about
19 this is that question of uncertainty, and do we feel that moving
20 to the sigma min approach gives us a better characterization of
21 uncertainty than we are getting directly out of the assessments,
22 and do we want to build the revised ABC control rule on that
23 basis, or do we feel that something more radically different is
24 needed, and I think we'll pose that question, and, obviously, I
25 would like to throw that back on the committee. Okay. That
26 concludes my presentation. Thank you. Any questions or
27 comments? Doug.

28
29 **MR. GREGORY:** I thought the analysis you did of the P* was
30 pretty damn eloquent, but I think, in one of your slides, you
31 had the lines mislabeled. You had the 0.41 and 0.47 backwards,
32 and it was on Slide 12. Am I correct in that? I understood
33 what you were talking about, and it lays out perfectly, and so
34 thank you for that.

35
36 **CHAIRMAN LORENZEN:** Thank you. There is one line here that --
37 No, I don't think there's anything mislabeled on this one,
38 although it's a little bit confusing, but let me take the other
39 questions. Thanks, Doug. Luiz.

40
41 **DR. BARBIERI:** I agree with Doug there, Kai. This is a great
42 way to discuss these issues and lay on the table some of the
43 factors here that we need to consider, and I don't have really a
44 specific question about your presentation, but, thinking about
45 it, I'm wondering whether we have a way, looking through what
46 we've done in the past, to assess the performance of the current
47 control rule.

48

1 I'm thinking about your Option Number 3 there that was presented
2 in your last slide, which basically says that we are probably
3 underestimating uncertainty, as we are doing this right now, but
4 what are the consequences of this underestimation of this
5 imperfect knowledge of what the uncertainty is, and, to me, that
6 would come from us looking at the performance of our ABC Control
7 Rule, in terms of -- If we are underestimating the actual risk
8 of overfishing, have we created problems there, in terms of
9 stock sustainability?

10
11 I think we had a presentation, and it's been years and years
12 ago, that I think Clay presented, and Shannon may remember this,
13 because it goes way back, where an assessment of this was
14 presented that was showing what the outcome of our ABC Control
15 Rule application had been, in terms of the actual ABCs and a
16 comparison in terms of the projections that come out of the
17 assessment and how that performance turned out, but, anyway, I
18 will stop there. Thank you, Kai.

19
20 **CHAIRMAN LORENZEN:** Thank you, Luiz, and I think that's a very
21 good point, and I don't know, Shannon, if you had your hand up -
22 - Is that a response to Luiz's recollection of that
23 presentation?

24
25 **DR. CALAY:** I was actually just noting that I don't have a
26 raise-hand feature on this webinar, and so I had typed it in the
27 chat, and we could certainly look for that presentation and
28 resurrect it. Certainly nothing has been done particularly
29 recently to address that, but we do have a number of ideas for
30 how that could be addressed, and it's really just a matter of
31 prioritizing the research questions.

32
33 **CHAIRMAN LORENZEN:** Okay.

34
35 **DR. CALAY:** Just, in closing, I did kind of want to say that I'm
36 going to present a variety of options that the Science Center
37 has provided to you, but what we want most out of this meeting
38 today is a conversation about what you are interested in seeing,
39 so that, for the next webinar where we discuss ABC control
40 rules, we can bring to you some of that supporting
41 documentation.

42
43 **CHAIRMAN LORENZEN:** Right, and that's what I was thinking, and
44 so this might be that past performance that might be a very
45 useful piece to bring. Thanks, Shannon. Lee.

46
47 **DR. ANDERSON:** First, I would like to say that I thank all the
48 presenters who went before, and especially Shannon. I may have

1 shone some bad light on her by saying it hasn't changed much,
2 but I think that the new thoughts on this is nice, and you can
3 separate those things out into two different things, but one
4 thing I would like to bring up, and that is, as an economist,
5 I've got to talk about opportunity costs.

6
7 We talk about -- In the back of my screen, I can see those
8 slides that Kai put up, and those different angles mean that, as
9 you change a little bit, we're changing how much fish we can put
10 on the dock, and that is the opportunity cost of doing that.
11 When we change this, we say that we reduce the risk of
12 overfishing.

13
14 What is the penalty for overfishing? We haven't mentioned that
15 at all. If we're going to pay a price to reduce the costs of
16 overfishing, to reduce overfishing, we ought to know what we're
17 gaining, and I have said this before, and sometimes we get a
18 little into it, but I think we should be a little more explicit
19 about what we're giving up when we're moving these things along,
20 and that's a lot of food on the table. Thank you.

21
22 **CHAIRMAN LORENZEN:** Thank you, and that's right, and that's
23 really where the risk policy aspect here comes into it, to
24 decide what is an acceptable risk and what are the consequences.
25 Thanks. Will.

26
27 **DR. PATTERSON:** In the first comments I had, I didn't thank
28 Shannon for her presentation, and I should have. It was quite
29 thorough, and so was Kai's here, and, obviously, the intention
30 was not only to propose perhaps a modification, or change, in
31 the control rule, but, as a thought exercise, to think about
32 where we have been, and potentially where we could go, and so I
33 think both presentations did a really nice job of doing that.

34
35 As far as Kai's presentation here, I think sigma -- It is a
36 measure, or a proxy, for uncertainty, but the reason we say it
37 doesn't fully capture uncertainty is because, really, it's a
38 measure of the precision, or imprecision, in our estimate of
39 OFL. In all of these assessments, when we accept them as the
40 best scientific information available, we're basically saying
41 that the OFL produced is accurate, but we know that it's not
42 accurate and that there's bias in that estimate, and then the
43 sigma -- We're basically, in this approach, in this P* approach,
44 we're indicating that, okay, this is capturing the bias and the
45 precision, imprecision, in that estimate, but it doesn't quite
46 do that.

47
48 The P* itself really isn't a measure of risk, but it's just a

1 measure of the probability of overfishing, given -- Just
2 predicated on the assessment results, either imposing a sigma or
3 driving sigma from the assessment result, but it's just the
4 probability of overfishing, and so the risk, as Lee points out,
5 is much more complicated than just the probability of
6 overfishing, because then you also have opportunity costs, and
7 we haven't really looked at, as Luiz's question pointed out, how
8 well the control rule has performed, and, really, there are two
9 main objectives, to avoid overfishing and to produce OY.

10
11 Well, as we all know, OY is ill-defined in all of these
12 examples, and there are some proxies for OY that have been used,
13 such as in the Restrepo et al. approach, but Lee's comments
14 about yield foregone are important, and they become more
15 important the closer the biomass is to BMSY or being above BMSY.

16
17 We tend to think of things as around the MSST, because, for many
18 of our stocks, they are there, or between there and BMSY, and
19 we've done a good job, since 2011, of avoiding overfishing, in
20 most cases, and so the stocks are trending upward. However,
21 there will come a time when the stocks are recovering to such a
22 high level that people really start to question what are these
23 buffers doing, and so there's not only the opportunity costs,
24 but then there's also the management buy-in costs.

25
26 That should be something the council, more so than us here at
27 the SSC, is really focused on, is what are you getting for this
28 reduction of two or three million pounds, or whatever it ends up
29 being for a given assessment, and so, again, I will just
30 reiterate my earlier comment about an approach that really
31 scales this as a percentage reduction, and so, if you have an
32 FABC that is a reduction as a percentage from FMSY, which is
33 really the yield from that, and that's the OFL estimate, then
34 that scales as the population recovers.

35
36 As the population approaches BMSY, or exceeds it, then that
37 buffer shrinks, which makes sense, intuitively. It should, and
38 you could put into place an ACL, perhaps, control rule, on the
39 council side, that avoids any type of management measures that
40 are required as penalties for exceeding the ACL on that end,
41 once you're above BMSY, and you're in a much safer zone, and so
42 the penalties should be much less severe, and so that issue of,
43 well, we're too close to the OFL, and that causes issues
44 downstream for the ACL, you can alleviate that by creating
45 commonsense rules on that end of it.

46
47 Anyway, I really appreciate the thought exercise here, from
48 Shannon's earlier presentation and then from Kai's approach

1 here, but I just don't think -- I don't think this is enough of
2 a change from what we previously had that it's going to change
3 the outcome of what we've previously done.

4
5 **CHAIRMAN LORENZEN:** Thank you, Will. Jim.

6
7 **DR. NANCE:** Thank you, Mr. Chairman. I really appreciate both
8 Shannon's and Kai's presentations also, and I think, for me, the
9 biggest impact is the concept of divorcing P^* and sigma, and I
10 really do think that's important, so that we're talking about --
11 In our discussions, if we're talking about sigma, we have that,
12 and what's the range of that value, and then, once we determine
13 that, through some scientific means, whether it's modeling or
14 whatever, and we have a better estimate of that sigma, then we
15 can use a P^* type thing to then provide a buffer that's for ABC,
16 and so I do think that it's important that we divorce those two
17 concepts, and I appreciate that. Thank you.

18
19 **CHAIRMAN LORENZEN:** Thank you, Jim. Anyone else? I guess there
20 are two ways we could go from here. We can continue to discuss
21 -- I think the first big question is about the characterization
22 of uncertainty here, and we can continue that, or we can look at
23 the examples that Shannon has and then return to that question.
24 Doug.

25
26 **MR. GREGORY:** Thank you. To what Jim said, we did divorce the
27 two concepts. The council told us to use any risk level between
28 0.3 and 0.4, and we use the spreadsheet to determine that. I
29 mean, they're not completely separate, but the problem was, when
30 we went to the council and said, well, what risk level do you
31 want, they turned around to us and said, well, what do you
32 recommend, and we ended up with what we got. In a way, it is
33 kind of separate. The council did set the risk level, but they
34 gave us a range to work with. Thank you.

35
36 **CHAIRMAN LORENZEN:** Thanks, Doug. Luiz.

37
38 **DR. BARBIERI:** Thank you, Kai. Really quickly, I just want to
39 bring up a point on something that Will said earlier that I
40 think is important, and, Will, correct me if I'm wrong, but I
41 think what he brought up is, right now, we are looking at this
42 exercise here and focused on the within-assessment uncertainty
43 characterization, and I think what he was bringing up is that
44 there's another component between assessments that also needs to
45 be taken into account, and, of course, the Ralston approach
46 explicitly tries to account for this, but, still, we don't know
47 how different assessments that are conducted, using either
48 different models or different data streams, could actually come

1 up with different values of that MSY, and they're still
2 estimates, right, and so, to some extent, this is something that
3 we struggled with, to some extent, and I think it's an important
4 point, and so I just wanted to bring this up.

5

6 **CHAIRMAN LORENZEN:** Thank you, Luiz. Will.

7

8 **DR. PATTERSON:** There was a meeting, about a year or so ago,
9 where Clay actually presented sort of an alternative approach
10 here that had percentage reductions from OFL as part of an
11 alternative ABC control rule, and, as we move forward with this,
12 I guess it will depend on the ideas of the SSC and what folks
13 want to pursue here, but, as we move forward with this, it seems
14 like there could be a parallel process, where that other type of
15 approach was also included, if we wanted to look at performance.

16

17 I think it would be important to do that, not just at the types
18 of stock levels that we see now relative to MSY estimates, but
19 also as stock levels approach BMSY or above that, because we're
20 heading in that direction, as the Act was intended to push
21 things. If you're not overfishing, then you're building to
22 biomasses that are above your current level.

23

24 I would like to see that, and the other thing I just need to say
25 here is, unfortunately, I've got to jump off this for a little
26 bit, starting at 11:00 Eastern time, and so I'm going to miss a
27 bit of this discussion, but hopefully I can jump back in
28 whenever I get back on the webinar.

29

30 **CHAIRMAN LORENZEN:** Thank you, Will. Shannon.

31

32 **DR. CALAY:** Thanks, Will. The Science Center will certainly
33 pull up all of the candidate presentations we're given over the
34 years, and we have been working together, in a cross-laboratory
35 ABC control rule effort, and this Tier 1 proposal that I'm
36 showing you is essentially the result of that to-date, although
37 that is still certainly under consideration, and so I will be
38 showing you, in the spreadsheets, a lot more about the Ralston
39 approach and about how these control rules actually function and
40 what bells and whistles there are that could be considered by
41 this SSC, and so hopefully things will become a little bit more
42 clear when we go through the examples, but, in any case, if
43 there are alternative approaches the SSC would like to discuss,
44 we would be more than willing to consider those as well.

45

46 **CHAIRMAN LORENZEN:** Thank you, Shannon. What I suggest is we do
47 a short break, until 11:00 a.m. Eastern, and then we'll follow
48 that up with your demonstration, Shannon, so that we have

1 everything on the table, and then we'll return to the bigger
2 discussion, and so let's take a break for twelve minutes, until
3 11:00 a.m., and then we'll hear what you have to show us. Thank
4 you.

5
6 (Whereupon, a brief recess was taken.)
7

8 **CHAIRMAN LORENZEN:** Okay. It's 11:00 a.m., and so let's get
9 back into the swing of things, and so next up is Shannon with
10 her demonstrations.

11
12 **DR. CALAY:** All right. I am ready when you are, Kai. Thank
13 you. There are several tabs in this spreadsheet, and the one
14 I'm looking at is called Pre-Decisional Gulf of Mexico Fishery
15 Management Council ABC Rule Demo Version 3. A reminder that
16 this is, so far, just Tier 1 of this control rule.

17
18 The very first thing that I just wanted to discuss again is the
19 Ralston approach, just so that we're all clear on how this is
20 working, and, essentially, the Ralston approach does create a
21 direct mapping between sigma, P^* , and the percent of OFL that
22 will be produced, and that is what is shown in this Figure 7,
23 which is from the Ralston document.

24
25 Just to assure myself that I have correctly coded the Ralston
26 approach, I have gone ahead and calculated it here in this
27 spreadsheet tab, which is called ABC OFL Buffers. Are you guys
28 able -- Can you see my pointer?

29
30 **CHAIRMAN LORENZEN:** Yes.

31
32 **DR. CALAY:** Okay. Good. Thank you. Here in Column A, I have
33 the P^* from 0.5 to 0.25, and standard deviations of 0.36, 0.54,
34 0.72, and 1.44. I have this coded so that you could change the
35 D multiplier that is actually specified in the ABC Control Rule,
36 but let's not do that right now. Let's just leave that at one,
37 so that we can see how -- That this maps to the Ralston paper,
38 and I will tell you that it does, but what I am pointing out
39 here is that, as you increase the sigma, the buffers that are
40 produced become larger, and so, obviously, at a P^* of 0.5, there
41 is no buffer, in any case, between OFL and ABC, at any level of
42 sigma, but let's look at 0.4.

43
44 At a P^* of 0.4, and a sigma of 0.36, the ABC is 91 percent of
45 OFL, and, by the time you get down to what Ralston called a
46 data-limited sigma of 1.44, your ABC is 69 percent of OFL.

47
48 Then, if you were interested in looking at the value of various

1 Ds, while changing sigma, that's what is here on the right-hand
2 side, and so you can change this sigma say to 1.44, and look at
3 various Ds, and you will see that this Column F here, with a
4 sigma of 1.44, and a D of one, corresponds to this sigma here,
5 and so this is just a tool for you to explore how this functions
6 in a demonstration that, in fact, I am able to return the same
7 values that you see in the Ralston paper.

8
9 That's just this figure here, which shows you the buffer, the
10 fraction of OFL that is ABC at the various sigma, and it does
11 correspond exactly with what's in the Ralston diagram.

12
13 Remember that those Ds are actually a function of the stock
14 size, and, as you would expect, as the stock size decreases, the
15 D value also decreases, and the buffer between OFL and ABC
16 increases, and so that's all I'm showing you here, and it is the
17 behavior that one would expect to see.

18
19 Moving back to the ABC control rule that appears in that
20 presentation, this is on the tab of the spreadsheet called
21 Example of Control Rule, and what I've done here is just a
22 little fake population that has a BMSY of 1,000 units, a B
23 critical value of 10 percent of BMSY, and the MSST is 50 percent
24 of BMSY, as it is for many of the Gulf stocks. The scalar,
25 which we can just leave alone for now, and I will describe this
26 again later, is set to one, which is what we would consider the
27 default, and it would apply to anytime that the council employs
28 a P^* less than 0.5.

29
30 There's a place here that you can put an M value, if your MSST
31 calculation actually does involve M, which it does still for
32 some Gulf stocks, but it's not used in this particular
33 spreadsheet, and here is a place that you can put in a new sigma
34 min value, or a new P^* , and it will recalculate the Ralston
35 multiplier, which is that, essentially, just the buffer, and it
36 is the fraction of OFL that corresponds with ABC, and so this
37 0.91283 just means that, at sigma 0.36 and P^* of 0.4, ABC is
38 91.3 percent of OFL.

39
40 These first two columns just calculate the D value, and remember
41 D is that ramping feature, and so, when you're above -- Let's
42 use the BMSY one first, in Column O, and that corresponds the
43 blue line here, and so, in this one, the ramp is calculated with
44 the hinge at BMSY, and it's the blue ramp, and so, when you're
45 at or above BMSY, which, again, is 1,000 in this case, then the
46 ramp, the D value, is simply one, and so there is no deduction
47 due to the biomass level, but, at values below BMSY, you start
48 to see that ramping feature, where you apply a buffer just on

1 the basis of how far below BMSY you are, and it's a linear -- In
2 this case, it's just a linear decrease between BMSY and B
3 critical, which here remember is 10 percent of BMSY.

4
5 The Column P is that same ramp, but now applied to hinge at MSST
6 instead of BMSY, and so this one is one above MSST, which is
7 500, and then it descends to zero, an ABC of zero, at B
8 critical, just like the blue line did, and now Columns Q and R
9 calculate the actual -- I am going to call it a buffer, even
10 though that's a poor word, but the actual fraction of ABC,
11 fraction of OFL that is ABC, when you apply both the ramp and
12 the Ralston buffer, which is controlled, again, by the sigma min
13 and P*.

14
15 You will see here now that, when you're above BMSY, or the
16 application of the ramping feature at BMSY, the only deduction
17 here for scientific uncertainty is due to the Ralston
18 multipliers, and, likewise, with the MSST ramp, anything above
19 MSST, the only deduction from OFL is due to the Ralston
20 multiplier and not the ramping feature.

21
22 This is able to be adjusted, and so, for example, if you wanted
23 to say sigma min was much smaller, and let's say it's more like
24 0.1, which is more akin to what we get out of our stock
25 assessments, and that the P* is roughly 0.4, which is not too
26 far off what we typically use in stock assessments, you will see
27 that the buffers, when you're above the hinge point, are very
28 small.

29
30 Even when you're looking at MSST, and so this column R with a
31 hinge at MSST, it's very much like how our current rule
32 functions, and it produces very small buffers when you're above
33 MSST, because we're applying FSPR 30 directly, MFMT directly,
34 and what's different is that these values below the hinge are
35 now created by the ramping feature, when, under the current
36 control rule, they're produced from a projection of F rebuild.

37
38 Then, if you wanted to say a sigma min of much larger, and say
39 you're looking at a sigma min of 0.5, then all of these buffers
40 are recalculated based on the new buffer that would apply from
41 the Ralston approach, and so you can also, here, adjust the B
42 critical value, if you wanted to look at something different.
43 If you wanted to remove it entirely, you can, and now it's gone.
44 If you wanted to look at a higher B critical value, say 20
45 percent of BMSY, you can do that, too. This is how the control
46 rule functions for these two options. Are there any questions
47 so far, before I move into the examples?

48

1 **CHAIRMAN LORENZEN:** Any questions for Shannon? I am not seeing
2 any hands, and I guess we're good to go.

3
4 **DR. CALAY:** Okay. All right. First, I will look at a stock
5 that is actually above BMSY, and so we're way out in this range
6 here, where the only buffer you're going to get is due to the
7 Ralston sigma and P* values.

8
9 This is from your SSC report, or, actually, this is from our
10 executive summary, and it just shows you the actual values that
11 come from the vermilion snapper base case, and this is from your
12 SSC report, and so the OFL that was selected by the SSC is 8.6
13 million pounds from 2021 to 2025, and so that's what I have
14 typed here in Column O, is 8.6 million pounds. The ABC selected
15 by the SSC was --

16
17 **MR. RINDONE:** Shannon, can you zoom-in just a little bit? Some
18 of these numbers might be a little hard for some to see. Thank
19 you.

20
21 **DR. CALAY:** Thank you for bringing that to my attention. The
22 ABC that was selected by the SSC, and I do so love the acronyms
23 we use, was 7.27 million pounds for the same period of years,
24 and it was actually computed from the FOY, and so it's the yield
25 at 75 percent of F SPR 30, and that's what I have typed here in
26 these cells, O-14 through 18, is the current ABC.

27
28 Again, in this case, we're above BMSY, well above, in fact, and
29 we're at about 1.74 times BMSY, and I have just selected a B
30 critical value, and it doesn't matter in this case, of 10
31 percent, and the MSST is set at 50 percent of BMSY, a scalar of
32 one. Sigma min, from the data-rich Ralston species, is 0.36,
33 and the theoretical P* I selected is 0.4, and, so, again, this
34 returns a multiplier, so to speak, from the Ralston approach of
35 about 91 percent, and that's exactly what you see here and here.

36
37 Remember that, in this case, whether you apply the ramp at BMSY
38 or at MSST, you are above BMSY, and so the only deduction that
39 would be taken between OFL and ABC is due to the Ralston sigma
40 min and the Ralston P*, and so ABC is 91.3 percent of OFL for
41 either approach, and that corresponds to 7.85 million pounds,
42 because you're reducing this directly from OFL. You're applying
43 that multiplier to reduce from OFL, and so this is not
44 calculated now on the basis of FOY, and it's calculated as a
45 reduction from OFL, which is computed using F SPR 30. Is
46 everyone clear on this example?

47
48 **CHAIRMAN LORENZEN:** I can't see any hands, but I just wanted to

1 add here that I implied, in my presentation, that usually we'll
2 see, by moving to the Ralston sigma and keeping the current risk
3 policy, we will often see a reduction in ABCs, and that is not
4 the case here, but the reason is that, in this case, we
5 determined ABC based on OY, rather than using the P*.
6

7 **DR. CALAY:** That's exactly correct.
8

9 **CHAIRMAN LORENZEN:** Just to verify that. Okay. Thank you, but
10 I don't see any other hands.
11

12 **DR. CALAY:** Just so -- You will see it in the subsequent tabs,
13 but the current application of OFL and ABC produces an ABC that
14 is 84.5 percent of OFL, whereas either of the two suggested
15 approaches produces an ABC that is 91.3 percent of OFL, and so
16 that's what these percentages mean.
17

18 I did want to point one thing out, which will apply to any of
19 these examples, and that is that, in our proposed control rule,
20 that D value, that scalar, actually depends on the biomass, the
21 spawning stock biomass, level.
22

23 In this particular case, because you're above BMSY, nothing will
24 change, but, if you are in a rebuilding condition, that BMSY
25 level will increase each year as you rebuild, and so you'll see
26 this when we get to amberjack. There is a nuance that we could
27 put in where we actually recalculate D in each year, to give you
28 the most fish you could possibly get in a rebuilding plan, but
29 that has not been done yet for this spreadsheet.
30

31 King mackerel is actually between MSST and BMSY, and so it's
32 very close, in fact, to BMSY, and it's at 92 percent of BMSY,
33 and it's at 1.12 percent of MSST. For those of you who are
34 like, oh my god, but it's MSST 50 percent of BMSY, yes, it
35 almost always is, but, in this particular case, for king
36 mackerel, MSST is still one minus M times SSB at MSY.
37

38 **MR. RINDONE:** Excuse me, Shannon. You mean 112 percent of MSST.
39

40 **DR. CALAY:** Thank you. Very correct, as usual, Ryan. Thank you
41 very much. This is why a tag-team approach is always a good
42 plan. Right. We're at 112 percent of MSST, 92 percent of BMSY,
43 with king mackerel.
44

45 We're basically in this region where these two proposals differ
46 somewhat, right, but we're very close to BMSY, and so the
47 difference should be small, and, again, I have left the
48 specifications the same, except for that MSST now is actually

1 one minus M times BMSY, as it is for the current management
2 advice. Sigma min is still 0.36, and P* of 0.4.

3
4 Now you will see that, because you're above MSST, the only
5 reduction here is because of the Ralston sigma and P*, but
6 you're actually below BMSY, and so you're now invoking the ramp,
7 to some extent, and so that's why this reduction is actually a
8 little bit larger, because there is that ramping feature now
9 being invoked, and so, in summary, these are your current OFLS,
10 in Q-7 through 9, and, in Q-11 through 13, these are your
11 current ABCs, which, in this case, is from a projection of
12 actually another one that's an OY projection, and it's actually
13 the projection of 85 percent of SPR 30.

14
15 It produces ABCs that are between 86 and 89 percent of OFL in
16 the current situation. If you use the BMSY ramping feature, it
17 produces ABCs that are 83 percent of OFL, and, if you invoke the
18 MSST ramping feature, you're at 91.3 percent of the current OFL,
19 but these are relatively similar, because you are in this area
20 where the two control rules behave similarly. I am going to
21 move on to amberjack, which is the stunning example, as long as
22 the group is ready.

23
24 **CHAIRMAN LORENZEN:** Shannon, just to add again, and so this is
25 interesting, and, again, the second example was one where we
26 used FOY, and it -- It's a little more complicated, and they're
27 closer together, as you said, and sometimes the application of
28 the new control rule, depending on how you do the ramp, might be
29 a little less conservative than what we get out of the FOY here,
30 and so I think this is something interesting to note, that,
31 compared to some of our FOY approaches to setting ABC, this new
32 control rule may not always be more conservative, and it could
33 be the opposite, compared to the P*, as we have used it in the
34 past with the assessment-based PDF, and that should generally be
35 -- The new approach should generally return more conservative
36 ABCs, and so that's just something to note for our later
37 discussion. Thanks.

38
39 **DR. CALAY:** Yes, thanks.

40
41 **CHAIRMAN LORENZEN:** Doug.

42
43 **MR. GREGORY:** Just a question, an observation. Using MSST, that
44 S column, you get a buffer that's 9 percent from OFL, but, with
45 the BMSY, it's 17 percent, sixteen-and-a-half percent, and I'm
46 surprised at that large difference, given that the biomass is at
47 92 percent of MSY. Is it because the biomass is closer to the
48 MSST than it is to the MSY? Does that difference make -- Does

1 the location of the current biomass between MSST and MSY make a
2 difference?

3

4 **DR. CALAY:** Yes, it does make a difference.

5

6 **MR. GREGORY:** I'm surprised it was that large though, and that's
7 all. I am not questioning the --

8

9 **DR. CALAY:** Right here, where you're about at -- Let's see, and
10 I think you're at 0.92 percent of BMSY, correct? Yes, 0.92, and
11 so this is the part of the rules that you're in, and so, if you
12 apply the MSST rule, you're only looking at the buffer caused by
13 the Ralston scalar, and there is no D, ramp, feature at all
14 here, right, not at 0.92, because you're above MSST.

15

16 If you go down to the blue line, now you're invoking this
17 ramping feature, because you're below BMSY, and the reason why
18 this difference is so large is because this linear regression is
19 quite aggressive, which is what I'm about to show you with the
20 greater amberjack example. It's aggressive, and it's, frankly,
21 a little bit more aggressive -- Well, maybe even significantly
22 more aggressive than our typical rebuilding plans, and so the
23 Science Center has some thoughts about that, too. This could
24 still be something that we are able to further examine.

25

26 **MR. GREGORY:** Yes, and I know the North Pacific Council uses an
27 alpha of 0.05 for their adjustment, for their D, I think, but,
28 okay, let's go on. Thank you.

29

30 **DR. CALAY:** There are refinements that we are willing to make,
31 and that's one reason to show you these examples, so that we can
32 have that discussion, and we can bring them back and look at
33 some options that might be of further interest to the SSC, and
34 so here's where you're going to see how aggressive this ramping
35 feature can be, and so here's greater amberjack, which is
36 currently overfished and in a rebuilding plan, and here are the
37 OFLs and ABCs that are on record from the SSC report, and,
38 again, that's what I have typed in here to Column Q, and 8
39 through 10 are current OFLs, and, in Q-12 through 14, the
40 current ABCs, and, in this case, derived from a rebuilding plan.

41

42 Now, if you invoke the ramping feature beginning -- Let's go
43 down, and it doesn't really matter where we start, and so the
44 MSST, again, is 50 percent of BMSY, in the case of greater
45 amberjack, and I have just used the same default sigma min and
46 P* that are in the other examples, and these can be adjusted, if
47 you want to see the effect, but what you'll see here is you are
48 now at 34 percent of BMSY in this example.

1
2 You are way down here, right, right about here, where the
3 ramping feature is causing a very big buffer now between OFL and
4 ABC, bigger than the Ralston buffer by a substantial margin, and
5 the difference between the MSST inflection point and a BMSY
6 inflection point is also pretty pronounced, and so here is what
7 is actually produced now when you look at the combined effect of
8 both Ralston and the ramp when you hinge at BMSY, is that the
9 ABCs that are produced would be 25 percent of the current OFL.

10
11 You will see here that the current ABCs derived from the
12 rebuilding plan are roughly 1.25 to 2.27 million pounds. If you
13 do it just from the control rule, as described in the blue line,
14 you get values of 0.4 to 0.68 million pounds, about 25 percent
15 of the OFL, and that's what you would expect to see, given that
16 you are on this blue line between 0.3 and 0.4, and so that's
17 exactly what you would expect to see from this control rule.

18
19 If you use the MSST ramping feature, you're at-- Again, you're
20 between 0.3 and 0.4, and you would expect to see about 55
21 percent, ABC about 55 percent of OFL, and that's exactly what
22 you get, and those values are 0.9 to 1.5 million pounds, 55
23 percent of the current OFL, and so I think you'll see here that
24 both of these approaches are substantially more conservative
25 than the rebuilding plan, which is actually something that,
26 frankly, surprised the Science Center a little bit, is how
27 aggressive these linear connections between B critical and B
28 hinge, so to speak, are.

29
30 We do have a few thoughts about that, but I can let that sink in
31 for a moment, and, if you have any questions about this
32 particular slide, we can address them.

33
34 **CHAIRMAN LORENZEN:** I can't see hands, because we're looking at
35 your screen, and so, Jessica, if you see anything, let me know,
36 and we'll let people ask.

37
38 **MS. MATOS:** I don't see any hands, as of now.

39
40 **CHAIRMAN LORENZEN:** Okay.

41
42 **DR. CALAY:** Well, one thing, before we continue, that I wanted
43 to point out is that even this hinge, which begins at MSST,
44 which is the less conservative of the two options, still is
45 actually more conservative than the current rebuilding plan, and
46 there are, obviously, some reasons for that, right? The current
47 rebuilding plan is based on a projection of F rebuild that is
48 limited in the amount of uncertainty it includes, and it only

1 includes the amount of uncertainty that is contained in the
2 stock assessment itself, and so it still suffers from the same
3 constraints as our determination of OFL itself.

4
5 It is based on an assessment with fixed parameters, many fixed
6 parameters, including M and growth parameters, selectivity,
7 retention, et cetera, and it's based on a presumption that we
8 understand recruitment in the future, and it's an assumed
9 recruitment, and it's assumed fishing allocations, assumed fleet
10 dynamics, and so I think we can all agree that the rebuilding
11 plan itself is -- The uncertainty of that rebuilding plan is
12 underestimated, but, that being said, we were -- We had some
13 thoughts about the shape of this linear feature, and, obviously,
14 this can be handled a variety of ways.

15
16 One could, for example, create a curve that links these two
17 segments between B critical and B hinge that would be less
18 aggressive when you're at higher stock size, and then a more
19 dramatic approach as you reduce the stock towards B critical,
20 and so that's an approach that I am not going to show you.

21
22 What I will show you is essentially the application of a second
23 hinge, and so now what you can do is control the slope of this
24 decline between the hinge and the B critical value. This is
25 meant to be knife-edge, and so let me make it knife-edged right
26 here, and so that's the way it essentially functions, is that
27 there would be -- At B critical, you would go to F equals zero,
28 but you can control, essentially, the slope of this decrease
29 between the hinge and B critical by essentially controlling this
30 parameter that I have called buff inflection, because I couldn't
31 think of anything better, and I'm sure that Clay would have a
32 much better name for this, and so I have set it at 30 percent,
33 and so it would be, at this inflection point here -- This new
34 hinge would occur at about 30 percent, where ABC is 30 percent
35 of OFL.

36
37 Then there is a Ralston deduction applied, and so it doesn't
38 look like -- It's not exactly 30 by the time you do all the
39 calculations, but, for example, you could set this hinge higher,
40 so that the slope is less pronounced, or you could set it at
41 zero, in which case there is no inflection at all, and it's the
42 same rule that I showed you earlier.

43
44 The caveat to a proposal like this, or a curve linking these two
45 parts of the series is that the Science Center has no
46 information yet to tell you what would be an appropriate buff
47 inflection, I'm going to call it for the time being, and we
48 could set this at 0.3 and use a control rule like this, and what

1 we would need to do is look at our rebuilding plans and make
2 sure that this is -- That this continues to allow the stock to
3 rebuild within ten years, that it's at least as -- That it
4 performs at least as well as our rebuilding plans, and that we
5 have not done yet, and so I could not tell you what the exact
6 value of this new hinge point should be, or, in the case -- If
7 you wanted to use a curve instead of a straight line, I couldn't
8 tell you the actual shape of that curve, and we would have to
9 look at it against our rebuilding plans, to make sure that it
10 functions properly, but these are all options that are on the
11 table for further discussion.

12
13 **CHAIRMAN LORENZEN:** Thank you, Shannon. I guess you're asking
14 for questions at this stage?

15
16 **DR. CALAY:** Yes, and, basically, the kinds of questions that the
17 Science Center is really asking for is what are your questions
18 about this particular approach, and what might you need from the
19 Science Center to make you feel more informed about the
20 selection of some of these decisions, or, alternatively, if
21 there are additional approaches that you propose, we could
22 examine how those function as well.

23
24 This is really an opportunity, now, for the SSC to weigh-in on
25 what you've seen and what you would like to see for the next
26 meeting of the ABC control rule discussion.

27
28 **CHAIRMAN LORENZEN:** Let's see if we can deal with any questions
29 specifically about what Shannon just demonstrated first, and
30 then I think maybe she can hand back control, and we can get
31 back to our speaker list. If you have questions specifically
32 that basically will require her to go back and show you other
33 demonstrations, or play with these, then let's deal with those
34 questions first. Doug.

35
36 **MR. GREGORY:** I think I follow you, but I don't know how this
37 fits in. If you use a different scalar, you change the slope of
38 the descending line, and I know, in the North Pacific, they use
39 a scalar of 0.05, and I have played around with it, and changing
40 that to 0.25, and I did a more steep line, and it's intriguing,
41 how you came up with this idea of like a double hinge, and I
42 never would have thought of that.

43
44 A basic question is, with an MSST of 0.5, we need to be
45 aggressively reducing the fishing mortality rate. We're talking
46 about a population that's at 25 percent of its virgin biomass,
47 and I don't know if there's any empirical evidence or
48 experiential knowledge within the Center, or within NMFS, that

1 was similar to the kind of studies that were done in the early
2 1990s about SPR, that basically said -- I think it was Gabriel
3 who said, well, if you get below 20 percent SPR, you're at risk
4 of recruitment collapse.

5
6 I think of 50 percent BMSY as that same level, and so I really
7 question whether we should ever allow MFMT to stay high, between
8 MSY and MSST, and now, with one minus M, that's a totally
9 different story, and we can talk about this later. Thank you.

10
11 **DR. CALAY:** I would like to respond to the initial part, where
12 you discussed the scalar. I don't think we're using the two
13 terms in the same fashion, and I can show you most easily on the
14 graph with the single hinge, but, really, this was a control
15 rule that we developed initially for the Caribbean Council, and
16 the concern was that they would set P^* at 0.5, and so there
17 would be no scientific uncertainty, basically when they were
18 either above -- In their case, above BMSY, and so there would be
19 no scientific uncertainty applied.

20
21 All that this scalar allows you to do is, if that happens, and
22 the council sets P^* at 0.5, you could use the scalar to create
23 the buffer, and so then you're just using a scalar of 0.9, for
24 example, which means that, rather than the P^* , rather than the
25 Ralston approach et al., you're just literally multiplying the
26 ramp multiplier by 0.9.

27
28 Really, that was just an attempt by us to give the SSC another
29 tool to create a buffer, in the event that the council wanted to
30 choose a P^* of 0.5, which, by law, I believe that they can.

31
32 **MR. GREGORY:** Well, maybe I'm talking about the D. I did note,
33 in the earlier graph, between what was called scalar and D.

34
35 **DR. CALAY:** Right.

36
37 **MR. GREGORY:** Whatever the ramping mechanism is, you can change
38 that slope, by changing B critical.

39
40 **DR. CALAY:** That's correct, and there are -- Basically, we can
41 change B critical to zero, for example, and you could not use B
42 critical at all, if you don't want, and then it just descends to
43 the origin, but, in addition, we can create a different slope
44 here, either by employing some kind of a curve or linear
45 function, or by employing that second hinge, like we showed in
46 this example.

47
48 It really depends -- What this value would be depends a little

1 bit on whether you choose to create that decline ramping feature
2 at MSST or at BMSY. If you're going to do it at BMSY, then this
3 slope could be less aggressive, right, because you're responding
4 immediately.

5
6 As soon as the stock is below the level that produces MSY,
7 you're already reducing the fishing mortality, whereas, with the
8 current MSST definitions, you're not responding to that. The
9 stock is below the level that produces BMSY, and you allow it to
10 get lower and lower and lower and lower, until it reaches that
11 MSST value, and then we create a rebuilding plan, but, by then,
12 you're already in a place that, as we have shown through
13 simulations, that you are unlikely to get to without
14 overfishing, and this did not arise because of variability in
15 recruitment or natural mortality. It arose because overfishing
16 was occurring.

17
18 Furthermore, you're at a place where you have longer rebuilding
19 plans, and potentially more aggressive rebuilding plans, than
20 you would have been if you responded much earlier, and so I
21 think the Science Center certainly supports the idea that I've
22 heard from Doug, for example, where we would respond, in some
23 way, beginning at BMSY.

24
25 How aggressive that is is really a matter of determining the
26 SSC's comfort, as well as some simulation studies to make sure
27 that the control rule performs well, and it is not any more --
28 Well, that it doesn't violate any of the tenets of NS 1, for
29 example. If a stock is overfished, we do want to rebuild it as
30 soon as possible, but, in many cases, no longer than ten years.

31
32 **MR. GREGORY:** Another reason for the blue line to start going
33 down at MSY is you keep fishing at MFMT, but the biomass is
34 between MSST and BMSY, and you will never get back to BMSY,
35 because it will grow asymptotically, will it not, and so have to
36 reduce fishing mortality below that to get back to BMSY, and,
37 historically, in the scientific literature, fishing beyond BMSY
38 is considered overfishing, but it would our dear Congress and
39 guidelines that created MSST. I think that's just an artifact,
40 and I don't think MSST has a basis in what is true overfishing
41 or a threat to a population. Thank you.

42
43 **CHAIRMAN LORENZEN:** Harry.

44
45 **MR. BLANCHET:** This is kind of related to where Doug was going,
46 I believe, and, for those who know me, you're not going to be
47 surprised about this at all, but how about making this even more
48 complex, and it seems that what we really are talking about is

1 the issue between BMSY and the hinge point and whether it stays
2 flat or not, and it seems that we should have a reduction,
3 potentially, and this is a council-type of a discussion, but a
4 reduction in that F prior to getting all the way down to the
5 MSST.

6
7 Then, when you get to the MSST, then the slope becomes more
8 severe, so that there is a penalty for getting more of the MSST,
9 but there is also a response to being below BMSY, and so,
10 essentially, a lesser slope, and not zero, but a lesser slope,
11 down to the MSST, and then continue at some -- I have no problem
12 at all with that last -- At some point, dropping from, as you've
13 got right here, going from point-four-something down to zero,
14 when you get to 0.1.

15
16 The other point is that we're talking about all of these in
17 terms of rates, and, when the council looks at it, they're going
18 to be thinking in terms of millions of pounds landed, which is
19 going to be a different picture, because, when you're at those
20 lower biomass levels, your harvest is going to be reduced, just
21 because you have less biomass to harvest, and so your pictures
22 are going to look more like the amberjack or vermilion snapper,
23 rather than what we've got here.

24
25 **CHAIRMAN LORENZEN:** Thanks, Harry. Shannon, is there anything
26 that you want to respond to there?

27
28 **DR. CALAY:** Only that certainly we would be willing to entertain
29 the notion of having the two-slope. I mean, basically, the
30 shape of that decline is something that we're still considering
31 the best approaches for.

32
33 **CHAIRMAN LORENZEN:** Okay. Thank you. Are there any other hands
34 up at the moment, Jessica?

35
36 **MS. MATOS:** Leann Bosarge.

37
38 **CHAIRMAN LORENZEN:** Okay. Leann, please.

39
40 **MS. BOSARGE:** Thank you, Mr. Chairman. This is pretty
41 technical, and so, at the risk of sounding unintelligent, I'm
42 going to try and make a comment. I really like this idea that
43 Shannon has with the hinge points and the ramping. When I look
44 at it, and she has two examples right now of possible hinge
45 points. She has that BMSY hinge point, and then she has a hinge
46 point that essentially is way down there at the MSST, and so
47 it's sort of two extremes, right, a super-healthy situation and
48 a just about overfishing-type situation.

1
2 I wondered -- Shannon asked, and she wanted to know what you
3 might want to see in the future for the data requests, and so I
4 wondered what you all thought about some point in between there
5 as a potential hinge point, to look at what the slope of that
6 line would be, that ramping line, and, in my mind, one natural
7 option for that was, instead of -- This kind of -- You're right
8 that the council is going to think about this in foregone yield,
9 right?

10
11 Now, I am usually pretty conservative, and I don't like anything
12 getting down to that MSST level, but I also kind of have a
13 little bit of hesitation about reducing harvest when you're up
14 at BMSY, and so what about a hinge point that's one minus M
15 times BMSY? In other words, you're not really starting to
16 buffer anything down for scientific uncertainty until such point
17 that you're at a level where natural mortality cannot explain
18 the fluctuations anymore, right?

19
20 I just -- I may be way off, and maybe I'm thinking about this
21 entirely wrong, and please correct me if I've said anything
22 that's out of line, but I just wanted to throw that out there as
23 an option, if you were looking for future data requests.

24
25 **DR. CALAY:** I just adjusted that for you, Leann, with an M of
26 0.2, and so now you see the lines are much more similar that you
27 would get, and that's because, of course, MSST is much closer to
28 BMSY, and this is for an M of 0.2. You can see that it was a
29 big change when we switched to an MSST of 0.5.

30
31 **MS. BOSARGE:** Shannon, if I may, Mr. Chairman, I guess I wasn't
32 -- So, in my mind, you would still have, I guess, that
33 inflection point over at MSST, which, for a lot of our species,
34 is that 50 percent of BMSY, and what we would be doing is
35 adjusting the blue line slightly over to the left, and the hinge
36 point for the blue line would move slightly over to the left,
37 right, and so you would have three options there, which I guess
38 you did the same thing by just moving the orange line, but you
39 would have three different options.

40
41 **DR. CALAY:** Okay. I've got you. Thank you. I can't do that
42 one on the fly. Sorry.

43
44 **CHAIRMAN LORENZEN:** Are there any more hands up at the moment?

45
46 **MS. MATOS:** David Chagaris.

47
48 **CHAIRMAN LORENZEN:** Dave.

1 **DR. CHAGARIS:** Thank you. I mean, I was going to make a similar
2 suggestion to what Harry and Ms. Bosarge just suggested, that we
3 have other reference points coming out of the stock assessment
4 that could be used as the hinge points, and then I just wanted
5 to add that, with the buff inference parameter breakpoint there,
6 I'm concerned that that's adding just another subjective
7 decision to the process, unless we can articulate what that
8 means, that what inflection point that you have set up of 0.5
9 right now, what that would mean in contrast to the Ralston
10 multiplier, which we know is P^* and uncertainty on the OFL.

11
12 I would tend to want to avoid adding another subjective
13 reference point, and try to utilize the reference points that we
14 sort of already have on the books in creating these, and so I
15 think that the two options that were suggested before are good
16 options to explore further.

17
18 **CHAIRMAN LORENZEN:** Thanks, Dave, and, actually, if I can chime
19 in on the same topic a little, because I was -- I was thinking
20 sort of the same, in the sense that -- I was hoping that we
21 would get a control rule that's a bit more straightforward than
22 what we have at the moment, and that we'll have a better
23 characterization of uncertainty and then a fairly
24 straightforward way of arriving at the ABC, and now it seems
25 that we may be doing that, but then we're adding a whole lot of
26 complication by looking to create a control rule that works
27 across all the full range of stock sizes here, including those
28 where currently we are looking at rebuilding plans and so on.

29
30 Then it does add multiple new, somewhat ad hoc, ways of -- So
31 it's really a question, I guess, generally, that we can come
32 back to in the afternoon, but also to Shannon, I think, and
33 what's the advantage of trying to kill all these birds with one
34 stone, versus having say a rule that will apply for stocks that
35 are certainly above the minimum threshold and keeping the stocks
36 that need serious rebuilding in a separate category, and it's
37 really just a question. Thanks.

38
39 **DR. CALAY:** I mean, to answer your question, I mean, we do
40 recognize that this is a process and that there are several more
41 meetings that will take place where further discussions can
42 occur. The highest priority for us right now is to create a
43 more realistic quantification of scientific uncertainty.

44
45 What's being used right now in the current control rule is very
46 obviously an underestimate, and, although we are, as Katie said,
47 making a number of efforts to improve our quantification of
48 uncertainty, it will still be an underestimate, in the sense

1 that there are still model structures that we could have applied
2 that we chose not to.

3
4 My feeling is that, to really get a handle on what the Southeast
5 uncertainty would look like, we would need to correct our
6 integration of uncertainty into our actual stock assessment
7 models as well as look at historical past performance, like
8 Ralston did, and, really, to do that is very, very time
9 consuming, and unlikely to happen very quickly. So, our
10 proposal, for the moment, is to use the Ralston approach as a
11 proxy, until such a time as we better understand the sigma min
12 that's produced by Southeastern stock assessments. That's the
13 number-one priority.

14
15 Then how we would apply the control rule to stocks that require
16 a rebuilding plan I think is something that we're still working
17 on, and it may take a little longer to have a rational and
18 scientifically-justifiable understanding of that.

19
20 **CHAIRMAN LORENZEN:** Okay. I think that's useful, Shannon, and
21 that's sort of where I was trying to go, and I think maybe if we
22 focus on the biggest priority, which is that better
23 characterization of uncertainty and bringing that into a control
24 rule, which will, I think, actually result in a simplification
25 of the control rule that we're using at the moment, because we
26 are doing this funny way of sort of increasing, or reducing, our
27 P^* when we think that the sigma isn't representing enough of the
28 uncertainty, and so this will allow us to separate that more.

29
30 I'm thinking maybe, if we concentrate on that, and not have
31 everything on the table, because, right now, we're talking about
32 what do we do with very, very overfished stocks, and then maybe
33 it makes it easier to come to a conclusion on the most important
34 part.

35
36 **MS. MATOS:** Nobody else has their hand up.

37
38 **CHAIRMAN LORENZEN:** Okay. I think, actually, there is a natural
39 break here for lunch, and we have three minutes left before our
40 scheduled break, and so what I would suggest is we will
41 reconvene at 1:00 p.m., and I think it would be great for
42 everybody to think about, one, the sort of prioritization, and
43 so what we've just talked about a little bit, and can we maybe
44 decide to focus deliberations on what Shannon outlined as sort
45 of the highest priority at the moment, which is getting a better
46 handle on the uncertainty and revising the control rule as it
47 applies to the stocks that are not currently technically
48 overfished, i.e., below the MSST, and then think about what are

1 the things that we would like to see when this topic is brought
2 back, and so what are the additional analyses that we would like
3 to see.

4
5 Also, I think, if we can narrow down the range of options that
6 we ask the Science Center to look at, in terms of performance,
7 clearly that would help, I assume, Shannon, that we're not
8 giving you a huge range of different things to keep looking at,
9 and so I think those are the things that we need to discuss
10 after lunch, and so I believe everyone can ponder these things,
11 and then we'll take it from there at 1:00 p.m. Thank you. See
12 you after lunch.

13
14 (Whereupon, the meeting recessed for lunch on May 4, 2021.)

15
16 - - -

17
18 May 4, 2021

19
20 TUESDAY AFTERNOON SESSION

21
22 - - -

23
24 The Meeting of the Gulf of Mexico Fishery Management Council
25 Standing and Special Reef Fish, Special Mackerel, Special
26 Shrimp, Special Socioeconomic & Special Ecosystem Scientific and
27 Statistical Committees reconvened via webinar on Tuesday
28 afternoon, May 4, 2021, and was called to order by Acting
29 Chairman Kai Lorenzen.

30
31 **CHAIRMAN LORENZEN:** Good afternoon. I was actually wondering,
32 and you were copied in, but I put together a list of sort of
33 questions and potential requests that I thought we could
34 actually put up and work through and modify, as a way of
35 focusing the discussion, but I haven't heard back from you or
36 Ryan, or anyone else, whether that's a good idea, and I know we
37 don't usually do it like that, and we only really put up the
38 motions, but it seems to me that it would help us focus the
39 discussion and make sure you get the information for the next
40 steps that you need, and so I was wondering what the thoughts
41 are.

42
43 **DR. CALAY:** That certainly seems helpful to me.

44
45 **MR. RINDONE:** Do you want me to edit that live?

46
47 **CHAIRMAN LORENZEN:** If that works for you, I think that would
48 make sense, and I think it could really help us make sure we get

1 all the important things down, and so, if you're up for that,
2 then I think that would be great.

3
4 **MR. RINDONE:** I reckon I'm up for it. Let me bring it up. All
5 right. Toss it my way.

6
7 **SSC DISCUSSION**
8

9 **CHAIRMAN LORENZEN:** Okay, and so, basically, what this is, it's
10 based on discussions we had this morning, and I just thought it
11 would be useful, for our discussion this afternoon, to basically
12 have this list, and so there are some questions to the committee
13 and some things that would be potential requests for the Science
14 Center, and all of those, of course, we can add to, and so we
15 can add further questions, and modify this and so on, but I felt
16 it would be useful for us to have that as something that,
17 although it's not a motion, something that we can look at and
18 modify as we go along, and it should address the main questions
19 that I picked up from this morning's discussion, and we can add
20 to that, obviously, if there are some that I didn't pick up on.

21
22 If that sounds reasonable, I would say let's say start with
23 Number 1 here, and that's sort of the question, fundamentally,
24 is should the new ABC control rule be based on P*, with a better
25 characterization of uncertainty, which is the proposal we have
26 from the Center, and other options have been mentioned, and so
27 going towards rules that are less technically probability based,
28 and I guess one example would be the FOY-based control rule,
29 which basically uses a multiplier on the fishing mortality rate,
30 the maximum fishing mortality rate, to arrive at an ABC, at that
31 modified fishing mortality rate.

32
33 Basically, I would like to open that here, and so should we go
34 with the rule based on P* with better uncertainty, and, if so,
35 should that be based on the Ralston, as a default sigma min, or
36 something else, and should we consider different approaches,
37 and, if so, which alternative approaches should we consider?
38 What I would like to do is open the discussion on that first
39 item here first.

40
41 **MR. RINDONE:** Kai, I will be able to see the hands that pop up,
42 and so I will call the hands.

43
44 **CHAIRMAN LORENZEN:** Okay. Great. Thank you.

45
46 **MR. RINDONE:** Harry.

47
48 **CHAIRMAN LORENZEN:** Harry, go ahead, please.

1
2 **MR. BLANCHET:** The only issue I have with FOY is that I'm not
3 quite sure how we can really comfortably define FOY in a lot of
4 these mixed-use fisheries, and, I mean, I'm thinking, even
5 within a single fishery for a single stock, you might have a
6 different FOY for Louisiana and Florida for recreational red
7 snapper, for instance, because you have different dynamics, and
8 those would be different than the FOY for the commercial harvest
9 of the same species.

10
11 It seems like we are adding a level of complexity, by using an
12 FOY, that might -- It might be worth approaching, just so that
13 people understand what an FOY is, but it's -- It works
14 beautifully if we're talking about a single industrial
15 commercial fishery, but, when we start talking about the complex
16 fisheries that we have in the Gulf of Mexico, I don't know that
17 the concept works as well.

18
19 **CHAIRMAN LORENZEN:** Thank you, Harry, and I certainly agree. I
20 mean, we are using the FOY, and, often, we're using that FOY
21 proxy of like 0.75, or FMSY, or F 30 percent SPR or so, which,
22 of course, is a very crude approximation, and the reason that
23 it's in here, of course, is that there were contributions this
24 morning of several members who wanted to also consider not
25 probability-based approaches, and this is the obvious one that I
26 could come up with, but, if there are -- We should decide, is
27 this something we want to include, as we move forward in the
28 considerations, or do we not want to do that, and, also, are
29 there other approaches in this sort of ballpark that are not P*
30 or sigma-based that we should look at.

31
32 **MR. BLANCHET:** I agree, and the conceptually different
33 approaches is a good thing to have there. I just don't know
34 that OY is -- Because you're adding a whole new level of
35 complexity there, I'm not sure that that's maybe the best
36 example, but some other benchmark of stock status, other than
37 our current ones.

38
39 **CHAIRMAN LORENZEN:** Right. Do you have any ideas? That goes
40 for others, too. I mean, are there are ideas of what we should
41 consider as alternatives to the P* approach as better
42 uncertainty characterization?

43
44 **MR. RINDONE:** Next up is Will, if you want to start ticking down
45 the list and see if anyone in the queue has another idea.

46
47 **CHAIRMAN LORENZEN:** Okay. Will.
48

1 **DR. PATTERSON:** That's the language that Restrepo et al. used,
2 using the 0.75 times FMSY as the proxy for FOY, but, really,
3 what I -- I don't intend that we would -- If we used that
4 approach, that we would have to estimate what FOY is for each
5 stock, or for each sector, of a given fishery, prosecuted on a
6 given stock, but, instead, that we would come up with an F
7 multiplier, and, again, Clay presented some of this not too long
8 ago, and I forget when, but, I mean the question here, under
9 Number 1, is, fundamentally, should the new ABC control rule be
10 based on P* with a better characterization of uncertainty?

11
12 I mean, I've already provided my perspective on this, and so I
13 won't repeat it, and I think the question here maybe should be
14 which of the various types of approaches should we consider as
15 we develop more information to potentially change the ABC
16 control rule, because I wasn't part of the last hour of the
17 meeting, and so I don't really know -- I don't know at all what
18 was discussed there, but, when I left, it didn't seem like we
19 were quite at the place to make a decision whether we should go
20 in one direction, versus multiple directions, as we try to
21 gather more information about what's the best approach going
22 forward.

23
24 **CHAIRMAN LORENZEN:** Right, and, if I can respond to that, Will,
25 and so, no, we're not at that point, and I think this is looking
26 to get us to that point of say, well, are we okay going with
27 this one conceptual basis, or do we want to keep several in the
28 mix, and, for your information, what we did before lunch is look
29 at the different harvest control rules of the different ramps
30 and hinges and so on in the spreadsheet that Shannon has
31 prepared, but we have not fundamentally addressed this question.

32
33 Maybe I should broaden this, and so, when I say, fundamentally,
34 should this be based on the P*, with better characterization of
35 uncertainty, I guess the answer to that can be, yes, but we want
36 to keep that, and we want to have other option on the table, or
37 we could say we're good with that, or we could say, no, we don't
38 want to go this way, although it seems, to me, that that will
39 remain on the table, and so, really the question is do we want
40 to keep something else on the table as well, and my
41 understanding from you is yes.

42
43 **DR. PATTERSON:** Yes, and thanks for the background on the
44 discussion before lunch.

45
46 **CHAIRMAN LORENZEN:** Thanks, Will. Who is next?

47
48 **MR. RINDONE:** Luiz.

1
2 **DR. BARBIERI:** Thank you. First of all, I mean, I think, for us
3 keeping track of what's going on, and kind of taking notes on
4 some of these important issues, because, eventually, as this
5 discussion progresses, I think we're going to be asked to
6 provide some sort of narrative justification for some of these
7 decisions, and I think that this discussion will have to
8 integrate the council input as well, and we're going to have to
9 have those things lined up in a way that we have all the pieces
10 ready for that.

11
12 I think, first of all, the issue of OY -- We don't need to
13 repeat what was just discussed, and I think those are very valid
14 points, both from Will's perspective, but I think that keeping
15 in mind the factors that Harry brought that up there -- I think
16 it's important, because, eventually, after we make a decision
17 here, whatever that decision is on going forward, we're going to
18 be asked why will we be using OY, and how can we characterize
19 the OY, and how that applies to different fisheries in different
20 areas, especially mixed-use fisheries, and so I just wanted to
21 point this out first, that I think keeping track of this
22 conversation here, as it is, will be important, going into the
23 future.

24
25 Another point is I interpret this first question here as really
26 kind of saying, asking, okay, are we okay with the status quo,
27 what we have on the table right now, and, if not, what would be
28 the next best alternative? I mean, we know that there will be
29 tons of imperfections here, and we're not going to be fully
30 satisfied with any of these approaches, and so I really liked
31 Shannon's presentation this morning, because I think it provided
32 some alternative to the status quo, and I think we are more
33 unhappy with the status quo right now than we would be with
34 application of the Ralston approach, as imperfect as that is,
35 and that would be my input there.

36
37 Then something else is a lot of what was in, or is in, Shannon's
38 presentation I think goes beyond just the plan vanilla
39 application of the Ralston approach, and I think, at certain
40 points there, it actually seemed to integrate a lot of policy-
41 like factors, and so, for example, looking there at where the
42 cursor is, and so the ramp, applying the ramp, and so the ramp
43 from BMSY, versus the ramp from MSST, those are different
44 approaches that, to some extent, involve policy issues, the way
45 I see it, the way that I interpret it.

46
47 How much risk is involved and the size of the buffers is going
48 to be different, depending on that choice there that's made,

1 and, yes, eventually, this is going to get to the council, and
2 they're going to have an opportunity to weigh-in on this, but I
3 think we need to be prepared to try and unpack some of these
4 components of what was presented today.

5
6 I think some of it had to do with scientific uncertainty and
7 trying to separate the issue of application of the P* to
8 identifying the sigma that should be used, but then you went
9 beyond that with some other concepts that, although I think that
10 they are valid concepts, and I'm not in disagreement with any of
11 them, as presented, I think that they put us in a situation
12 where this discussion, I think, is going to have to be more
13 iterative with the council, because this is going to involve
14 their input on, for example, rebuilding, how fast or how slow or
15 what's the risk, or the probabilities, of rebuilding within some
16 defined schedule there.

17
18 I just wanted to bring this up, because I think it's something
19 that we're eventually going to have to discuss as well, and I
20 will pause there, Kai, and let others provide some input.
21 Thanks.

22
23 **CHAIRMAN LORENZEN:** Thanks, Luiz, and, if I can just add to
24 that, I think that's very true. I mean, we are looking, with
25 that -- Sticking with basically a P* with better characterized
26 uncertainty, that, in a sense, to my mind, is conceptually very
27 clear, even though there is the issue of exactly how best to
28 quantify that uncertainty, but it's conceptually very clear, and
29 very straightforward, but we're adding a great deal of
30 complication to the de facto risk policy, through those ramps
31 and hinges and so on, and exactly how that plays out -- You
32 pretty much have to simulation test to see what that really
33 does, and, indeed, it does result in a fairly complex policy
34 that we'll have to bring to the council and get meaningful input
35 on, but yes. Thanks. Who is next?

36
37 **MR. RINDONE:** We're going to jump Doug and go to Shannon.
38 Shannon has a response to Luiz.

39
40 **CHAIRMAN LORENZEN:** Okay. Shannon.

41
42 **DR. CALAY:** Thanks. In the future, you don't have to skip SSC
43 members to get to me, and I'm happy to wait, but I will reply.

44
45 **CHAIRMAN LORENZEN:** But, if you have a response, please go
46 ahead.

47
48 **DR. CALAY:** Okay. I did speak to Clay, and he is attempting to

1 find that document that he created with OY options. One thing
2 we did want to clarify with the SSC is that we've moved away, a
3 little bit, from FOY-based approaches for ABC, and the reason
4 for that really is that we have seen certain circumstances,
5 depending on the choice of your FMSY proxy, where, when you
6 project at FOY, you can actually achieve a yield that is higher
7 than the yield when you project at F SPR 30.

8
9 That has happened more than once, and it's an issue that arises
10 based on the stock dynamics and the selection of the proxy, and
11 so we were attempting to avoid those sorts of complications by
12 creating a system that will routinely perform as expected, that
13 species with higher uncertainty would receive higher buffers,
14 and it's just unpredictable when we start attempting to use FOY-
15 based proxies, but that doesn't mean that we wouldn't be willing
16 to further evaluate that alternative.

17
18 **CHAIRMAN LORENZEN:** Thanks. I think that's a very, very
19 important point, and it's also -- I guess, from my perspective
20 about the FOY, is one thing is it's based on this idea that you
21 would reduce fishing mortality to achieve certain objectives,
22 but, of course we're not -- We're not managing effort, right,
23 directly, and I have some -- It's a very simple rule, on the
24 surface, but actually unpacking the conceptual basis of it is
25 relatively complex, and so my concern about it is that we'll
26 have difficulties explaining that simple rule more so than we
27 have difficulties explaining sigma and P*-based rules.

28
29 Anyway, I think that was an important additional point, and
30 we'll keep talking about the FOY-based approaches, but maybe we
31 should get to a point where we decide whether this is something
32 we want to carry forward or not. Who is next?

33
34 **MR. RINDONE:** We'll go back to Doug.

35
36 **CHAIRMAN LORENZEN:** Yes. Doug.

37
38 **MR. GREGORY:** Thank you. A couple of things here. One, going
39 back to Harry's concern, we have adopted the FOY terminology,
40 but we have never tried to estimate what FOY is, or what OY is,
41 and people, every now and then, get twisted by the terminology
42 of OY, and so why don't we just drop OY, and, in that third item
43 you've got to consider conceptually different approaches, for
44 example, 75, or 85, percent of F of MSY-based approaches, or,
45 just generically, a percent of F of FMSY-based approaches, and
46 get away from this OY.

47
48 I mean, we've used it a lot, and so we should all have a

1 generally unwritten understanding of it, but apparently not, and
2 the other thing is I would ask the Center if they could provide
3 some examples of when this percent F of MSY approach backfired,
4 because, in the past two years, or three years, that I have been
5 on the SSC, more than half of the assessments presented to us
6 presented, or even recommended, this, quote, FOY ABC.

7
8 I am getting really confused here, and so I think we should,
9 one, drop the terminology of OY, and, two, get some empirical
10 evidence of the problem that it's brought, because, you know,
11 this approach seems to have worked very well for us, and it
12 provides a more conservative approach than our P* did, and so
13 that's why we fell back to it as often as we did. Sometimes we
14 go to P* because that's our mandate, and so those are my
15 comments on that. Thank you.

16
17 **CHAIRMAN LORENZEN:** Thank you, Doug. Do we have others on the
18 list?

19
20 **MR. RINDONE:** We do. We have Will.

21
22 **CHAIRMAN LORENZEN:** Okay. Will.

23
24 **DR. PATTERSON:** I agree with Doug, and that was the first
25 comment that I wanted to make, is that I understand what Harry
26 was talking about, and what Kai just mentioned again about
27 complexity, and I think this becomes complex if you're trying to
28 estimate OY and then setting a percentage of FMSY as the FOY
29 proxy.

30
31 To me, it's a simpler approach, and that weakness, I think, gets
32 bound up in OY, but I agree with Doug that we should call this
33 an F-multiplier-based approach and discard the FOY, and I'm at
34 fault here for introducing that, based on my talking about the
35 Restrepo et al. analysis.

36
37 Back to what Luiz said, I think it is really important for us to
38 identify what we perceive to be strengths and weaknesses of
39 these different approaches, so the council can consider what
40 we're talking about here, and I think a potential weakness of
41 this F-multiplier-based approach -- I am hoping that, in the
42 discussions we've had just now, we can perhaps sort of tone down
43 the weakness part about its complexity, but maybe there's some
44 ideas there that I'm missing.

45
46 As far as its strength, Doug just mentioned that we've used it
47 because it's more conservative. We used it to create a larger
48 buffer in the near term, based on the projections of OFL, but

1 it's not really a more conservative approach, because it scales
2 the percentage buffer between OFL and ABC using this approach
3 with scale with the biomass. As the biomass approaches, or
4 exceeds, BMSY, then the difference between the yield at FMSY and
5 the yield at FABC, or the FMSY multiplier, whatever the
6 percentage is, actually decreases.

7
8 Part of this discussion is about risk, and so I think that's a
9 more sincere reflection of risk, because, as you get closer to
10 your target, and exceed it, or your threshold, in the case of
11 BMSY -- Actually, no. It's MSST is the threshold, but, as you
12 get above that biological reference point, BMSY, then the risk
13 of exceeding the OFL in a given year is much less than if you're
14 down at near the MSST, obviously, and so, by having less of a
15 buffer, as far as an absolute value of the difference between
16 the yield, OFL, versus ABC, that actually is more reflective of
17 the risk.

18
19 It's less risky up there to have there be less of a buffer
20 between the two values, and one thing that we rarely talk about,
21 and Lee mentioned this earlier, is this idea of foregone yield,
22 or opportunity costs, and there are costs associated with having
23 a larger buffer, especially when the stock is in pretty good
24 condition, estimated to be near BMSY, or even above it.

25
26 If we then have the same magnitude of buffer as we would at a
27 lower value of BMSY, then, obviously, there are costs to the
28 fishery, but there's also costs to the management system and the
29 buy-in of user groups and consternation that we seem to have
30 quite a bit of in the Gulf of Mexico.

31
32 Those are management considerations, obviously, and so not so
33 much science considerations, but I think, as we're talking about
34 this idea of risk and probability of overfishing, we're kind of
35 -- We're kind of thinking about this both from the SSC
36 perspective, but also from the council perspective.

37
38 **CHAIRMAN LORENZEN:** Thank you, Will. Do we have others on the
39 list?

40
41 **MR. RINDONE:** Luiz.

42
43 **CHAIRMAN LORENZEN:** Luiz.

44
45 **DR. BARBIERI:** Thank you. I did not think that I was on the
46 list, but I was thinking about it anyway, Ryan, and so you read
47 my mind. Well, another thing that I wanted to bring up, I
48 guess, in terms of sort of general discussion of this issue, is

1 also about us considering how much can we really quantitatively
2 characterize uncertainty in these assessments and integrate this
3 whole process of the ABC control rule that's based on that
4 quantitative assessment.

5
6 I bring this up because, even within the Ralston approach, you
7 can use different values of sigma there, depending on what tier
8 you are, and then whether that specific 0.36 is what is most
9 appropriate for us, and that is also a question, and then what
10 would be our ability to come up with a similar meta-analysis for
11 our assessments, and then, even if we do -- Now, think about
12 this.

13
14 I mean, if we're actually looking at the sigma that were
15 estimated by the assessments, and we already believe that they
16 do not represent the true uncertainty, then using those values
17 to do the meta-analysis is not going to give us, I think,
18 something reasonable, and we wouldn't expect that to be
19 representative of what we're trying to get, because they're
20 already not being captured in the current assessments.

21
22 All of this, I'm thinking -- Eventually, I think this is
23 discussion is going to have to converge towards us accepting
24 that a lot of this process might have to be integrated with us
25 exercising our professional judgment and assessing some of this
26 in a more qualitative way, just acknowledging that, in some
27 instances, we're going to have to be more qualitative in our
28 assessment.

29
30 I don't believe that being more qualitative means being less
31 scientific, and that's another distinction that I think we're
32 going to have to make, but choices of an F multiplier, which we
33 could have different values of that multiplier, for example,
34 would be such a situation, and the values of sigma and how many
35 sigma do we use, and then all the other judgements here that are
36 embedded in this whole process that we went through with
37 Shannon's presentation this morning.

38
39 I am not criticizing what she presented, or ruling out that this
40 is not a good way to go, but I just think that we need to
41 acknowledge some of these issues upfront, because, eventually, I
42 think we're going to have to face that it's going to be
43 impossible for us to be really just complete quantitative in a
44 lot of what this entails, and we need to take that into account.
45 Thanks.

46
47 **CHAIRMAN LORENZEN:** Thank you, Luiz. I think, if I can
48 summarize where we are, the answer is all of the above, and so I

1 think we're not ready to go with just one option here, and it
2 seems that we definitely want to consider options like the F
3 multiplier, and I don't know if there are any other options that
4 we should explicitly mention, other than the ones that we have
5 here.

6
7 Obviously, I think it would be useful for the Science Center to,
8 at the next round, provide sort of pros and cons, from their
9 perspective, on those alternatives, but it seems that we're not
10 ready to drop any, at the moment.

11
12 **MR. RINDONE:** Will.

13
14 **DR. PATTERSON:** Thanks. You know, whenever we have a reduction
15 from OFL to ABC, no matter the method that we use, and no matter
16 the method among these proposed that we use, there is a
17 percentage of FMSY, or FMSY proxy, that yield corresponds to,
18 given the makeup of the fisheries and the selectivities, et
19 cetera, et cetera.

20
21 There is an F value that corresponds to what that buffer is,
22 and, obviously, there are projections, but we're projecting the
23 FMSY, or its proxy, forward, and we're doing the same thing with
24 ABC, and so I'm curious if, in future materials, or information
25 provided, if the Center could actually provide, as a percentage
26 reduction from FMSY or proxy, whatever examples they use to
27 demonstrate these various approaches and to have that included,
28 just so we have a frame of reference of what that translates to.

29
30 It may appear more or less conservative than the F-multiplier-
31 based approach, and it would be good to have that information to
32 evaluate, as well as historical models, like stuff that we did
33 in the past, where we used a percent reduction, and, typically,
34 I think it's like 75 percent of OFL, or something like that, and
35 not as an F value, but it would just be good to see, as far as
36 evaluating performance, how those things stack up, in that
37 respect.

38
39 **CHAIRMAN LORENZEN:** Thanks, Will, and that's good. Ryan, I see
40 you are looking to add that there, and I think that's great.
41 Should we -- Will, you made a particular point about how
42 reductions in -- Basically how the buffer between OFL and ABC
43 translates into the corresponding F multiplier, right?

44
45 **DR. PATTERSON:** Yes, and so, if we had a certain buffer, and we
46 buffered the OFL to ABC for king mackerel in 2012 by 1.2 million
47 pounds, and that translates to a percent reduction from FMSY of
48 this percentage, that kind of thing, and so we can just kind of

1 put it in context.

2
3 **CHAIRMAN LORENZEN:** Yes. I was wondering, Ryan, if you can --
4 It's sort of implicit, I think, in what you have there, but I
5 would like to make sure we capture that idea of looking at what
6 the corresponding F multiplier is when we have a catch buffer.

7
8 **MR. RINDONE:** So, in examining the difference between F at MSY
9 and the F multiplier in pounds? I'm just trying to figure out
10 how you want to capture it.

11
12 **DR. PATTERSON:** The reduction from OFL to ABC from previous
13 assessments, in terms of percent F reduction from FMSY, or the
14 proxy. I think if you just add "in terms of a percentage
15 reduction from", I think that captures it.

16
17 **CHAIRMAN LORENZEN:** Great. I think that's good to capture that
18 in this way. As we're looking down here, I'm just pointing out
19 that Number 4 on this list deals with how we bring things to the
20 council, and, in particular, are there things that we can do to
21 help and consider the risk policy when we do that, and so
22 looking at risk of overfishing versus fishing opportunity
23 foregone and so on, but we'll come back to that, and I didn't
24 want to jump all the way down, but I did want to point out that
25 that is a point on this list.

26
27 Are we done with Number 1 here? I think we're more or less
28 done, and are there any other conceptually different approaches
29 that should be included that we haven't included here? That was
30 my only last question.

31
32 **MR. RINDONE:** I have a response from Shannon, and then you have
33 Dave Chagaris and then Luiz again.

34
35 **CHAIRMAN LORENZEN:** Okay. Shannon.

36
37 **DR. CALAY:** I really appreciate this list, and I think it's
38 going to be a very useful list for us to be able to understand
39 the SSC's research questions, and I do want to caution the group
40 that we won't be able to do all of these, but we will certainly
41 look through this list and see what we can respond to quickly
42 and what will take a little bit more effort and come back with
43 some understanding of when these types of evaluations could be
44 performed, but I do want to encourage you to include, in this
45 list, anything that you are interested in exploring, but I just
46 wanted to caution you that it's not possible for the Science
47 Center to promise to address everyone.

48

1 **CHAIRMAN LORENZEN:** Thank you, Shannon, and I expected that. Of
2 course, I was thinking, when I first put this together, that we
3 would be able to eliminate some things, and it seems that so far
4 we haven't eliminated anything, and, yes, you will have to
5 triage that a bit.

6
7 Also, maybe we can, once we've gone through the list in the SSC,
8 have another look and decide what are the most important things
9 that we're looking for, and so thanks, Shannon, and I forgot who
10 is next on the list, Ryan.

11
12 **MR. RINDONE:** Dave Chagaris.

13
14 **CHAIRMAN LORENZEN:** Dave.

15
16 **DR. CHAGARIS:** Just sort of a suggestion, and I think that --
17 Like, with Number 2, where you have like the B critical and the
18 ramps, one thing to maybe think about, and it might be implicit
19 there, with some of those reference points, but including things
20 like natural mortality rate in defining the shape of that
21 harvest control rule.

22
23 For example, a species that has a higher natural mortality rate
24 might not need as steep of a slope, or as steep of a ramp, as
25 something that is long lived and would take a long time to
26 recover, and it might be somewhat baked in already, but I think
27 maybe just being explicit about it, to -- So that we aren't
28 entirely subjective when we set things like the B critical or
29 the slope of the ramps, and so I just wanted to have that in
30 there for the Center to consider when they're exploring these
31 options.

32
33 **CHAIRMAN LORENZEN:** Thanks, Dave. Who was next?

34
35 **MR. RINDONE:** Luiz.

36
37 **CHAIRMAN LORENZEN:** Luiz.

38
39 **DR. BARBIERI:** Thank you, Kai. Just a couple of points. One,
40 the first two bullets there under Number 3, where we're looking
41 at that past performance of both the current ABC control rule
42 and the deviations from it, which I think is a good idea, and
43 I'm thinking, in my mind, this would include -- For example,
44 when we had an assessment, and, based on that assessment, an
45 application, or not, of our ABC control rule, and we set a catch
46 level based on a probability of overfishing, but then, as that
47 same stock is assessed next time, if it turns out that it was
48 undergoing overfishing, because the catch level that we set,

1 based on the previous assessment, actually did not stick, and, I
2 mean, that wasn't good enough to prevent overfishing, or to put
3 the stock in an overfished condition, and so I think even
4 something as simple as that would be interesting for us to see
5 as we discuss the reasons why we do this.

6
7 Then, going back to Number 1, and, Shannon, I hope this doesn't
8 sound weird, and it's not meant that way, but I think it would
9 be good to understand why the Center is proposing this approach,
10 and you talked a little bit about this, Shannon, during your
11 presentation, and you gave that introduction that explained it,
12 but why the Ralston method? Why do you think that this would be
13 a good approach for the Gulf?

14
15 I'm thinking about this, because we know that there are other
16 ABC control rules that are used by other councils in other
17 areas, and so we haven't really been, here, considering a full
18 suite of options. Right now, for that Number 1 there, we're
19 basically just considering status quo or Ralston or, I guess
20 now, the F multiplier, but I think it would be helpful for the
21 SSC to have a better understanding of the reasoning behind the
22 Center's choice of this particular Ralston approach, as
23 presented, as we move along in this discussion. Thanks.

24
25 **CHAIRMAN LORENZEN:** Thank you, Luiz. Do we have anyone else on
26 the list?

27
28 **MR. RINDONE:** Harry.

29
30 **CHAIRMAN LORENZEN:** Harry.

31
32 **MR. BLANCHET:** Under Number 2, under the second hinge, add
33 another bullet for a third hinge, and this is where we were
34 talking about -- So, right now, we've got hinges that begin, and
35 then another one where we drop off to zero, but what I had been
36 talking about was something that goes between the BMSY and the
37 minimum stock size and having another F reduction in that range,
38 rather than considering it either at one or the other. This may
39 be just piling on, so that it gives the council something to
40 knock off easily, but I'm just throwing it out there.

41
42 **CHAIRMAN LORENZEN:** Thanks, Harry. Do we have anyone else on
43 the list?

44
45 **MR. RINDONE:** Doug.

46
47 **CHAIRMAN LORENZEN:** Doug.

48

1 **MR. GREGORY:** I will be brief. I believe the only thing the
2 council has input on is P*. Everything else is in our
3 bailiwick, and so we're not making recommendations to the
4 council. We've got to make a decision and tell the council what
5 we think the ABC thing is. We can give them a couple of
6 options, and let them make that decision in that regard, and I
7 may be wrong that it is their decision, but it's going to be
8 based on our recommendations, and we just don't pass options to
9 them.

10
11 **CHAIRMAN LORENZEN:** I think that's a good question, Doug. My
12 understanding is, if you consider the P* the only sort of part
13 of the risk policy, really, then I guess that is true, but I
14 think it's the overall risk policy that is the prerogative of
15 the council, and I think, if we have a complex harvest control
16 rule, it does, in effect, change the risk policy from what's
17 implied in just the P*, and so I think it's the wholeness of the
18 ABC control rule, as far as it concerns what is considered the
19 acceptable sort of risk policy that I think is at least
20 partially a council prerogative, but maybe others can weigh-in
21 on that.

22
23 **MR. GREGORY:** I understand that, and I don't fully disagree, but
24 the concern is, if we were to present to the council options to
25 do a ramp from BMSY or from MSST, they're going to choose the
26 least conservative and the more risk-prone approach, and, if we
27 don't start lowering, in my opinion, mortality, once we get
28 below BMSY, we're putting the population at risk, and so it's a
29 biological thing, but I understand what you're saying, and I
30 don't disagree. It will clarify as we move on.

31
32 **CHAIRMAN LORENZEN:** Thanks, Doug. Who is next?

33
34 **MR. RINDONE:** Will.

35
36 **CHAIRMAN LORENZEN:** Will.

37
38 **DR. PATTERSON:** Thanks, Kai. I think I probably missed some of
39 the multiple hinges discussion, but, in my view, rules should be
40 simple, clear, and effective, and we can debate what we view as
41 effective, or what the complete list of objectives of a harvest
42 control rule might be, but this is already going to be a change,
43 and I just wonder if we want to err on the side of simplicity,
44 that may improve clarity, while still maintaining the
45 effectiveness of whatever the change is that we're proposing
46 here.

47
48 **CHAIRMAN LORENZEN:** Thanks, Will, and, actually, I made a

1 similar comment before lunch, and I think we should aim for
2 something that is reasonably straightforward, and, also, I think
3 we have to have that risk discussion with the council, and I
4 remember there was one of the options that was in the document,
5 which was some other factor that could be introduced if the
6 council opts for a 50 percent risk, and I think we shouldn't
7 have those things.

8
9 We just have to have a serious risk discussion, and we shouldn't
10 have something that essentially pulls the risk down from 50
11 percent, if they insist that they want to go there, and so we
12 are, obviously, not going to be able to simplify this here, but
13 I think my suggestion, like Will's, would be for the Center to
14 sort of see how we can come up with rules that are reasonably
15 straightforward. To my mind, that would be a benefit. Thank
16 you. Anyone else on the list right now?

17
18 **MR. RINDONE:** You have Doug and then Jim Nance.

19
20 **CHAIRMAN LORENZEN:** Okay. Doug.

21
22 **MR. GREGORY:** I just forgot to lower my hand. My apologies.

23
24 **CHAIRMAN LORENZEN:** Jim.

25
26 **DR. NANCE:** Thank you. You know, I like the idea of the ramp,
27 and I kind of -- The more hinges we have in it, the more complex
28 it gets, and so, while I like the idea of having the option to
29 have hinges, I do like that straight ramp, because it provides a
30 very simplistic view of our concept of what's going to happen,
31 and that's my two-cents in it.

32
33 **CHAIRMAN LORENZEN:** Thank you, Jim. Do you have someone else on
34 the list?

35
36 **MR. RINDONE:** Bob Gill and then Will Patterson.

37
38 **CHAIRMAN LORENZEN:** Bob.

39
40 **MR. GILL:** Thank you, Mr. Chairman. I'm in the camp that goes
41 for simplicity, and, given that we're just starting out, and the
42 tendency is just to make a huge list of all the possible
43 options, I would like to suggest that, if simplicity is the will
44 of the group, and I would argue that it ought to be, that we
45 line through the second and third hinge, and not delete, but so
46 that we concentrate on the more simple first. If we can't get
47 there, then perhaps we can consider the more complex, but I
48 would like to think that we could deal with the simplicity

1 options first, and focus on those, and we won't need to burden
2 the Center with how many wings should be on a frog. Thank you.

3

4 **CHAIRMAN LORENZEN:** Thank you, Bob. Will.

5

6 **DR. PATTERSON:** Well, I thought I was confused before, but now -
7 - Wings on a frog? So the only thing that confuses me about the
8 ramp thing is that this is an ABC control rule, and, really,
9 we're talking about the MFMT here, which would give us OFL and
10 not ABC, and so I wonder if that should even be in an ABC
11 control rule, or how do we work our way around that?

12

13 **CHAIRMAN LORENZEN:** I don't know what the answer is there, Will.
14 To my mind, it's working a harvest control rule into the ABC
15 control rule that we have, and I don't know where else we would
16 put it. I don't know, and, Shannon, do you have a response to
17 that question?

18

19 **DR. CALAY:** I think I'm just trying to understand exactly what
20 Will is asking.

21

22 **DR. PATTERSON:** Sorry. I will try to be more clear.

23

24 **DR. CALAY:** Okay.

25

26 **DR. PATTERSON:** The ABC control rule is set up to provide an
27 objective approach to reducing the ABC from the OFL, based on
28 scientific information and an established approach, and so what
29 we're talking about otherwise, besides the ramp, is how we might
30 set up rules to guide us, when we have assessment output and
31 projections, to set the ABC from the OFL projections, and that
32 was what the original ABC control rule was.

33

34 Here, now, when we talk about this ramp for MFMT, that's not
35 actually talking about ABC anymore, but now that's actually how
36 we estimate the OFL, and do we decrease the F, whatever shape
37 that looks like, as we approach B zero, and that really is
38 setting up how OFL is estimated and not ABC.

39

40 **DR. CALAY:** Right, and it may be that some of this is a legacy
41 of the way our current control rule functions, where,
42 essentially, we are giving you -- We're creating most ABCs
43 directly from the projection of FMSY, and then we're creating
44 many ABCs from some reduction, which is P^* , from that projection
45 of FMSY, if the stock is not considered overfished, and then
46 we're switching to F rebuild for ABC when the stock is
47 overfished.

48

1 It may be that there are other approaches that don't have that
2 discontinuity, but certainly, in order to get there, we would
3 have to far more fully quantify the true scientific uncertainty,
4 because the buffers would have to be large enough, between OFL
5 and ABC, that the stock could rebuild successfully within the
6 required time.

7
8 I think what I would have to see, and maybe I'm just a very
9 visual thinker, but I think I just have to see kind of an
10 example, Will, of the type of control rule you're looking for,
11 to be able to give you a more specific response, but I know that
12 Katie also has a point of view about your question, and
13 certainly, if she would like to speak up, she is more than
14 welcome to.

15
16 **CHAIRMAN LORENZEN:** Okay. Thanks, Shannon. Katie, if you want
17 to respond --

18
19 **DR. SIEGFRIED:** Will, we might be able to discuss this more
20 afterwards, and I would certainly like your input for the
21 forecasting working group that we have going on at the Center,
22 and I guess my question for you is, to clarify what you've been
23 saying, is, if the Science Center was able to provide a true
24 characterization of the uncertainty of OFL from the assessment,
25 you're saying that these sorts of ramps, and these sorts of
26 extra sigma, wouldn't be necessary, and is that correct, and so
27 the ABC control rule is really a way to add that uncertainty,
28 rather than having it come out from the assessment, in a more
29 natural way?

30
31 **DR. PATTERSON:** No, and -- Well, some earlier statements that I
32 made about the percent reduction multiplier on FMSY have a
33 little bit to do with what you just said, but, as far as the
34 ramp issue, and so changing the F value as the biomass declines
35 from BMSY until it hits B zero, that would be a more precautionous
36 approach than the current F rebuild scenario.

37
38 My confusion here is whether that harvest control rule, that
39 component, should be in an ABC control rule, because, really,
40 we're talking about OFL, more so than ABC, in that context, and
41 so it's not that I don't think that this is a good idea, or that
42 it's reasonable, or actually a smart approach, but it's just
43 that I don't know -- I am trying to, in my own mind, put this
44 together, and like does this really need to be a separate topic
45 that the council should consider, or should it be folded in here
46 with an ABC control rule, and that's my specific question about
47 this.

48

1 **CHAIRMAN LORENZEN:** Shannon.

2
3 **DR. CALAY:** One thing that I have heard a couple of times now is
4 this idea that we could be using a reduced F, like an F rebuild,
5 to estimate OFL, and that's actually apparently not consistent
6 with the guidance that we've received from Headquarters and from
7 SERO, where apparently, and we actually did that for a long time
8 in the Gulf SSC, where, for overfished stocks, we actually
9 created the OFL on the basis of the F rebuild trajectory, and
10 what we were told, and we corrected the ABC control rule after
11 that time, was that the OFL is essentially always meant to come
12 as the 50th percentile of a projection of that MSY.

13
14 The F rebuild, that reduced F, whether it be implemented with a
15 ramp or whether it be implemented with an F rebuild projection,
16 is only applied to ABC, according to the guidance that we have
17 received.

18
19 **CHAIRMAN LORENZEN:** If I can try and hopefully provide more
20 clarity, and not less, but I will try, and that's, by the way,
21 in my Number 2 here, I called this F limit, because it seems, to
22 me, what we have, this harvest control rule, it describes a
23 deterministic sort of limit of the fishing mortality rate that
24 is neither OFL nor ABC, and so I gave it that new name.

25
26 At the moment, the way our harvest control rule functions is
27 that, above, basically, BMSY, the F limit is always the same,
28 which is basically our OFL, and then, below it, it turns into F
29 rebuild, and so that is our current harvest control rule, so to
30 speak, and the ABC control rule then only creates that buffer,
31 as Will has pointed out, based on scientific uncertainty,
32 whereas, indeed, the new control rule that we're looking at is
33 more complex, in that it creates a change in the F limit as the
34 stock size changes.

35
36 Then, on top of that, there is the accounting for scientific
37 uncertainty, and so I could see where Will is coming from, that,
38 basically, we are adding another component to this ABC control
39 rule that is not simply accounting for scientific uncertainty.

40
41 I don't think -- Fundamentally, to me, that's not a problem, but
42 I can see that it's a conceptual departure from the original
43 idea of the ABC control rule, as simply adding that buffer for
44 scientific uncertainty. I don't know if that has clarified
45 anything, but do we have others on the list?

46
47 **MR. RINDONE:** We have Will and Doug.

1 **CHAIRMAN LORENZEN:** Okay. Will.

2
3 **DR. PATTERSON:** Yes, Kai, that does clarify it, but, back to
4 what Shannon said, I think Shannon just said that the F rebuild
5 - As that term is current utilized, it produces the estimate of
6 ABC during the projected rebuilding period, and is that correct?

7
8 **DR. CALAY:** Well, what I said is that, for a stock that is
9 overfished, OFL is always the yield at the 50th percentile of the
10 projection of FMSY or its proxy. That is the definition of the
11 overfishing limit, and that is, essentially, the guidance, the
12 national guidance. Our current ABC control rule, for when a
13 stock is overfished, below MSST, we use F rebuild, and we may or
14 may not also apply a P*, depending on the stock.

15
16 Many, many years ago, we actually, for overfished stocks, used
17 to use F rebuild to do OFL scenarios, and our thinking, at that
18 time, was that, for overfished stocks, you were overfishing if
19 you were delaying the rebuilding plan, but, in fact, that's not
20 consistent with national guidance, and so that's what I was
21 saying, but I'm not sure that I have addressed your question,
22 Will.

23
24 **DR. PATTERSON:** You absolutely have. That was my understanding,
25 and, also, my understanding about how F rebuild has kind of
26 shifted, in our context, and so, if we're using -- The way this
27 first bullet here, under Number 2 -- It says the status quo is
28 that the MFMT, which is FMSY or the proxy, is the F limit when
29 the biomass is above the MSST, and then, when it's below the
30 MSST, it's F rebuild. It's the yield at F rebuild, but, really,
31 the F rebuild is producing the ABC, and it's not producing OFL.

32
33 The way this is written is confusing me, but I understand what
34 Shannon is saying, and I think, if we simply say that when --
35 This idea that sometimes we apply a buffer below F rebuild, and
36 sometimes we haven't, in recent years, I think if we just --
37 Once the stock drops below BMSY, if we have a ramp, then on that
38 ramp -- If we say we're going to set the yield at OFL and the
39 ABC to be -- Excuse me. The OFL and the ABC to be equal, and
40 that ramp scales down, in whatever function we have, to zero,
41 then that makes this about ABC as much as it does about OFL, and
42 that then easily fits within the context of an ABC control rule.

43
44 **CHAIRMAN LORENZEN:** Okay. Thank you. Who is next?

45
46 **MR. RINDONE:** Doug.

47
48 **CHAIRMAN LORENZEN:** Doug.

1
2 **MR. GREGORY:** Thank you. Currently, whether the stock is above
3 BMSY or below BMSY, but above MSST, we apply the control rule
4 consistently, and we don't change it, and so, with the ramp
5 situation with MFMT, we just continue to apply the control rule,
6 as we always did, because the ramp is simply a function of a
7 constant scalar against MFMT or OFL.

8
9 We've got the same variability, and so we don't need to worry
10 about it, but we have to address the ramp, because the council
11 changed the default MSST for the Gulf of Mexico. At one minus
12 M, it did not matter, because that bordered natural variability
13 of the population, and so you didn't have to worry about a
14 collapsing stock, or anything really draconian, if we exceeded
15 MSST, until the council changed to 50 percent.

16
17 We cannot merrily go about our way until the stock falls below
18 MSST anymore, if it's at 50 percent. We have to reduce the
19 fishing mortality rate as soon as the biomass goes below BMSY,
20 and we just use the same control rule approach we've been using,
21 and I don't think we have to modify it because of the ramp.
22 Thank you.

23
24 **CHAIRMAN LORENZEN:** Thank you, Doug. It seems, to me, if I can
25 summarize where we are, that I think our Point 2 is sort of good
26 to go, and it seems we are discussing more considerations, but
27 it seems, to me, that, in terms of what we're requesting the
28 Center to consider for the next iteration, I think this is
29 fairly stable.

30
31 **DR. BARBIERI:** Kai, do you mind if I just -- Not to create more
32 confusion, but I'm just trying to understand. Shannon, if you
33 could look at Slide 17 in your presentation, and I think the use
34 of the term MFMT for the F value here is what might be creating
35 some of this confusion in that first bullet.

36
37 If you look at that Slide 17 in the presentation this morning,
38 it says, right there, and we know, that OFL equals the yield at
39 MFMT, and then, for the ABC down here, it says that it reduces
40 MFMT as B declines. What I think you're trying to say is that F
41 is reduced, because we're going to have a new FABC.

42
43 **DR. CALAY:** Correct.

44
45 **DR. BARBIERI:** So I think Will's confusion, and that was
46 somewhat mine as well on the OFLs, because of that, is using the
47 MFMT there, when, in reality, we want to say FABC, as determined
48 by the ABC control rule.

1
2 **DR. CALAY:** Yes, that's exactly correct.
3
4 **DR. BARBIERI:** Okay. Thank you.
5
6 **MR. RINDONE:** Will.
7
8 **DR. PATTERSON:** I agree, Luiz, and I think Shannon kind of
9 explained that a minute ago as well, but it's just not reflected
10 yet in that first bullet, the nature of that distinction.
11
12 **CHAIRMAN LORENZEN:** Okay. Let's bring the list back, and, Will,
13 if you want to modify that bullet, you are very welcome.
14
15 **DR. PATTERSON:** I wouldn't delete the text, and I think we can
16 just modify it. The status quo is OFL is equal to MFMT when B
17 is above MSST, and then ABC is set as a buffer from the OFL.
18 Then, actually, I would just put a comma between "MSST" and
19 "ABC", because those are related, or maybe you could put "and",
20 so it's "and ABC is set below OFL". Then I would put a
21 semicolon and say "F rebuild, OFL, and ABC are computed at F
22 rebuild when biomass is below MSST".
23
24 Now, this doesn't reflect that statement that Shannon made that
25 sometimes we've actually applied another buffer to the yield at
26 F rebuild to get to the ABC, but I think this is, in spirit,
27 what we've done most recently.
28
29 **CHAIRMAN LORENZEN:** Right. Just one minor amendment, and so OFL
30 would be computed at MFMT, or equals MFMT times biomass, right,
31 because one is a catch and --
32
33 **DR. PATTERSON:** Yes, and it's not equal. It's the yield at
34 MFMT.
35
36 **CHAIRMAN LORENZEN:** Yes. You can just add that, so that we
37 don't --
38
39 **DR. PATTERSON:** So just the yield at -- Thanks, Kai.
40
41 **CHAIRMAN LORENZEN:** Cool. Okay. Great. Thank you.
42
43 **DR. BARBIERI:** Just one more, and sorry, but I think what
44 Shannon said, that clarification that they received, is that OFL
45 is always equal to the yield at MFMT, right?
46
47 **DR. CALAY:** That's correct.
48

1 **DR. BARBIERI:** So the ABC is computed at F rebuild, but the OFL
2 is always equal to the yield at MFMT.
3
4 **CHAIRMAN LORENZEN:** Correct. That's what she said.
5
6 **DR. PATTERSON:** So, to fix that, after the semicolon, we would
7 need to move "when BMSY is less than MSST" first. Then put a
8 comma, and then repeat "OFL equals yield at MFMT and ABC is
9 computed as yield at F rebuild". It shouldn't be this hard, but
10 I think we've got it.
11
12 **CHAIRMAN LORENZEN:** Okay. Thank you. I guess we -- That was
13 just the status quo, and then we have those new elements, the
14 ramps and the B critical, and we've decided to downgrade the
15 hinges for now, but I think this sort of captures what we're
16 asking the Science Center to look at for the next iteration, and
17 so, unless there is anything more on this topic, I would suggest
18 moving to Number 3, which is what information are we looking at,
19 in terms of understanding the performance of the control rule
20 alternatives that we're leaving on the table? Are there any
21 additions or modifications to what we have on the list here?
22
23 **MR. RINDONE:** I don't see any hands up yet.
24
25 **CHAIRMAN LORENZEN:** So it seems, and we can come back to that if
26 we --
27
28 **MR. RINDONE:** Dave Chagaris.
29
30 **CHAIRMAN LORENZEN:** Dave.
31
32 **DR. CHAGARIS:** Thank you, and so I think the simulation testing
33 is going to be really important for this, and so I don't know if
34 maybe, Shannon, if you want to share what you guys had in mind
35 for those performance tests, but, in general, they should look
36 at things like consecutive years of poor recruitment, or changes
37 in natural mortality rate, or episodic events, things that we're
38 confronted with in a lot of our Gulf species, but maybe you guys
39 have thought through that a little bit.
40
41 **DR. CALAY:** I will be honest that we recognize the need for
42 simulation testing, and we have not specified exactly the terms
43 yet, and so we would be very interested in your feedback for
44 what sorts of performance measures we would examine.
45
46 **DR. CHAGARIS:** I'm thinking about some of the work that was done
47 by Doug Butterworth with Gulf menhaden, and I think he did a
48 pretty thorough analysis of a harvest control rule for that

1 species, looking at various sources of uncertainty, and so that
2 might be a place to start, as well as the performance metrics,
3 as far as how many trials resulted in stock collapse or fishery
4 closures and so forth, but it sounds like this might be down the
5 road a little bit, and so I'm happy to provide more comments as
6 the time gets closer.

7
8 **CHAIRMAN LORENZEN:** Thanks, Dave. Do we have anyone else on the
9 list?

10
11 **MR. RINDONE:** Not at the moment.

12
13 **CHAIRMAN LORENZEN:** Okay. I guess then the question is are
14 there any additions, and so there's the Point 4 here, which is
15 about what can we do to help the council basically consider the
16 risk policy when we bring this possible control rule revision to
17 them, and so we did talk about the risk of overfishing versus
18 lost fishing opportunities and so on, and I was wondering
19 whether there are any particular suggestions here.

20
21 I mean, we often talk about this, but are there particular
22 pieces of information that we should try to put together, and we
23 can put together, and so this is a question also particularly
24 to, I guess, the Socioeconomic SSC members, and, Lee, you have
25 brought this up a lot, and so, anyway, are there any suggestions
26 or additions to this point?

27
28 **MR. RINDONE:** Lee Anderson.

29
30 **DR. ANDERSON:** As far as fishing opportunity foregone, I would
31 say give not only the tons not harvested, or the pounds, but the
32 gross revenue, and that's just another way of looking at it, but
33 sometimes the dollars makes a little more sense, and, obviously,
34 if you could, you would like the net value, but I don't think we
35 can get that, but both pounds and dollars.

36
37 **CHAIRMAN LORENZEN:** Okay. I say yes, but I don't know how we
38 provide that, but it would be good to have that.

39
40 **DR. ANDERSON:** I would think it's a simple thing, because you've
41 got the amount of pounds, and you just multiply by look at the
42 most recent cost, and it changes, but you can see this was the
43 price as of this date.

44
45 **CHAIRMAN LORENZEN:** Yes. Okay. Thanks, Lee. Any other
46 additions to this point?

47
48 **DR. CALAY:** It will be important also to examine the opposite

1 side of that coin, which is, if you allow a stock to continue to
2 be at levels that does not support MSY, that also has a risk,
3 and so it's not as simple as, if we put a ramp in that starts at
4 MSST, and pretend that the stock is not already well below BMSY,
5 because it is, and so we have to look at the cost of overharvest
6 to be exactly correct.

7

8 **CHAIRMAN LORENZEN:** Correct. Yes.

9

10 **MR. RINDONE:** Steven Scyphers.

11

12 **CHAIRMAN LORENZEN:** Steven.

13

14 **DR. SCYPHERS:** Thank you, Mr. Chair. Just a couple of quick
15 things to consider adding, and one is response to what Shannon
16 said, which I think is a really important point, and what I
17 would add is the possibility of delayed ramping, and so,
18 depending on when these decisions are made, having lead time has
19 shown to be one of the things that minimizes social impacts, and
20 so having a year of adaptation can be really beneficial, if it
21 doesn't compound or add risk, and so thinking about how you
22 would delay that ramping would be one consideration.

23

24 Then another one would just be, in general, and I know that the
25 Center and the social science branch is putting a lot of thought
26 and effort into performance indicators on the social side and
27 the economic side, and just having some of those people chime in
28 on where they see potential linkages between those indicators
29 that are being developed and this type of decision system.
30 Thank you.

31

32 **CHAIRMAN LORENZEN:** Thanks, Steven. Is there anyone else on the
33 list?

34

35 **MR. RINDONE:** Not at the moment.

36

37 **CHAIRMAN LORENZEN:** Well, it seems we may be getting to the
38 conclusion of this part. Are there any other questions or
39 requests that we haven't mentioned yet that anyone feels are
40 important, before we close this topic?

41

42 **MR. RINDONE:** We have John Mareska and then Leann Bosarge.

43

44 **CHAIRMAN LORENZEN:** John.

45

46 **MR. MARESKA:** I think this was already mentioned, but it's also
47 the cost to management itself, and so, if the stock gets below
48 MSST, then there's costs associated with rebuilding plans.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29
30
31
32
33
34
35
36
37
38
39
40
41
42
43
44
45
46
47
48

CHAIRMAN LORENZEN: Thank you, John. Leann.

MS. BOSARGE: Thank you, Mr. Chairman. I would just say, me as a council member listening to all the discussion, sometimes I do get a little fuzzy on what -- Because you talk about bringing this to the council and what the council actually has any decision-making authority over.

In other words, what is the scientific realm versus what is the management realm, and the delineation between the two, and so maybe just kind of brief us upfront on which portions of this are just for our information and then something that we may actually have some input or control over, and maybe make sure that we understand that part, going into it.

I did have one question, and, Mr. Chairman, at any point today, are we going to go into the actual spreadsheet, the beloved spreadsheet, for the current ABC control rule, with the tiers and color-coding, and it has weightings and all that?

CHAIRMAN LORENZEN: I wasn't intending to do that today, also because we really are looking at Tier 1 at the moment, and so we're not looking at the different tiers, but what would be the purpose of going there today, Leann?

MS. BOSARGE: Well, we don't need to, and I was just going to make one comment, as an outside observer listening to you all and listening to some of your other meetings, and I feel like sometimes, when you all get ready to take an ABC and -- I mean take an OFL and set an ABC, and you're trying to apply the -- Get the appropriate P*, and I feel like sometimes you all may feel like it's not actually capturing the uncertainty that you feel is really there.

I was looking at that spreadsheet, and, based on some of the comments that Shannon made earlier about the probability density function, and how it doesn't maybe sometimes capture the true uncertainty in that assessment, and possibly underestimates the true uncertainty, maybe that yellow section in that spreadsheet, which actually deals with the OFL PDF, and you're putting some Xs next to where you think that is and the uncertainty in the actual index, or the different indices that went into the assessment, and maybe you want to look at those weightings.

You know, you give a weight to that, and it really seems like that is kind of the crux of where some of this underestimation of uncertainty, scientific uncertainty, is coming from and

1 leading us to these discussions about all these alternative
2 methods, and I just wondered, if you weighted that differently,
3 would it maybe solve some of the issues, and give it a higher
4 rating, because, when you go from the max rating down to the
5 bottom rating, on that yellow section, it's only like -- Of
6 course, I had it pulled up in my calculator, solar calculator,
7 and it went off on me, but it was like 0.035 is the difference,
8 when you go from the highest to the lowest scale right there.

9
10 Just maybe a higher weighting there might -- I was just trying
11 to think of simple approaches to solve the problem, and so I
12 thought I would throw it out.

13

14 **MR. RINDONE:** Lee, can I jump you and go to Shannon?

15

16 **DR. ANDERSON:** Yes.

17

18 **MR. RINDONE:** Shannon.

19

20 **DR. CALAY:** So, as one of the authors, and Joe Powers and I put
21 this together years and years ago, when the whole concept of an
22 ABC control rule was new, and there is two problems, really,
23 with this spreadsheet, to be honest. One is that it's intended
24 to use these characteristics to determine P^* , which is the
25 probability of overfishing, which is meant to be a risk
26 determination and meant to be really the sphere of the council,
27 rather than the SSC.

28

29 The second issue is that, even within the range of P^* that were
30 allowed, which is right at the very top of this spreadsheet, and
31 it's 0.3 to 0.5, I believe, is what the council asked us to code
32 into this spreadsheet, and, even at the very lowest P^* of 0.3
33 that's allowed currently by the Gulf Council, most of our stock
34 assessments will produce very small buffers, and the reason for
35 that is because we're using the PDF of the stock assessment
36 directly to adjust the application of P^* .

37

38 Our PDFs are extremely narrow that come out of our stock
39 assessments, and so this just has not worked, in practice. I
40 mean, it could be that they choose to retain this as the
41 determination of P^* , or to modify it to continue to produce a
42 P^* , and the Science Center's advice would still be we must
43 address the sigma, the scientific uncertainty, because the PDFs
44 that are coming out of stock assessments are simply not
45 appropriate to be used in this manner.

46

47 **CHAIRMAN LORENZEN:** If I can chime in there, Leann, I think, as
48 Shannon pointed out, we're sort of using the -- We are modifying

1 the P* to take account of what we think is not captured in the
2 scientific uncertainty, whereas we're trying to separate that
3 and actually do a better job at characterizing the scientific
4 uncertainties, so that then the P* would become strictly the
5 risk tolerance that is the council prerogative, and so that's
6 behind this idea of separating the characterization of the
7 uncertainty from the setting of the risk tolerance, and so
8 hopefully the spreadsheet will be retired when we switch to the
9 new ABC control rule.

10

11 **MS. BOSARGE:** Got it. Thank you. I thought these two things
12 were going to get blended together, but, if this is going to the
13 wayside, there's no need to look at it. Thanks.

14

15 **MR. RINDONE:** Back to Lee.

16

17 **DR. ANDERSON:** Well, I guess I shouldn't say it, but I have been
18 thinking about this for a while, and I've got another point to
19 make, but I have to admit that, when I first saw this a long
20 time ago, I used, as an example in my fisheries management
21 course, some of the silly ways that you can use a computer to
22 produce something which you think is really telling you
23 something, and, Leann, you are exactly right.

24

25 If you change those numbers, you're going to change the
26 probability, but just changing the numbers doesn't change
27 reality, and so I will get off that hobbyhorse and just ask a
28 question.

29

30 Ryan, the last paper that we've been typing on, I've been
31 noticing that, and I would appreciate it, when we're through, if
32 you could just send me a copy of that, and maybe to everybody,
33 because I want to look at that while I go back and look at the
34 spreadsheet that Shannon gave. I've been looking over that, and
35 I find it very interesting.

36

37 **MR. RINDONE:** Will do, sir. Will.

38

39 **DR. PATTERSON:** While I think we've clarified the questions from
40 Ms. Bosarge, I think the fact that she raised those questions is
41 important to consider. Although we're only talking about Tier 1
42 here, I think one thing that we should at least keep in the back
43 of our mind is how whatever change is going to be made will
44 translate to other tiers. I mean, there has to be some
45 continuity between the approach taken for Tier 1 and the other
46 tiers, especially ones that are nearly as data rich and
47 uncertainty captured nearly as well as a Tier 1 assessment. I
48 think that is something that we need to consider, is what the

1 downstream effects of a change in Tier 1 will have.

2

3 **CHAIRMAN LORENZEN:** Thank you.

4

5 **DR. CALAY:** I can respond to I believe Will's comment.

6

7 **CHAIRMAN LORENZEN:** Please do.

8

9 **DR. CALAY:** Thank you. We do have a very similar tiered control
10 rule in place right now in the Caribbean, and the top three
11 tiers of that Caribbean control rule are for stock assessments,
12 and they are for stock assessments that produce essentially an
13 OFL.

14

15 The way we have created that tiered control rule is everything
16 about it, in the top three tiers, is actually the same, except
17 for the conditions of use, and so Tier 2 is for assessments
18 where you don't know -- Either you don't have good length
19 composition, or you don't have good age composition data, or
20 maybe you don't have quality indices of abundance, so Tier 3 is
21 for assessments with even -- That are even more data limited.

22

23 How we've handled that is by just increasing the sigma min that
24 we apply, and so that sigma min from the Ralston paper actually
25 included three different levels of stock assessment data
26 quality, data-rich, data-moderate, data-limited, and,
27 essentially, he's just applying a larger sigma min as the data
28 quality degrades, and that's exactly what we have done in the
29 Caribbean case, where, actually, the SSC chose a sigma min of
30 0.5 for Tier 1, and then they apply 1.5-times that sigma min for
31 data-moderate stock assessments and two-times that sigma min for
32 data-limited stock assessments.

33

34 You're just making the PDF wider and wider, but you keep the
35 same P*, because that's the probability of overfishing that the
36 council selected, and there is, of course, a fourth tier, which
37 is for catch-only stocks, and, frankly, we don't have a
38 particular proposal for that one yet that is very satisfactory.

39

40 **CHAIRMAN LORENZEN:** Thank you, Shannon. I don't know if we have
41 anyone else on the list at the moment.

42

43 **MR. RINDONE:** Will.

44

45 **CHAIRMAN LORENZEN:** Will.

46

47 **DR. PATTERSON:** Just quickly, that seems like a reasonable
48 approach. If the intent here would be, if we took a similar

1 approach to what they do on the west coast with using the
2 Ralston meta-analysis generated estimate of sigma in that way,
3 and the idea would be to go to the council and have the council
4 set what the P* would be among all of the assessments, and then
5 the SSC would simply scale the sigma estimate based on its
6 perception of uncertainty, that really is giving a false sense
7 to the council that the buffer, the willingness of them to
8 accept the risk tolerance, is really being paid attention to,
9 because we can just set the sigma multiplier at a scale where we
10 think, okay, now this is a buffer that we're comfortable with.

11
12 Even though it's changing the dynamic from being driven by the
13 PDF, versus being driven by the sigma, it really has the same
14 effect, and we can still control what the buffer will be,
15 irrespective of what the P* range in the previous case, or the
16 set P* in the new example, would be.

17
18 **CHAIRMAN LORENZEN:** Okay. Thanks, Will. I think this is
19 something that we will obviously have to bear in mind as we move
20 forward, and, overall, it seems to me that we have had a pretty
21 fruitful discussion about this, and there's plenty of feedback
22 here for the Science Center, and I think, Shannon, as you
23 pointed out -- I mean, you will have a look at this and decide
24 what is realistic to look at in the short term and come back to
25 us with an updated proposal and further information.

26
27 **DR. CALAY:** What specifically are you asking, Kai? I don't want
28 to make a promise that I can't keep.

29
30 **CHAIRMAN LORENZEN:** I was saying that, as you said, there is
31 plenty of feedback here on the initial proposal that you
32 presented, and, as you pointed out, not everything we have on
33 the list you can realistically, or the Science Center can
34 realistically, address in the short term, but I think there is
35 plenty of feedback here for you to consider as you basically
36 update your proposal and bring it back to us with additional
37 information

38
39 **DR. CALAY:** Yes, and I think this is very helpful, and I think
40 the discussions have been quite comprehensive, and so, when next
41 we have an SSC item relating to the ABC control rule, we can
42 certainly pick off the low-hanging fruit here and have a
43 response from the Science Center, and then we can identify which
44 of these bullet points are more likely to be research questions
45 that can't be addressed as quickly.

46
47 **CHAIRMAN LORENZEN:** Yes, that makes sense, and that's what I
48 meant, and so, unless there are any last comments on this item,

1 I would like to close the ABC control rule discussion, and then
2 I will give it a minute or so, to see if there are any more
3 hands up, and then I would suggest that we have a fifteen-minute
4 break and we move to the rest of the agenda, which is the gray
5 triggerfish age validation challenges, public comment, and other
6 business, and I believe that Ken Roberts has asked us to add a
7 small item to Other Business about the Facebook, the council's
8 Facebook page, and blog, which we should be able to deal with,
9 and it looks like we may be able to wrap the meeting up this
10 afternoon.

11

12 **MR. RINDONE:** Mr. Chair, we have Will.

13

14 **CHAIRMAN LORENZEN:** Okay. Will.

15

16 **DR. PATTERSON:** I just wanted to say thanks, Kai, for
17 facilitating this discussion, and I thought that it went really
18 well. We've batted around this idea of revisiting this for
19 quite a while, and I agree that it seems like something that we
20 can probably handle within the SSC, versus a special committee,
21 and I was initially skeptical of that approach, and, obviously,
22 this is just first step forward, but I think we did a good job
23 kind of framing the realm of possibilities here, and things that
24 we should be concerned about, and, obviously, new stuff will pop
25 up, but, anyway, thanks for facilitating this and for you and
26 Shannon for your presentations, and I think this is a really
27 good first step.

28

29 **CHAIRMAN LORENZEN:** Thank you, Will. Okay. Let's take a break
30 then until 3:00 p.m., and then we'll go into the gray
31 triggerfish age validation. Thank you.

32

33 (Whereupon, a brief recess was taken.)

34

35 **CHAIRMAN LORENZEN:** Okay. Welcome back, everyone. We are
36 moving to the gray triggerfish age validation. Maybe, Ryan, if
37 you want to give us a quick reminder of the scope of work here,
38 and then we'll go to Carrie's presentation.

39

40 **GULF GRAY TRIGGERFISH AGE VALIDATION CHALLENGES AND**
41 **RECOMMENDATIONS**

42

43 **MR. RINDONE:** Can do. All right. Gulf fillet knife destroyer
44 age validation challenges and recommendations. Due to the
45 COVID-19 pandemic, there were lots of unspent travel funds for
46 the council in 2020, which leaves some of these funds available
47 for the council to try to address some outstanding needs and
48 gaps in knowledge.

1
2 The last assessment for gray triggerfish was SEDAR 62, and this
3 was terminated due to irreconcilable data issues, and the
4 Science Center recommended a research track be completed for
5 gray triggerfish, which the SEDAR Steering Committee is looking
6 at how to map all of that out.

7
8 In the meantime, the council is considering funding an age
9 validation study for gray triggerfish, and Dr. Simmons is going
10 to give you guys an overview presentation and a draft request
11 for proposals for you guys to consider to look at addressing
12 this. It will outline some of the gaps in knowledge and
13 uncertainties in ageing gray triggerfish and give an overview of
14 the draft RFP and the proposed review process and timing, and
15 there is some background literature in there for you to look at,
16 too.

17
18 The council's intent for the study, if funded, would be to have
19 it completed in time for the research track for gray
20 triggerfish, which right now we have on the books starting in
21 2023, and you guys should comment on whether the approach is
22 sound to inform these gaps in knowledge for the research track
23 and if the draft RFP and the funding recommended would be enough
24 to cover these data gaps, to better inform this upcoming
25 assessment, and, also, consider any other relevant feedback that
26 you guys think is appropriate for research and management
27 consideration. Mr. Chair.

28
29 **CHAIRMAN LORENZEN:** Thank you, Ryan. Dr. Simmons.

30
31 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair. Good
32 afternoon, everyone. I'm going to cover Agenda Items Number
33 XIV(a) and (b), and so I have a brief presentation that goes
34 through many of the items that Ryan just went over, and then I
35 have a draft proposal, if the SSC wants to give me some comments
36 on that that we'll take to the council in June and get their
37 feedback on whether they want to move forward with funding.

38
39 Just a quick overview, to try to keep us on track, we'll talk a
40 little bit about the assessment and the management status, what
41 the council is requesting and where we're going with this, some
42 of the issues that occurred during the last assessment,
43 potential methodologies, some considerations for the next stock
44 assessment, and then I have some specific questions for the SSC
45 at the end of the presentation, and I must say that I appreciate
46 the time of Will Patterson and Robert Allen before I put this
47 together, and they helped me pull all the literature and spent
48 some time speaking with me about this issue, and so I want to

1 thank them for helping me with this presentation.

2
3 I think most folks know this, but, just as a reminder, the last
4 approved stock assessment for gray triggerfish had a terminal
5 year of data of 2015, and SEDAR 62 was started in 2019, but it
6 was terminated in early 2020, because of irreconcilable data
7 issues, and a research track was recommended, moving forward,
8 because of those issues, and one of the main concerns, or at
9 least our understanding from this was one of the main concerns,
10 was ageing of gray triggerfish during that SEDAR 62 -- I guess
11 that was an operational assessment that we tried.

12
13 Gray triggerfish is not overfished or undergoing overfishing.
14 However, we are in a rebuilding plan, and we did recently have
15 an interim analysis that the SSC reviewed and recommended
16 increasing the ABC, and I think was around 400,000 pounds, and
17 the council took action on that, and that has been transmitted,
18 and the Secretary is approving that right now.

19
20 As many of you know, this is an important socioeconomic species,
21 particularly in the northern and eastern Gulf of Mexico, where
22 most of the landings occur.

23
24 In 2021, we went through the budget, and, as most of you might
25 imagine, we had quite a bit of unspent travel funds, primarily
26 due to travel, because of the COVID-19 pandemic, and, at that
27 time, the council -- We estimated that we had around \$800,000,
28 in total, and so the council asked us to look at evaluating
29 research gaps, and one of those gaps was this ageing issue with
30 triggerfish, and to determine if it's possible for us to fund a
31 study that would be able to be completed and ready, with results
32 that could be contributory to the SEDAR research track, which we
33 currently have scheduled for gray triggerfish in 2023.

34
35 One of the other projects right now that the council is
36 considering funding, and we are also putting together a draft
37 proposal for them to review in June, is assisting with an
38 expansion of the pilot project that looks at effort monitoring
39 in the shrimp industry. A couple of you probably know that the
40 current ELB program 3G network has expired, and that is no
41 longer able to transmit data, and so we're looking at ways to
42 improve that process, moving forward, and that's one of the
43 other things that the council is considering funding.

44
45 Back to gray triggerfish, and so some of the issues about ageing
46 triggerfish -- It's an interesting fish, and, of course, I think
47 so, because I studied them, but they're unusual in many, many
48 ways. One of the things that makes them unique for ageing is

1 the dorsal spines are typically used for ageing, and you count
2 the translucent zones on those first dorsal spines, and so
3 that's the slower-growing time, the translucent rings, and then
4 the faster-growing is the opaque pink rings.

5
6 There is some evidence, and I think we've seen this in some of
7 the stock assessments, that there may be a need for sex-specific
8 age and growth curves. Right now, they're combined growth
9 curves, but there's been several different publications that I
10 have listed there that really point out that there is a
11 significant difference in age and growth between the males and
12 the females, and this has to do with their life history, and
13 that's been documented there.

14
15 The otoliths, they're really difficult to extract, apparently.
16 I actually didn't do it when I was in school, but you can see
17 there is a very pretty interesting photo there of the otoliths,
18 and that's from the Patterson et al. 2019 paper, and that was
19 the SEDAR 62 Working Paper 17, and they are very fragile and
20 unusual looking, compared to many other reef fish we manage.

21
22 Some of the things that came out during the SEDAR 62 research
23 track assessment was a couple of different studies that pointed
24 out this ageing bias, and one of them was using the bomb
25 radiocarbon validation to compare the otoliths to the spines,
26 and that estimated that the ageing bias may be an underestimate
27 of the spines, by one to two years, compared to the otoliths,
28 and that's documented in the Patterson et al. 2019 paper.

29
30 There was also a study that was recently published that compared
31 otoliths and spines from gray triggerfish in Ghana compared to
32 the U.S. South Atlantic, and they looked at spines and otoliths,
33 and they also found an ageing bias, and that was, I guess, more
34 dramatic for age-three and up, and the other thing the study did
35 is they developed a methodology for more easily extracting the
36 otoliths, which can be very cumbersome to remove.

37
38 That study also determined that the spines and the age range was
39 from one to nine years, and then the otoliths were from three to
40 thirteen years, and so, again, these studies didn't consider sex
41 when estimating age differences, and I keep coming back to this,
42 because this was one of the questions that I have for this body,
43 between the dorsal spines and the otoliths, but there is really
44 no evidence, right now, that that formation differs.

45
46 The potential methodologies, moving forward, are we could use
47 bomb radiocarbon validation, and that seems to be more accurate
48 for ageing these hard parts, but it is expensive, and so I think

1 there's an estimate of about \$300 per fish, and I don't know if
2 that fluctuates depending on samples, and also mark-recapture,
3 and that's also potentially expensive, due to the cost of field
4 work, and it may be difficult to tag the number of fish that are
5 needed and then subsequently recapture them in time to validate
6 this within this amount of time, which is about twenty-four
7 months that we have, potentially, for this study.

8
9 Some considerations for the stock assessment, and so say the
10 council goes forward with funding this study, and it comes out,
11 and it's complete, and they validate ageing, whatever the
12 results come out to be, and so the question is how will this be
13 applied to SEDAR, and so, ideally, we would have some good sex-
14 specific growth curves in addition to this age validation study,
15 and then the next step would be, if the otoliths are necessary
16 to age the fish, how would we do this, practically, for large
17 numbers of fish that are in the sampling -- In the laboratories
18 that we have at state and federal facilities, moving forward,
19 and so would we have to change our process, our sampling
20 protocols, for collecting these hard parts, potentially? Then,
21 is it possible to determine a correction bias for these
22 previously-collected hard parts from this type of study?

23
24 Some questions for the SSC, and is the timeline reasonable to
25 produce the data by 2023? Are the expected products valuable to
26 future gray triggerfish stock assessments and management, should
27 the council choose to fund this, and are the proposed funds
28 adequate to fund the intended research?

29
30 Right now, the council hasn't really put an upper bound on what
31 they're thinking about funding, but, for a minimum, we've talked
32 about \$250,000, to date, and so I can stop there, or we can go
33 through the draft proposal, Mr. Chair. Thank you.

34
35 **CHAIRMAN LORENZEN:** Okay. I think maybe why don't you go
36 through the draft proposal, and then we'll have a discussion at
37 the end.

38
39 **EXECUTIVE DIRECTOR SIMMONS:** Okay. Sounds good. That's going
40 to be in Tab XIV(b). Again, this hasn't been approved by the
41 council, and they are going to look at it in June. Since we
42 haven't approved it yet, we don't have a submission deadline,
43 and we're thinking the term of contract would be twenty-four
44 months. Right now, the minimum amount of funding we've talked
45 about is \$250,000. Of course, they could have an upper bound to
46 that, or decide to fund it for more than one year, potentially,
47 or spread it over the twenty-four months, and those are all
48 things that the council hasn't really deliberated yet on.

1
2 Then we have some information in here about what we would like
3 to see in the draft proposal regarding like sample size and
4 methodology and then some background. Then we would have to
5 come up with, if the council moves forward with this, a review
6 process, and should we get some experts involved, probably from
7 the Science Center, and then decide, after a certain time
8 period, that we would put this up to post, and we would have a
9 competitive process, and we would have this review body, with
10 the council leadership, and potentially outside experts, to make
11 a decision, and then go forward from there. Mr. Chair.

12
13 **CHAIRMAN LORENZEN:** Thank you, Carrie. I think maybe do you
14 want to bring up the questions from the end of your presentation
15 again, and then we'll have discussion? Jim.

16
17 **DR. NANCE:** Thank you, Mr. Chairman. For the otolith stuff, I
18 guess is there enough qualified individuals for otolith studies
19 to be able to do this in a timely manner? I mean, does it need
20 sectioning and things like that?

21
22 **EXECUTIVE DIRECTOR SIMMONS:** I think the intent would be that it
23 would provide a proposal and tell us what their plan is. I
24 mean, I think what we need right now is validation, and whether
25 they use the spines or otoliths or vertebrae, however they go
26 about the study, or whether they use the current samples, would
27 be up to them.

28
29 I am going to try to outline that in the draft call for
30 proposals, but what we're asking for is that the experts that
31 are providing proposals lay that information out for us, but I
32 think maybe Dr. Patterson is on, and I don't know if there's
33 anybody from the life history group from the Science Center that
34 could help me out here or not.

35
36 **DR. CALAY:** Carrie, I'm happy to help you out. What were you
37 looking for, a commitment of a volunteer?

38
39 **EXECUTIVE DIRECTOR SIMMONS:** Well, we need that, but I think Dr.
40 Nance's question was do we have enough expertise for ageing of
41 the otoliths, and I guess that's why we're going about this
42 process, to try to get validation under wraps, to make sure that
43 there -- Is there this ageing bias, and can we figure out a
44 calibration, or conversion, moving forward. I think Dr.
45 Patterson has his hand up, and maybe he can help us out with
46 that.

47
48 **DR. CALAY:** I mean, I can defer to Will, and then I will follow-

1 up, if needed.

2

3 **CHAIRMAN LORENZEN:** Will.

4

5 **DR. PATTERSON:** Sure. Jim's question was could this be done in
6 the timeframe, and I think, yes, it could. One of the
7 limitations will be collecting samples, and, going back to
8 Carrie Fioramonti's master's thesis work that was in one of the
9 Allman et al. gray triggerfish papers, in that work, there was
10 a confounded issue of region and fisheries sector, as far as
11 being able to estimate size-at-age.

12

13 There is a pretty strong selectivity component here to the
14 estimates of size-at-age coming from the various fisheries, but
15 some fisheries, like the longline fishery, where gray
16 triggerfish are captured, only occurs in certain regions, and so
17 that component would have to be addressed, I think, in this, to
18 get -- If the RFP for the council is seeking fisheries-specific
19 size-at-age information, which I think, based on previous data
20 collected for this species, I think would be smart.

21

22 As far as the otoliths themselves, in Virginia Shervette's
23 recent paper comparing size-at-age in Ghana versus the western
24 Atlantic and southeast U.S., there are some images in there that
25 show the opaque zones in gray triggerfish otoliths, and so folks
26 could utilize that, I assume, as a guide to figuring out how to
27 age these things, and there aren't a whole lot of people that
28 have done it so far with otoliths, but, as far as the timeframe,
29 I think it's reasonable for the scope of work that Carrie has
30 outlined here.

31

32 **CHAIRMAN LORENZEN:** Thanks, Will. Julie.

33

34 **DR. JULIE NEER:** I just to chime in that the gray triggerfish
35 research track is actually not set to start until 2024, and it
36 was, unfortunately, one of the casualties when we had to push --
37 The SEDAR schedule got a bit of re-jarring last year, due to
38 COVID, and gray snapper for the Gulf had to be slid back a year,
39 and then gray triggerfish got slid back as well, and so you
40 actually have a little bit more time, and so, for once, a
41 postponement might actually help us, because it should ensure
42 that this work can be done prior to that research track getting
43 underway, which is always nice to know. I just wanted to clear
44 that up. Thanks.

45

46 **CHAIRMAN LORENZEN:** Thanks, Julie. Carrie.

47

48 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair. I think one

1 question we did have, and I think Will kind of was bringing this
2 out a little bit, is can this project utilize fish that have
3 already been landed, from the state and federal, potentially,
4 labs that we have already, or is there going to have to be
5 additional field samples taken to get the hard parts that we
6 need to validate, which is I think really what we're trying to
7 do right now, is focus on the validation, and then how we could
8 potentially apply that calibration to the fishery-dependent
9 landings, I believe is what we're trying to focus on right now.

10
11 We do have, I believe, some limitations to our new award, which
12 is part of this grant cycle, for field collections, and we would
13 just need to think carefully about that and work with our Grant
14 Program Officer on that.

15
16 **CHAIRMAN LORENZEN:** Thanks. Benny.

17
18 **DR. GALLAWAY:** Remind me of the amount of money that you had
19 available for this effort.

20
21 **EXECUTIVE DIRECTOR SIMMONS:** It's a minimum that we've talked
22 about, but, I mean, I think if you guys could provide some
23 guidance on whether this is a reasonable amount of funds to
24 complete this type of work, based on whether additional field
25 collections would need to take place, and I know we have Dr.
26 Barbieri is on there, and I think we've talked a little bit with
27 his staff about what's available, and are the otoliths already
28 collected, or is it just spines, and I know that some states
29 have all the hard parts, and they have sexed the fish, whereas
30 others haven't.

31
32 I guess I'm unsure, as far as cost. I mean, obviously, if
33 you're doing field work, you're going to need quite a bit more
34 funds, and so I'm looking for some feedback there, so we can
35 take that back to the council, to see if perhaps they want to
36 put an upper range on this. We have not talked about this
37 explicitly with the council.

38
39 **DR. GALLAWAY:** What I find is that, even if a lot of these other
40 costs have been covered and samples are available, that there
41 tends to be undue optimism about the time and effort required to
42 complete this, especially when the schedule is short, and so,
43 whatever you have available, I would add some to it.

44
45 **CHAIRMAN LORENZEN:** Shannon. Thanks, Benny.

46
47 **DR. CALAY:** Thanks. I think that we can help, in terms of
48 prioritizing what work is needed to improve the stock assessment

1 initially, with an eye on the next stock assessment of gray
2 triggerfish. I mean, currently, that stock assessment is a
3 Gulf-wide stock assessment, and it's not spatial in
4 configuration, although we certainly do see some indications
5 that it might be more appropriate to consider at least an
6 east/west spatial structure, and, if we did that, it would be
7 interesting to know if there is any difference in growth,
8 east/west, say, of the Mississippi River.

9
10 We're most likely to use this information to actually as
11 conditional age-at-length information, and so what we would
12 really need is to understand -- Right now, what we've got is
13 basically a lot of dorsal spine information, and there appears
14 to be a well-known bias now between the dorsal spine age and the
15 otolith age.

16
17 We basically need to better understand that, to either have a
18 vector, for example, of the bias, or we need new age composition
19 data created from otoliths. If we have new otolith data, it
20 could be inserted in the model as age composition, which means
21 then it really needs to be representative of the population. If
22 there are now differences that arise, for example, with
23 different gears or areas, it would be necessary to weight that,
24 in some fashion, so that it would be reflective of the
25 population, but if that is not possible, given the timeframe and
26 the funding involved, it's also possible to use this data in the
27 conditional sense, where we use length composition data as well
28 as, essentially, fit to an age-length key.

29
30 The sex-specific growth that you discussed, at this time, is not
31 really the highest priority, because we don't really have a
32 convenient way to incorporate that in the stock assessment
33 model, and so, essentially, what we have right now is a lot of
34 length information, and the highest priority need right now is
35 for us to have a way to also fit to conditional age-at-length or
36 as a separate fishery-independent and representative source of
37 age composition data, which is a better way to do it, but also
38 more costly, in time and money.

39
40 **CHAIRMAN LORENZEN:** Thanks, Shannon. Will.

41
42 **DR. PATTERSON:** This last point that Shannon made is something
43 that came up during the data workshop for the last triggerfish
44 assessment that ultimately got put on the shelf. When we
45 presented the early validation work for otolith-derived versus
46 spine-and-vertebrate-derived estimates of age for triggerfish,
47 one of the questions that came up was, well, what do we do with
48 that now?

1
2 Basically, at the time, all the data were spine-derived age
3 estimates, going back in time, and we didn't really have any
4 fishery-specific information to try to estimate what the sex
5 ratio is for a given fishery.

6
7 We do know, from a couple of different data sources, going all
8 the way back to Walter Ingram's dissertation, that there are
9 differences in the sex ratio with age, with the males
10 disappearing quicker from the population than females, and so
11 what we don't have is sex ratio information from the various
12 fishing sectors, or even a Gulf-wide or regional estimates of
13 the sex ratio.

14
15 If those data were available, then maybe -- We would have to
16 make assumptions, going back in time, about what the ratios were
17 historically, but it seems possible that, at least as a
18 sensitivity, you could examine what the implications would be
19 for sex-specific dynamics going back in time in the model,
20 especially given that this will be a research track assessment,
21 and it seems like there's some flexibility and latitude there.

22
23 **CHAIRMAN LORENZEN:** Thanks. Anyone else? Shannon.

24
25 **DR. CALAY:** This is more a question, and perhaps it's a question
26 for Will, and it actually comes from Nancie Cummings. We are
27 aware that there a couple of NOAA CRP-funded projects that are
28 ongoing right now, and it's possible, Will, that you are in fact
29 the PI. How do these projects that are currently underway
30 differ? I think that -- I mean, basically, I think that they
31 do, but maybe it would be helpful just to hear.

32
33 **DR. PATTERSON:** Sure. We have a funded project, CRP project, in
34 the Gulf to examine age validation and ageing error in
35 triggerfish, and so my student, Derek Chamberlain, is about to
36 submit a manuscript for that work, which, basically, the report
37 from 2019 and the SEDAR assessment -- Those were the preliminary
38 data from that work, and so the CRP that Nancie is referring to
39 is the project that funded that.

40
41 It was due to be completed last year. However, with COVID, we
42 got an extension to complete the work, and Derek is about to
43 submit the first manuscript from that. When I say about to, I
44 have a draft that I'm about to return to him, and then the other
45 co-authors would have to provide their comments, and then that
46 would be submitted, and so I think it's reasonable to expect, in
47 May, that would be submitted.

1 What that paper is, it's an age validation using the bomb
2 radiocarbon to validate the age estimation, and the results -- I
3 don't think I'm -- I don't think any of the co-authors would be
4 displeased by revealing sort of the take-home, and pretty much
5 what you see in that 2019 report, that the estimates are -- The
6 spines underestimate age between about one to two years, and so
7 that's consistent with the full dataset that is included in the
8 report. Excuse me. That's included in the manuscript, which is
9 one component of the CRP that Nancie is talking about.

10
11 There are some other components that have to do with stock
12 assessment simulations with red snapper, based on otolith mass
13 versus otolith-derived ages, and then, also, some work on
14 vermilion snapper, but, for the gray triggerfish component, the
15 results of that are basically what are included in that
16 preliminary report to SEDAR back in 2019 that Carrie had cited
17 in her presentation.

18
19 **CHAIRMAN LORENZEN:** Thank you, Will. Anyone else? Carrie.

20
21 **EXECUTIVE DIRECTOR SIMMONS:** Okay, and so I guess I have more
22 questions now. If that is the case, and so you guys are
23 publishing this draft bias that we now know is more prevalent
24 for this other study, and I guess where does that leave us in
25 what we need to do for the stock assessment, and so I'm going
26 back to I believe something that Shannon said, and I think she
27 said the priority was to fit conditional age and length.

28
29 I guess, in my mind, I still don't understand how we're going to
30 get good fits of that without the sex-specific information,
31 because we know there is this difference in size of the fish,
32 and so I guess I'm not sure exactly what direction we should
33 take this, and so it would be helpful to get some more guidance
34 from the Science Center on this.

35
36 **CHAIRMAN LORENZEN:** Katie.

37
38 **DR. SIEGFRIED:** Thanks. I have a follow-up question for Will,
39 or maybe questions for Will, and then maybe a comment for
40 Carrie. If you've got that more complete age validation study
41 than the smaller dataset that we tried to use for gray
42 triggerfish, do you see, or is there something in the
43 manuscript, that would allow us to calibrate, or convert -- If
44 you say it's one to two years difference, will we be able to use
45 that to convert the ages derived by spines from other data
46 providers? Do you offer anything like that in the paper?

47
48 **DR. PATTERSON:** No. This is simply validating the age estimates

1 from spines versus vertebrae and otoliths for fish collected
2 from the recreational fishery in the north central Gulf of
3 Mexico. I talked, a little bit earlier, about the work that
4 Carrie Fioramonti had done and the fact that we attempted -- She
5 attempted, in her thesis, to examine differences in size-at-age
6 by region in the Gulf, but it was confounded with gear effects,
7 and so I think you would probably run into the same thing if you
8 tried to apply a bias.

9
10 The Shervette et al. paper, as Carrie mentioned earlier, talks
11 about the bias changing with age, and so, if you have
12 differences in size-at-age coming from the various sectors,
13 because of selectivity issues, then simply applying a one to
14 two-year bias may not be suitable for all regions or all gears,
15 but I don't know the answer to that until you actually looked
16 and tried to figure out what those ratios look like and how that
17 changed with age, and so we just don't have any data to give
18 even a suggestion of an answer, at this stage, for that.

19
20 **DR. SIEGFRIED:** Okay. I guess just a follow-up to Carrie's
21 question, although I may have forgotten the entire thing. Now,
22 after listening to Will's answer, I think the thing that -- Or
23 at least the point that I would like to make about the sex-
24 specific growth curves, as far as their usefulness in the
25 assessments, is just -- It's kind of like what Will mentioned,
26 and we would have to assume some way to parse out the historical
27 catch into sexes, and we would have to have some reason to think
28 that we were getting at some life history component, besides
29 just the growth that we weren't getting at in the model
30 otherwise.

31
32 I suppose, after hearing Will's answer, it seems like that would
33 be one of the best ways to improve the assessment, is to look at
34 the interaction between selectivity, the age validation, and
35 then potentially changing, by age, the relationship between
36 those two, and that would help us use all of the data that we
37 have available for gray triggerfish, instead of having to chuck
38 out a whole bunch of lengths, because we don't have a good way
39 to calibrate them. Again, it's something I'm not sure the
40 Science Center has the person-power to do at this point,
41 although we certainly could brainstorm on it.

42
43 **CHAIRMAN LORENZEN:** Shannon.

44
45 **DR. CALAY:** I think Katie touched on most of the things that I
46 wanted to emphasize. I mean, the current stock assessment is
47 not sex specific, and I believe that the next assessment is a
48 research track assessment, and Julie can correct me if I'm

1 wrong, and, as such, we can create a statement of work and
2 technical working groups to address how that sex-specific
3 information could be used in the stock assessment framework.
4

5 There are a variety of approaches that would not necessarily
6 require the landings data to all be broken out historically, but
7 those are all decisions to be considered and made at the
8 technical working group level within the research track stock
9 assessment.

10
11 **CHAIRMAN LORENZEN:** Thank you. Anyone else? Carrie, is that --
12

13 **EXECUTIVE DIRECTOR SIMMONS:** I guess I need to work with the
14 Science Center and Dr. Patterson on this some more, because, as
15 far as the selectivity goes, I mean, I think you're going to
16 have to take a lot of samples, with all the different gears, and
17 it's going to be seasonally dependent and all that, and I just
18 don't know if we have that amount of funding here for that, just
19 because of the amount of field work I assume that's going to
20 take, and so I don't know if we still need this type of
21 validation, using fishery-independent samples, and that would be
22 still a good approach with this funding, and so I'm a little
23 stuck, I guess, right now.
24

25 **CHAIRMAN LORENZEN:** Ken.
26

27 **DR. ROBERTS:** Thank you, Mr. Chairman. Carrie, this is off the
28 wall, but --
29

30 **CHAIRMAN LORENZEN:** We can't hear you.
31

32 **MS. MATOS:** It seems like his audio has disconnected, and he has
33 to re-enter his audio pin.
34

35 **CHAIRMAN LORENZEN:** Will, why don't you go, and we'll get Ken
36 when he is reconnected.
37

38 **DR. PATTERSON:** I will just say that I'm happy to go back over
39 the work that we've done to-date, and apparently there's some
40 misunderstanding about what's been completed and what hasn't
41 been completed with gray triggerfish, and so that might help the
42 council, or the council staff, fully understand where things are
43 with estimating gray triggerfish size-at-age and growth rates.
44

45 I think the validation work is basically completed, and, as far
46 as do otoliths provide more accurate estimates of size-at-age, I
47 think the answer to that is yes, and there's not a peer-reviewed
48 manuscript that I can say this is the citation, and not that

1 peer-reviewed manuscripts should be taken as the gospel truth,
2 but there's not a peer-reviewed manuscript yet that we could
3 point to and cite and say this has been completed, but there's
4 another component here that I think is important.

5
6 That is how do our estimates of size-at-age change by gear, by
7 region, and what are the implications, long term, for the stock
8 assessments of the assessment of gray triggerfish, and I think
9 there's probably several groups around who might want to take a
10 crack at those types of questions, because a lot of the
11 discussion here is based on historical data and how we could
12 utilize new estimates, given the potential for council funding
13 for gray triggerfish population dynamics research, and how can
14 you best design studies, or design an RFP to solicit proposals,
15 to utilize the historical data in the most meaningful way.

16
17 I think the council probably should also be thinking about, as
18 well as the Center scientists, about, well, what about the
19 future, and are we always going to be stuck in this loop of all
20 the old data are spines, and why would we make a transition, if
21 all the old data are spines, and there's going to have to be a
22 transition.

23
24 I mean, the difference is pretty stark, and so, again, I would
25 be happy to go over what's been done again, but I think
26 everybody, based on this conversation, should be aware of where
27 things stand, as far as the validation. In my view, it's
28 complete, but it's got to go through peer review.

29
30 **CHAIRMAN LORENZEN:** Thanks, Will. Is Ken Roberts back?

31
32 **MS. MATOS:** No, not yet.

33
34 **CHAIRMAN LORENZEN:** Okay. Paul.

35
36 **DR. SAMMARCO:** I wanted to apologize, and the power went off in
37 our neighborhood for about four hours, and so I missed a big
38 block of the presentations, for which I apologize, but I'm back
39 online now, and maybe even I'll have some air conditioning
40 within a half-hour. Sorry about that.

41
42 **CHAIRMAN LORENZEN:** You don't want to weigh-in on gray
43 triggerfish age validation?

44
45 **DR. SAMMARCO:** No, and I would feel that it would be
46 inappropriate for me to do so, because I didn't hear most of the
47 talk, but thank you for the invitation.

48

1 **CHAIRMAN LORENZEN:** Okay. Thanks, Paul. I don't know if Ken
2 Roberts is back, but, Carrie, it seems you will have to make a
3 decision where you want to go.

4
5 **EXECUTIVE DIRECTOR SIMMONS:** We can certainly go back through
6 some of this with Dr. Patterson and the Science Center, but, I
7 mean, I will say it again, and I just don't see how the council
8 can fund a selectivity study, which I think the direction I was
9 hearing folks say we should go, and, I mean, if we can have a
10 little bit more discussion about that, that would certainly be
11 helpful.

12
13 **CHAIRMAN LORENZEN:** Okay. Any feedback on that question?

14
15 **MS. MATOS:** Ken Roberts is connected again.

16
17 **CHAIRMAN LORENZEN:** Okay. Ken, if you're there and you can
18 speak, the floor is yours.

19
20 **DR. ROBERTS:** Thank you so much. I apologize. By way of
21 explanation, between 2:00 and 4:00 on Central time, it's a very
22 busy trading time for me, and I have the burden of being a
23 trustee of a generation-skipping trust, and a bunch of stuff
24 came in at one time, and somebody didn't do what they were
25 supposed to do.

26
27 Anyway, my question was does the council have any flexibility to
28 do sole-source contracting, instead of waiting for an RFP to go
29 out and be evaluated or whatnot? That's a way to save some
30 time, and I just wonder if they can do that.

31
32 **MR. RINDONE:** Mr. Chair, Carrie wants to take this one.

33
34 **EXECUTIVE DIRECTOR SIMMONS:** Yes, we can sole-source, and it has
35 to be a limited amount of funding, and it has to be justified,
36 and it's \$99,000, and it has to be passed by the council, but,
37 right now, I guess I'm just not clear what we're taking to the
38 council, as far as what the need is, or the call for the
39 proposals now, and so we certainly need to refine that some
40 more, but, if it's selectivity of the different fleets, I think
41 that's a tall order for council funding.

42
43 **DR. CALAY:** Carrie, I can respond to that. I mean, we do have a
44 lot of length composition data, and we typically do length-based
45 selectivity and retention functions for fisheries, and we use
46 the age information as what I called conditional age-length
47 keys, and so we're fitting to that -- Basically, it's a
48 predicted age-length key, and we're fitting to it, but we're not

1 directly converting ages, using an age-length key, for example.

2
3 I don't really think that we need -- We don't need to be
4 estimating selectivity, based on the age composition data from
5 this particular study, in order for it to be useful, but what we
6 do probably need to do is look at some of the highest priority
7 things that we could learn from this study that would
8 potentially improve the stock assessment.

9
10 I think we could -- I mean, I'm a little bit uncomfortable
11 trying to brainstorm right now, on the fly, but I am very happy
12 to have a conversation with you and bring in the appropriate
13 expertise.

14
15 **EXECUTIVE DIRECTOR SIMMONS:** I think, Shannon, you're suggesting
16 an age validation study or a selectivity study? Sorry. I'm
17 getting confused.

18
19 **DR. CALAY:** It sound like you are concerned that you would need
20 to be able to estimate selectivity from this age composition
21 data derived from this particular proposal.

22
23 **EXECUTIVE DIRECTOR SIMMONS:** I believe that's Dr. Patterson's
24 concern and not mine.

25
26 **DR. CALAY:** Okay. Well, I didn't necessarily mean you, Carrie,
27 and I just meant the SSC, I suppose, but that is one thing that
28 could be done, but it's not the only thing that could be done
29 with data that was collected from this RFP, and so I think we
30 have to be really cautious, honestly, about using age
31 composition data from a one-off study, in the stock assessment
32 context, because one thing that becomes very important is, if
33 you are going to use age composition data in a stock assessment,
34 it needs to either be applied to a fleet or a fleet/area
35 combination, if the model is spatial, and it needs to be
36 representative of the population in that space.

37
38 The problem arises when you start to get samples that are not
39 collected throughout time and over a large enough space that you
40 get confounding, based on non-representative sampling, and so
41 you can see, sometimes -- For example, it will look like fish
42 grow differently in one place than another, and that can simply
43 arise because you didn't collect the full spectrum of size of
44 animals in the two locations, and so maybe, in the first
45 location, you caught predominantly young fish, and so you have a
46 good estimate, perhaps, of K, but a terrible estimate of L
47 infinity, and then, in another location, you might collect
48 predominantly older fish, and you have a better L infinity, but

1 a terrible K.

2
3 What I am really getting at is I just don't think you have the
4 funds to try to collect representative age composition data
5 through this sort of a funding mechanism, but I do think there
6 are important research questions that can be addressed that
7 would help us improve that stock assessment, and I welcome that
8 conversation.

9
10 **CHAIRMAN LORENZEN:** Thanks, Shannon. Will.

11
12 **DR. PATTERSON:** Just back to Carrie's earlier comments about
13 selectivity, my comments earlier weren't focused on an idea that
14 anybody propose to do a selectivity study with these funds.
15 What I was pointing out is that, because of gear selectivity,
16 there are differences in size-at-age that appear to occur among
17 the various fishing sectors, and so, within the commercial
18 fishery, for example, handline versus bottom longline, but the
19 differences that Carrie Fioramonti found were confounded by
20 region.

21
22 I wasn't advocating to do a selectivity study, or to put into
23 your call that there would be a selectivity investigation here,
24 but just the fact that selectivity does affect estimates of size
25 at age, and Shannon is right.

26
27 It's tough to compare growth rates, because you have this issue
28 of sampling bias, and you also have uneven sampling among ages,
29 but there are ways to test for differences in size-at-age that
30 don't rely on comparing von Bertalanffy fits, and so that might
31 be a way forward here.

32
33 In the end, I am happy to tell everybody what we've done, what
34 our team of collaborators have done, as far as the age
35 estimation in gray triggerfish, and talk about potential things
36 that could be in the RFP. I am hesitant to lay out that, hey, I
37 would -- I suggest you put in the RFP these six things, because
38 I would -- I think, if you wrote a more general RFP, then you
39 might get more proposals, which is always good for the science
40 to have competing proposals.

41
42 To Ken's question earlier about sole source, I would stay away
43 from that and write an RFP, and the council can decide, when the
44 proposals come in, whether they think any of them are up to
45 snuff, and they can consult with the Southeast Fisheries Science
46 Center and say, okay, yes, I think this one or that one might
47 push the science forward and be available for the next stock
48 assessment. That way, the council gets the best return on their

1 investment, and the Southeast Fisheries Science Center gets more
2 usable data for the long term.

3

4 **CHAIRMAN LORENZEN:** Carrie.

5

6 **EXECUTIVE DIRECTOR SIMMONS:** I mean, I don't know that we can do
7 that, Dr. Patterson. I think we need to be very -- I don't want
8 to say narrow, but fairly precise and specific in what our goal
9 and objective would be for this call for proposals and how it
10 meets our grant and program needs and how it would help us
11 manage this stock and the fisheries in the Gulf of Mexico, and
12 so I'm a little hesitant to make it too general, and maybe we
13 could have some meetings with the Science Center, but I guess,
14 if we don't need any more age validation studies, we just need
15 to think about what else we could do, perhaps. Maybe look at
16 recruitment or other things that the council may want to
17 consider for triggerfish, moving forward.

18

19 **CHAIRMAN LORENZEN:** Thanks, Carrie. I mean, it seems to me that
20 we can't take this very much further here. Katie.

21

22 **DR. SIEGFRIED:** I just have a quick question for Will. Your
23 validation studies mentions that it's just recreational Florida
24 data, and do you -- I was looking back at the documentation for
25 the sample that you provided for 62 and then what was used for
26 SEDAR 43 and the update.

27

28 If we convert all of the lengths we have into age comps, using
29 an age-length key, but we would need to focus on the fleets, do
30 you see any value in maybe the council asking for additional
31 work in a different region from Florida, and is that what you
32 were trying to get at earlier, or would we be able to use your
33 work for an overall age-length key?

34

35 It would sort of eliminate the calibration issue, because we
36 wouldn't be calibrating spine age to otolith age, and we would
37 just be able to use the lengths and convert, using an age-length
38 key, with otolith ages.

39

40 **CHAIRMAN LORENZEN:** Will.

41

42 **DR. PATTERSON:** Thanks, Kai. Katie, that's -- I guess there's
43 really no way around it, but just for me to say that this is
44 what I would do. If there was an RFP and I could respond to it,
45 this is what I might propose, is actually to do that very thing,
46 to go region-by-region and look at the predominant fisheries and
47 the landings that contribute to the overall take of gray
48 triggerfish and estimate size-at-age, estimate the sex comp, and

1 do some validating of those individual regions, because,
2 although, overall, we have validated that otoliths are a better
3 hard part ageing structure to estimate size-at-age growth in
4 gray triggerfish, or to estimate age period in gray triggerfish,
5 that -- You know, in different regions, you may encounter
6 otoliths that look different.

7
8 We know that spines look different in different regions, and so
9 it would be smart to do -- Not to the full extent that we've
10 done with CRP funding, but to actually do some validation work,
11 especially for the older individuals. If we get a lot of
12 teenagers, potentially, from longline samples, for example, then
13 it would be smart to actually do validation for those older
14 ages, to make sure that you are accurately ageing them.

15
16 That could provide information not only for the regional age
17 comp information, but also provide information on the sex ratio
18 at-size or age, and that would be important, I think, just to
19 examine differences in general, to inform the current
20 assessment, but, also, moving forward, to kind of indicate where
21 the uncertainties may be and where you would invest to examine
22 that more closely in the future.

23
24 **CHAIRMAN LORENZEN:** Katie.

25
26 **DR. SIEGFRIED:** Okay. Great. Thanks, Will. That's kind of
27 what I was thinking that you might say, and I just wanted to
28 make sure that was right, and so that would actually help the
29 assessment quite a bit, especially because we're looking at --
30 It's currently modeled in two regions, and we would want to look
31 at those two regions, and we do have the other fleets, and so
32 that information is really useful, Will.

33
34 I think that's what you probably should go on, Carrie, if you
35 continue to go down this validation route, and there are
36 potentials for recruitment too, but what Will just said would
37 probably help the assessment quite a bit.

38
39 **CHAIRMAN LORENZEN:** John.

40
41 **DR. JOHN FROESCHKE:** A follow-up question for Katie, or perhaps
42 Will, but a little bit more about the types of sampling, and it
43 sounded like, from the discussion, you were focused on fishery-
44 dependent sampling, but perhaps fishery-independent sampling
45 would be necessary, either in addition to or in lieu of, and
46 we're just trying to understand that process a little bit.

47
48 **DR. SIEGFRIED:** I can mention what I was thinking. I am looking

1 at all the data from the previous assessments and wondering,
2 okay, well, if we wanted to get an age comp from all these
3 lengths comps, we would need an age-length key that was
4 representative.

5
6 In order to get that, we would have to know that there weren't
7 regional differences, in order to use an age-length key across
8 the Gulf, but Will has pointed out that there are potentially
9 regional differences, and so those samples are already taken,
10 and they continue to be taken.

11
12 It is always useful to get an independent stratified sample, and
13 then the age comps from those we assume would then be created
14 using the otoliths, rather than spines, because of this known
15 now bias, and that would be helpful. However, just a short-term
16 sample is not nearly as helpful as knowing that the otoliths are
17 better to be used for ageing and then pulling those from a
18 survey that lasts more than the time of the proposed work. I
19 hope that makes sense, and I'm sure that Will can add to that.

20
21 **CHAIRMAN LORENZEN:** Will.

22
23 **DR. PATTERSON:** I think, from my perspective, that would be a
24 step forward, and, again, I think you would want to balance new
25 information that is going to be useful to recalibrate older
26 information derived from spines moving forward, but, also,
27 develop a new approach for how this is going to be done into the
28 future.

29
30 This is an inflection point for gray triggerfish population
31 dynamics and ageing. Virginia Shervette and John Dean started
32 working on this five years ago in the Atlantic, or maybe longer,
33 and then, through the validation work, we showed, in the Gulf,
34 that, hey, actually the otoliths are a better approach.

35
36 Eventually, that's going to be the standard for ageing gray
37 triggerfish, but it's just a matter of how do we get there, and
38 I think -- I mean, I've already said kind of what I think would
39 make for a useful study, and people can look at the minutes,
40 and, if they can submit a proposal to do that, then it's
41 probably pretty competitive.

42
43 **CHAIRMAN LORENZEN:** Carrie, do you sort of have what you need,
44 or do you want to ask for more input?

45
46 **EXECUTIVE DIRECTOR SIMMONS:** No, and, I mean, I think I have an
47 idea of what direction we should go now, and I will work on
48 something for the council meeting. I will need some help from

1 the Science Center.

2
3 **CHAIRMAN LORENZEN:** Okay. Unless there is anything else, I
4 think we will wrap up this topic, in which case the next part --
5 The next item on the agenda is Public Comment.

6
7 **MR. RINDONE:** Mr. Chair, I would help with this. I will wait
8 for the instructions to be put up. Okay. If anyone out in
9 webinar land would like to provide public comment, please use
10 the raise-hand feature in Go to Webinar, and it's the little
11 hand icon on the upper-right-hand part of your screen, in the
12 control panel on the little sidebar there, and we will call your
13 name and unmute your line, and you will have a few minutes to
14 give public comment. First up, we have Michael Drexler.

15
16 **PUBLIC COMMENT**

17
18 **MR. MICHAEL DREXLER:** Hello. Thank you, Ryan, and thank you,
19 Chair. I'm Michael Drexler with Ocean Conservancy. I just
20 wanted to provide a few comments on the ABC control rule
21 discussion, and it's a bit of a rant, and so I will try and make
22 it quick, but this seems like the right stage to rant, or not
23 rant, but ramble, I guess.

24
25 Just a few points on that. I wanted to comment that, last year,
26 I provided a qualitative comparison of our OFLs to ABC, and just
27 some points that are relevant here, mainly that the historical
28 comparisons of our OFL show a discrepancy in the range of 30 to
29 50 percent of sort of what we intended and what was actually
30 landed, and that incorporates both scientific and management
31 uncertainty.

32
33 I would also note that our Tier 1 P* approach generally
34 estimates buffer sizes of around 3 to 5 percent, and these are
35 really rough ballparks, but that, to me, says that there's 30 to
36 50 percent discrepancy there, and I don't believe that the
37 scientific uncertainty is only 3 to 5 percent of that, and so I
38 think we're missing a piece of the pie there on the science end
39 of that, and that's just speaking to the need to revise this.

40
41 I appreciate the work of the SSC to generate the list, and I'm
42 really impressed that you were already able to generate a list,
43 and I have some comments on some of the items on the list and
44 two additional items that are for your thoughts.

45
46 The first is a historical approach, and I would just comment
47 that this could be done using a meta-analytic approach like the
48 Ralston method, qualitatively or quantitatively, but, also, it

1 could be applied on a species-by-species basis.
2
3 We're at the point where we have multiple assessments for most
4 of our stocks, and a decent history of landings, and so you
5 could think about that on a species-by-species basis, and it
6 could account for those differing process errors that we're not
7 capturing, like amberjack, where we're overestimating
8 productivity, and, in red snapper, we're probably
9 underestimating it, generally. That's one idea.
10
11 Second is the simpler fix idea, and Leann pointed to the ABC
12 spreadsheet, and I was wondering that same thing. You know, the
13 core issue is that we're underestimating this uncertainty, and
14 so I wondered, if you removed the sigma from the stock
15 assessment, and applied some sort of qualitative sigma, maybe
16 that ABC spreadsheet becomes useful again. As you know, many of
17 the concerns raised in your discussions are actually listed in
18 that spreadsheet, and so that's one idea.
19
20 Two additional approaches, you can use multimodal inference to
21 estimate -- To generate your estimates of uncertainty for
22 multiple models, and the model BAM was mentioned, and JAVA has
23 been discussed, and we have extended Stock Synthesis, the Data
24 Limited Toolkit, which runs multiple models, and it could be an
25 appropriate way to characterize model uncertainty and testing
26 the structural assumptions and structural model uncertainty in
27 that scientific component.
28
29 The second that I wanted to flag is a probabilistic-based
30 framework, looking at multiple states of nature using a single
31 model, and this method was just implemented by IATTC for
32 tropical tunas. Basically, you run dozens of models, under
33 different plausible states of nature, different productivity,
34 fisheries assumptions, et cetera, and that captures the process
35 of uncertainty in our models.
36
37 It's probabilistic-based, and the U.S. delegation is based on
38 applying the outputs of that to our USA Magnuson-Stevens
39 standards, and so there is a pathway there that you could
40 consider.
41
42 I also wanted to comment on the ramps and related to opportunity
43 costs, and I think these ramps are the most important concept to
44 develop a resilient control rule, and it's basically a post-hoc
45 acknowledgment of the unknown unknowns, right, where we can't
46 capture everything, and we set up a safeguard to avoid failure.
47
48 The focus should be on designing control rules that work and not

1 emphasizing the changes in amberjack quotas if we implemented
2 such a rule. I realize that it wasn't presented that way, but I
3 would rather encourage you to think of the opportunity costs of
4 a rebuilding shock, with the result in a really big drop of
5 quotas, the way our control rules current work, rather than a
6 gradual decline that would be associated with ramp rule.

7

8 **MR. RINDONE:** Michael, can you wind it down?

9

10 **MR. DREXLER:** I'm done. Last, on the process, I've spent a few
11 years watching the most recent status determination document
12 move through the council, and I would say the feedback from the
13 council is partially ineffective, and so you guys did a great
14 job, but I would encourage you to think about maybe creating a
15 core team to co-develop these with the council moving forward,
16 to get useful feedback. Thank you for the extended public
17 comment.

18

19 **MR. RINDONE:** Thank you, Michael. Are there any questions from
20 the SSC? Seeing no questions, Captain Zales. Captain Zales,
21 you will need to unmute yourself. Are there any other
22 individuals that would like to give public comment? Captain
23 Zales, since it seems like you're having some audio issues
24 there, if you would like to submit it in writing, we'll make
25 sure it's put into the record. Mr. Chair.

26

27 **CHAIRMAN LORENZEN:** Thank you. Thanks, Ryan, and thanks, Mike,
28 for the public comment. That gets us to Other Business, and so
29 we have two items under Other Business, and one is we have to
30 complete the SEDAR 68 chair recruitment, and so I'm hoping that
31 one or two people have decided to step up. Then the second item
32 is going to be a new item that was brought up by Ken Roberts,
33 and we'll get to that in a moment, but, Ryan, if you want to go
34 back to the SEDAR 68 review workshop and see if we can solicit a
35 chair.

36

37

OTHER BUSINESS

38

SEDAR 68 PARTICIPANT SOLICITATION

39

40 **MR. RINDONE:** Sure. Again, this review workshop will be held
41 via webinar, and thanks, Dr. Siegfried, for pointing that out.
42 It will be August 31 to September 3, and the chair is
43 responsible for making sure that the review workshop stays on
44 track and follows the terms of reference and for helping the
45 review panelists, which will include Gulf and South Atlantic SSC
46 and others from the Center for Independent Experts to compile
47 the review workshop report and get that submitted in a timely
48 fashion to SEDAR. Dr. Neer has her hand up, and so we'll

1 recognize her.

2
3 **DR. NEER:** Just one quick change. After I sent the memo to the
4 council, I met with the Science Center, and, since we switched
5 from in-person to virtual, we decided let's add an extra day,
6 just so we have a little extra time, and so the dates are
7 actually August 30 through September 3, Monday through Friday.
8 Thanks.

9
10 **MR. RINDONE:** All right. More webinar days. I know everyone is
11 just brimming with excitement. It would be terrific if we could
12 get another volunteer from the SSC to serve as the chair for
13 this workshop. Dr. Neer's hand is back up, and I don't think
14 she can be the chair, but, Julie.

15
16 **DR. NEER:** Just one other thing is that we actually don't
17 anticipate that these are going to be eight-hour days all five
18 days. Our goal would be to have a day or day-and-a-half
19 initially, to get through the initial assessment presentations,
20 and then we'll have breaks throughout the rest of those days,
21 and we might meet for a half-day, or we might meet for four
22 hours or whatever, as the panel works through stuff, but we
23 don't think it's going to be forty hours' worth of sitting at
24 the webinar all day long, just if that makes anybody feel a
25 little bit more comfortable about serving as a reviewer or a
26 chair. Thank you.

27
28 **MR. RINDONE:** Well, I heard that Mr. Gregory was interested.

29
30 **CHAIRMAN LORENZEN:** Mr. Gregory.

31
32 **MR. GREGORY:** Wait a minute. I was sleeping. I don't think so.
33 I chaired a review workshop for spiny lobster in the Caribbean
34 Council a couple of years ago, and I didn't really enjoy it, and
35 it wasn't because it was difficult, and what I found, and I
36 spoke with Julie a little bit, and I spoke with Luiz, because
37 Luiz has chaired lots of committees in the past, and I found the
38 CIE going to so many of our SEDAR meetings, that they came with
39 a copy of SS, and they reran all the models themselves, and did
40 all sorts of stuff, and they wrote the report, and I didn't do
41 anything but sit there, and that's why I didn't like it. I
42 mean, I was just sitting there for three or four days.

43
44 This past year, I've been involved in ten of the shrimp working
45 group meetings, and they're about two or three hours each, and
46 so they weren't time consuming, but they do add up, and I was on
47 the scamp stock ID working group, and so I really am not
48 interested in doing a review workshop, particularly a research

1 track review workshop, and I'm sorry.

2
3 **CHAIRMAN LORENZEN:** You had my hopes up when you started to
4 speak.

5
6 **DR. PATTERSON:** All I heard was Doug say, yes, I'll do it.

7
8 **MR. RINDONE:** Dr. Neer.

9
10 **DR. NEER:** I just want to say the council is not required to
11 send SSC reps to serve on a review panel, but it makes it much
12 more difficult to report back to the SSC, when you have to
13 review it, if no one is part of that process, and so I'm just
14 putting it out there. We do have two South Atlantic
15 participants identified, because it is a joint assessment, and
16 so you will be reviewing both the South Atlantic scamp
17 assessment and the Gulf scamp assessment.

18
19 **MR. RINDONE:** Julie, I have a question. Since it seems as if
20 the SSC's excitement for this responsibility is tempered, is
21 there a process, or procedural issue, with me serving as the
22 chair, to facilitate that role for the review workshop?

23
24 **DR. NEER:** We would have to find out. Really, I don't think so.
25 Honestly, we always had it be an SSC or someone appointed by the
26 council to serve that role, and so I will run it by and see if
27 that's okay with everyone, and I personally would have no
28 problem, and I know you could serve as an impartial chair, and
29 would probably do an excellent job, and so I don't think that's
30 a problem, but we'll have to double-check, because I think the
31 SOPPs do say it's supposed to be an SSC member, but, if you have
32 no one who is willing to do it, then we would need to find
33 someone else, and I know, for HMS, they don't have SSCs, and so
34 we make alternative arrangements for the HMS assessments, as is
35 already, and so I will be happy to look into that and report
36 back.

37
38 **CHAIRMAN LORENZEN:** Julie, I mean, I would support that, and I
39 will say that it's -- I would normally consider it, but I know
40 that, more or less taking a week out at the height of the fall
41 term that is just not a realistic proposition, and I do think
42 that Ryan would do a great job, and so, if that's possible, then
43 I think that will solve our problem.

44
45 **MR. RINDONE:** All right. Well, in the meantime, Julie, let's
46 just scribble my name in pencil on a post-it note there, and
47 then, if we can find an alternative between now and then, then
48 we'll do that, but, in the meantime, put me as a placeholder.

1
2 **DR. NEER:** Sure, and, if anyone wants to serve as just a
3 reviewer and not a chair, let Ryan know as well.
4

5 **CHAIRMAN LORENZEN:** Good. Thank you. We can make that a
6 condition of applicants for the next SSC. Of course, this is
7 the last meeting of the current SSC. Okay. Ken Roberts, you
8 had an additional item for Other Business, it's not mistaken.
9

10 **DISCUSSION OF COUNCIL FACEBOOK PAGE AND BLOG**
11

12 **DR. ROBERTS:** Thank you, Mr. Chairman. Let's focus on the
13 webpage for the council, under the news icon on the bar. If you
14 scroll through that, there is a thing called Gulf Currents,
15 which is a blog for the council.
16

17 I originally came to thinking about this when I saw that, on
18 Agenda Item XIII, there was going to be a discussion of best
19 scientific information available from the National Marine
20 Fisheries Service, and I know it's been scratched, but my
21 interest is this.
22

23 The Gulf Currents -- Because I do follow it, and there's a good
24 mixture of what is about to happen, like pre-council meetings,
25 and it's educational, too. I went back to 2018 and found an
26 educational thing called *Moving the Bar on What it Means to be*
27 *Overfished*. Then, in 2019, *Recreational Data Collection*. In
28 2021, *Regulation Rationale and Minimum Size Limits*. Then, also
29 in 2021, *Clarifying Common Misunderstandings: Aggregate Bag*
30 *Limits*.
31

32 I characterize those as educational for the people who are
33 following what the council is doing, and a real good means, it
34 appears, to communicate with an audience that they don't see
35 face-to-face, and I got to linking that to the best scientific
36 information available issue, and, if anybody read the Facebook
37 page on the council after the last council meeting, and SSC
38 meeting, there was a great deal of negative feelings about
39 ignoring, as it was said by many people, the Great Red Snapper
40 Count, because it was best scientific information available.
41

42 I am getting to the point, and the point is I think some
43 attention, if it hasn't been prior to 2018, and that's as far
44 back as I went, it would be nice to have a concise discussion
45 about what best scientific information available is, in the same
46 vein that these other four things I mentioned are educational on
47 some really kind of sticky points, and so I guess what I'm doing
48 is recommending to council staff to consider this as something

1 that ought to be done pretty quickly, given all of the issues
2 that were raised during the post-council meeting in mid-April
3 about best scientific information available. All I'm asking is
4 for somebody to consider writing something to put in the Gulf
5 Currents that's educational like the other four that I cited.
6 Thank you, Mr. Chairman.

7
8 **CHAIRMAN LORENZEN:** Thank you, Dr. Roberts. I see Emily's hand
9 up.

10
11 **MS. MUEHLSTEIN:** Thank you, and thank you, Ken, for that
12 suggestion. I do handle that blog, and we have a list of a
13 bunch of articles that we would like to write in the future, and
14 that exact topic is somewhere buried in that list, and what I
15 will promise is that I will bring it to the top, and one of the
16 next couple of posts that we put up will certainly address the
17 best scientific information available and how that's defined and
18 embedded, and so thank you for that suggestion, and I think it's
19 a great idea.

20
21 **DR. ROBERTS:** Very good, Emily, and I will say it in front of
22 the group, but, in relationship to what was going on after the
23 council meeting on the Facebook page of the council, I certainly
24 appreciate the fine job you did in responding not only to things
25 you thought essential that some of the people were writing in
26 that were critical, but, when I spoke to you about one I thought
27 was in need of a response, within about six hours you responded,
28 and I'm going to tell you that people have to go back and read
29 the Facebook comments after the council meeting and see what
30 Emily wrote. In relationship to one that she and I were
31 discussing in particular, she did a fabulous job, and I
32 compliment you. Thanks so much.

33
34 **MS. MUEHLSTEIN:** Thank you in return.

35
36 **CHAIRMAN LORENZEN:** Thanks, Emily. Okay. Carrie.

37
38 **EXECUTIVE DIRECTOR SIMMONS:** Thank you, Mr. Chair. I just
39 wanted to say that I thought that was a great idea too, and
40 thank you, Dr. Roberts. We'll work on that, and I appreciate
41 the kind words. Thank you very much for your feedback.

42
43 **CHAIRMAN LORENZEN:** Thank you. Unless there are more hands up,
44 I think we are done with the other business component as well,
45 which leaves me to thank everyone, the presenters, our SSC
46 colleagues, and council staff for the very productive meeting.
47 As I said, this is the last meeting of the current SSC, and so I
48 hope that many of us will see each other again in the next SSC.

1 Thank you very much, everyone, and I guess I'm looking for a
2 motion to adjourn.

3

4 **MR. GILL:** So moved, Mr. Chairman.

5

6 **DR. PATTERSON:** Second.

7

8 **CHAIRMAN LORENZEN:** Any objections? Hearing none, the meeting
9 is adjourned.

10

11 (Whereupon, the meeting adjourned on May 4, 2021.)

12

13

- - -